

*Sections to be  
made on p. 99*

*7*

POOR ORIGINAL

IN THE MATTER OF:

THREE MILE ISLAND  
SPECIAL INQUIRY DEPOSITION

DEPOSITION OF: GARY PAUL MILLER

Place - MIDDLETOWN, PA.

Date - SEPTEMBER 20, 1979

Pages 1 - 123

Telephone:  
(202) 347-3700

ACE - FEDERAL REPORTERS, INC.

Official Reporters

444 North Capital Street  
Washington, D.C. 20001

NATIONWIDE COVERAGE - DAILY

~~8001 280 645~~  
8001 280 645  
T

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION  
3

4 IN THE MATTER OF:  
5 THREE MILE ISLAND  
6 SPECIAL INTERVIEW  
7

8 Interview of: GARY PAUL MILLER

9 Place : Trailer 11  
10 Three Mile Island  
11 Middletown, Pennsylvania

12 Date : Thursday, September 20, 1979  
13 10:45 a.m.  
14  
15

16 APPEARANCES:

17 GEORGE T. FRAMPTON, JR., Esquire

18 DENNIS ALLISON

19 NRC Special Inquiry Group on TMI  
20 6935 Arlington Road  
21 Bethesda, Maryland

22 JAMES SNELL

23 RICHARD DeYOUNG

24 PETER SICILIA

25 MATIAS F. TRAVIESO-DIAZ, Esquire

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

INDEX TO WITNESS

Witness

Direct

GARY PAUL MILLER

2

INDEX TO EXHIBIT

Exhibit

Marked for  
Identification

1. Exhibit 16

3

1 MR. FRAMPTON: This is the deposition being  
2 conducted by the United States Nuclear Regulatory Commission's  
3 Special Inquiry Group on Three Mile Island on September 20th,  
4 1979 at Three Mile Island, Pennsylvania, of Mr. Gary P. Miller,  
5 who is with Metropolitan Edison Company.

6 Met-Ed is represented at the deposition by Mr. Mat  
7 Diaz. Dennis, do you want to swear the witness?

8 (At this time Mr. Dennis Allison administered the  
9 oath to the witness.)  
10

11 GARY PAUL MILLER, called as a witness, having been  
12 duly sworn, testified as follows:

13 MR. ALLISON: Would you, please, state your full  
14 name for the record.

15 A Gary Paul Miller.

16 DIRECT EXAMINATION

17 BY MR. FRAMPTON:

18 Q Mr. Miller, I have previously given you a one-page  
19 notice form that describes the Special Inquiry Group, the  
20 purpose of this interview, and the possibility that the tran-  
21 script of the interview may eventually become public  
22 information.

23 Have you read that notification form and do you  
24 understand it?

25 A I have read it, and I do understand it. And I would



1 appreciate what effort you could make to get me a copy of the  
2 transcript.

3 Q We will provide you with a copy of the transcript.  
4 As I told you before we began, we had the benefit of your  
5 testimony in a number of forums, including your deposition  
6 by staff members of the President's Commission, public  
7 testimony you have given before both the President's  
8 Commission and congressional bodies, and a number of tran-  
9 scriptions of interviews that were done with you by the NRC  
10 inspectors during their enforcement investigation.

11 Have you had an opportunity to review the transcript  
12 of the deposition that was done by staff members of the  
13 President's Commission beginning on August 7, 1979?

14 A Yes, I have. I have reviewed and submitted any  
15 corrections to that transcript.

16 MR. FRAMPTON: I'd like to ask the reporter to mark  
17 as Exhibit 16 of this date a document that appears to be a  
18 list of the corrections that you made to the transcript of  
19 the President's Commission deposition.

20 (At this time Exhibit 16 was marked for identifica-  
21 tion.)

22 BY MR. FRAMPTON:

23 Q Are those the corrections that you forwarded to the  
24 President's Commission?

25 A Yes, they are the corrections.

1 Q And is the testimony recorded in that transcript  
2 with the corrections that you sent to them substantially  
3 accurate?

4 A Yes.

5 Q Have you had an opportunity to review the transcripts  
6 of the I. & E. interview tapes that were done with you?

7 A I don't believe I have those transcripts.

8 Q They did not provide those to you?

9 A Not at this date.

10 Q To the best of your recollection, were the answers  
11 that you gave during those taped interviews accurate?

12 A I would expect they are accurate, except for minor  
13 corrections.

14 Q You feel the transcripts would be substantially  
15 accurate?

16 A Yes.

17 Q Let me begin and take you through the major events  
18 or decisions that were made on March 28th. I believe you have  
19 testified previously that you were notified of the trip  
20 shortly after 4:00 a.m. and that at least one other telephone  
21 conversation occurred between you and people at the plant  
22 resulting in a conference call that you participated in about  
23 6:00 or 6:15 a.m., is that right?

24 A Yes. As I have said previously, my itinerary that  
25 day was not to be at the site. I was scheduled to be at the

1 Oyster Creek site for a meeting.

2 I was notified shortly after four. I made a call  
3 back to the plant somewhere in the vicinity of five, the  
4 exact time being in my previous transcripts as best I could  
5 remember. That call was made back as a verification of what  
6 was going on at the plant.

7 Then there were calls between then and probably six,  
8 six thirty that involved the conference call, plus making  
9 arrangements for that day, since I was not going to the  
10 meeting and I had other people.

11 Q Okay. You have testified rather extensively in  
12 prior interviews about the substance of that conference call.  
13 The only question I have about it is this: Do you remember  
14 whether there was any discussion during the conference call  
15 concerning whether the people at the plant, Mr. Kunder and  
16 others, believed that they had some natural circulation at  
17 that time? Do you remember that being discussed?

18 A I don't remember --- I don't remember whether it was  
19 or was not discussed as of this date or time. I would have to  
20 go back to what I said previously and have to stand on that.

21 I do remember discussions that involved trying to  
22 start reactor core pumps. I vaguely remember that. Otherwise  
23 it's in whatever I said before.

24 Q Do you recall, then, that you arrived at the plant  
25 about seven or five after seven that morning?

1           A     (Affirmative nod.)

2           Q     What initial assessment did you make about the plant  
3 status?

4           A     I think some of that is contained in previous  
5 testimony. Remembering it today, I guess the immediate  
6 assessment was that the radiation monitors were essentially  
7 rising at a rate that was obviously going to put them very  
8 high on their scales very quickly. And also, if I remember,  
9 the plant temperatures were all scale high on the indicators  
10 on the console.

11                    When I got to the plant, I had various people brief  
12 me on their particular area. I don't recall today all those  
13 specifics. But most --- the most important thing was the  
14 radiation at that time.

15           Q     Do you remember being told when you arrived that the  
16 pressurizer relief valve had been opened for over two hours?

17           A     I do not remember that.

18           Q     Do you recall when into the morning you learned that?

19           A     I don't remember discussing that in the morning right  
20 now. I don't. I don't remember going back in the morning and  
21 discussing the events before seven that morning. My memory is  
22 we spent more time figuring out what to do.

23           Q     Do you remember whether when you arrived there was  
24 concern about whether natural circulation had been established?

25           A     I believe there was concern being discussed amongst

1 the Operations people, because I do remember discussions over  
2 steam generator levels and so forth. I don't remember any more  
3 specifics than that.

4 Q Before we started this morning, we were showing you  
5 a series of graphs, which is in draft form, and lays out a  
6 number of system parameters on a single big sheet of paper,  
7 and we pointed out to you that this is a working document and  
8 we cannot vouch for its accuracy, but that we are using it for  
9 working purposes.

10 That graph appears to show that after the P.O.R.V.  
11 block valve was shut around 6:20 a.m., the system pressure was  
12 quite low and then rose over a period of forty-five minutes to  
13 an hour up to about twenty-one hundred pounds per square inch  
14 at about 7:00 a.m. or 7:15 a.m. Then it shows the pressure  
15 gradually falling with some possible cycling to a low of about  
16 twelve hundred or twelve hundred and fifty pounds per square  
17 inch at approximately nine o'clock or nine fifteen in the  
18 morning; at which time it increases and appears to cycle  
19 around twenty-one hundred.

20 What we are interested in asking you about is what  
21 you recall of the events and your activities from about seven  
22 fifteen to nine fifteen that morning and specifically what you  
23 recall about what plan or strategy was being pursued by the  
24 operators that would tend to give this kind of a pressure  
25 curve, pressure indication?



1           A     Well, I think I arrived inside the control room  
2 probably in the vicinity of five after seven. That's from  
3 memory, the best I can from memory. It took some period of  
4 minutes for each senior guy that was already there to brief  
5 me on his area. Following that, then we were in a site  
6 emergency. My role in a site emergency is the emergency  
7 director. So, therefore, I would have --- I took those  
8 functions on, appointed certain individuals, as I have testi-  
9 fied, to be in charge of certain areas.

10                   Twenty after seven or so the conditions for a general  
11 emergency were there. So I can't remember times exactly, but  
12 I'm sure from seven to eight my thoughts were that Mike Ross,  
13 being Operation Supervisor from Unit 1, who has a license in  
14 Unit 2, was in charge of Operations, and I really didn't  
15 question his actions in that time frame. I directly applied  
16 myself to the emergency director's role, which --- and, then,  
17 somewhere between eight and nine --- and I think somewhere  
18 around eight thirty --- I very firmly had told Ross that high  
19 pressure injection had to remain on and the only person who  
20 could authorize that change would be me.

21                   And so, therefore, I think before nine o'clock we  
22 had made the decision to continually inject water. I think  
23 some of the variations in the curve that exist between eight  
24 and nine or eight and nine thirty involve possibly things like  
25 trying to start reactor coolant pumps, adjusting steam



1 generator levels.

2 I'm saying there's thermal hydraulic considerations  
3 that have got to be looked at. That's the way I feel.

4 Q Specifically with respect to those curves or cycles,  
5 one of the things that could reflect is voids being collapsed  
6 or increasing?

7 A I think so. At the time, though, I wasn't evaluating  
8 voids. I was looking at a set of curves today.

9 Q Right. I'm talking about in retrospect.

10 A In retrospect, I think that could have been part of  
11 it. I'm pretty sure that those things have to be looked at  
12 to decide those curves also, the block valve position can be  
13 looked at from some parameters that I don't see here,  
14 principally the drain tank and the reactor building indica-  
15 tions would maybe lead you to look at block valve position and  
16 give you another parameter to check against.

17 Q I believe what you're referring to is that as you  
18 told us before we started this morning, it's your impression  
19 that someone from GPU is trying to look at when the block  
20 valve was open and when it was closed by looking at reactor  
21 building pressure and temperature, is that correct?

22 A And reactor drain tank, that's the tank in the  
23 reactor building. I think its pressure and level instruments  
24 have some response that could be maybe more indicative of  
25 block valve position than some of these bigger parameters.

1 Q After the rupture disc blew, the pressure would stay  
2 low but might vary a little bit when there were liquid  
3 releases into it?

4 A That's true. Plus you're releasing a certain amount  
5 of energy into the reactor building itself, which might show  
6 up on the pressure or temperature instrumentation of the  
7 building.

8 Q It appears that just before or just after you came  
9 in around seven and then, once again, before nine there were  
10 a couple of attempts to start a main reactor coolant pump. Do  
11 you remember those efforts?

12 A I don't today remember the exact pumps, but those  
13 efforts were a part of something that we felt we wanted to try  
14 to the point where we were sure that they wouldn't run and  
15 pump water.

16 Q I think you said on one prior interview that Lee  
17 Rodgers from Babcock and Wilcox was one of the people who was  
18 pressing.

19 A Encouraging that, yes.

20 Q Encouraging the starting of a pump, if possible?

21 A Yes. Right.

22 Q And I think you have also testified before that at  
23 some point around eight o'clock or perhaps eight thirty was the  
24 first time that you got together with a group of people with  
25 whom you were to consult throughout the day and try to figure

1 out where you were and where you ought to be going, is that  
2 right?

3 A That's true. I initially reacted to the situation  
4 no differently than I would react to the emergency drill that  
5 I have run at this station every year. And, in fact, I have  
6 --- I have referred to in other testimony, I have a set of  
7 index cards, which I have given to the President's Commission,  
8 which actually have the four or five immediate types of areas  
9 and immediate types of things that you want to get started.  
10 And you can go back and verify them.

11 And I went into that sequence, which involves picking  
12 four or five individuals and telling them to get to that area  
13 and begin to do that function. That's the way I went.

14 And then at eight o'clock, I commenced to come in  
15 to hold meetings with each guy, with a group, and have each  
16 guy brief me on his area.

17 Q As a result of that first caucus, what decision was  
18 made about plant strategy at about eight or nine o'clock in  
19 the morning?

20 A In the previous testimony I put down, I think, to  
21 my best memory, what we decided. But that first conference  
22 would have been heavily involved in discussion of the  
23 emergency plan, because of the importance of having teams and  
24 monitors and notifications. That would have been probably the  
25 most discussion.

1           From a plant strategy standpoint, my only memory is  
2 we decided to keep high pressure injection on. There were  
3 discussions, as I remember, in a group of not keeping it on.  
4 My memory of the meeting was that we decided --- and I  
5 personally felt --- we had to maintain high pressure  
6 injection, because we didn't understand really the configura-  
7 tion the plant was in as opposed to what we were normally used  
8 to.

9           We did understand that the pumps run at a hundred  
10 amps and that they were not pumping water.

11           Q     You are speaking of the main reactor coolants?

12           A     Right.

13           Q     Do you remember whether high pressure injection was  
14 on when you first came in that morning around 7:05?

15           A     I do not remember in my briefing the status of the  
16 make-up pumps or high pressure injection, those two being  
17 synonymous.

18           Q     Do you recall when you issued your instruction that  
19 the high pressure injection should be kept on unless you  
20 personally authorized it to be turned off? Was that when you  
21 first came in or was that as a result of your first caucus  
22 meeting where you were trying to figure out which way to go?

23           A     I don't --- I don't remember right now whether I  
24 have given a time in the previous testimony, but I think it  
25 was eight thirty, plus or minus ten minutes. And that's hard

1 to pinpoint. But I believe it was around the eight thirty  
2 time frame.

3 Q And I think you have said before that you have a  
4 recollection that on one occasion you found that the H.P.I.  
5 had been turned off and that as a result of that you speci-  
6 fically told Mike Ross to keep it on unless you authorized it  
7 to be turned off, is that right? Do you recall that happening  
8 or ---

9 A I recall a discussion of that nature. My memory  
10 would have been that it was turned off. I know that other  
11 people have reacted to that by, I think, stating that they were  
12 going to turn it off. Either way, I interpreted it as the  
13 intention to turn it off. And I would have reacted the same.  
14 And I reacted, I think, fairly, fairly strongly to that.

15 Q So your recollection is that if you had found that  
16 it had been turned off that would have been just a few minutes  
17 before?

18 A That's right. I believe I recollected afterward  
19 that it was off, but I think other people may have recollected  
20 that it was just discussed to be turned off. Either way I  
21 wanted it back on.

22 Q We have some information that makes it appear that  
23 make-up pumps were pulled to lock at around eight seventeen  
24 and were then turned on again within about five minutes after-  
25 wards. That might be the occasion that you recall?



1           A     Yes.

2           Q     Would it have been that event that could have  
3 prompted a discussion and a decision or clear instruction  
4 from you that that shouldn't happen again without your  
5 authorization, do you remember that triggering the decision  
6 to leave it on?

7           A     I think I remember that triggering me to not  
8 negotiate that point. I think Mike Ross also remembers that  
9 that's something that I told him pretty strongly.

10          Q     Let me move on and ask you about your requesting  
11 readings from the incore thermocouples at some point during  
12 the morning. I believe you have said before that you asked  
13 that those readings be displayed on the television or visual  
14 computer read-out. Is that right? Or at least that may be  
15 printed out for the computer?

16          A     Again, I could contradict myself, but my memory of  
17 that --- I may have said some things previously --- my memory  
18 of that is that I was aware very early that the temperatures  
19 on the normal demand panels were off-scale high, the hot leg  
20 temperatures, the hot spot temperatures. So, therefore, we  
21 didn't have, to my knowledge, indication of temperature.

22                   And I was looking for any indication of temperature  
23 I could get, and in my previous experience I have used incore  
24 thermocouples in nuclear submarine test programs. So my  
25 picking that off would have been based on a plant where they



1 were normally used.

2 They are not normally used here. They're not even  
3 --- they were not even wired out in Unit 1. I asked for those  
4 in the hope of getting an answer that was definitive.

5 At the same time the instrument guy that I talked to  
6 or the instrument engineer, I believe, installed a temporary  
7 meter or a temporary device on an indicator that is in that  
8 coolant system and was able to get a reading that was on the  
9 scale of the instrument.

10 Q And that was Mr. Porter?

11 A I believe it was Mr. Porter. And so, therefore,  
12 when he came back --- and I have testified previously --- and  
13 gave me a variety of, as I remember, three or four readings,  
14 four or five readings off the incores there were --- there was  
15 no --- there was high zeros. There was no indication of  
16 consistency.

17 At the same time it came back and had an on-scale  
18 reading on an R.T.D. in the hot leg. That's as best I can  
19 remember.

20 Q Mr. Porter, I take it, communicated to you his  
21 belief that the readings from the incore thermocouples were  
22 not entirely believable?

23 A My memory is that they were --- the context I  
24 evaluated them in, from what I was told, was they were  
25 unreliable because some said zero and some said two hundred.

1 And as I said before, I believe one was over the two thousand  
2 mark.

3 I was not aware, and I'll say I was aware a month  
4 after, that the instrument tech may have, in fact, read out  
5 voltage readings for a lot of these, and I don't believe Mr.  
6 Porter even knew of the range of those readings which we have  
7 today. So I --- my memory is that they were not considered  
8 reliable.

9 Technically they are not normally used. They are  
10 not normally very accurate. So I would have tended to just ---  
11 to not trust those. They are not part of the safety systems.  
12 They are not environmentally qualified as far as penetration.  
13 So I would have been led by my own previous experience here in  
14 a direction to consider them unreliable given those four  
15 readings or five readings.

16 At the same time, I think you must remember that to  
17 my memory he had a volt meter installed on a resistance  
18 temperature --- an R.T.D., a resistance temperature detector,  
19 that was considered an instrument that you could read, even  
20 though it was in an environment of steam at that time. It was  
21 on scale.

22 So that would have convinced me that we had a hot  
23 temperature. I didn't consider the incores as being necessary  
24 for what I was trying to do at the time.

25 Q You're saying that the R.T.D. reading that Mr. Porter

1 got with his instrument off the R.T.D. and the hot leg tempera-  
2 ture was more reliable to you, to your mind, than the readings  
3 that he got off the wires for the incore thermocouples, is  
4 that right?

5 A At the time, trying to put myself back at that very  
6 time, that gave us something that was on a scale of an  
7 instrument that was --- that was thought to be more dependable  
8 and that was a constant read-out.

9 Q My question to you is whether even if you didn't  
10 think that the thermocouple readings were reliable in terms  
11 of the numbers, whether the high numbers and/or the possibility  
12 that some of the junctions had melted and so on nevertheless  
13 convinced you that there were probably some very high tempera-  
14 tures in there of some magnitude. Can you recall that?

15 A I was convinced there was high temperatures in there.  
16 I didn't quite honestly go back and evaluate the incores like  
17 I would today after we've learned an awful lot more about them.  
18 I just think their emphasis in my mind was never great. And  
19 when I didn't get reliable information, I think I went by them  
20 and tried to use other parameters to establish where we were  
21 going.

22 Q In a prior I. & E. interview you mentioned that, as  
23 you recall it, the group that you were consulting with spent  
24 a good part of the morning not totally convinced that the core  
25 was completely covered.

1           A     (Affirmative nod.)

2           Q     Is that an accurate characterization of your state  
3 of mind?

4           A     I think as we met we were trying to give ourselves  
5 the absolute assurance that we were covering the core, and I  
6 think that we understood that there was steam in a lot of the  
7 system. There are not very many indicators of core level that  
8 you are taught about. And I think, therefore, there were ---  
9 we were questioning ourselves as to whether high pressure  
10 injection was, in fact, going on the core.

11                     And I think there were members of the group that  
12 were just not totally convinced that all of it was going on  
13 the core. And that was discussed in probably, I think, most  
14 of the meetings.

15           Q     Did you ever put together the high or very high  
16 temperatures that might be in portions of the core with this  
17 concern about possible uncovering or a possible state of steam  
18 heat removal rather than water contact with the fuel elements?

19           A     I don't remember discussing boiling in the core. I  
20 do remember us discussing, assuring that the coverage was  
21 there over the core and that we were --- we were concerned  
22 about the high temperatures and the steam environment that we  
23 were under in most of the system.

24                     And we didn't --- I don't think we thought back about  
25 whether there had been uncovering as much as we thought is it

1 still totally covered. We didn't discuss boiling water in the  
2 core that I remember.

3 Q I think, if not you, other members of that group have  
4 testified before that periodically over the morning you got  
5 together and said in substance, okay, now do we all think the  
6 core is covered. Do you remember that?

7 A I remember. I think I remember the core coverage  
8 was probably the biggest thing I could --- you know, the single  
9 issue among the group. Other than the emergency plan, which we  
10 --- which we took on each time.

11 Q But you were definitely not convinced that you had  
12 flow through the core; that is, you thought that the high  
13 pressure injection water might be by-passing the core or parts  
14 of the core?

15 A We discussed that that could be done. I think the  
16 temperature indication on the cold indications told us that  
17 some of it was going in. And I think we discussed that. Okay.  
18 I think we had no way of assuring ourselves what the level in  
19 the system was.

20 Q As you look at it today, do you have any ideas of  
21 what the flow paths might have been for high pressure injection  
22 water to by-pass the core and go out the pressurizer relief  
23 valve some other way?

24 A I think we had --- that's hard to remember. But I  
25 think we looked --- I think a couple of times we looked at the



1 elevation drawings, and I think we thought that some of the  
2 high pressure injection could have gone across and out through  
3 the pressurizer, through the block valve, passing over the  
4 core.

5           There was a path we sketched out that I can't ---  
6 that I can't remember today that we tried to sketch out as a  
7 possibility. I think you've got to look at the fact that we  
8 were trying to say, "Is there any possibility that the core  
9 is not being --- not getting the water?"

10           And I think we were trying to convince ourselves  
11 that there was no other path or by-pass path and that was ---  
12 and I can't remember the specific lines, but I think we did  
13 propose a couple of ways up to the surge line or some way for  
14 it to get across the core and out the pressurizer.

15           The other concern that I had that I think we dis-  
16 cussed is --- I remember having it the first few days --- is  
17 the fact that the water supply wasn't infinite. And, in fact,  
18 I think I had the maintenance supervisor looking for a way to  
19 get water from Unit 1. So I was concerned about the amount of  
20 water we had.

21           Q     Do you know where the water comes from for the  
22 pressurizer spray? Does that come on a line from one of the  
23 cold legs?

24           A     I'd like --- I used --- at that time I knew all the  
25 A's and the B's pretty well. I'd look at a diagram. We have



1 an elevation diagram.

2 I wouldn't want to guess today where it comes off of.  
3 It comes off a discharge of one of the pumps, and it depends  
4 on how you level them between the units.

5 Q And there are block valves in that line, aren't there?

6 A There are valves on that line.

7 Q Do you recall whether those valves were open at any  
8 time?

9 A I don't recall that today.

10 Q Let me move on to the decision to close the atmos-  
11 pheric dump valves. That was a decision that was ultimately  
12 made in conversations between you and Mr. Herbein, is that  
13 correct?

14 A The ---

15 Q Or would you say in the end you were just instructed  
16 by Mr. Herbein to do that?

17 A You mean steaming the atmosphere?

18 Q Right.

19 A That --- I believe that there was --- I thought at  
20 the time, and I think I've said this in other testimony, I  
21 felt that there was pressure to stop steaming for a good  
22 period of time because I think there was some thought that  
23 there was radioactive steam being released.

24 Q Did you share that concern?

25 A No.

1 Q Did Mr. Herbein, if you can recall?

2 A I think Mr. Herbein, not being here, was probably  
3 not totally convinced that we weren't releasing some radio-  
4 active steam. We had acknowledged one steam generator was  
5 bottled up, closed off containing some radioactivity.

6 There was some confusion over sample results early  
7 in the morning, and I think some of this might have caused  
8 Mr. Herbein to question. I had Dick Dubiel, I remember,  
9 absolutely assure me with a sample and with a guy on the roof  
10 that we weren't.

11 So I wasn't concerned about that. I felt at the end  
12 point, I guess, I felt directed to close it when I finally did.

13 Q When you say you felt there was pressure, did Mr.  
14 Herbein tell you that somebody was putting pressure on him?

15 A When I said that, I mean today I am remembering the  
16 situation. I felt --- I don't mean at the time. At the time  
17 there was direct pressure to shut the valve.

18 Q Was that coming through Mr. Herbein?

19 A It was coming through Mr. Herbein. Some people,  
20 both myself and other people of my senior group, although they  
21 would have not shut the valve without me okaying shutting the  
22 valve. At the end point of that discussion, I felt that I had  
23 been essentially directed to shut it.

24 Q Do you know where the pressure was coming from?

25 A I feel --- I understood and I think I understood that

1 from the people who worked around me, the senior people, I  
2 understood it was coming from the State government. I don't  
3 know that I ever knew a name, okay? But I was --- you know,  
4 the control room, I think, felt directly the State government  
5 had told us to shut the valve.

6 Q Do you remember hearing that from Mr. Herbein; that  
7 is, did he tell you in substance, "Look, Gary, the State's  
8 very nervous about this and we've really got to shut the thing  
9 down."?

10 A I don't today remember that.

11 Q Do you recall whether Mr. Higgins, who at some point  
12 came in to the control room from Region 1 of the NRC, had any  
13 input to that or was urging you to close the .ps?

14 A I don't remember. I know --- I know Mr. Higgins was  
15 there, and he was there in the morning hours. But I don't  
16 remember him in that discussion.

17 Q In retrospect do you think that a significant heat  
18 sink was lost by closing those valves when it was finally done?

19 A I think some --- in retrospect I feel that some heat  
20 sink was lost, yes. We felt from some of the indications on  
21 the generators in the early morning that we were getting some  
22 heat removal through that path; although we knew it was small,  
23 because I think the pressure was low in the generator. I  
24 think we had indications that it was small. It was a safe  
25 heat path to us inside.

1 Q I think there has been a little confusion about the  
2 time when you were able to get vacuum established again in the  
3 condensor and be able to use that route of steaming. Do you  
4 remember when that was finally achieved? Was that shortly  
5 after you closed the valves or was that some hours later?

6 A I think that I remembered it shortly afterwards;  
7 but if I go back and look, and I have --- that's why --- I've  
8 looked at the charts. It looks like it was a couple hours in  
9 retrospect. At the time, though, I don't remember it that  
10 way.

11 Q Your recollection would be that it was shortly  
12 thereafter?

13 A Yes. And that turns out, if you look at the vacuum  
14 chart, to be not shortly thereafter.

15 Q Now, I think at some time in the late morning, about  
16 11:30 a.m., you made a decision to try to depressurize the  
17 system, blow down the system, and attempt to get on decay heat  
18 and activate the core flood tanks. My question about that is:  
19 At the time that you left to go with Jack Herbein to the State  
20 House, did you think that that was succeeding or likely to  
21 succeed? What did you think when you left the plant about the  
22 condition of the plant and the condition of that strategy?

23 A I think that I have said some things about that  
24 previously in testimony, and you've got that. But if I had  
25 to come down to --- we decided --- we talked earlier here of

1 core coverage, water considerations --- water consideration  
2 was beginning to get larger in my mind at that time. And I  
3 think --- I don't think we worried about the decay heat as  
4 an immediate type thing.

5 We looked at this as a step down. I don't think we  
6 thought decay heat would occur. We had sat all morning and  
7 charged the plant. I don't think we thought decay heat was  
8 an immediate thing.

9 I think we thought one other thing this might solve  
10 for the group, and in my mind, if we could get a pressure  
11 differential across the core flood tanks and the core. Okay?  
12 A sizable pressure differential. Then if the core uncoverage  
13 was significant, then a significant volume of water would go  
14 in. Not a level indicator, but a significant amount of water.

15 And before I left, I remember four forty coming up  
16 on the computer, which was the core flood tank, I think,  
17 pressure as opposed to system pressure. We got about one to  
18 two hundred pounds which showed us some discharge of water  
19 and didn't show us a great volume of water. So floating on  
20 the core flood tank or going to the flood core tank was a step  
21 down in our minds. Okay?

22 I don't think --- I think decay heat was still where  
23 we thought we were going to end up, but I don't think we were  
24 really worried about whether we thought decay heat would occur.

25 Q You have talked in previous interviews about the



1 decision to go to the Governor's Office, and I think you've  
2 covered that and I won't ask you to go over that again except  
3 to ask you one question. In retrospect do you think that that  
4 turned out to have any impact, particularly any detrimental  
5 impact, on plant operations that you were taken away and that  
6 you were out of the plant for a number of hours?

7 A I, in fact, did not leave the plant until we were  
8 on core flood. We had already seen some response on some of  
9 those high temperatures, which encouraged us. In retrospect  
10 I don't think going to the Governor's Office had an impact on  
11 where we ended up.

12 I don't believe that it was necessary to go to the  
13 Governor's Office either. But I don't --- I left the plant  
14 with a radio. I called back when I got there, and I was  
15 twenty minutes away.

16 So I had people there that knew as much about where  
17 we were as I did. I was --- I didn't like to leave, but I  
18 didn't feel I was leaving anything that was going to change  
19 very rapidly.

20 If I had, I would not have left. In fact, I did not  
21 leave until I saw us down on core flood. I felt like I had to  
22 go.

23 Q I want to go into ---

24 A I'll say one thing, though. If I had felt that I  
25 had to stay, I would have never --- I would not have left.



1 Q I'd like to go into the briefing that you gave at  
2 the Lieutenant Governor's Office for that meeting in a little  
3 bit of detail. Do you remember whether there were any press  
4 people present in addition to State officials?

5 A I do not. The people in the room, I know there were  
6 State officials, the Lieutenant Governor, and there were  
7 others I didn't know.

8 I was only in that room for the first couple minutes  
9 I was subsequently out on the phone with the plant. So I was  
10 not in that entire briefing to my memory.

11 Q So to your recollection, Mr. Herbein did most of the  
12 description of plant status and so forth?

13 A Yes, sir. In fact, I think he sent me out to find  
14 out some things, is the way that I, first of all, went out of  
15 the room.

16 Q Mr. Gerusky was there, was he?

17 A Yes.

18 Q He's someone you know?

19 A Yes.

20 Q Personally?

21 A Yes.

22 Q And do you recall whether while you were in the  
23 room there were any promises or commitments made about steam  
24 dumping or releases?

25 A I don't remember any commitments made in the future.

1 I believe that I stated that we had stopped steaming. I  
2 believe I remember that much, but I don't remember saying I  
3 wouldn't steam again.

4 Q It's my understanding --- and I may be wrong ---  
5 that the Lieutenant Governor at some subsequent point made  
6 some statement or has testified that he felt that Met-Ed had  
7 gone back on some promise or commitment made to him with  
8 respect to steaming the atmosphere. Do you know what he meant  
9 or what he could be referring to?

10 A I can't remember. I don't believe we made a commit-  
11 ment on that in there that I remember, the part of the meeting  
12 that I was in.

13 Q Do you have any recollection as to whether anybody  
14 made a tape recording of that meeting? Did somebody have a  
15 cassette recorder or any other kind of recorder there?

16 A I don't remember.

17 Q You don't remember one way or the other?

18 A No, I do not.

19 Q Do you recall anything about the response of Mr.  
20 Gerusky or Mr. Dornsife at the conclusion of that meeting in  
21 terms of whether they seemed satisfied, seemed reassured,  
22 seemed upset or not reassured?

23 A I was not in the room at the end of the meeting. I  
24 was in the hall.

25 I think I might say one thing. I think Gerusky and

1 I touched base for one moment in the meeting. And I don't  
2 know if I said that previously, but I believe he thought he  
3 was having trouble getting data or he wasn't sure. And I had  
4 left the plant, and we had two open lines; and I believe when  
5 I came back, I told Dick Dubiel to make doubly sure that  
6 Maggie Reilly or Gerusky were the people that were getting the  
7 data. That's the only part of the day I remember of that  
8 meeting.

9 And one other thing, somebody in the room asked the  
10 question, "Do we, the State, have monitors?" and I at that  
11 point remember myself saying, "You do not have monitors, but  
12 I believe you are welcome to be with our people."

13 And then I believe there was some suggestions made  
14 in the room about the emergency plan, and I stated that I  
15 would not change what I was doing within a planned emergency  
16 plan based on suggestions. And I think at that point I  
17 exited the room.

18 Q On your way over to that briefing, did you and Mr.  
19 Herbein talk about or make any decision about how you were  
20 going to approach this thing, what you were going to say, how  
21 you were going to characterize what had happened?

22 A In the car on the way over I had --- I had had  
23 George Kunder assembling information for me for the meeting  
24 about an hour before. And what I was looking at was readings  
25 on site and off site plant parameters, and we discussed those

1 things.

2 But I can't remember any discussion or prediscussion  
3 of what was going to be said. I would have assumed that Jack  
4 would have been the leader of the group.

5 Q Was there any discussion about trying to give them  
6 a rosy picture of the situation or reassure them? And I  
7 don't mean to make that a loaded question. I'm asking you,  
8 to reassure in the neutral sense?

9 A I believe that we simply wanted to present them the  
10 situation, and I don't believe we wanted to say that it was  
11 overly serious or overly not serious. I think we all  
12 recognized it was a serious situation, and we were going to  
13 present them that situation without any shading that I  
14 remember being discussed.

15 Q Did you think at that point that the plant was  
16 relatively stable? Did you think you were in a position to  
17 tell them that you thought you were going to get on decay  
18 heat and that the problem would be terminated as far as  
19 operations were concerned?

20 A I felt --- I felt that the plant was reasonably  
21 stable. But I didn't think we were at the final stability  
22 condition. In my mind decay heat or reactor coolant pump  
23 would have been a very --- a much firmer stability point.  
24 But I thought we were progressing in the plans we had.

25 Q Did you think you were probably out of the woods, if

1 that's a fair question to ask?

2 A I don't think we thought we were out of the woods.  
3 I don't --- I don't believe we --- I believe we were happy  
4 in that the releases we had seen to that point, the readings  
5 were very minimal, not anywhere near the action requirements,  
6 even thinking about action requirements. And I think we  
7 thought we were in a set of steps that would bring us out.

8 Q Before you left, I think you had been told or  
9 observed the chart that showed a pressure spike in the contain-  
10 ment building, is that correct?

11 A That's not my recollection. My recollection is that  
12 it --- somewhere at the point before I left, I heard a noise.  
13 And I think I was standing next to a guy named Marshall,  
14 Bubba Marshall or William Marshall, and a guy named Mike Ross.  
15 And I think I said, "What was that?" And I think I said that  
16 loud enough so that they heard me.

17 And I don't today recollect exact things that I was  
18 fed back, but I didn't realize it was a pressure, a real  
19 pressure spike in the reactor building that day. I think we  
20 --- I think the discussion was that it was an instrumentation,  
21 the noise was not related to instrumentation that I remember  
22 that day.

23 It was related by other people to me Thursday or  
24 Friday that I --- that was the first time I remember seeing  
25 the chart, was probably Friday. But it could be Thursday or



1 Saturday, but it was sometime afterwards.

2 Q Were you aware on Wednesday sometime that there had  
3 been either a real spike or an instrument, electrical  
4 excursion that had caused emergency safety actuation and spray  
5 to come on?

6 A I don't remember --- and this is as good as I can ---  
7 I don't remember anything other than a noise and somebody  
8 telling me that it was probably the ventilation, which makes  
9 a loud thud in that control room when it shifts in one of the  
10 modes it goes through.

11 And I think I was going to the Governor's Office or  
12 the Lieutenant Governor's Office, and I passed by that.

13 I don't remember being told at that time that the  
14 spray pumps had started, which I found out subsequent, to my  
15 memory. That would have caused me to question it more. And I  
16 just don't remember that. And I would have questioned it more.

17 Q The sodium hydroxide --- is it --- spray, does that  
18 come on at a certain pressure? Thirty pounds?

19 A There's a set of pumps that come on at thirty pounds  
20 that essentially inject that solution into the reactor building  
21 through the spray header.

22 Q Now, let me go to the decision that was made late in  
23 the afternoon after you returned to the plant to try to  
24 repressurize the system and make new attempts to get a reactor  
25 coolant pump started. That was a decision which, I believe,

1 you've testified before was, according to your understanding,  
2 made by Mr. Herbein and Mr. Arnold in conversation between  
3 them. Is that fair to say?

4 A I think it's fair to say that the decision to turn  
5 on --- to do that was ours inside. We had strong advice from  
6 Jack and Arnold, and I --- I believe I understood that also  
7 meant the GPU engineering people recommended that.

8 Q Do you recall before you talked to Mr. Herbein about  
9 that that you had had some input from Babcock and Wilcox in  
10 Lynchburg about keeping the high pressure injection flow up or  
11 on?

12 A I remember somewhere in the time frame right after I  
13 got back noticing that they had given us a number, four hundred  
14 gallons per minute, as I remember it, and that number I had  
15 asked for earlier, by the way. Okay?

16 And that number was what they were trying to arrive  
17 at, and that number was the one we implemented. At the time  
18 it came over from Unit 1 from somebody.

19 I don't remember a recommendation of pressurizing  
20 at that time from B and W. If Lee Rodgers had strongly  
21 encouraged me to pressurize, I would have never had to talk  
22 to Jack Herbein.

23 Q Did Mr. Herbein ---

24 A I think I also should say that I was welcoming any  
25 input that I could get which would have a technical basis

1 based on the information or the data that was existing. I  
2 would have wanted to understand the recommendations is what  
3 I'm saying.

4 Q Did you hear from Mr. Herbein that one of the  
5 reasons that he and Mr. Arnold were suggesting repressurization  
6 was because there had been a strong input from B and W to that  
7 effect?

8 A I don't remember hearing that.

9 Q You don't recall that?

10 A No, sir.

11 Q It's my impression that there has been some  
12 testimony about a telephone call from Mr. Arnold and possibly  
13 from Mr. Wilson at GPU into the control room during the after-  
14 noon expressing concern about the core being uncovered. Do  
15 you remember such a phone call or a communication or anything  
16 like that?

17 A I don't remember anything relative to core coverage.  
18 I do think I remember that Arnold might have talked to Lee  
19 Rodgers, but I don't remember the specifics of that conversa-  
20 tion. He might have talked to Lee when I was gone.

21 Q During the afternoon?

22 A Yes, sir. Well, I could be wrong on who I'm telling  
23 that he talked to, but I think it was Lee.

24 Q Do you remember anything else about that, anything  
25 about the substance of what that phone call may have been?

1           A     I thought that phone call was --- was merely to get  
2 some status and update on parameters. To my knowledge there  
3 were no directives or requests or suggestions that were given  
4 directly before the five o'clock time frame when pressuriza-  
5 tion was made.

6           Q     We've looked at a very rough transcript of a  
7 telephone conversation that appears to have been held between  
8 some people at NRC headquarters, including a Victor Stello,  
9 and Greg Hitz in the Unit 1 control room late in the afternoon,  
10 in which Mr. Stello is expressing the same concerns about  
11 whether super heat conditions indicate possible core uncovering.  
12 Did that message in any kind of a dramatic form get effectively  
13 communicated to the people in the Unit 2 control room to your  
14 recollection?

15          A     Not to my recollection today. Especially with ---  
16 when you're talking about super heat and core uncovering. I  
17 don't remember that. I know we discussed later in the day  
18 steam voids and super heat. But I don't remember it coming  
19 from anyone like Vic Stello or anyone at B and W, like a John  
20 McMillan. If it did, I didn't --- I don't believe I remember  
21 it. I don't believe it happened.

22          Q     Did you know at the time who Mr. Stello was?

23          A     Uh-huh. I didn't know his title, but I knew --- I  
24 knew the name.

25          Q     So you think that if you or the caucus in Unit 2

1 had heard that Victor Stello or some other knowledgeable high  
2 NRC person had made a call to the plant saying, "Hey, we're  
3 concerned about this. We would like you to look at it. We  
4 think you ought to reexamine it," that would have made an  
5 impact on you?

6 A That would have made an impact. I think in direct  
7 fairness to me, you've got to remember that every one of those  
8 meetings I held, I --- I enlisted and requested and encouraged  
9 those people who were up there to participate and to tell me  
10 anything that they thought we could do. Because I knew some  
11 of those people. Bill Raymond was there that I remember. He  
12 used to be a B and W representative.

13 They were --- I'm trying to say they were knowledge-  
14 able people and I would have --- I would have certainly looked  
15 at any advice they gave with the thought that I ought to  
16 evaluate it very carefully.

17 Q Let me ask you a couple questions about the role of  
18 the NRC inspectors who were in the Unit 2 control room on  
19 Wednesday and on Thursday. Did the people who were there ever  
20 make any strong suggestions or recommendations to you relating  
21 to operations that you can recall?

22 A In all honesty, I can't remember specifics. But I  
23 know there was dialogue and are you --- there were suggestions  
24 like, "Are you looking at certain things."

25 And there was no adversary relationship. There was



1 a direct, no-different-than-any-other-day relationship. And  
2 to my knowledge, anything --- they were allowed to look. I  
3 may have limited the number of them in each control room, but  
4 they were encouraged and they participated in the meetings I  
5 had in that they --- but I would have not have expected them  
6 to tell me what to do.

7 I think we discussed that maybe once or twice during  
8 the day. I think I was the licensee and I should not --- they  
9 did not want to be in the position of being the licensee and  
10 I --- that's the only type of discussion we had.

11 It was a cooperative relationship. I wouldn't say  
12 friendly or unfriendly. It was direct.

13 Q What I'm getting at is whether any of them at any  
14 time did try to tell you what to do or strongly suggest to you  
15 what you should do in a way that might convey something more  
16 than just discussion.

17 A I think that when I say discussion, I don't mean it  
18 in any different context that the people that were working  
19 for me. And that could be pretty strong discussion.

20 But I don't remember refusing to evaluate or do  
21 something that I was strongly told to do or that I was  
22 strongly told to do based on some external force or member.  
23 And I don't think I would have.

24 Q You don't recall that any of the NRC inspectors at  
25 any time strongly disagreed with any of the decisions that you

1 or your group made about operations?

2 A My recollection is that they didn't know of anything  
3 else to do, anymore than we did. That's exactly --- and they  
4 sat in the meetings. And what I'm trying to say is at the end  
5 of the meeting when we said --- when I said, "All right.  
6 We're going to go this way for the next hour," there was  
7 nobody saying, "Hey, you just can't do that," or "Don't do  
8 that." None of that.

9 I don't think I felt I had their concurrence, but I  
10 didn't feel they had an alternative. And I wanted to hear  
11 that alternative. I'm sure that that was clear to them.

12 MR. FRAMPTON: Off the record.

13 (At this time a discussion was held off the record.)

14 BY MR. ALLISON:

15 Q Mr. Miller, going to the conference call early in  
16 the morning with you and Mr. Herbein and Mr. Rodgers, at the  
17 time of the conference call previous testimony indicates that  
18 the question was asked is the P.O.R.V. block valve closed,  
19 and the answer was the valve is closed.

20 My question now is was it mentioned on that call  
21 that the valve had only closed at about six fifteen in the  
22 morning?

23 A My memory is that during the call the question was  
24 asked, and I think George Kunder said he would check. And the  
25 word came back it was closed --- it was closed. Not that we

1 were closing it. It was closed. In other words, there was no  
2 indication that the valve had been other than closed.

3 Q So you didn't know that it had been opened until  
4 just recently when you got that report back?

5 A That's true.

6 Q And if you had known that at the time, do you think  
7 that would have changed your perception of what was happening?

8 A Looking back, I think that would have --- that would  
9 have --- again, I'm looking back, I think that would have  
10 caused us to discuss that as a reason for some of the things  
11 we had in the plant at that time. We went by that as a  
12 possibility for that, and we began to look for other ways of  
13 evaluating the plant.

14 And as I have said previously, I don't remember any  
15 radiation indications being discussed. So that was not a  
16 consideration or a problem to us.

17 Q Right. Had there been radiation alarms and had you  
18 known about them, I suppose that would have changed your  
19 perception, too, at that time?

20 A I believe that would have generated a totally  
21 different discussion on the phone call. As it was, we came  
22 out of the phone call with the agreement that Lee and I would  
23 get to the plant and try and get to the root of the problem  
24 or of the situation.

25 Q There was a third thing I wanted to ask you about

1 that conference call, too. I believe that the decision was  
2 made on that conference call that reactor coolant pumps should  
3 be restarted and get forced circulation through the core. Had  
4 you known at that time or had someone strongly suspected or  
5 told you that natural circulation was not working, would that  
6 have changed your perception, the urgency that you attached  
7 to starting reactor coolant pumps or perhaps the actions that  
8 you took?

9 A I think that if we had had that kind of a specific  
10 discussion on natural circulation, we would have looked for  
11 some way of assuring water flow through the core or some way  
12 --- we would have discussed heat removal to a greater extent  
13 than we did. I think we thought the pumps had been turned off;  
14 let's get them back on.

15 I don't think we suspected on the phone call --- I  
16 think we thought the action ought to be to get them back on  
17 and get water flowing. I think discussion on natural circula-  
18 tion would have caused more discussion on the entry of water  
19 into the system. But that didn't occur.

20 I think we came out of that discussion more with  
21 we've got to get more information, hard information, and  
22 understanding to be sure of our action. The pumps being  
23 turned off was something we wanted back on.

24 Q But I guess it's fair to say not with the urgency  
25 that you would have wanted them back on if you had appreciated

1 natural circulation was ---

2 A If natural circulation had been discussed and  
3 thought to be inadequate, we would have --- we would have ---  
4 that would have been a totally different urgency on that. It  
5 might have even been to the point of not worrying about the  
6 pump, I think if we had had that discussion. But that didn't  
7 occur.

8 Q Now, my last question is, when you went to the  
9 Governor's Office at about fourteen hundred on Wednesday,  
10 what was the --- as you recall --- what was the general plan  
11 for cooling the core at that time? Now, to set a little back-  
12 ground, I believe I read in your previous testimony that your  
13 instructions to Mr. Logan were to maintain the status quo, if  
14 possible, or provided you didn't have to do something else.  
15 And I'm just wondering were there any other more specific  
16 instructions in what was the plan for cooling the core?

17 A I don't know that I can say that I remember specific  
18 instructions. But I --- I think we knew that we were trying to  
19 redraw the vacuum on the steam generators. So we knew that was  
20 a path we were going to pursue.

21 I think we also knew we had water flow through the  
22 core, and we wanted to continue that water flow. I think ---  
23 I really think that the passing water through the core was  
24 thought to be our best method of keeping --- of keeping it  
25 covered and watching the temperature indications.



1           And as I have said earlier, we did see positive  
2 response on some of the high temperature indications and the  
3 Th's as we came down. And I also think we were able to shift  
4 which high pressure injection valve we opened and get better  
5 response on the hot temperature leg, which meant that we were  
6 bringing the system down some. That's the context that I  
7 remember it in.

8           Q     So I guess you don't recall telling someone this is  
9 the plan, but you feel that was the plan that was being  
10 pursued?

11          A     I feel we discussed heat removal at that time. I  
12 don't think we left instructions. I think we left Joe the  
13 latitude to change things if he had to. But I didn't want to  
14 change the direction we had agreed to and had just implemented  
15 before I left.

16                   MR. ALLISON: Thank you.

17 BY MR. FRAMPTON:

18           Q     Mr. Miller, could you give us just very briefly  
19 what you recall were the hours when you were on site Thursday,  
20 Friday, Saturday, Sunday?

21          A     I have a hard time pinning those times. I've not  
22 gone back and looked up date entries so that I can remember  
23 it better. I'll give you what I think, and it could be  
24 totally inaccurate. But I have purposely not gone back and  
25 asked when I was here.

1 I remember being here Thursday until --- I'm sorry  
2 --- Wednesday through the day and past midnight. Somewhere  
3 in the middle of the night I went home that night, I believe.

4 I also believe I sent Jim Seelinger home sometime  
5 after we started the pump Wednesday night in anticipation of  
6 him relieving me the next day. I think I was on eight to  
7 eight or seven to seven and eventually moved back to six to  
8 six from the standpoint of getting in the gate and so forth.

9 But I think initially it might have been seven to  
10 seven or eight to eight, me having the daylight half of that.

11 Q So you think that you were on shift from morning to  
12 evening on Thursday, Friday?

13 A Yes.

14 Q And did that continue Saturday and Sunday, too?

15 A I believe it did. Except I believe that Jim and I  
16 sometime between Thursday and Saturday moved our hours back  
17 so we weren't relieving at the same time a bunch of other  
18 people were. So there was continuity at the emergency  
19 director level and not, you know, discontinuity as opposed to  
20 everybody trying to relieve at the same time.

21 Q You and Mr. Seelinger were on a twelve-on/twelve-off  
22 basis, is that right?

23 A Basically twelve on, twelve off. It meant about  
24 fourteen hours until you turned over on each end.

25 Q Okay. And underneath you Mr. Ross and Mr. Floyd also

1 rotated?

2 A Yes. And I can't remember --- we set a watch bill  
3 up Wednesday night, and we set it up based on initially having  
4 twelve and twelve. And we tried to fill all of the slots that  
5 are in the emergency plant chart. Emergency director, I  
6 picked Jim Seelinger as the ultimate emergency director  
7 because he had --- he had very specific experience in the  
8 emergency plan.

9 Underneath that I would have kept the same sort of  
10 setup. In other words, I would have Dick Dubiel and probably  
11 Tom Mulleavy and probably Mike Ross and Jim Floyd. I used Joe  
12 Logan somewhere in there to give him the freedom, too, with ---  
13 you know, where we eventually ended up going to three shifts.  
14 But that wasn't in my mind at that time.

15 Q Was there an engineering or technical support slot,  
16 too?

17 A Yes.

18 Q Do you remember who that was?

19 A I think it was George Kunder and Bill Potts. But  
20 I can't --- I know we were --- see, we were coordinating with  
21 the Unit 1 control room as far as where the emergency ---  
22 where the ECS, the emergency control center director was. And  
23 I don't remember all those specifics.

24 But we filled every function in the emergency plan  
25 and tried to do that Wednesday night so we could end up with

1 release.

2 And I also, I think, brought a guy in from PENELEC,  
3 a guy named Ron Toole, who I put in there as another senior  
4 guy. I can't remember when he got there, but I think he got  
5 there either sometime late Wednesday night ---

6 Q Was Mr. Toole the same gentleman who was head of the  
7 site start-up team for GPU Service Company?

8 A He was the head of that team for Unit 2. Previously  
9 I had that job in Unit 1.

10 Q Do you recall that there was some appreciation of or  
11 suspicion of leaks from the vent header system in the  
12 auxiliary building as early as Wednesday?

13 A I think that as early as Wednesday in the afternoon,  
14 and I think Seelinger was involved, along with Dubiel, I  
15 think we appreciated that there was --- there was --- that we  
16 were trying to look at methods of stopping the release. I  
17 think we were even laying poly on the floors to keep the water  
18 from evaporating.

19 I also think we were looking at the vent header. I  
20 think Seelinger or Dubiel had somebody trying to look at the  
21 vent header, which is a complicated system in terms of number  
22 of components and types.

23 Q Yes. I've come to learn that. Had you had releases  
24 of activity from the vent header system prior to this  
25 accident, say, following reactor trips?

1           A     I can't remember a history of problems or releases  
2 from the vent header. Not before this trip.

3           Q     Do you remember any such occurrences in Unit 1?

4           A     Not --- not relative to vent header problems. With  
5 the exception that there were certain things like tank ---  
6 tanks which have vents that are sealed by water legs. I  
7 remember problems of that nature in Unit 1.

8                     But Unit 2 was designed a little differently. We  
9 did have periodically small amounts of radioactivity released.  
10 You know there are various things documented where we might  
11 have had releases because we would have looked at the charts  
12 for any up-scale indication. But nothing of a significant  
13 nature. Okay?

14                    The vent header was a complicated system, and I  
15 wouldn't say it had known problems. But it was complicated,  
16 and there were --- there were things on the vent header that  
17 we worked on. There was gas sampling type things and so on.

18                    I'm saying it was a system that was known, but not  
19 from a standpoint of a problem with releases that I can  
20 remember.

21           Q     Some notes taken by Mr. Berry in the Unit 2 control  
22 room show that by sometime on Thursday, late Thursday after-  
23 noon or early evening, some people in Unit 2 had made a  
24 correlation between the venting of the make-up tank and seeing  
25 releases. Do you remember what you knew during Thursday,



1 before you went home Thursday evening, about venting of the  
2 make-up tank and problems that it was causing?

3 A I think that we knew there was an increase in the  
4 monitors when we vented, and I don't remember the specifics.  
5 But I don't think we could get too near it physically because  
6 of the radiation levels to troubleshoot it.

7 But I think I remember knowing that there was ---  
8 that there was --- that there was a change, not a --- our  
9 monitors were very high to start with. So when I say change, I  
10 mean a little more up scale.

11 I think we could see it, and I think I remember that  
12 much of it.

13 Q Was there any appreciation of the possibility that  
14 continued accumulation of gas, increased accumulation of gas  
15 in the make-up tank was going to pose a more serious problem  
16 for degassing the system as you got into Friday or Saturday?

17 A I think as we got further into Friday and Saturday,  
18 we realized that was one method of degassing. I think our  
19 concern was --- was more Thursday and Friday in the waste gas  
20 tanks being fairly pressurized and in the --- what --- as I  
21 remember it, we also had, when we got pressure in the make-up  
22 tank, I think, let down decreased. And I think our concern  
23 was more related to pump seals and things of that nature.

24 The need for the make-up tank to be operable and not  
25 be pressurized and the need to discharge that to the waste gas

1 tank, I think that was more the context that I remember it in.

2 Q If there was concern on Thursday about the waste gas  
3 decay tanks possibly filling up, do you remember whether there  
4 was also some discussion as early as Thursday about running  
5 some pipe from those tanks back into the containment?

6 A I don't --- I don't believe there was Thursday. At  
7 least not inside. I'm saying that the waste gas compressor  
8 sensitivity to the high pressure, is what I'm saying.

9 The ability to get it out --- out of the suction  
10 header is what I'm relating to as opposed to what do we do  
11 with the waste gas tank. I don't think we thought that far  
12 ahead. At least we hadn't inside.

13 Q So your thinking was if the waste gas decay tank  
14 pressure is building up, it makes it that much harder for the  
15 compressor to suck any gas out of the vent header system, is  
16 that what you're saying?

17 A I think that was a concern relative to the pressure  
18 on the suction header and where we were going, more than, I  
19 think, discharging that tank.

20 Q But you didn't feel or you didn't sense any concern  
21 on the part of others about this building up to be an imminent  
22 problem in the next day or so as of the end of Thursday?

23 A I don't remember the waste gas tank being an imminent  
24 problem on Thursday or Friday. I remember that we were more  
25 worried about the make-up tank pressure and let down and water

1 into the core --- okay --- and trying to minimize the amount  
2 of that increased release that we might get.

3 Q Looking back at reported readings from various  
4 monitors, it appears that there were readings on Thursday  
5 directly above the stack in the vicinity of twelve hundred mR  
6 per hour and there was one reading of three thousand mR per  
7 hour for a very short time period.

8 Were you aware of those readings on Thursday?

9 A I don't know that I was aware of the three thousand.  
10 I think I might have been aware of readings like three or four  
11 hundred or twelve hundred. I think they were being made by an  
12 overhead helicopter or a plane.

13 But I don't remember them being consistently at  
14 eleven or twelve hundred. And I know that we weren't getting  
15 --- you know, we were watching very closely the readings off  
16 site and on site for worry as far as it's --- you know, the  
17 reading up there is an indicator of a release. The reading  
18 down on the plume or in the direction of the plume is an  
19 indication of what you're seeing and how long.

20 Q Had you been aware of a three thousand reading right  
21 on the top of the stack, do you think that might have caused  
22 you to be somewhat more concerned about the venting of the  
23 make-up tank or would that have been the same order of  
24 magnitude in your mind with three or four or five hundred at  
25 that spot?

1           A     No. I think three thousand would have --- I think  
2 a constant three thousand reading would have been --- would  
3 have been --- would have been a very big concern. Okay?

4           I think you also have to look at --- my memory of  
5 --- the biggest problem I can remember is the one that's well  
6 known on Friday morning. And by the time I remember becoming  
7 involved in that, we had already vented the make-up tank.

8           So we thought --- I think Mike Ross and I both  
9 thought that letting the make-up tank flood at low pressure  
10 would minimize the amount of release at any one time, because  
11 I think --- I think somebody had felt that was the way to go  
12 on Thursday night.

13           But the pressure had apparently built up in the tank,  
14 and I think there had been a water discharge from water to  
15 water storage tank, which would have caused --- probably  
16 caused some people to think that they could lose their water  
17 flow, the water source.

18           Q     Okay. When you came in on Friday morning, a Mr.  
19 Ross or someone else, I think, told you that there was a  
20 situation with respect to a release developing and you'd  
21 better go to the Unit 2 control room, is that right?

22           A     I think that I came in that morning and went to my  
23 normal office. And I think somebody was --- they already ---  
24 there was some consultants in there. I believe I either  
25 called the control room or they called me --- and I think it

1 was Mike Ross --- and asked me to come up because there was a  
2 problem developing with respect to the release or the make-up  
3 tank.

4 Q In one of your I. & E. interviews, you said that  
5 when you went there, you got into the emergency procedures  
6 again. What do you mean by that? Can you tell us what  
7 happened?

8 A We were in the emergency plan and never got out of  
9 it. I wanted --- I think when I say we got into that, I  
10 wanted to make sure that the State government was specifically  
11 advised over the release that had just occurred, because it  
12 was above where we had been. And I wanted them to be  
13 specifically advised of the fact we had had a release, an  
14 increased release, and we were monitoring it.

15 I must say also that I've subsequently read that  
16 Jim Floyd called the State, and I was not, to my memory,  
17 aware of those calls. I discussed --- as I remember, I  
18 talked to Bill Zewe and Greg Hitz that morning along with  
19 Mike Ross. I'm pretty sure Hitz and Zewe were in the control  
20 room. And we began to try to take steps to minimize the  
21 release.

22 And at that time, as I remember, the tank was  
23 vented, and we left it that way at low pressure.

24 Q Do you recall telling Mr. Zewe, who, I believe, was  
25 just about to go off shift, to take over the control console and



1 telling Mr. Hitz to do the notifications to the State?

2 A I talked to both of those in that manner. I can't  
3 honestly say I remember exactly what I told them, but I did  
4 separate them out functionally and began to try and get  
5 control.

6 I wasn't sure when I got there that the situation  
7 and the plan of action were --- were --- were going in one  
8 direction. So I did do some of that type of direction.

9 Q So you, then, made or concurred in a decision to  
10 try to leave the vent valve open and keep the pressure low?

11 A I felt that we had to leave it open and keep the  
12 pressure low. I also must say I think I remember when I first  
13 got there that the release valve was still open from the  
14 bonated water storage tank, our water source.

15 So I think once we knew that was shut, I didn't  
16 want to increase pressure for that reason; plus the reason  
17 that I think we felt the releases were more significant when  
18 you pressurize them.

19 Q What was the next thing that you heard about someone  
20 recommending an evacuation or ordering an evacuation or  
21 partial evacuation?

22 A I think some --- that's --- I think someone that  
23 came in and relieved said --- or someone's wife called and  
24 said that there was a recommended evacuation or there was  
25 some discussion we heard.

1           We had monitors on some of the civil defense lines  
2 or fire station lines, and that's --- that's hard to remember  
3 today. But I think that's how we learned about it.

4           And we began to ask why. And I think even the NRC  
5 people along with us were beginning to ask why and trying to  
6 make phone calls and try to find out what --- as I remember,  
7 Dick Dubiel was calling the State and trying to find out if  
8 they had recommended it and why.

9           Q     Do you remember staying in the control room, then,  
10 that morning?

11          A     I do remember it, but it's vague. And I thought it  
12 got turned around after a while.

13          Q     Did you subsequently learn that the NRC in  
14 Washington had recommended a partial evacuation to the  
15 Governor?

16          A     I subsequently learned that there had been calls  
17 that I wasn't aware of.

18          Q     Do you know whether anyone from Bethesda, the NRC  
19 headquarters, ever got through or tried to get through  
20 directly or indirectly to either the Unit 1 or Unit 2 control  
21 rooms during the morning to ask somebody about the status of  
22 the plant?

23          A     I don't remember anybody trying to get through. I  
24 --- I thought we had a phone in the shift supervisors' office  
25 that was open by that time with Bethesda. And I thought we

1 had --- I thought early Thursday morning that there was some  
2 people who showed up from headquarters. But I can't remember  
3 names.

4 I know one of the mornings, either Thursday or  
5 Friday, I think his name was Tom Novak, was up there. But  
6 that's vague.

7 But I don't remember any --- I don't remember any  
8 discussion. I do think that I remember the NRC --- the NRC  
9 people who were in the control room not understanding. And  
10 I didn't separate them out as to NRC or Region 1. I grouped  
11 them as NRC people.

12 I don't believe they understood why they were  
13 evacuating either, to my knowledge, because we asked each  
14 other, and nobody understood.

15 Q What I'm trying to get at is whether you know of  
16 any inquiry that was made directly by people in Bethesda at  
17 that time making this decision to the plant saying, "What's  
18 happening? We want to talk to somebody who's in the control  
19 room or who's in charge to find out what the plant status is  
20 and what's going on."?

21 A I don't remember any inquiry. And, in fact, I think  
22 we --- we and people up there were trying to reach someone to  
23 find out who was making the decision.

24 Q It's your recollection that there was a line from  
25 the Unit 2 shift supervisors' office that would go through to

1 Bethesda?

2 A I believe there was. I know there was a --- was a  
3 line to Region 1 the first day. I thought there was another  
4 line by the second day that was being held open. But I don't  
5 know who was on the other end of it, and I didn't ask.

6 Q So it's your impression if someone in Bethesda had  
7 wanted to know, they could have picked up the phone and called  
8 the Unit 2 control room?

9 A It was my impression that that could have been done,  
10 yes. It was more my impression that --- the best I can  
11 remember --- that the people up there couldn't figure out who  
12 to call either.

13 Q That is the people in the control room from the NRC  
14 ---

15 A That's right.

16 Q --- could not figure out who to call in Bethesda?

17 A That's right. They didn't know who made the  
18 decision either, and they didn't know the basis of it.  
19 Because they were --- because they were --- my memory is they  
20 were trying to get through to be sure that someone didn't  
21 have a false basis, like data that was not accurate. Okay?  
22 I think that was more the concern.

23 Q Do you recall any concern being expressed in the  
24 control room during Friday morning about whether the waste gas  
25 decay tanks were actually filling up to capacity?

1           A     I think --- I can't specifically remember, but I  
2 know we knew they were at eighty pounds or better and we had  
3 to --- we had to eventually do something.

4           Q     Was that an imminent concern?

5           A     No. But it was a concern that we were going to have  
6 to address in the next days. We knew that.

7           Q     Don't the tanks have an actual capacity that's  
8 higher than that limit?

9           A     Yes. And that's probably why our concern wouldn't  
10 have been imminent. You know, higher than that limit is  
11 probably a hundred and twenty pounds or so. Okay?

12                     I also think the compressors weren't necessarily  
13 working exactly like we thought they should, and it was hard  
14 to get near enough to them to look at things like water in the  
15 res... irs and things to be sure that we were not --- we were  
16 not going to lose that.

17                     (At this time Peter Sicilia and Richard DeYoung left  
18 the deposition.)

19 BY MR. FRAMPTON:

20           Q     Had there been some kind of a procedure or practice  
21 in place from Thursday to notify the State when you thought  
22 you were going to have a release from the venting of the  
23 make-up tank?

24           A     I think there was at some point, but I can't  
25 remember exactly when. Okay? And I don't ever remember not



1 being in contact with the State, though, to tell them anything  
2 that was going to happen in the plant that we thought would  
3 cause a bigger release.

4 Q Did there come a time Friday, Saturday, Sunday, when  
5 the role of NRC people in the control room or on site changed  
6 in terms of their impact on operations?

7 A I felt there was a larger role change occurring at  
8 the observation center than in the control room, in that I  
9 knew by that time that there was --- there were very senior  
10 people out there in the NRC and that there was a group being  
11 formed to make decisions.

12 Now, within the control room, I think there was more  
13 of an effort to ensure that they were informed of what we were  
14 doing or informed of something we had to do and that if they  
15 would have said do not do something, we would not have done it;  
16 unless it was an emergency.

17 The role got stronger, but I don't think that ---  
18 in the control room I never detected a question over who was  
19 the operator. Okay? There were more NRC people, more techni-  
20 cal people, but my memory is from Thursday on, my first  
21 thought was I was talking --- I would only talk to one of  
22 their guys at that point.

23 We may have changed as we went on during the next  
24 week and we got more normalized, but I --- my first thought,  
25 as I remember, I talked to one guy. That way if he had a

1 problem, then I would address that problem; unless it was an  
2 emergency.

3 And that's the way the role was. That was stronger  
4 than the first day.

5 Q But that method of operation in the control room  
6 continued?

7 A That continued.

8 Q For some time?

9 A Yes. They had fairly senior --- when I say fairly  
10 senior, I mean fairly experienced and senior supervision that  
11 arrived in that control room and with real understanding of,  
12 you know, what we were doing.

13 I must also say as we increased the number of any  
14 organization in that control room, that there were a variety  
15 of opinions. So that's why I would --- I remember I think at  
16 one point --- I don't know if it was Thursday or Friday ---  
17 insisting on talking to just one person, okay, and let that  
18 person run his organization.

19 And also at various times I used to clear the control  
20 room when I was there and limit the number.

21 Q So you were aware that there was a management group  
22 being organized in the observation center to review plant  
23 procedures, new procedures, and major actions, and that the  
24 NRC was involved there, but that didn't result in an additional  
25 direct impact of NRC people in or into the control room itself?

1           A     It did the further it went, because when we --- when  
2 we get into --- and I can't --- the days, the days on when we  
3 changed the way we did business are hard to pinpoint. But we  
4 eventually ended up with everybody that was involved, be it  
5 the NRC, concurring in anything we did.

6                     But inside the plant, should the operators have to  
7 do something, for instance, if the pump would trip, which it  
8 did one time, we would have started the second pump in  
9 accordance with, you know, our own safety precautions and then  
10 discussed it as opposed to --- as opposed to a planned  
11 operation which we would have agreed to prior to doing it.

12                     So in that aspect, the role did change. The role  
13 became stronger.

14           Q     I think you have said in prior interviews that it  
15 was your perception that command and control shifted to the  
16 observation center on the evening of Wednesday, 7:00 or 8:00  
17 p.m. perhaps. What was your perception of the role of Mr.  
18 Herbein or other people there after that time; specifically  
19 when Mr. Herbein went home at two or three o'clock in the  
20 morning on Thursday morning and you had gone home, would you  
21 still have expected that the senior person in the Unit 2  
22 control room would be looking to somebody in the observation  
23 center whom Mr. Herbein had left behind in charge, or would  
24 the senior person in the Unit 2 control room then be in  
25 charge?

1           A     My perception of that would have been pretty  
2 precise. I --- I by eight o'clock that night, once the pump  
3 had started, felt that the immediate, you know, that the  
4 immediate, I mean serious-now concern was gone. And by that  
5 time Jack was more formally in place over there with the  
6 ability to communicate and help.

7                     I would have looked at him, being my boss, like  
8 normally, as far as directing moves in the plant, with the  
9 exception that in the emergency plan, I would have still been  
10 the emergency director and would not have expected him, nor  
11 would I have --- it would have been my responsibility still  
12 to be the emergency director; the same as I had Jim Seelinger.

13                    In fact, I remember when I left, I told Seelinger  
14 not to hesitate to call me if things changed. So I would have  
15 still looked at us as being the emergency directors and as the  
16 senior guy in the plant.

17                    Jack left behind him probably one of his managers,  
18 but I don't think we would have thought that guy was  
19 technically more adequate than the guy in the plant. But he  
20 would have been --- there were an awful lot of people trying  
21 to communicate. He would have been the contact for senior  
22 people in other organizations, and then that would have fed  
23 into the plant.

24                    But I wouldn't look to him with the ability to  
25 direct an operation, unless we reviewed it inside.

1           So I would have looked at it as a command-type  
2 relationship, except I wouldn't have felt that all my respon-  
3 sibilities --- and I'm sure Seelinger wouldn't have --- were  
4 abrogated to the observation center. But I would have looked  
5 for my direction --- my direction on where we were going.  
6 Our long term direction would have come --- begun to come  
7 from the observation center.

8           At the same time we would have begun --- begun to  
9 build a more formalized method of transmitting plant evolutions  
10 and data to them. And as an example of that, Friday when I  
11 came in, I didn't even question the observation center. I  
12 came in, realized we had a release going on, and did that  
13 first, and then talked to the observation center. That's the  
14 way I would have viewed it.

15           Q     On Friday and Saturday there was concern expressed  
16 in the press and evidently in the NRC about the possibility  
17 that hydrogen in the reactor vessel itself might explode or  
18 be in an explosive concentration with oxygen in the relatively  
19 near future.

20           A     In the reactor vessel?

21           Q     In the reactor vessel. A concern which shortly  
22 thereafter dissipated. Did that concern ever make an impact  
23 on plant operations?

24           A     I don't believe it had an impact on plant operations  
25 directly. I think it had an impact on our considerations.



1 Inside the plant we didn't understand, I don't believe, how  
2 you could have gotten the situation where you could have  
3 gotten an explosive mixture.

4 We didn't know where the dissolution --- dissocia-  
5 tion of hydrogen and oxygen was occurring. We understood  
6 there were experts on both sides of the fence. In other words,  
7 there were people saying it could and couldn't happen.

8 I think we understood it was --- that was now a  
9 possibility. I think we thought it was remote. I think we  
10 took the precautions as much as you could as far as reassuring  
11 the degassing was occurring at the best rate we could.

12 I don't think we thought it was very possible. We  
13 had been through a situation that wasn't very possible. I  
14 think we accepted the experts' opinion, but I just --- I don't  
15 remember being overly concerned about that; other than it was  
16 now calculated to be a possibility among the other things that  
17 we were faced with.

18 Q When you say you accepted the experts' opinions, you  
19 mean even though you didn't think it was a very realistic  
20 fear, you said, well, if the experts or some experts think it  
21 is, maybe it is?

22 A Maybe there's a ---

23 Q And if there's anything we can do about it, we will  
24 do it?

25 A Maybe there's a possibility of it of some magnitude,

1 even though it's small. And I think we were all convinced  
2 that degassing was the primary item and that this would get  
3 us out of it.

4 It would have been very hard to imagine the --- it  
5 would have been very hard to imagine the energy calculation  
6 and the amount of force and so forth. That's --- that's ---  
7 that would have been the stuff that we discussed up there.  
8 And I just --- I think we thought it was remote.

9 I don't --- it didn't cause anybody to do anything  
10 different as far as our thought process.

11 Q Let me go back for just one question to the early  
12 morning of March 28th. I think you've said before that you  
13 had done a dry run previous to the accident with the Pennsyl-  
14 vania State Police in ordering up a helicopter. How did you  
15 do that? When did that happen?

16 A When I say dry run, I may have overemphasized it.  
17 During the yearly drills we have here, we have tried to  
18 imagine scenarios that are varied. And I remember in the past  
19 years discussing the communications we'd have to have to bring  
20 a helicopter here and verifying that they had one that would  
21 respond.

22 I don't remember ever asking for that during the  
23 drill. We had it here before for other things, so we knew we  
24 could get it.

25 Q But you had discussions with the State Police?

1           A     With at least the dispatchers.

2           Q     About whether you could get one ---

3           A     That's right.

4           Q     --- and how if you had an emergency?

5           A     That's right. Not just this type of emergency. In  
6 fact, I think we've gotten their helicopter for security items  
7 before. No different than calling the airport, learning to  
8 call Conrail for trains. That's stuff we've imagined in  
9 scenarios in the past.

10          Q     In fact, you or someone called the State Police that  
11 morning for a helicopter and you got one very fast, didn't you?

12          A     There may be --- subsequently I know there's some  
13 disparities in my time versus the time the thing landed here  
14 or the time it's documented. I remember as soon as I had the  
15 projection, which was high, for Goldsboro and knowing the west  
16 --- knowing the wind was blowing to the west and knowing that  
17 it was seven or eight in the morning, that I know that I asked  
18 for a helicopter before seven thirty.

19                 I knew that that was in my mind and knew I had the  
20 York Haven monitor out over there and I knew I had a guy on  
21 the West Shore. That's something that I had practiced and  
22 thought about it. Even in the Unit 2 hearings when we  
23 discussed the wind blowing west, slow as it was.

24          Q     Do you know whether the helicopter actually came on  
25 the site and picked up somebody to go over the river?

1           A     To my knowledge it was verified to me that they  
2     picked up one or two of our people and they were flown over  
3     there. And readings were back, and as I remember the readings  
4     were back before Dubiel had thought the plume had gotten there.  
5     In other words, we had gotten over there faster than the  
6     radiation would have at the wind speed, which was very slow.

7           Q     Do you know whether people also went over there in  
8     a car?

9           A     Tried to go over. I don't know when they got over  
10    there. We sent them. In my mind I asked them to dispatch  
11    both.

12          Q     Do you recall whether you or anybody else here called  
13    out or leased or chartered other helicopters? There were a  
14    number of helicopters, and I wonder if you know where they  
15    came from other than the ones that may have been federal,  
16    D.O.E.

17          A     Well, I knew that we had a RAP --- I think that's  
18    R-A-P --- I knew the RAP aircraft was here early in the  
19    morning. Okay? I didn't know what kind of aircraft. I knew  
20    there were other helicopters Thursday and Friday and knew we  
21    had rented them, but I didn't know from where.

22          Q     Do you know who rented them?

23          A     I assumed it was coming out of Jack's place in the  
24    observation center. And I also --- I think we had probably  
25    blank orders or a way of getting helicopters through the

1 service corporations. So I didn't even worry about it.

2 Q That wasn't from you, though?

3 A No, sir.

4 MR. FRAMPTON: Off the record.

5 (At this time a discussion was held off the record.)

6 (At this time a recess was taken from one o'clock  
7 p.m. to 1:25 p.m.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



September 20, 1979  
1:30 p.m.

1  
2  
3 BY MR. FRAMPTON:

4 Q Mr. Miller, in hindsight, looking at the way the  
5 emergency plan was implemented, what would you say are the  
6 major strength or strengths of the plan; and if it had a  
7 major weakness or weaknesses, what do you think those are?

8 A I feel that looking back that the emergency plan  
9 had built into it some good strengths. I feel that the  
10 organizational structure and the communications with people  
11 at the working level, I'd like to call it --- by working  
12 level, I mean the communications with other technical people  
13 in other organizations--I think were adequate and I think  
14 helped us. And I believe that it was rapidly implemented and  
15 that it worked from that aspect on the ---

16 Q By technical people in other organizations, do you  
17 include State ---

18 A State.

19 Q --- B.R.H.?

20 A State, B.R.H., NRC.

21 Q NRC Region 1 people?

22 A Yes. I feel those communications, plus the fact  
23 they were established before the --- within the first hour,  
24 worked and they were effective. On the negative side, I  
25 believe that we've learned a whole new area of communications

1 that are necessary in this type of a situation.

2 Q And what are those new areas of communications?

3 A I personally think we have learned that the media  
4 has to be involved. And I don't pick them first because of  
5 priority, but I believe they have to be involved.

6 I believe we have to have more senior officials  
7 within the State and the Federal government involved, because  
8 of the impact of the thing, which I don't think any of us  
9 realized before that time.

10 Q When you say senior officials in the State, are you  
11 talking about the Lieutenant Governor and the Governor, people  
12 at that level?

13 A I'm talking about the Lieutenant Governor and the  
14 Governor and their staffs, because I believe that the Lieuten-  
15 ant Governor --- I don't really believe he understood or knew  
16 the emergency plan before that day. And that's not a  
17 criticism. I just --- I feel that we now know a need for that  
18 to be an effective emergency situation and organization, too.

19 Q What about top people in the NRC?

20 A I've made one comment in recommendations to the NRC  
21 in the early parts of this when I thought about it. I think  
22 each organization involved; by that I mean the vendor, the  
23 architect/engineer, the NRC, and the company and the State all  
24 have to have an emergency organization that's responsive to  
25 this kind of situation and has a defined chain of command and

1 practice in communications.

2 Q On paper the NRC had such an organization. Did you  
3 ever see any evidence of it from your vantage point here?

4 A I saw evidence of it in that the people that I've  
5 normally contacted, like the Region 1 people, there was  
6 evidence of a communication there. But I wouldn't have known  
7 from a superintendent-in-charge kind of guy, I wouldn't have  
8 known who I could call in the NRC, who in that group would  
9 have been able to tell me something or to help me before that  
10 day. I wouldn't have known who to call.

11 I think today with the establishment of what we call  
12 a hot line that's taken care of. That day I wouldn't have  
13 known who to call in any organization because I wouldn't have  
14 known that I could have taken the time to talk to them and get  
15 set up for this situation.

16 I must say, in all honesty, I feel that people in  
17 the NRC who were up there didn't really know in their organiza-  
18 tion where to go either, and that there was --- there was ---  
19 there was confusion just because of the numbers of people  
20 trying to discuss the situation. I think that confusion has  
21 got to be eliminated.

22 Q When I say there was such an organization in the  
23 NRC on paper, I meant to say that there was a plan on paper  
24 for such an organization, not to imply that it got implemented.  
25 And the question I was asking you was whether you saw any sign

1 that any such organization was implemented.

2 A And I'm trying to give you an objective answer. I  
3 didn't see any sign. And I also must tell you that you have  
4 to prepare for emergencies as much as you can, and that  
5 preparation at this site includes emergency drills. So every-  
6 thing that was done in those drills was done.

7 Never was I aware that there was a unique organiza-  
8 tion other than the ones I've been dealing with. So I'm  
9 saying, no, in that context.

10 Q Mr. Herbein told us yesterday that he was very much  
11 involved in drafting the emergency plan for Unit 1 which in  
12 scope, at least, looks quite a bit like the existing emergency  
13 plan. Thereafter I think there was an emergency plan covering  
14 both units that was incorporated in the F.S.A.R. for Unit 2  
15 which would have been filed in 1975. An amended or revised  
16 plan was sent to the NRC in a letter, undercover letter, in  
17 May of 1978.

18 Do you remember that or do you remember; and if so,  
19 do you remember why there was a '78 revision?

20 A You mean a '78 revision at all?

21 Q Yes.

22 A I was always aware that the F.S.A.R. in Unit 1 had  
23 a plan in it and that Unit 2 had a plan in it. And we had  
24 hoped to make them the same in the end.

25 But I think you must go back and say when we went

1 through the hearing stages in Unit 2 in the 1977 time frame  
2 through to '78, one of the areas that was reviewed very  
3 thoroughly was emergency planning. And a lot of concerns of  
4 my people and some of the NRC people were reflected, I believe,  
5 in that revision. That's why it was necessary.

6 I might say that the station procedures, to my  
7 knowledge, were based on the latest emergency plan submitted  
8 to the station. They might not have been affected by the fact  
9 that there might have been an older copy in Unit 1. In NRC  
10 the procedures, which were put in place by us and audited by  
11 the NRC, were addressed to the latest revision, to my  
12 knowledge.

13 Q Were you ever informed that someone in the NRC  
14 reviewed that latest emergency plan and found certain defi-  
15 ciencies in it, vis-a-vis the appropriate regulatory guide, and  
16 suggested that someone send you a letter saying that you ought  
17 to abide by your old emergency plan? Were you ever notified  
18 by the NRC of any such thing was my question.

19 Q No. But, in all honesty, back in the 1977/78 time  
20 frame I knew there was a revision under discussion in the NRC  
21 during a hearing process. But it had never been officially  
22 given to us; although I had an unofficial copy of the read  
23 guide and we did implement and change some of that.

24 But some of it was a major-type change, and we were  
25 not told --- I believe we were not in a position to implement



1 --- I knew there --- what I'm trying to say is I knew there  
2 were major changes being thought of, like alternate centers  
3 of communication and so forth. But to my knowledge none of  
4 that had been made a regulation. Okay?

5 So I was aware that there were revisions under  
6 discussion and, in fact, in our emergency drill, which was  
7 run in late '78 at the station, we had generated some things  
8 which we were trying to implement. But I was not aware of  
9 any big required change in emergency planning which we had  
10 not done.

11 Q You had not received any notification in the last  
12 year saying that your most up-to-date emergency plan was  
13 inadequate in any way?

14 A No, sir. And, in fact ---

15 Q From the NRC?

16 A No, sir. And, in fact, at the end of the drill in  
17 1978 --- I believe I conducted that drill --- and at the end  
18 of the drill the comment made by the NRC inspector was that  
19 we had made advanced areas and advanced scenarios. So I was  
20 under the impression that it was very acceptable to them.

21 Q These were inspectors from Region 1?

22 A Yes, sir.

23 Q Let me ask you some questions about the condensate  
24 polisher system. Is it your understanding that that system is  
25 included within the Quality Control/Quality Assurance Program?

1           A     My understanding is that that system is not included  
2 in that --- that part of the program in Quality Control. But  
3 there are connections to that system from, say, the emergency  
4 feed system which probably, in my mind, would be Q.C. The  
5 main system, no.

6           Q     So if the name of the system appeared on a list of  
7 systems covered or partially covered by the program, your  
8 thinking would be that it would be the connection between  
9 that system and another safety system that was covered?

10          A     Yes, sir.

11          Q     I think you have been asked in a prior interview  
12 about an incident in November of 1977 in which the condensate  
13 inlet and discharge valves, condensate polisher inlet and  
14 discharge valves closed and caused a complete loss of feed  
15 water flow prior to the fuel loading. Do you recall that  
16 incident?

17          A     I recall an incident. I don't know whether I recall  
18 both inlet and outlet valves, but I do recall a loss of feed  
19 water incident.

20          Q     And do you recall that suggestions were made at that  
21 time that perhaps an automatic by-pass valve ought to be  
22 installed or that that possibility be reviewed by the GPU?

23          A     I recall some correspondence requesting the review  
24 of that. Because Unit 1 did have a valve of that nature or  
25 that design.

1           Q     Are you aware of your own knowledge as to how those  
2 valves, inlet and discharge valves, were originally designed  
3 to operate in terms of failing closed, failing open, or  
4 failing as is?

5           A     I don't remember. I might say they are instrument  
6 error operated valves, as I remember; the outlets are at  
7 least. And I'm aware that there's --- there are --- there are  
8 design requirements for each of those kinds of valves which  
9 depended on the system.

10           There is also, I think, a loss of instrument air  
11 test in the test program which would have verified that. I  
12 don't know that I --- I didn't look at that test, but there  
13 would have been such a test for all air operated valves.

14           Q     Once a plant goes commercial, can you describe for  
15 us the difference between the review that a design change in  
16 a system covered by the Q.A./Q.C. Program receives from the  
17 review received by a system that is not covered by that  
18 program?

19           A     A system covered by that program, I believe, would  
20 require a quality --- an engineering and quality review before  
21 implementation of any change.

22           Q     What's the nature of that review, how many reviews,  
23 who makes them, and what's the ultimate review by the P.O.R.C.?

24           A     That review is covered by specific administrative  
25 procedures, which we do not have in front of us. But I think

1 that review consists of a formal change modification and a  
2 safety evaluation which would receive P.O.R.C. sign-off to  
3 verify there was no change in a safety system. Then that  
4 would allow the change to be implemented, and then that would  
5 also be reviewed by Reading Engineering.

6 Q So are you saying that at least for a major system  
7 change, the change gets an on-site review, a second review at  
8 Reading, and a P.O.R.C. review at some point before or after  
9 the change is actually made?

10 A When you say P.O.R.C., you are talking about the  
11 Plant Operations Review Committee?

12 Q Right.

13 A That would be the first review that was done on that  
14 change. And I'm saying if it was a major change, it would  
15 have to receive Reading Engineering approval, which would  
16 include Q.A. and engineering prior to being put in the plant.

17 A minor change mod might be --- might require a  
18 P.O.R.C. review first to be put in and reviewed afterwards  
19 by Reading. But both of them would end up being reviewed  
20 independently off site.

21 Q How about a change in a system that was not covered  
22 by that program?

23 A I think a minor change modification in the secondary  
24 plan, not Q.C., could be done with a maintenance department  
25 and possibly an engineer out of one discipline. Not a plant

1 review committee. I think major changes required an on-site  
2 engineering review.

3 Q And minor changes simply a maintenance department  
4 review by a single engineer who worked on it, is that right?

5 A Plus, I think, the supervisor of maintenance has to  
6 sign off on it.

7 Q How is it determined whether a system is covered by  
8 the Q.A./Q.C. Program or not covered? Does that basically  
9 correspond to whether a system is a safety system or a non-  
10 safety system under NRC regulations or guides? Or is there  
11 some distinction?

12 A The way I think it is is the final safety analysis,  
13 the F.S.A.R., describes the systems, and those are the systems  
14 that in our minds are considered in the analysis and the  
15 safety review of the plant. If any of those --- all those  
16 systems would be described in the Q.C. plan, any of them that  
17 affected the safety analysis, then that would have been the  
18 basic document.

19 Now, as far as generating specifics, I believe that  
20 the architect/engineer had a document designated Q.C./Q.A. for  
21 the building program and test program. And I think we took  
22 a lot of our specifics right from that because it came out of  
23 the same criteria.

24 Q Do you know whether the pressurizer relief valve  
25 that apparently stuck open in this accident was a piece of



1 equipment covered by the Q.A./Q.C. Program?

2 A I believe it was a Q.C. component. I don't believe  
3 it was a safeguards designated component. By that I mean it  
4 was Quality Control because it was connected to the reactor  
5 plant and so designated for purchase and installation by  
6 B and W. I don't believe it was considered as a safeguards  
7 requirement for the plant.

8 You're required to have a safety system redundancy  
9 in that kind of a requirement.

10 Q We have some information that at some point  
11 apparently prior to November, 1977 the fail as is feature of  
12 the condensate polisher inlet and/or discharge valves was  
13 disabled on each and every polisher unit. Is that the kind  
14 of change that could be made simply by the supervisor of  
15 maintenance and an engineer who worked on the system? Would  
16 you consider that a minor change?

17 A I would consider that a major change to the system,  
18 and I would say they would have to have at least an on-site  
19 review.

20 Q On-site engineering review?

21 A Yes. Now, let me say one thing. In the time frame  
22 you mentioned Met-Ed would have not been evaluating that type  
23 change. It would have been an architect/engineer, a GPU  
24 project review.

25 Q The procedures, therefore, would be different?

1           A     The procedure would be somewhat different in that  
2 they should --- they would have to determine whether they  
3 changed the F.S.A.R., for instance, which would have caused  
4 other reviews. I might also tell you that when you say fail  
5 as is on this type of valve, I'm talking about if the air  
6 system that supplies its air fails.

7           The night of the accident when there was water in  
8 those lines, that may not be the same position as fail as is,  
9 as a failure position, because of the water being in these  
10 instrument lines would have caused a possible false signal to  
11 the valves, which might be two different situations.

12          Q     Let me understand you correctly. Am I right that  
13 what you're saying is that the fail as is result depends upon  
14 the air system working correctly and that if there's water in  
15 the air system, the fail as is part of it may itself fail and  
16 make the valves fail in some other way?

17          A     That's basically what I'm saying. I'm saying the  
18 fail as is is a loss of air --- that's what you arrive at ---  
19 as opposed to putting water in the line, which may cause the  
20 valve to position itself differently and the fail as is mode.

21          Q     Than the fail as is design?

22          A     Design mode. Off the record.

23                   (At this time a discussion was held off the record.)

24 BY MR. FRAMPTON:

25          Q     Just for the record, while we were off the record,

1 you were explaining to us that on the night of this particular  
2 accident if there was water in the instrument air system,  
3 that could well have caused the fail as is system to malfunc-  
4 tion even if it had not been disabled previously, is that  
5 right?

6 A That's true. What I'm saying is that water in the  
7 instrument air system would have given a zero signal. The  
8 valve would have closed because it thought it had a zero  
9 signal. And there was water in the lines that night, which  
10 were found subsequent to the trip.

11 Q Do you recall a trip in November, a reactor trip in  
12 November of 1978, that was caused by a loss of feed water;  
13 that, in turn, was caused by some of these valves, condensate  
14 polisher valves closing; and if so, what do you remember about  
15 that?

16 A I know there was a trip in that time frame caused  
17 by a loss of feed water. I can't separate out in my mind  
18 whether these valves were the cause of the trip or we had a  
19 problem with these valves after the trip. Okay? These  
20 particular valves.

21 Q I believe that the cause of the valve closing was  
22 someone turning a switch which was represented, that person  
23 thought, as a light switch, is that right?

24 A That is right. Only I'm trying to separate in my  
25 mind --- I thought there were two problems that were within a short

1 interval with the feed water systems, and I thought that was  
2 only one of them. And I may be remembering it wrong.

3 There's documentation to that. We can go back and  
4 figure that out.

5 Q You think it's possible that the occasion in which  
6 the person threw a light switch or something he thought was  
7 a light switch was not the same incident that caused the  
8 reactor trip?

9 A I have no doubt in my mind that we threw a light  
10 switch and lost feed water. I thought there might have been  
11 two problems in that day or two interval there, and I can't  
12 remember both of them.

13 But there's no doubt in my mind that the guy threw  
14 a light switch and we lost feed water. I don't remember the  
15 reactor trip, but the effect would have been the same as far  
16 as feed water is concerned.

17 Q When you say he threw a light switch, he threw what  
18 he thought would be a light switch?

19 A He threw a switch inside the panel that he thought  
20 to be the light switch, and it was not.

21 Q Did you, in fact, investigate to see what that  
22 switch looked like?

23 A Yes. I personally went out and looked at that.

24 Q Did it look like a light switch?

25 A To me it did not.

1 Q Was it inside a walk-in panel?

2 A It was inside a walk-in panel which would have been  
3 where the man would have walked to do troubleshooting. So he  
4 could have walked in. It's a big enough panel. And he threw  
5 a breaker which he interpreted as a light switch.

6 Q And the breaker was, in fact, the system power for  
7 the condensate polisher system or some portion of it?

8 A It was power for some of these valves.

9 Q And the valves then shut?

10 A Yes. And I have been saying that I believe it was  
11 the inlet valve, but I could be wrong.

12 Q Your technical specifications on Unit 2, which, I  
13 believe, reflect the standard technical specifications, require  
14 that you have one senior reactor operator licensed individual  
15 and two reactor operator licensed individuals in the plant,  
16 a minimum of those three people, and two nonlicensed people  
17 or auxiliary operators. Those tech specs also permit one of  
18 the three licensed personnel to be gone from the plant for a  
19 period of up to two hours, I believe it is. Therefore, under  
20 your minimum requirements as you put forth in the technical  
21 specifications, you could operate the plant for up to two  
22 hours with only two licensed personnel in the unit, only one  
23 of whom would have to be in the control room.

24 Do you think if you were operating at the absolute  
25 minimum that that would be an adequate number of people to



1 handle a transient?

2 A Number one, I think we also have to have a shift  
3 supervisor on the station by those same technical specifica-  
4 tions, and he has to be licensed on both units. So there's  
5 one other guy that I don't think you've mentioned.

6 Q Is that in the technical specifications ---

7 A That's in the drawing ---

8 Q --- or is that company policy?

9 A --- that's in the drawing technical specifications.  
10 So, therefore, there's one more guy required.

11 Now, the basic question on the transient, I think,  
12 the basic number of licensed people is adequate for a  
13 transient. I don't honestly think you could handle it with  
14 two auxiliary operators because I believe you would need more  
15 people out in the plant. You would probably need four to five.  
16 We would never have run internally with less than four.

17 Q Is that a matter of company policy, is it?

18 A It's a matter of superintendent's policy.

19 Q And does the superintendent have a policy requiring  
20 more than the minimum number of licensed personnel as well?

21 A I had one policy that I had implemented back around  
22 the turn of the year in 1978, and that was if there was a  
23 major evolution occurring in either of the two units, there  
24 had to be a shift supervisor in that control room.

25 The night in question there were, in fact, two shift

1 supervisors in the station because Unit 1 was heating up. And  
2 I required for major evolutions that a shift supervisor be  
3 devoted to that unit; in addition to the normal shift super-  
4 visor that had to be here by our technical specifications.

5 Q Let me go on to a different subject for a minute.  
6 You've been asked in a prior deposition in some length about  
7 budget cutbacks or requests to pare the budget and attempts  
8 to reduce budget expenditures for certain items.

9 I'm interested in a more specific question that has  
10 arisen as a result of a newspaper article discussing an  
11 alleged cutback of one third or one quarter in the maintenance  
12 or maintenance budget for Three Mile Island. Do you know any-  
13 thing about that alleged cutback?

14 A Yes. I am aware of the article. I was aware of it  
15 before the accident. I think it relates to Unit 1's refueling  
16 last year, the last refueling.

17 Q And what was the cutback which the article referred  
18 to, if there was one, or what did the article refer to?

19 A There was not a cutback to the magnitude of the  
20 article. I related the article to the fact when we cut back  
21 maintenance somewhat, we cut back the contractor, which were  
22 people that came in from the outside during the refueling.  
23 And I really felt personally that was a reaction to that.

24 There were budget --- there were budget --- there  
25 was budget pressure in the maintenance area.

1 Q Okay. Can you tell us what happened? You said there  
2 was a change of contractor and, as a result, some maintenance  
3 cutback.

4 A Not in the maintenance contractor. There was some  
5 cutback in the amount of work that the contractor was given.  
6 And I always felt personally that possibly some of the people  
7 that we bring in that were affected maybe reacted to that in  
8 a subjective way.

9 Q Who was the contractor?

10 A Catylitic is the maintenance contractor.

11 Q And when did this reduction in work given to them  
12 occur?

13 A It occurred during the planning stages or in the  
14 final planning stages for the Unit 1 refueling in 1978.

15 Q Can you tell me approximately what months of 1978?

16 A My guess is November and December and January.

17 Q Of '78/'79?

18 A '78 into '79.

19 Q And during that refueling period, the amount of  
20 maintenance work given to the contractor was reduced, is that  
21 right?

22 A Was reduced from the year before.

23 Q Was reduced from the refueling of the previous year?

24 A Yes.

25 Q The maintenance work is done during refueling

1 because that's the only time when a lot of maintenance on  
2 certain systems can be done, is that right?

3 A There's constant maintenance all year, but you're  
4 right. You know you're going to be in a down outage condition  
5 for that period of time, so you plan as much maintenance as  
6 you can do.

7 Q And that maintenance related only to Unit 1 and not  
8 to Unit 2?

9 A That maintenance that I'm talking about now related  
10 to Unit 1. At the same time we were sensitive to the number  
11 of contractors on the station, but more related to Unit 1 than  
12 Unit 2. We had planned to have more people in Unit 2 because  
13 we knew it was in its initial cycle.

14 Q Who made the decision as to the amount of maintenance  
15 that would be assigned to the contractor?

16 A On an item-by-item basis, the maintenance superin-  
17 tendent, Dan Shovlin, would have made the decision. If there  
18 was a major area; for instance, the turbine, where you were  
19 going to pull part of your turbine apart, that might be a  
20 separate contract coming out of the corporate office. Okay?

21 But as far as the day-by-day decision over who did  
22 what job, the maintenance superintendent had the say. I might  
23 have reviewed that decision, but he would have been the major  
24 input.

25 Q Well, you said there was a reduction in the amount

1 as opposed to the previous year. Who was the person or the  
2 body that set the total amount that could be spent?

3 A That would have been Jack Herbein and myself.

4 Q Did you make a total dollar determination?

5 A No. I think we --- we made a determination of what  
6 everybody wanted to do in their area. Then we looked at  
7 probably that amount and we looked at various levels, five,  
8 ten, fifteen percent cut levels and impact on specific jobs.  
9 From that would have evolved the decision over what jobs to  
10 do. That wasn't a new process.

11 Q When you said there was a reduction from the year  
12 before, was that a reduction in total dollar amount or was that  
13 a reduction in items, specific items, or both?

14 A There --- there was never an arbitrary number given  
15 to us. But there was pressure to look at the whole outage  
16 and do what was necessary. And that evaluation, which was  
17 done first by the operations people and maintenance people  
18 and then reviewed through senior levels, including myself,  
19 resulted in some dollar reductions.

20 In addition to that, we instituted some harder or  
21 more formal controls over adding jobs to the outage. And  
22 really from a dollar standpoint, that's where you could save  
23 the most dollars, was looking very closely on what you  
24 decided to do during the outage, because you're running a  
25 schedule and you're running a pretty complicated number of



1 items.

2 Q Do you know what the total decrease in dollar volume  
3 was in percentage terms relative to the year before? Roughly?  
4 Was it five percent? Thirty percent?

5 A I don't believe it was any more than ten percent.

6 Q Did you or Mr. Herbein receive any instructions  
7 from corporate management about a target figure for a cutback  
8 or target percentage?

9 A I believe we received a target value from O and M  
10 for the budget for the year, which would have included the  
11 normal running expenses and the refueling. And I believe we  
12 worked to that target.

13 At the same time I think you should realize that  
14 there are --- in refueling we have twenty-six areas, each of  
15 which has a coordinator. Each one of those people had a shot  
16 at reviewing and looking for cuts. And they gave us an  
17 impact statement of any cut. The impact statement could have  
18 said the cut can't be made, and the reason might be that the  
19 unit will be down three more times or will trip three more  
20 times this year or that system has been leaking and must be  
21 fixed.

22 So it's not a simple evaluation. I don't want to  
23 imply that it is. You could be looking at as many as twenty-  
24 six hundred or three thousand items.

25 Q Did you consider that this cutback affected safety

1 related work in work that was important to safety in any way?

2 A To my knowledge we did more work on the safety ---  
3 on the primary side of the plant than we did the previous year.  
4 I would not have cut any job that anybody in my staff told me  
5 would have affected safety. And I would not have negotiated  
6 that. That's no different this year than any other year.

7 Q Do you remember attending a yearly management  
8 meeting with NRC people in Region 1 about January of this  
9 year?

10 A Yes.

11 Q Do you recall whether you talked with them about  
12 any particular problems or weaknesses that you perceived in  
13 your own operations at that time? Are there any that stick  
14 in your mind?

15 A We had a general discussion most of the day which  
16 the NRC led. We discussed things like the security system  
17 changes. We discussed the standard technical specifications  
18 in Unit 1, which did not have them.

19 We discussed one area that we were sensitive to,  
20 and that was health/physics, if I remember right. And we  
21 told them we were sensitive to it.

22 Other people have been sensitive to it. And we  
23 asked them to help us look at that area and tell us if they  
24 see generic problems in the health/physics area.

25 We had an audit run by a separate organization. And

1 I also believe we were aware that our sister plant at Oyster  
2 Creek within the company had had some problems. And I think  
3 that was making all of us in management sensitive to health/  
4 physics.

5 Q Was that the audit done by N.U.S.?

6 A Yes.

7 Q And that was done because you felt that you had  
8 some weaknesses in the health/physics program and you wanted  
9 somebody to help you identify them?

10 A Yes.

11 Q Make recommendations?

12 A Wanted an independent evaluation.

13 Q Do you remember what you perceived, when you  
14 requested the audit, to be the primary problem or problems?

15 A I perceived that we were weak in manpower. I also

16 ---

17 Q Are you talking about numbers of people or  
18 management?

19 A Numbers of qualified people. Both at a technician  
20 and at the foreman level. With two units and with the fact  
21 that we knew we were going to age, I felt we were going to  
22 eventually face health/physics problems which we hadn't ---  
23 which we couldn't have faced without an expanded staff.

24 Also a part of that audit was to look at the regula-  
25 tions and the procedures. I perceived that we had maybe a

1 lot more built in to our procedures than there were in the  
2 regulations and we might be diluting our effort sometimes.  
3 And that was another thing that I had hoped to get out of that  
4 audit.

5 And then also if we were doing the procedures that  
6 we had in the field, how well implemented were they? I  
7 wasn't --- in my own mind I had --- I had concern that we were  
8 doing what we said in the paper.

9 Q Prior to the accident were there any difficulties or  
10 conflicts between the Operations staff and the Radiation  
11 Protection staff?

12 A There was some ---

13 Q Tensions between them?

14 A There was some interaction between them. I don't  
15 know that tension is the proper word. But there were some  
16 concerns expressed by the health/physics people.

17 One or two of them expressed those concerns to me  
18 personally. I know them. And I was --- I was interested in  
19 getting to the cause of those concerns and determining that  
20 they were real. And then we would have to correct those.

21 Q What were the concerns in general? What type of  
22 concerns?

23 A Some of the health/physics people in their opinion  
24 felt that the Operations people didn't have the total respect  
25 for their job that they should and that they --- that they

1 might not want to fully implement every requirement in the  
2 procedures. And that would not have been in accordance with  
3 the way I do business. But there was some interaction.

4 Q In your experience is that a common or generic  
5 problem, that the health/physics people are sometimes regarded  
6 as overtechnical or overprotective by the Operations types?

7 A It's my experience that the Operations, Maintenance,  
8 and health/physics types have constant interaction. By that  
9 I mean that they are all tuned in or experts in their area,  
10 and they don't tend to think about the other guy's area as  
11 fully as they probably should.

12 Q Did you take any particular action on these  
13 complaints that were expressed to you to try to reinforce the  
14 concerns that these people had expressed to you?

15 A Each time a concern was expressed --- each time a  
16 concern was expressed to me, I would investigate it myself.  
17 And I would have --- once or twice I believe I talked to the  
18 shift supervisors and the Operations supervisor about, you  
19 know, the absolute necessity for the health/physics program  
20 to be fully implemented. Sometimes those complaints came to  
21 personalities, and it made it hard to separate.

22 I also must say I would have depended on the unit  
23 superintendent, who has daily interaction with those three  
24 groups more than I did, at times to help with that.

25 Q Were there occasions prior to the accident when



1 people were observed or reported violating radiation protection  
2 procedures?

3 A There were no cases I knew of where there was a  
4 documented violation. Okay? A lot of what you're saying  
5 I've --- I used to hear. And if I did hear, then I would call  
6 people in and review it.

7 It would have been very easy to evaluate something  
8 that was documented. I was evaluating something that people  
9 were saying and trying to separate the personalities from the  
10 issues.

11 Q Without expressing any opinion about this, let me  
12 try to get into this with you by a couple of questions. I'm  
13 impressed that you say you personally wanted to deal with any  
14 conflicts or reported violations of procedures.

15 But on the other hand, one might ask whether the  
16 station superintendent is the right person to be doing that,  
17 whether perhaps it ought to be done on a lower level. Why did  
18 you attend to these things yourself? Is the Radiation  
19 Protection group or function separate enough that you as the  
20 station superintendent were the only one that could really  
21 gopher these problems, if there are problems?

22 A Number one, the normal day-to-day activity in a  
23 normal interfacing is the unit superintendent's responsibility,  
24 and he should separate out some of that stuff. And he did.

25 I think you must remember with health/physics

1 reporting to a new superintendent --- we had them reporting to  
2 Ad/Min superintendent, Dave Limroth, who was not in place very  
3 firmly, did not understand all of the history and the people.

4 I think prior to him they reported to me because of  
5 the fact they were a common service. I couldn't have left the  
6 unit superintendent decide who got what health/physics support.  
7 That was part of my role here, was to decide priorities.

8 There was a lot of things that I'm sure that they  
9 straightened out that I never heard about. Once or twice just,  
10 as I remember it, some of the foremen had come to me and talked  
11 to me about what they thought were some problems. And that is  
12 the point where I would have got in to assure myself that if  
13 there was something we didn't know, that we were pursuing  
14 facts.

15 I would have involved Jim Seelinger or Joe Logan,  
16 depending on which unit, and I would have held --- I would have  
17 held them responsible for helping with the corrective action.

18 But I would have deemed it important enough for me  
19 to understand it.

20 Q Is this the kind of problem that has to be solved  
21 by somebody who is above the Operations level in the sense  
22 that if the Operations people just hear it from the health  
23 physics people, they won't believe it quite as much as if they  
24 hear it from somebody who's above them as well as above the  
25 health/physics department?

1           A     I think there's a tendency for the unit superintend-  
2     ent to want to operate more than there would be for me. So,  
3     therefore, I think some of these properly should come to  
4     someone outside.

5                     I didn't --- if they come to me, I would have  
6     assumed they were shut off from within, and I would have done  
7     something if I could have determined that it was objective.  
8     That's one of the reasons, by the way, that we had had health/  
9     physics reporting to a separate superintendent --- we're  
10    implementing that --- to give them that independency.

11           Q     Let me go back and ask you a follow-up question  
12    about the condensate polisher system and review of non-  
13    Q.A./Q.C. system changes. Do you think that it would be  
14    useful to extend the internal review or the NRC's review of  
15    systems into the secondary side of the plant further than it  
16    exists today in light of the fact that it seems to have been  
17    the secondary side of Unit 2 that caused the majority of the  
18    problems in the test year and that served as the triggering  
19    events in this accident?

20                     Do you have any thoughts about that?

21           A     I don't know that I would want to say that you  
22    should go through the full safety review type concept. But  
23    I believe that a more formal engineering review and follow-up  
24    on the secondary plant would be advantageous, both safety-wise  
25    and from a standpoint of reliability.

1           What I'm trying to say is that I don't want --- I  
2 don't believe that it's necessary to go through redundancy  
3 and separate power sources and seismic type design. But I  
4 do think from an engineering standpoint that more emphasis  
5 and independency of review would be advantageous.

6           Q     The P.O.R.C. for Unit 2 advises you, does it not?

7           A     Advises the unit superintendent.

8           Q     Directly?

9           A     Yes.

10          Q     Rather than the station superintendent?

11          A     That's right.

12          Q     Did you ever attend P.O.R.C. meetings for either  
13 unit as station superintendent? Have you on any regular basis?

14          A     I have not on any regular basis. I would have  
15 participated if requested, and I would have participated if I  
16 felt there was something that I needed to participate in. A  
17 change --- a major change in technical specifications would be  
18 an example.

19                 You also must remember that I was the original Unit  
20 2 superintendent, so I grew up and helped form the Unit 2  
21 P.O.R.C.

22          Q     As unit superintendent, did you attend the P.O.R.C.  
23 meetings on a regular or semiregular basis?

24          A     I did when I was Unit 2 superintendent only. I  
25 assumed the position of station superintendent in May of '77,

1 and at that time I had both the unit superintendent position  
2 and the station superintendent position.

3 Q And I believe you attended a number of General Office  
4 Review Board meetings as an observer, nonmember, is that  
5 correct?

6 A I attended them as a station superintendent and, in  
7 fact, was responsible for preparation for that.

8 Q How did you communicate the results or the wisdom  
9 of these meetings to site personnel?

10 A By assuring that a formal memorandum was put out to  
11 both units involving each meeting. Basically by the P.O.R.C.  
12 chairman of one or both of the units.

13 Q The P.O.R.C. chairman would attend the G.O.R.B.  
14 meetings?

15 A Him or a senior engineer. And I always assured that  
16 one engineer from each unit at least minimum was there and that  
17 the minutes were distributed to both units with action items.

18 Q When you say the minutes were distributed, somebody  
19 from each unit was responsible for distributing the results of  
20 the action items throughout the unit management?

21 A That's right.

22 Q On some distribution list?

23 A That's right. That's true. Now, the G.O.R.B.  
24 itself distributed minutes. I'm talking about internal action  
25 items which we developed at the meeting which would have



1 probably had more items than the G.O.R.B. had in it.

2 Q Is there a file of these internal action item  
3 memoranda or results memoranda someplace? Do you keep those  
4 or ---

5 A In the period of time when I was the --- in an  
6 active superintendent's role, I would have kept my own G.O.R.B.  
7 file. I think that internally amongst the P.O.R.C. coordina-  
8 tors there are some files.

9 Q It would be the P.O.R.C. coordinators because the  
10 G.O.R.B. reviews the P.O.R.C. activities, is that right?

11 A The P.O.R.C. coordinators, because the engineer  
12 would have probably gone back, and that guy works for the  
13 P.O.R.C. chairman and he helps with that type of function.

14 Q He would naturally be the person responsible for  
15 communicating the G.O.R.B.'s thoughts down back into the unit?

16 A He would be the guy responsible for taking those  
17 minutes and getting them issued, because he's the guy that  
18 distributes things like that. Not from a technical standpoint.

19 (At this time a short recess was taken.)

20 BY MR. FRAMPTON:

21 Q On the record, Mr. Miller, you want to add something  
22 to one of your previous answers?

23 A We discussed G.O.R.B. action items. We might also  
24 have --- we might also have documented those items in a  
25 P.O.R.C. action list, which was a running list of open items

1 that the P.O.R.C. followed and closed out.

2 Q Let me ask you a couple questions about your rela-  
3 tionship with the Training Department. Was that under you ---

4 A No.

5 Q --- as station superintendent?

6 A No.

7 Q What was your relationship with the Training  
8 Department?

9 A Training was under the manager of Q.A., and my  
10 relationship would have been an indirect one. And I would  
11 have viewed my responsibility of, one, resolving problems,  
12 for instance, that the Operations Department might feel  
13 existed in training, in licensed training, or in the area of  
14 personnel problems in training.

15 I was involved in it to that type of degree.

16 Q When there are things that came up as a result of  
17 operating experience at T.M.I. or things that you learned  
18 about in the operating experience of other plants that had  
19 some relevance for training, how would you convey that to the  
20 Training Department and who would you talk to?

21 A If I learned something, I would have sent it to the  
22 Training Department head. There were other mechanisms that  
23 did not require my participation that I believe caused  
24 documents to go to Training, review of plant reports and so  
25 forth. I --- I wasn't specifically aware of that.

1 Q What position does Mr. Zechman hold?

2 A He's the department head in Training.

3 Q Was there a time when he divided his duties between  
4 doing that and trying to study for his, I think, senior  
5 reactor operator license?

6 A Yes. I was --- I was involved in some of the dis-  
7 cussions with Dick when he did divide his time. And we had  
8 also assigned the functions that he could not perform to the  
9 group training supervisors who were under him.

10 Q When was that decision made, and what were the  
11 considerations involved, if you recall?

12 A The decision for him to obtain a license was a  
13 decision that he made and that we supported and encouraged.  
14 And that encouragement was strong encouragement, and he agreed  
15 with that.

16 Now, he was in a licensed program for probably well  
17 over a year; and, in fact, he had, to my knowledge, taken an  
18 exam and had not fully passed it. And we were providing him  
19 the time to go through his areas where he needed improvement.

20 I might also say that Dick had some [REDACTED]  
21 [REDACTED] and we were also attempting to work his schedule out  
22 so that he could resolve them.

23 Q Did you have any system internally as station super-  
24 intendent other than the visits that you may have made in  
25 connection with organizations like the B. & W. users

1 organization for accumulating operating experience from other  
2 plants and sifting through that and communicating the most  
3 relevant or important items down into the plant management?

4 A I didn't have a set of systems set up as station  
5 superintendent. I assumed and believed that the unit super-  
6 intendants had the system set up.

7 Q Do you see that as a unit function as opposed to a  
8 Met-Ed management function above you or parallel to your  
9 operations someplace else?

10 A I saw --- I saw a major responsibility in the  
11 corporate office for distributing correspondence which they  
12 were privy to that I might not be. I also would have held  
13 the unit superintendents responsible for communicating  
14 internally and also to each other.

15 Quite frankly, in the plant, our exposure I would  
16 have expected to be a little bit more limited than possibly  
17 the corporate office, which, I think, is on distribution for  
18 more items than we are at the plant.

19 Q In your deposition before the President's Commission  
20 Staff, you mentioned a continuing problem of attendance at  
21 training, a problem which I'm aware of in other industries as  
22 being a substantial one. Can you describe what that was that  
23 you were referring to? Is that training lectures or were you  
24 talking about something else?

25 A I believe what I was referring to was that prior to

1 1979 in the Operations Department, while we were finishing  
2 the Unit 2 start-up and while we were in a five-shift setup,  
3 that the classroom attendance for lecture series in the  
4 Training Department was not what I wanted it to be.

5 Q Can you amplify on that a little bit? Are you  
6 talking about the content of lectures or ---

7 A No. No. I'm not talking about the content of  
8 lectures. I'm talking about the participation on the  
9 schedules proscribed of our people in the training.

10 Q This was not for requalification?

11 A Some of it was requalification. But you've got to  
12 remember that if you miss the lecture, you can get a package  
13 of material to study. That to me is a second option of doing  
14 it.

15 Q. Personal attendance was not uniformly required,  
16 then, at the lectures?

17 A It was required, but there was an alternative if  
18 you did not attend the lecture. And I was trying to enforce  
19 the primary requirement as opposed to the alternate.

20 Q Did you succeed?

21 A No.

22 Q What happened as a result of these efforts?

23 A We got permission to go to the sixth-shift operation  
24 in January, and I was in the process of measuring success  
25 right down to the auxiliary operator level. But I had not



1 done that yet or could not measure it yet because in the early  
2 months of the year the operators went to the simulator, which  
3 meant they left the site. So they were there. Then the  
4 refueling occurred.

5 So I was not really going to be able to get a good  
6 measurement until the middle of the year of whether we had  
7 had the impact that I wanted. I expected we would, but I  
8 wanted to verify it.

9 And the unit superintendents were --- were really  
10 enforcing that on the line basis. They were on the line, and  
11 they had the same philosophy.

12 Q Mr. Seelinger discussed with us some of the changes  
13 that have been made recently in the procedures for simulator  
14 training at B and W in Lynchburg that he was involved in, I  
15 understand. Are you aware of those changes generally?

16 A Not to the degree he is. Not recently. You must  
17 also remember he used to be the head of Training. It's an  
18 area he's comfortable in and is knowledgeable in.

19 Q Prior to the accident, what was your view of the  
20 adequacy and effectiveness of the simulator training that  
21 operators here got at Lynchburg, and has that view changed  
22 since the accident?

23 A Prior to the accident I felt that it was essential  
24 that our operators go there once a year, even though the law  
25 says once every two years. I felt it was effective training.

1 I didn't --- I didn't feel it was deficient training.  
2 I felt that it could be improved, but subsequent to the  
3 accident I think it could be markedly improved.

4 Q Do you know whether there was ever any consideration  
5 by Met-Ed of purchasing its own simulator?

6 A I believe there was consideration early in the years  
7 of the design of these units or construction of them. There  
8 was current discussion on of a mini simulator.

9 Q When you say current, you mean postaccident?

10 A Preaccident.

11 Q Preaccident?

12 A There were some people in the company that thought  
13 it could be justified. But we were not in a buying phase.

14 Q What is a mini simulator?

15 A Well, to build a full simulator would be a signifi-  
16 cant monetary investment for these two units. A mini simulator  
17 would have possibly been a way for maybe ten percent of that  
18 cost of building a simulator on the site that we could use  
19 for operators, simulating some of the vital core and primary  
20 system functions.

21 Q It's just simply not as elaborate as the one at  
22 Lynchburg, for example?

23 A It would be a lot less than the one at Lynchburg,  
24 but it could provide a lot of functions that you couldn't just  
25 do while the plant was operating.

1 Q Let me turn to the subject of Unit 2's declaration  
2 of commercial availability.

3 (At this time a short recess was taken.)

4 BY MR. FRAMPTON:

5 Q Mr. Miller, let me show you what we've previously  
6 marked as Exhibit 14, dated September 19th, 1979. Page 2 of  
7 this exhibit is a set of signatures which appear to be the  
8 signatures of the Commercial Operation Review Board, some of  
9 which are dated December 18th and December 21st, 1978. Your  
10 signature is on that page 2 with the date of December 18th,  
11 1978.

12 Can you tell me what it was, as you understand it,  
13 that these people were signing off on?

14 A I believe they were signing off on the formal  
15 minutes from the October 26th, 1978 Commercial Review Board  
16 meeting.

17 Q If that was the case, they would be signing off on  
18 minutes that said that the criteria adopted and the problems  
19 to be dealt with as identified in the October 26th meeting  
20 were the proper ones and the subcommittee appointed was the  
21 subcommittee that was going to make the final decision on  
22 commercial operation. Is that the case?

23 A That's the case. There were certain items that were  
24 considered significant enough to be considered by a sub-  
25 committee. Another intention of my signature and the rest of

1 these people would have been that the commitment that had been  
2 made in these minutes that were not considered negative or  
3 detrimental to becoming commercial were going to be met. For  
4 instance, completion of work items that would not be involved  
5 in safety or availability considerations.

6 Q On the third page of our exhibit, which is page 1  
7 of a list of criteria, there's a paragraph that says 2.0  
8 conclusion, and the conclusion expressed in that paragraph  
9 is that it's determined that the unit is technically ready  
10 for commercial operation.

11 Do you understand that the committee members were  
12 all signing off on that as of December 18th, or was that con-  
13 clusion a conclusion that was going to have to be reached by  
14 the subcommittee after December 18th based on some tests that  
15 still were to be completed?

16 A At the October meeting, as I remember it, we were  
17 still at low power. And I believe that we felt in the state-  
18 ment you read me that the unit was technically ready to go  
19 commercial.

20 I don't believe at the time we signed that that we  
21 knew at what megawatt rating that that would be done. To  
22 take the unit commercial for a power rating of less than full  
23 power --- that has been done at other places --- I don't think  
24 that was our intention.

25 I'm saying technically, what we had seen at that

1 point, the unit was ready to go commercial.

2 Q At that point do you mean October 26th?

3 A No. I mean in December. October 26th we recognized  
4 we had some tests to do, and we based any conclusions on the  
5 test acceptance criteria being met.

6 Q When you're saying in December the unit was judged  
7 ready to be declared commercially available, are you talking  
8 about December 18th or December 28th? The date at which all  
9 the committee members signed on page 2 or the date on which  
10 the subcommittee members signed on the last page, that is  
11 Supplement A.

12 A My conclusion would have been that the unit was not  
13 totally technically prepared to go commercial until the  
14 December 28th or 29th signatures. But that the only items  
15 that would have been to be considered would have been items  
16 that developed in that interim as opposed to the review that  
17 had been conducted in the other years' items that was  
18 completed.

19 Q Do you know why the criteria that are reflected in  
20 the October 26th package, which we've marked previously as  
21 Exhibit 13, were developed?

22 A To my knowledge, in Unit 1 when we went commercial,  
23 we went through a similar review, and at that time there was  
24 not a formal company procedure. And I believe it was our  
25 intention as a company to evaluate the technical and



1 organizational readiness of a new unit and to cover the areas  
2 defined in the document so that senior management had an  
3 awareness of the technical and organizational structures.

4 And I think that's true for both coal and nuclear.  
5 To assure that the staff and that the plant were ready to be  
6 an operational unit.

7 Q Had you participated in a similar review of such  
8 criteria in connection with Unit 1?

9 A I had participated in the review of Unit 1 as a  
10 member of the test program staff.

11 Q Do you know who developed and drafted the criteria  
12 that were used for Unit 2, that were written down here for  
13 Unit 2 in Exhibit 13?

14 A Exhibit 13 is for commercial presentation, which I  
15 had a lot to do with its generation. Inside of that is the  
16 formal company procedure. But I don't know who wrote this.  
17 I commented on it a year or two ago.

18 Q You're involvement in the preparation of the  
19 document, that is, Exhibit 13, was in coordinating the prepara-  
20 tion of the various presentations of things that were left to  
21 be done, is that correct?

22 A That's essentially correct. I helped develop the  
23 specific agenda and assignment of parties. Plus my own state-  
24 ment is contained in the document relative to the unit's  
25 readiness.

1           Q     There's a reference in Exhibit 14 on page 4 to a  
2 list of outstanding items, and this sentence appears: "Plans  
3 exist to blitz this work during the screen outage."

4                     Do you know when the screen outage for Unit 2  
5 eventually was in time? Was that in late December?

6           A     I believe the screen outage was in the latter half  
7 of December.

8           Q     What does this sentence refer to, if you know,  
9 blitzing these items during that period?

10          A     It refers to the construction completion items, and  
11 the word blitz means an aggressive work force to complete  
12 them. If you look at the open items on construction comple-  
13 tion, there were a lot of items that required some work and  
14 there were a lot more that required some paper verification.

15                     The blitz was a commitment to me to reduce the  
16 number of items significantly during that outage, both work  
17 items and items which remained to be verified completed,  
18 meaning the physical work was done but the verification was  
19 not signed off.

20          Q     Was that, in fact, done during the screen outage?

21          A     I can't remember specific numbers, but it was  
22 pursued during the screen outage and it had been pursued in  
23 previous outages. If you look at this document, I think  
24 somewhere in here you can find that there were, at the  
25 beginning of this process, like ten thousand items which had

1       been reduced to something like twelve hundred items. And the  
2       major portion of those twelve hundred were verifications as  
3       opposed to physical work items. That was the basis of my  
4       acceptance of that commitment.

5           Q       Was it your understanding that the unit could have  
6       been put into commercial operation prior to the time all of  
7       the NRC power ascension tests were required or finished, I  
8       mean, if you had desired to do so?

9           A       I'm not specifically aware of any discussion that  
10      occurs or required discussion to declare a unit commercial.  
11      I would have viewed it that if we had tested to the power  
12      level we were going to operate at, that we would have been  
13      allowed to declare the unit commercial.

14                 But I would not have had the decision to do that.  
15      Declaring a unit commercial is not my decision.

16           Q       Were you ever told or did you have any understanding  
17      as to whether there were any financial or tax advantages to  
18      the company that would arise from declaring the unit commercial  
19      prior to the end of a calendar year as opposed to a few days  
20      or a month after?

21           A       In the deposition that, I think, I gave to the  
22      President's Commission in the August 7th time frame this was  
23      discussed at length. And I still stand by what I said there,  
24      and that is that I quite honestly felt --- I don't know the  
25      exact mechanism --- but I felt there was an incentive to get

1 the unit commercial.

2 I felt at the same time that that wasn't my area.  
3 In other words, I felt some pressure as a member of the  
4 organization to help get the unit commercial, but not to the  
5 extent where it affected my judgment.

6 Q How was that pressure expressed or communicated?

7 A I think in the emphasis --- I think in the --- the  
8 interest by probably senior management in the unit at that  
9 time. But that interest also existed in the unit during the  
10 period in November when the unit was down for an unknown  
11 period.

12 That interest --- it would be hard for me to  
13 honestly say that I didn't feel that interest, but I was never  
14 --- I was never given any indication that anything that  
15 happened to me in my job had anything to do with whether the  
16 unit went commercial.

17 I think also there's a certain pride that gets  
18 involved in making a date that you've set, and we targeted  
19 1978, and we had talked about it through the year. I think  
20 there was some amount of pride internally naturally about it.

21 Q Do you remember if there was an earlier target date  
22 prior to the time that you were down during the summer to  
23 replace the steam relief valves?

24 A Oh, I believe there was a target of March of 1978  
25 at one time, and I think there was a target of September. We

1 had missed the targets consistently.

2 Q Are you aware of any shortcuts that were taken or  
3 tests that were shortcutted or omitted or hurried up in order  
4 to meet that year-end target date?

5 A I'm not aware of any --- I was not aware and I  
6 specifically was told there was no tests required by the  
7 F.S.A.R. or the regulatory agency's safety systems that were  
8 cut.

9 There was, I think, for instance, on the integrated  
10 control system, which controls the unit for, say, transients,  
11 and there might have been some transients --- in other words,  
12 take the plant up and down at certain rates that were not  
13 conducted. But it would have been based on the integrated  
14 control system and on the fact that the condensate polishers  
15 were very sensitive to power change from a chemistry stand-  
16 point.

17 There were some tests that were not, I don't believe,  
18 fully conducted because of that sensitivity. We had agreed to  
19 do them at a later date. But none of a regulatory or safety  
20 nature that I was aware of.

21 Q When you say you had agreed to do these at a later  
22 date, were these tests that the NRC normally requires to be  
23 performed and that you had to get a specific exemption from  
24 the NRC in order to do them later?

25 A No. The NRC specifically knew which tests we would



1 do, and none of those were changed. These are internal tests  
2 that we had decided to run to give us more assurance that the  
3 transient capabilities were there.

4 Q Were these tests that were set out in this document,  
5 Exhibit 13?

6 A I don't believe so.

7 Q Was there a test, internal test schedule like that  
8 that was drawn up?

9 A There is an internal master test schedule that's  
10 drawn up that would identify who wants the test and who  
11 requires it. And that would have identified any test that we  
12 had committed to in the final safety analysis.

13 And none of those tests, to my knowledge, were  
14 compromised. There were other tests in that document on  
15 every system that's out there that we had written that we  
16 could have reviewed and agreed to run later, and I would not  
17 specifically have known all of those.

18 If you look under the criteria of testing in this  
19 document, it also addresses the master status of testing.

20 Q were you ever told or was it communicated to you  
21 indirectly that, although it was desirable for the unit to  
22 go commercial before the end of the year, that that was not  
23 necessary if some safety related problem intervened?

24 A It was communicated to me very clearly internally  
25 that I should set the schedule that I needed to attain a

1 hundred percent power when I could safely attain it. The  
2 questions that I was asked were strictly what is my schedule  
3 and what is the reasoning.

4 Q My question is whether anybody ever said to you in  
5 substance, "Look, we all know that this is desirable and we  
6 want to do it and we're breaking our backs to do it; but you  
7 should understand that if it can't be done safely, we're not  
8 going to do it."? Do you ever recall that being communicated  
9 to you by anyone in substance?

10 A I don't recall exact words of that nature. I would  
11 say that that's understood between --- that would be clearly  
12 understood between Herbein and myself.

13 I also said in my deposition in August that, I think,  
14 Herman Dieckamp talked to me once or twice in December of that  
15 year. He very clearly assured me that he had no interest in  
16 pressuring me. He strictly wanted to know status and what our  
17 schedule was without any --- any --- any thought of influence  
18 in judgment as far as the unit.

19 Implied in that in my mind is the consideration that  
20 safety would not be something that would be negotiable.

21 Q Did anyone ever complain to you or through someone  
22 else to you about test schedules being too short for a test  
23 to be performed properly or other schedules being too short  
24 to do these maintenance or other work relating in any way to  
25 safety?

1           A     No.

2     BY MR. ALLISON:

3           Q     All right. Mr. Miller, back to Wednesday evening  
4     when you went home, could you tell me if at that time you  
5     considered the incident to have been terminated or the plant  
6     had been brought under control or --- well, let me just ask  
7     you to describe in your own words how you considered that  
8     aspect on Wednesday night.

9           A     That's hard to remember. I think I considered we  
10    were stable and that we --- I think I more approached it from  
11    the standpoint that we had a long term situation on our hands.  
12    I don't really remember specific thoughts, but I think  
13    stability was probably the one thing that I would have felt.

14           And by that, I mean control stability and protection  
15    of the public looked like it was --- had been accomplished.  
16    I think I would have also in my own mind been knowledgeable  
17    that there were a lot of problems to be faced. But I really  
18    didn't think about them.

19           Q     Okay. Do you recall at any time in the first few  
20    days or week taking any special precautions to avoid inadvert-  
21    ent opening of a containment isolation valve or something of  
22    that nature to cause a release?

23           A     I thought those first three days we verified the  
24    line up and instituted internal Ad/Min controls to be assured  
25    that no valve operations were conducted. We may have even

1 tagged the panel even. I know we did, but I just can't  
2 remember exactly when.

3 Q Do you remember racking out any circuit breakers?

4 A I remember discussion of that and racking certain  
5 breakers out. We had to evaluate that carefully, though, and  
6 that was part of the reason that we didn't just start to rack  
7 out breakers.

8 Q Do you remember if any were actually racked out?

9 A I think some were, but I can't remember which.

10 Q On Thursday, March 29th, can you remember any  
11 examples of decisions that you made, actions that you  
12 authorized with respect to plant operation that day?

13 A On Thursday?

14 Q Right.

15 A I really can't.

16 Q From another interview, I believe, I have you met  
17 with Dick Wilson at about seventeen hundred on Thursday. Does  
18 that sound correct?

19 A I think I met with him and a couple other people.

20 Q Do you remember discussing at about that time with  
21 Mr. Wilson and the other people the idea that the situation  
22 was a lot worse than you had been thinking earlier or at least  
23 that he had been thinking and that a lot of outside help would  
24 be needed, a lot of assistance was necessary?

25 A I remember something along that line. But I think

1 that at that time Mr. Wilson's group was beginning to think  
2 of analyzing and investigating this thing, and I think my  
3 opinion was that we weren't quite far enough through it to  
4 do that yet.

5 That's all I can remember. I don't know what his  
6 memory would be. I was thinking it was too soon to analyze,  
7 and I didn't think we were through it yet.

8 Q I believe that that's what he said, that he went  
9 there to talk about analyzing it, and it was later in the  
10 evening that he came to agree with you that it was still at  
11 a point of trying to recover.

12 A We traditionally have analyzed and reviewed these  
13 types --- not these types, but transients of a significant  
14 nature --- and I thought we were too soon worrying about  
15 analyzing, because I didn't think we were through it yet.  
16 And I didn't want to start interviewing operators and senior  
17 people.

18 That was part of the discussion that night that we  
19 were talking about it. I very firmly didn't want to do that  
20 and wouldn't do it.

21 Q Okay. Can you recall any specific instance where  
22 the management's role, that would be you or Mr. Herbein or  
23 the people in the observation center, what have you, where  
24 that role changed with respect to the plant operators? And  
25 by plant operators, I mean the shift supervisors and the



1 people who were in watching the control room.

2 Can you recall a specific instance where the rela-  
3 tionship changed and you told them --- perhaps it was assumed  
4 earlier --- but you told them, "Don't change the plant unless  
5 you call me first or, of course, unless it's an emergency,"  
6 where you or the management exercised positive control over  
7 what the operators were doing?

8 A I think that problem --- I have trouble remembering  
9 it specifically, but I believe that may have occurred both the  
10 28th and 29th and maybe the 30th. And I can remember the 28th.  
11 I think there was one instance --- one instance where we shut  
12 ventilation off.

13 There were other instances probably that I can't  
14 remember where I would have wanted to be --- I would have told  
15 the people inside the plant not to respond outside without  
16 telling me so that I --- I still considered myself the senior  
17 guy in the control room, and I wanted to be sure that there  
18 was no direction applied that I wasn't sure was evaluated and  
19 was where we wanted to be.

20 And I don't mean that to say that I should be the  
21 guy who decided whether it's right. I just wanted to be sure  
22 that I understood the logic since I still considered I was the  
23 senior guy in the control room.

24 Another example might have been the transfer of  
25 water to Unit 1. Now, that occurred somewhere on a Thursday

1 or a Friday, discharge of the waste treatment plant to the  
2 river. Items like that I probably would have put my own  
3 personal hold on unless I was called, if I was here or not,  
4 to ensure that there wasn't a communication error made.

5 Q So you can't remember specific instances ---

6 A That occurred.

7 Q It seems that --- yes, other than these. If you can  
8 characterize what you've said, it sounds like you think you  
9 were giving instructions of that nature as early as Wednesday.

10 A Yes.

11 Q And on through the incident as other things would  
12 happen to key you to say that?

13 A Yes. That's --- that's as good as I can remember.  
14 I don't know what the other people's memories say about that,  
15 but that is the way I remember it.

16 Q This is my last question. There is a sheet attached  
17 to your I.E. interview transcript. It's a sheet of recommenda-  
18 tions that you made up and gave to the interviewers shortly  
19 after the accident. And if I recall, in that sheet you  
20 indicated that you were frequently called upon on the 28th to  
21 answer questions from senior company, State, and Federal  
22 officials and that had been a hinderance of some significance  
23 in explaining things to senior people outside, who had a  
24 legitimate interest, obviously, but you had to be called away  
25 to explain what you were doing.

1 I guess what I want to ask you here is just your  
2 opinion. Is that a significant problem that warrants some  
3 kind of corrective action in emergency planning, in your  
4 opinion?

5 A In my opinion --- and I've said it in more and  
6 better terms than that --- I think that you've got to have a  
7 man within the plant that's designated as the communicator  
8 so that people don't insist on talking to the guy in charge.  
9 Because from a time standpoint, he physically can't accomplish  
10 his duties and accomplish the informing-type role, to inform  
11 people. And the people that need to be informed have a  
12 legitimate right to be informed.

13 So I recommended that we have a communicator, and I  
14 think that our plan is being changed to designate a person  
15 with enough technical and communication skills to do that.

16 Q Will this person in your new plan be, perhaps, the  
17 second senior man in your organization, something of that  
18 nature?

19 A That might be --- that might be too senior a man.  
20 I'm thinking more of a senior engineer that's been drilled  
21 and trained in that. My thought there being second or third  
22 in command might be needed for the real event.

23 MR. ALLISON: Okay. That's all I have.

24 BY MR. FRAMPTON:

25 Q Mr. Miller, thank you, very much, for your time and

1 your cooperation. I just want to ask you one final question.

2 In the interviews that you have had before with the  
3 I.E. inspectors and with the President's Commission and in  
4 the questions that we have asked you here today, are there  
5 any subjects or areas that haven't been explored at all, that  
6 nobody has asked you any questions about that you think are  
7 important to the extent or the ramifications of the accident  
8 that we ought to know about? Something that nobody has shown  
9 any interest in that you think somebody ought to show some  
10 interest in?

11 A I would say that's --- that's an encompassing  
12 question, and it's hard to give a specific answer. There's  
13 one area that I feel hasn't been looked at from a personal  
14 standpoint, and that is that this type of situation is, I  
15 think, analogous to a war situation, an emergency, and it  
16 lasted for a significant period of hours.

17 And I think the psychological factors that go into  
18 stress and reaction have got to be looked at and the lessons  
19 learned harder than I have seen today.

20 And what I'm saying is the evaluation of the  
21 personnel and staffing with that in mind and also the ---  
22 when you draw conclusions about actions or draw conclusions  
23 about actions in the future, I think that has to be considered.

24 I'm not so sure that the people knowledgeable in  
25 that are involved in the process of evaluation. They could be

1 involved and I'm not aware of it.

2 I've not seen too much consideration for that, and  
3 I believe that's a real world thing that occurs. It takes a  
4 strong person to supervise and manage this type of a circum-  
5 stance so that it does proceed along an organized, defined  
6 path.

7 BY MR. ALLISON:

8 Q Could I follow up on that just a little bit? I've  
9 heard suggestions of this. I'd like to just ask you a couple  
10 of questions about whether you think surprise and psychological  
11 factors were an important thing here.

12 I've heard an analogy made between this situation  
13 and, let's say, a sailor on a battleship in Pearl Harbor  
14 where he's trained to load the machine gun and shoot it and  
15 he goes ahead and does that. In this case you followed your  
16 emergency plan. But it doesn't sink into him what's really  
17 happening.

18 And I'm wondering, do you think that that kind of a  
19 phenomenon might have affected the actions of you or anyone  
20 else in the plant that day, maybe the inability to believe  
21 that you really had damaged the core, that there was boiling  
22 going on in there? Could that have shaded your view of any-  
23 thing that happened during the day and which it did?

24 A I personally feel that the operators were very  
25 affected by that syndrome. I'll call it a syndrome. That's



1 --- that's really ingrained into you to follow your procedures  
2 and your training.

3 I think the further back from the operators you get,  
4 I think there tended to be less of that impact --- of that  
5 factor in your mind. I didn't feel at all constrained by  
6 previous training or anything. I, in fact, formed the group  
7 that I formed in the hope, in my mind, of running the opera-  
8 tion from a step or two back, which I thought was the best  
9 point to analyze from.

10 My concern over psychology and stress was that I  
11 think you have to look real close at individual's memories  
12 and individual's reactions with that in mind. That's all.  
13 And I'm not sure that's being looked at.

14 I do agree with you that's --- I think that hung  
15 the operators up very hard. Especially in the early hours.  
16 I could still detect pressurizer level being a concern at the  
17 times I was there. I think that just goes back to the  
18 pressurizer shouldn't be cooled. I wasn't as hung up on that.

19 So I agree with you. I think it's hard to evaluate.

20 MR. ALLISON: Okay. That's all.

21 MR. FRAMPTON: Thank you, very much.

22 (At four o'clock p.m. the deposition was concluded.)  
23  
24  
25

