
In the Matter of:

PUBLIC MEETING REGARDING NRC DRAFT PROGRAMMATIC ENVIRONMENTAL
IMPACT STATEMENT RELATING TO DECONTAMINATION OF THREE MILE
ISLAND UNIT 2

DATE: October 6, 1980

PAGES: 1 thru 127

AT: Lancaster, Pennsylvania

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

JWBeach
NRC/
Public
Meeting 1
10/6/80
RC: 2
860

1

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

* * *

PUBLIC MEETING REGARDING NRC DRAFT PROGRAMMATIC
ENVIRONMENTAL IMPACT STATEMENT RELATING TO
DECONTAMINATION OF THREE MILE ISLAND UNIT 2

* * *

Hensall Hall Auditorium,
Franklin & Marshall College,
Lancaster, Pennsylvania,

Monday, 6 October 1980.

The public meeting was convened, pursuant to notice,
at 7:35 p.m., the Honorable ARTHUR MORRIS, Mayor of the City
of Lancaster, presiding.

ON BEHALF OF THE NRC STAFF:

JOHN COLLINS, Deputy Program Director,
TMI Program Office

FRANK CONGEL, Section Leader, Radiological
Assessment Branch

OLIVER LYNCH, Section Leader, TMI Program
Office

PAUL LEECH, Program Manager, TMI Program Office

DON CLEARY, Section Leader, Regional Impact
Analysis Branch

THOMAS ELSASSER, State Liaison Officer, TMI
Program Office

ON BEHALF OF THE EPA:

MATT BILLS, Associate Assistant Deputy Director
for Environmental Monitoring

-more-

ALDERSON REPORTING COMPANY, INC.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 654 2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ON BEHALF OF THE EPA (continued):

BILL KIRK, Director, TMI Field Station

ON BEHALF OF THE PENNSYLVANIA DEPARTMENT
OF ENVIRONMENTAL RESOURCES:

THOMAS GERUSKY, Director, Bureau of Radiation
Protection

* * *

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 654-2345

I N D E X

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

	<u>SPEAKER:</u>	<u>PAGE</u>
1		
2		
3	Mrs. Hyatt	25
	Vincent R. Luder	29
4	Tom Smithfall	34
	Walden Randall	39
5	John Adams	46
	David Dobbins	49
6	Deborah Thompson	54
	Donald Cryder	62
7	Beverly Hess	68
	Stephen Sylvester	71
8	Kenneth May	74
	Marcia Weiss	76
9	Joyce Netke	80
	Stan Kohler	86
10	Jim Bresflower	96
	Lucille Wright	99
11	Richard Drennen	103
	Sylvia Buyan	106
12	Byron Core	109
	Carl Huier	111
13	Barney Epstein	119
	Kitty Lovingshank	122
14	Betty Tompkins	124
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

(7:35 p.m.)

1
2
3 MAYOR MORRIS: Good evening, ladies and gentlemen.
4 Can you all hear me?

5 (A chorus of naves.)

6 MAYOR MORRIS: That's a good beginning. How does
7 that sound?

8 If there are some of you who would like to get a
9 better view of the screen, because the printing is probably
10 going to be maybe smaller than that at times, there is plenty
11 of room up here. So if there is anybody who would like to move
12 to the front now, please do so.

13 I would like to welcome you to this public meeting
14 on the Draft Programmatic Environmental Impact Statement. This
15 meeting was requested by the City at the initial meeting on the
16 EIS held in Harrisburg on September the 3rd, and I would like
17 to thank the NRC, the EPA, and the DER for agreeing to hold
18 this meeting in Lancaster.

19 Before introducing the people up here with me,
20 please let me cover a few other points. The entire meeting is
21 being transcribed. Copies of the transcript will be available
22 free of charge to the local public. That will be available in
23 about a week at the NRC's Middletown office.

24 The meeting will begin -- after I'm finished with
25 these initial remarks -- with a brief 30-minute summary of the

1 Draft EIS, and that summary will be given by the NRC. At the
2 conclusion of the NRC briefing, the floor will be open to any-
3 body wishing to comment or raise questions or concerns about
4 this document.

5 If you want the floor, come to the two microphones.
6 There is one on this aisle (indicating), and one on that aisle
7 over there (indicating), and let me acknowledge you as the next
8 person to be heard from before you begin speaking.

9 At the time you are acknowledged, please give your
10 name and address for the record, and then proceed with your
11 comments. The meeting will conclude at 10:30 p.m. I know there
12 are many people with questions to ask and comments to make.
13 In order for people in attendance to get an opportunity to raise
14 meaningful concerns, I am asking you to try to be concise and
15 not to raise the same issue which somebody else has spoken to
16 already.

17 We all want to make the most out of these next three
18 hours. Please allow people to make their comments, and allow
19 the appropriate person up here on the stage to answer questions
20 raised.

21 At this time, I would like to introduce the head
22 table, but before doing that I would like to introduce myself.
23 My name is Arthur Morris, Mayor of the City of Lancaster. I
24 will serve as moderator this evening.

25 Sitting right to my right is John Collins, Deputy

1 Director of the TMI Program Office of the NRC. The next person
2 over to my right is Tom Gerusky, Director of the Bureau of
3 Radiation Protection, Pennsylvania Department of Environmental
4 Resources. Next to Tom is Matt Bills. He is the Associate
5 Director for Environmental Monitoring and Research Programs of
6 the EPA, the Federal Environmental Protection Agency. And I
7 believe Dr. Bill Kirk, Director of On-Site EPA Office, is here.
8 Bill, would you stand up and be recognized.

9 (Mr. Kirk stands.)

10 MAYOR MORRIS: At this time, I would like to turn
11 the next 30 minutes or so over to Mr. Collins. He initially
12 said he would introduce his staff, and from there we will
13 proceed with the briefing that NRC will give on the Draft EIS.

14 MR. COLLINS: Thank you very much, Mr. Mayor. I
15 certainly appreciate the opportunity to be here in Lancaster
16 and discuss with you the contents of the Programmatic Environ-
17 mental Impact Statement, and to of course listen to your
18 comments and your questions, and certainly we will try to answer
19 them this evening. If not, we will certainly supply those
20 answers to you in the future.

21 Before I get into the formal presentation, I would
22 like to introduce to you members of the staff who are with me
23 here this evening, and who will be available to answer your
24 questions or to discuss in detail various aspects of the
25 Impact Statement.

1 Seated here in the front row is Oliver Lynch and
2 Paul Leech. Both of them are Project Managers for the Impact
3 Statement, and both are with the TMI Program Office. Next to
4 them is Dr. Frank Congel, who is the Section Leader in the
5 Radiological Assessment Branch in the NRC. Next to him is
6 Don Cleary. He is with the Regional Impact Analysis Group.
7 Tom Elsasser is our State Liaison Officer from Region I assigned
8 to our Program Office. And, Suzanne Issaacs, my secretary.

9 Before jumping into the Impact Statement, in the
10 last several weeks in making these presentations to various
11 groups I have taken a few minutes to discuss the recent actions
12 by the Public Utility Commission and what impact they have had
13 on Metropolitan Edison, because it may of course have an impact
14 on the cleanup operations at TMI-2.

15 On July 29 of this year, Metropolitan Edison applied
16 to the PUC for emergency rate relief in the amount of \$35 million.
17 At the same time, they also applied for a general rate increase
18 amounting to \$76 million. The latter action will take place
19 at a hearing sometime in April of '81.

20 On August the 28th of this year, the PUC denied
21 Metropolitan Edison emergency rate relief. On September 12th,
22 as a result of that denial, Metropolitan Edison sent a letter
23 both to the PUC and to the NRC indicating cutbacks that would
24 have to occur as a result of those actions. They would have to
25 cut back from a \$100 million spending level to a \$50 million

1 spending level.

2 On September 18th of this year, the PUC issued a
3 prehearing statement and order in which they identified in the
4 order indicating to Met Ed that they were not allowed to use
5 any of the revenues received from the rate payers to pay for the
6 cost of the cleanup of TMI-2; that the only funds that they were
7 allowed to use were those derived from the insurance.

8 The language itself was confusing. It was not very
9 definite, and Met Ed petitioned the PUC for clarification.
10 They were denied that clarification. As a result of that
11 action, Metropolitan Edison petitioned the Middle District
12 Federal Court in Harrisburg for a temporary and permanent
13 injunction. On last Friday they were denied that temporary and
14 permanent injunction.

15 However, Judge Herman did agree to have the parties
16 submit briefs effective today, and then would propose to have
17 a hearing on that matter on Wednesday of this week.

18 On Friday of last week, too, the NRC issued a policy
19 statement. I will just briefly summarize that policy statement.
20 It said: "We take no position on whether the actions of the
21 PUC create an irreconcilable conflict with NRC requirements
22 which have been imposed on Met Ed or which may be imposed in
23 the future. We wish to state clearly, however, that in the
24 event of any such conflict, NRC health, safety, and environmen-
25 tal requirements must supercede state agency requirements that

1 result in a lesser degree of protection to the public. In
2 short, the Commission will not excuse Met Ed from compliance
3 with any order, regulation, or other requirement imposed by
4 the Commission for the purposes of protecting the public health,
5 safety, or the environment."

6 Now over the weekend there was a considerable amount
7 of dialogue between Metropolitan Edison, their lawyers, and
8 the PUC lawyers. Metropolitan Edison filed a letter with the
9 Federal District Court today asking for a stay on the hearing.
10 They were granted that stay, and the Judge has not now set any
11 definite time for a hearing because both parties are in a
12 series of negotiations. As a result of those negotiations it
13 is presumed that some clarification can be arrived at that
14 would be satisfactory to both parties. And that pretty much
15 tells you where we are today.

16 The NRC of course has been meeting, itself. We
17 are following the events, and we will of course be most
18 interested in the settlement to assure ourselves that those
19 regulations and requirements necessary to protect the health
20 and safety of the public and workers are incorporated in that
21 agreement.

22 (Slide.)

23 I hope everybody can see the screen. I have a
24 wireless microphone on. I hope that everybody can hear it,
25 because I do want to walk over to the screen.

1 Can everybody hear me?

2 VOICE: We can hear you, but we can't see you.

3 MR. COLLINS: Well, I'm sure that after they take
4 some photographs, they will -- Can everybody hear me now through
5 the speaker?

6 (Chorus of yeas.)

7 MR. COLLINS: As you know, in November of last year
8 the NRC Commissioners prepared a statement in which they ordered
9 the staff to prepare a Programmatic Impact Statement concerning
10 all of the cleanup activities at TMI-2, in November of '79.

11 In August of this year, the NRC staff published the
12 Programmatic Impact Statement in draft. It was formally
13 noticed in the Federal Register on October 22nd, to begin a
14 45-day comment period. As a result of the many comments and
15 letters and requests for extensions for that comment period, the
16 NRC granted an additional 45-day comment period, with the
17 comment period now ending on November the 20th. So that
18 during that period of time, we certainly solicit your comments
19 on the Impact Statement.

20 As we indicated, this evening the meeting is
21 being reported and transcribed. Copies of the transcript will
22 be available to local area residents free of charge, and
23 certainly you may pick them up in my Middletown Office.

24 The purpose of course of the Impact Statement was
25 to assist the NRC in carrying out its responsibilities under

1 the Atomic Energy Act, to protect the health and safety of the
2 public as the decontamination operation progresses at TMI-2.
3 It was also the purpose to engage the public in the Commission's
4 decision-making process, in keeping with the National Environ-
5 mental Policy Act. And it was also to focus in on environmental
6 issues and alternatives before commitment to specific cleanup
7 choices were made.

8 With regard to the second purpose, as you know during
9 the review, public review on both the environmental assessment
10 on EPICORE II and the environmental assessment for purging of
11 the reactor building, the Council on Environmental Quality
12 felt that the NRC should not segment the operations, but should
13 look at the total cleanup operations in total and develop an
14 Impact Statement, and of course set the tone for developing
15 such a document.

16 Could we have the next slide, please?

17 (Slide.)

18 The Programmatic Statement does provide an overall
19 evaluation of the environmental impacts of decontamination and
20 disposition of radioactive wastes resulting from the March 28th
21 accident. It provides a description of proposed cleanup
22 activity, and a schedule for their completion.

23 However, as I indicated to you, because of recent
24 outbacks in TMI-2 -- and they have not been well defined; there
25 have been some outbacks to date, or are anticipated -- until the

1 dust settles out and the programs have been established on a
2 more different time frame, of course that will have a domincing
3 effect and undoubtedly the schedules will be readjusted to
4 reflect those downward trends in programs, and that will have
5 to be reflected in the Final Environmental Statement.

6 It does contain a description of proposed cleanup
7 activities, or alternative methods for accomplishing the
8 principal activities, and the environmental impact assessment
9 of those methods which are considered feasible. Certainly we
10 would expect, in receiving comments from the public, that they
11 certainly may have other methods which we may consider feasible,
12 and the staff looked at those which we considered to be most
13 technically feasible, and we would be happy to hear from you if
14 you have other additional comments in those regards.

15 (Slide.)

16 I think it is important to point out what the
17 statement does not cover. First of all, the statement does not
18 address any of the environmental impacts associated with the
19 accident or the accident itself. I think the accident has been
20 described in many documents -- the Rogovin Report, the Kemeny
21 Commission, the NRC Office of Inspection Report -- and those
22 impacts have been addressed.

23 It does not in any way discuss the ultimate
24 disposition of TMI-1 or TMI-2 -- whether you want to decommis-
25 sion, or whether you restore the plant for operation, that's a

1 subject that will be discussed at a later date.

2 It is important to note, though, that whether you
3 decommission the plant, or whether you restore it for operations,
4 the plant must be cleaned to nearly the same level. So it is
5 not a question of decommissioning or restoring at this time;
6 the question is: It must be cleaned up.

7 It does not give recommended choices for specific
8 cleanup methods. What this document is, and what it is not:
9 It is not a decision-making document in itself. Meaning, that
10 it does not set forth specific recommendations. It discusses
11 various alternatives.

12 It will, however, be used in the Commission's
13 decision-making policies down the road. What it will do, at
14 some point after the Environmental Impact Statement has been
15 published in the final form, the Licensee Metropolitan Edison
16 Company would propose an alternative, or a method for cleaning
17 up the various parts of the plant.

18 At that time, the NRC staff would take a look at
19 that methodology that they propose. If it falls within the
20 scope of the Environmental Impact Statement, there is no
21 necessity for the staff then to issue a supplement to reconsider
22 the environmental impacts. If the alternative method that they
23 propose is outside the scope of the document, then staff would
24 be required to issue supplements to the document.

25 (Slide.)

1 A little discussion about the slide. First of all,
2 it's in error in that the comment period we had proposed was
3 November 20, '81, not '80 -- Pardon me. These two (indicating)
4 should be "1981" and not "1980."

5 We had originally intended that on a 45-day comment
6 period, the comment period would end in October. The staff
7 would then hope to finalize the Impact Statement before
8 Christmas. With the extension, it is now proposed to submit
9 to the Commissioners by the end of February for their review,
10 and the final EIS would be available about the end of March
11 pending Commission action.

12 (Slide.)

13 I would like to go through now the major conclusions
14 that are contained in the document. Of course we recognize,
15 as many of you have commented to us already, the voluminous
16 amount of information contained in there and the complexity of
17 the document. However, I would suggest to you that if you
18 read the summary, it was written in layman's language and I
19 think it is understandable to you.

20 We will go through the conclusions, and at the
21 conclusion of that we will be happy to try to answer any of
22 your questions with regards to those conclusions.

23 Looking at the total cleanup operations, the staff
24 has estimated that the maximum dose to an individual off-site
25 from the cleanup should not exceed 1.6 millirems. The risk of

1 cancer from this dose is about 2.2 in 10 million; compared to
2 1 in 5 from normal occurrences in the United States.

3 Additionally, the risk of genetic effects from the
4 cleanup would be about 4.2 in 10 million, compared to 1 in 7
5 from normal occurrence of hereditary disease.

6 Looking at the cumulative dose to the population
7 within a 50-mile radius of Three Mile Island, the staff has
8 calculated the person-rem dose to be about 6 person-rem. This
9 is compared to approximately 255,000 person-rem to the same
10 population annually from natural causes.

11 The second conclusion reached was consideration of
12 the large number of waste shipments that will have to be made
13 from TMI over the next several years during the cleanup opera-
14 tions. Staff calculated that if an individual who spends
15 three minutes at an average distance of three feet from the
16 truck loaded with radioactive waste might receive a dose of up
17 to 1.3 millirems. The probability that this dose would cause
18 a cancer over the lifetime of the individual is about 1.7 in
19 10 million. The probability of genetic effect was approximately
20 3.1 in 10 million. Again, estimating the number of people
21 along the 2300-mile route from here to Richland, Washington,
22 which is the burial ground -- shallow-land burial ground now
23 receiving the low-level wastes -- we calculated the cumulative
24 population dose to be in the range of 26 to 66 person-rem.
25 That also included the fuel from TMI-2. That was a very

1 conservative assumption because at the present time, first of
2 all, no decision has been made as to the ultimate disposition
3 of the fuel itself. But if one considers the 2300-mile route
4 for transportation, that would be the longest distance it would
5 have to travel, and we used that same conservative number of
6 people that may be exposed.

7 The uncertainty in all these numbers is that, at the
8 present time, as we will discuss, there is uncertainty in the
9 number of shipments that have to be made, because at the time
10 of the development of the Draft Impact Statement, not enough
11 detail was known as to the level of contamination in various
12 areas in the plant. So that it was difficult to finalize, or
13 put into final thinking and refine the calculations. That will
14 of course be done in the Final Environmental Impact Statement.

15 Of course outside of the general public, we are
16 concerned about the worker that will be exposed during the
17 cleanup operations over the next several years. We calculated
18 the dose estimated to be between 2700 and 12,000 person-rem
19 that could occur during the cleanup. The corresponding health
20 effects would be .3 to 1.6 additional deaths due to cancer;
21 and from .7 to 3 additional genetic effects.

22 It is interesting of course to note that the
23 occupational dose to the individual worker at the site is
24 restricted by our regulations to no more than 3 rem in a
25 quarter. Metropolitan Edison has applied an administrative

1 limit more conservative than that, and required that no worker
2 receive more than 1 rem in a quarter.

3 Again, the uncertainty in these numbers or the wide
4 range is a result of uncertainty as to the levels of contamina-
5 tion that exists particularly in the reactor building. These
6 estimates were made prior to the first two entries into the
7 reactor building. As you know, the levels in the containment
8 building itself are less than what we had originally projected.
9 So in the final statement, these numbers will undoubtedly be
10 revised downward.

11 The contaminated liquid from the auxiliary building
12 and the fuel-handling building, the reactor building sump, the
13 reactor coolant system, and the decontamination activities can
14 be processed by several of the alternative water treatment
15 systems considered by the staff -- and we will discuss a little
16 later on those alternative methods that we did consider.

17 (Slide.)

18 After suitable dilution, the processed water could
19 be released to the Susquehanna River without adverse environ-
20 mental impact. Although I must point out very carefully that:
21 No decision has been made as to what will be done with the water
22 once it has been processed.

23 As you know, last year we were engaged in a legal
24 suit which ultimately resulted in signing an agreement between
25 Metropolitan Edison, the City of Lancaster, and the NRC, in which

1 we agreed that no water would be discharged to the Susquehanna
2 River pending the completion of the Environmental Impact
3 Statement.

4 Later on, we will discuss the various alternative
5 methods that the staff considers could be used for disposing of
6 the TMI-accident-generated water.

7 (Slide.)

8 We also looked at what could be the worst accident
9 scenario at the plant at the present time. We conceived that
10 the worst accident would be that if the water within the
11 reactor building -- which amounts to approximately 650,000
12 gallons -- if that began to leak into the ground water and
13 subsequently to the Susquehanna River. If that did occur, and
14 if an individual did drink two liters of water a day for a
15 year, that would result in a dose of about 31 millirems. If
16 he ate 21 kilograms of fish, or approximately 40 pounds of
17 fish in a year, he could receive a dose of about 27 millirems.

18 We calculated that the travel time from the reactor
19 building into the groundwater to the Susquehanna would take
20 approximately 1.6 years. And if one compares the accident to
21 the amount annual received from natural background radiation,
22 it is still a small fraction of that.

23 (Slide.)

24 Of course we did consider in the Environmental
25 Impact Statement the stress that will be received, or viewed

1 by the public as the cleanup operations progress. The staff,
2 together with its consultants, conclude that the high level of
3 stress, of psychological stress, should be relieved since the
4 venting of the krypton-85 earlier this year.

5 They feel, however, that low levels of stress will
6 probably continue throughout the cleanup operations, but no
7 long-term effects on a great majority of the community are
8 expected.

9 The long-term nature of the cleanup program presents
10 the potential for chronic stress for some people. Completing
11 the cleanup as expeditiously as safety considerations allow is
12 therefore most desirable.

13 (Slide.)

14 The staff of course looked at the social impacts and
15 the political impacts, or potential economic impact. The
16 social impacts such as reduced property values, compensa-
17 tion between the work force and the tourists for temporary
18 housing, and traffic congestion may occur.

19 We looked at potential impacts including the effects
20 of increased electricity rates, reduced tourism, possible
21 resistance to consumption of agricultural and fishery products
22 that the public may think are radioactively contaminated.

23 Although the number of trucks of shipment necessary
24 to carry the solid radioactive wastes from TMI-2 to Richland,
25 Washington, is large -- it could be in the range of anywhere

1 from 660 to 1700 -- and again the uncertainty, or the reason for
2 the wide spread, is the uncertainty at this time as to the
3 individual methodologies that will be used to clean up the
4 various parts of the plant. Hopefully with the more information
5 that has been gained from the two containment entries, and
6 another additional entry scheduled, that information will help
7 us to refine our estimates of waste shipments that will need to
8 be made.

9 However, it is important that all of the shipments
10 leaving the site must meet the NRC and the Department of
11 Transportation regulations.

12 Radioactive fuel and other high-activity wastes from
13 TMI-2 must be packaged, and it may have to be stored at the
14 site for some time until a suitable disposal site has been
15 selected. No significant environmental effects are expected.

16 What we mean by this is: There are higher activity
17 wastes as a result of processing this water from both the
18 auxiliary building and the water that will be processed
19 from the reactor building. The staff does not believe that
20 this high-activity solid waste can be buried in a shallow-land
21 burial ground.

22 We are investigating, with the Department of Energy,
23 other disposal sites for that waste. The same thing is true of
24 the fuel itself. Once the fuel is removed, it will of course
25 be stored in the TMI-2 spent fuel pool until a decision has

1 been made as to the ultimate resting place for that fuel.

2 (Slide.)

3 The staff believes that the methodologies exist to
4 clean up TMI-2. It may be necessary to modify the methodology,
5 but there is a valuable amount of experience that has been
6 gained over the years from the former Atomic Energy Commission
7 installations, now the Department of Energy; and also from the
8 experience that has been gained in the European community.

9 The main factors determining the difficulty of the
10 cleanup and the required number of trained technicians are the
11 degree of difficulty in cleaning up the reactor building and
12 the amount of damage to the core.

13 Of course we believe that the most difficult job
14 facing the Licensee and the NRC is going to be the removal of
15 the core from the reactor vessel, because of the uncertainty as
16 to the configuration and the uncertainty as to how much damage
17 was realized by the core.

18 (Slide.)

19 The original estimates projected by Metropolitan
20 Edison shortly after the accident, they had Bechtel Corporation
21 put together a document on cleaning up the plant. They
22 originally estimated it could be done in about three to four
23 years. That estimate was revised this past summer. The NRC
24 staff, after its review of the appropriate documents, believes
25 that it is going to take five to seven years from the beginning

1 in April of 1975 when the reactor was put into a safe shutdown
2 position. And that, of course as a result of the recent actions,
3 by cutbacks in programs, that schedule may have to be revised
4 and extended outward.

5 (Slide.)

6 The cleanup operation will alleviate several potential
7 hazardous conditions at TMI-2. For example, there is a
8 possibility of additional releases of radionuclides to the
9 environment in the event of human or mechanical failures.
10 The staff concluded that on balance, though, the benefits of
11 a full decontamination, core removal, and disposal of the
12 radioactive wastes resulting from the March 28th accident at
13 TMI-2 greatly outweigh the environmental costs of cleanup
14 activity.

15 (Slide.)

16 The next slide shows you some of the alternative
17 methods that were considered in cleaning up the plant. The
18 first two of course I think are the two most viable alterna-
19 tives: Full cleanup, salvage, and decontaminate the useable
20 equipment. We considered full cleanup and remove the equipment
21 with minimal or no decontamination and transport it to a
22 disposal site.

23 We did of course look at the last three alterna-
24 tives: Partial cleanup with defueling; partial cleanup, fix
25 core in place; and then of course, number five, "no action,"

1 which we didn't consider to be a very viable alternative. You
2 cannot lock the door and throw the key away. The plant must
3 be cleaned up and the fuel must be removed. But in looking at
4 all the alternatives of the impacts, that was one that deserved
5 at least being addressed in the Impact Statement.

6 (Slide.)

7 The next slide addresses the type of water treat-
8 ment systems that are available for cleaning up the high-
9 activity water that remains in the containment sump and in the
10 primary system.

11 The Zeolite resin system, which is the organic/
12 inorganic resin system proposed by the Licensee, known as the
13 "SDS," or the "submerged demineralizer system."

14 The staff also consider and addressed evaporation
15 followed by a resin system; or, solidification in Portland
16 Cement; or solidification in asphalt; or, we looked at filtra-
17 tion followed by storage in tanks.

18 (Slide.)

19 The next slide discusses the various alternatives
20 for disposing of the water. We looked at the -- The alternatives
21 looked at were: Retaining the liquid in tanks on the site for
22 a long period of time. Talking "long period of time," normally
23 when we license a reactor we consider the normal operating life
24 of the plant to be about approximately 40 years. So we're
25 talking in that range or longer to hold the water.

1 We considered of course local release to the river,
2 which we have indicated would not cause any environmental
3 impact. We have looked at release to an evaporation pond on
4 site. You construct a pond and, by solar evaporation, allow it
5 to evaporate to the atmosphere.

6 We also looked at forced evaporation -- again, which
7 would be released to the atmosphere.

8 Another alternative would be to release it to a
9 deep-well injection. "Deep well injection" are deep wells
10 drilled a thousand-plus feet into the ground.

11 We looked also at solidifying all the water in
12 chemical agents and shipping it to a licensed burial ground.
13 Of course that would increase the number of rad waste shipments
14 that would have to be made.

15 And: We'd ship as a liquid for remote processing
16 or disposal at some other site.

17 And then of course, the last one, we looked at
18 just solidifying it in large concrete slabs and holding it on
19 TMI-2. Of course we're not very anxious to make TMI-2 a long-
20 term burial ground.

21 (Slide.)

22 I show this slide because, on our first meeting in
23 Harrisburg on December the 3rd, it received a considerable
24 amount of attention. The slide originally showed -- this is
25 the routing taken for solid-waste shipments. We leave TMI-2 on

1 441, and we pick up Highway 230, and then take it up to 283,
2 up to 83. It did show us going over to Highway 11 and then 15
3 and going up, and that was erroneous. The routing is to go up
4 283 to 83 over to Interstate 81, and we pick up Interstate 80
5 and go out to the Ohio border.

6 The incorrect slide in the Impact Statement was put
7 in there because at one time Metropolitan Edison did propose
8 that routing for an overweight shipment, but it was never
9 used. It got into the document, and it should not have.

10 I think that's all the slides, Mayor.

11 Oh, just one thing.

12 (Slide.)

13 The one last slide we do have shows the water users
14 downstream from TMI-2, all the way down into the Chesapeake,
15 and we will be happy to answer any questions you have on this
16 regard.

17 MAYOR MORRIS: Thank you, John.

18 As the moderator this evening, I expect an orderly
19 meeting. If for some reason a person is ruled out of order,
20 I fully expect the person to take their seat again. Deliberate
21 disruption will not be tolerated.

22 I just counted the people and looks like about 250
23 people are here to express their concerns and get answers to
24 questions. I would like to see us make the most of this
25 opportunity to do so.

1 With that comment, at this time I would be happy to
2 have people come forward and make their concerns known, or ask
3 whatever questions they would like to ask.

4 Ma'am, please, again I would remind you, if you would,
5 to state your name and address, and take it away. It's all
6 yours.

7 STATEMENT OF MRS. HYATT

8 MRS. HYATT: My name is Mrs. Hyatt. I have two
9 addresses as of right now. My home is near Three Mile Island,
10 but because of psychological trauma I have had to leave there a
11 year ago and cannot make myself go back.

12 Now what I want to know is, I have been through a
13 lot of traumatic experience and know some facts on TMI that
14 haven't been told by the NRC or Met Ed. What I want to know is,
15 I'd like to go back to my home; but if the course of cleanup is
16 going to be as bad as what I think it is, and have found out it
17 to be a fact, I would like the panel to come right out tonight
18 and be honest about it.

19 I have a home and a husband back there at Three
20 Mile Island that I cannot force myself to go back there. And if
21 you could just be honest about the cleanup and say how much
22 radiation I am going to be exposed to if I go back, and the
23 constant release of the Krypton. I know for a fact it's a heavy
24 noble gas, and depending upon the wind, which way I'm going to
25 get it directly.

1 So what I would like to know is, just exactly how
2 harmful will it be if I go back -- not counting the psychological
3 stress that I'm under.

4 MR. COLLINS: Well, I think if we could show the
5 first slide again, we pointed out that all the operations
6 associated with cleanup that will occur until the plant is
7 defueled and the primary system cleaned up, the maximum dose to
8 the individual at the most critical site boundary would be no
9 greater, or should not exceed 1.6 millirems.

10 Now you said, "the continuing release of Krypton-85,"
11 as you know, we did release over about an 11-day period
12 approximately 44,000 curies of Krypton-85. There have been
13 small releases since that time, and there will be continuing
14 small releases until all of the Krypton-85 comes out of the
15 reactor building water. There are small amounts still remaining
16 in there, but as a result of the last purge, for example, it
17 was less than 10 curies. The purging of that right now is
18 dependent on when the entries will be made into the containment
19 building. But there are no more single sources of large amounts
20 of radiation to be released from the plant.

21 As we can see, all of the cleanup operations would
22 result, if you were at the most critical boundary, the maximum
23 exposure to individuals would be 1.6 millirem -- and that will
24 drop off with distance. So that over the total cleanup time,
25 if you happen to be living right there at the critical boundary,

1 that is what you could hope to receive. And what you may
2 receive if you are any further away than that is going to be
3 considerably less than that. I don't know how much more honest
4 I can be with you. That is what the staff is estimating the
5 dose to be.

6 MRS. HYATT: Well, the further I stay away from
7 there, the better off I will be? Is that right?

8 MR. COLLINS: Not necessarily, because this dose is
9 already insignificant to begin with, if you compare that with
10 what you receive from natural background radiation annually,
11 which is 116 millirem. So you're talking about a small fraction
12 of the natural background.

13 MRS. HYATT: But we all know that any amount of
14 radiation is too much. We all know that. So the closer I am
15 to the plant, I understand, the more harmful the effect will be
16 on me. So I think I would be better off further away.

17 MR. COLLINS: Frank, would you like to add some
18 comments to that?

19 DR. CONGEL: The only thing I can add is, that when
20 you made the comment that the farther away from the plant you
21 were, the better off you would be: You would have to qualify
22 it. It depends on where you went.

23 Natural background radiation does vary considerably
24 in various regions across our country, as well as throughout
25 the world. And indeed, when you are talking about numbers as

1 small as we are here, it would be very easy to increase your
2 dose of 1.6 millirem very simply by your living habits.

3 The point is -- and I don't know how to really get
4 this across, and I think I can understand the feeling a lot of
5 people have -- is the fact that that number is small enough so
6 that it gets lost in any kind of the everyday activities that
7 we have.

8 You also made the statement about any amount of
9 radiation is too much. I can only quote the statement, or
10 conclusion that was drawn in the latest National Academy of
11 Science study that was published in the so-called BEIR Report,
12 the Biological Effects of Ionizing Radiation, that came out this
13 summer. It said there was no evidence to indicate that doses
14 on the order of 100 millirem a year would have any demonstrable
15 effects on the population. It said that the evidence to date
16 has not indicated that one can or cannot deduce any effects.
17 The reason is because of the variation of living habits and
18 the other insults that our bodies are experiencing for a host
19 of other reasons.

20 So the only thing I can say is to try and put the
21 "1 or 2 millirem" thing in perspective and discuss it from
22 there.

23 MR. COLLINS: Thank you.

24 MAYOR MORRIS: Thank you.

25 Sir, I think you are next.

1 STATEMENT OF VINCENT R. LUDER

2 MR. LUDER: My name is Vincent R. Luder, 2817 Spring
3 Valley Road.

4 I would like to ask how many questions we are allowed
5 to have each.

6 MAYOR MORRIS: I don't know if there's a limit as
7 to -- I didn't want to set a time limit, but as to the number
8 of questions I think it depends on how quickly you ask them.
9 I am trying to be reasonable and give every person about 10
10 minutes. I would like you to hold it to 10 minutes. If you
11 need longer and it's different questions, we will permit you to
12 do that; but please don't repeat yourself.

13 MR. LUDER: I have one comment before I ask my
14 questions. Pertaining to the woman that was just up, the
15 answers that she received implied that the radiation from the
16 artificial elements that are created in nuclear plants are
17 identical in effect on human beings as are natural background
18 radiation levels, assuming that we consume and ingest all the
19 natural background levels in the same way -- which I'm not really
20 certain of, from my background, being able to discern that that
21 is actually true, but I'll continue with my question.

22 MR. GERUSKY: Can I answer that? Can I answer that
23 question?

24 MR. LUDER: If you can.

25 MR. GERUSKY: Can you hear me?

1 VOICE: We can't hear you, and we can't see you.
2 We're blinded out here.

3 MR. GERUSKY: Can you hear me now?

4 The effects of radiation are based upon a comparison
5 of the doses from a variety of sources and a variety of
6 radiations, and they are all related in terms of millirem
7 exposure. "Rem" is radiation exposure from any source. It is
8 the effects of radiation on the human body, and it doesn't make
9 any difference whether it is natural background radiation --
10 1 millirem of natural background exposure or exposure from
11 flying in an airplane, or exposure from fallout from Chinese
12 tests, or exposure from nuclear power plants. If it is 1 milli-
13 rem of whole-body radiation, it's 1 millirem of whole-body
14 radiation with the same effect.

15 MR. LUDER: So in other words, 1 millirem of
16 radiation from the sun would have the same potential effect
17 on your body as ingesting the equivalent amount of strontium or
18 cesium, that that would give us 1 millirem internally? Is
19 that what you're saying?

20 MR. GERUSKY: If the doses are the same to the same
21 organs, it will be the same effect.

22 (The audience voiced boos, hisses, and jeers.)

23 MR. GERUSKY: What I said was, "whole-body exposure" is
24 "whole-body exposure"; or "exposure to an organ" is "exposure to
25 an organ" as you relate those, and you are not going to get --

1 if you take iodine-131 in the body and it goes to the thyroid,
2 it is not going to give you the same effect as would the water
3 containing the strontium-90 that goes to the bone. But if you
4 take a whole-body exposure from both of those sources, the
5 results would be the same.

6 MR. LUDER: Isn't the major danger of the radioactive
7 isotopes from the generating plant, isn't the most serious
8 danger the accumulation of any of these artificial elements in
9 our bodies, rather than the natural dose we receive from outer
10 space and from the earth?

11 MR. GERUSKY: No, because the accumulated exposure
12 is taken into consideration in determining the total dose
13 received as a result of the action at the plant. Internal
14 exposures are considered to have a biological half-life inside
15 the body, and the total dose accumulated by the body as a result
16 of ingesting the material is one that is used; not the short-
17 term --

18 MAYOR MORRIS: Sir, I think you have attempted to
19 make your point. I think if you could go into your questions
20 relating to the EIS it would be very helpful. We do have --
21 We are almost down to two hours at this particular point. I am
22 sure there are a lot of questions particularly on this very
23 big, thick document here. I'm not saying the questions aren't
24 related to Three Mile Island in general at all, but I think we
25 should get onto this thing before we run out of time.

1 MR. LUDER: I understand.

2 On one of the very first slides that was shown, one
3 of the purposes of the EIS was to focus on environmental issues
4 and alternatives before commitments to specific choices were
5 made to cleanup.

6 To that sentence, I would like to ask John Collins
7 why he thinks Metropolitan Edison is squandering the limited
8 resources they have in building a submerged demineralizer system
9 which has had no okay at all, and could potentially be actually
10 not okayed for use. This could be a tremendous waste of the
11 new small resources they have. Is this true?

12 MR. COLLINS: Certainly it is true. The NRC, as
13 you know, twice now has in certain correspondence told
14 Metropolitan Edison that they are proceeding at their own risk.
15 They believe they can demonstrate to the Commission in their
16 technical evaluation report that it is an acceptable system.

17 We are not in a position to make that determination
18 until after the Programmatic Impact Statement has been issued
19 in final form, and they are well aware of that.

20 MR. LUDER: Well, do you think that --

21 MR. COLLINS: But really, proceeding with that SDS
22 system does not represent a large amount of money that could be
23 put off on some other system, or some other cleanup operation.
24 You know, when you are talking about the amount of dollars for
25 the SDS system compared to the \$700 million or \$800 million that

1 will be spent for the total cleanup operation itself, it is a
2 very small amount of money.

3 MR. LUDER: Well, I was going to compare it with
4 the \$35 million aid that they had not gotten, and this had cut
5 their program virtually in half.

6 MR. COLLINS: No, the \$35 million in reality, the
7 \$35 million is just an amount of money that would take care of
8 the plant in a safe shutdown condition and would enable them
9 to do the operating and maintenance to maintain the plant in
10 its safe shutdown condition. It would not really move the plant
11 any further along in the cleanup operations. That is all the
12 \$35 million would gain them.

13 MR. LUDER: In other words, they are requesting
14 emergency relief just to assure a semblance of safety to the
15 individuals who live around here?

16 MR. COLLINS: They have requested emergency rate
17 relief to provide them additional cash flow to continue the
18 operations down there, because they were running out of cash
19 flow.

20 MR. LUDER: So in other words, if it wasn't for this
21 new rate increase, they wouldn't have the money to keep us safe?

22 MR. COLLINS: They have enough spending level right
23 now at \$35 million to keep the plant safe, and we will insist
24 on that. That is what I mentioned earlier this evening. The
25 NRC's policy is that we are not going to in any way lessen the

1 programs; that we will require that they meet all of our health,
2 safety, and environmental requirements; and they do have that
3 money to continue that program.

4 The next question is: Do they have enough cash flow
5 money to proceed on a short-term basis to get over to the next
6 year for the long-term rate increase? Do they have monies to
7 proceed with the cleanup of various parts of the plant? That
8 is the question that is being decided now.

9 MR. LUDER: I have many questions, but I will give
10 up the floor voluntarily.

11 MAYOR MORRIS: Thank you. If there is time later
12 on in the program and you want to get up again, please do so.

13 STATEMENT OF TOM SMITHFALL

14 MR. SMITHFALL: My name is Tom Smithfall from
15 Marietta, Pennsylvania. I need some clarification on that last
16 question that was brought out there. It deals with your
17 introduction that you have.

18 MR. COLLINS: Yes.

19 MR. SMITHFALL: It states in there that you will
20 focus on environmental issues and alternatives before commitments
21 to specific cleanup choices are made.

22 As evidenced by your comments to Vince, it appears
23 that EPICORE-II, the SDS system, and the construction of the
24 rad waste staging facilities are not "specific cleanup choices."

25 My question is: I think there is a discrepancy in

1 your introduction and what is actually occurring at the plant.

2 MR. COLLINS: I don't really see it that way.
3 Certainly, first of all, the SDS has not been approved by the
4 Commission. We have not condoned its --

5 MR. SMITHFALL: They have begun construction.

6 MR. COLLINS: Absolutely. We acknowledge that. But
7 we have not given approval to them using that system. If,
8 through our evaluation, we determine that that is not an
9 acceptable system, Metropolitan understands and are proceeding
10 at their own risk that that system will have to be taken out.

11 MR. SMITHFALL: Why are you allowing a licensee to
12 continue spending money on a system that is not approved for
13 use when they are already in a situation that they may not have
14 the financial viability to even continue with the cleanup?

15 MR. COLLINS: Well, actually the \$35-million spending
16 rate right now, if that's what they are held to, pending further
17 clarification from the PUC as to what monies they can use, if
18 they cannot use monies generated from the rate payers for
19 cleanup activities, then the mode of operation would be put
20 into maintaining those operations at the plant to keep the
21 reactor in a safe condition, and deleting programs that would
22 be associated with cleanup -- one of which would be the SDS
23 system.

24 Now the NRC cannot dictate to the licensee what
25 monies they can spend. We can tell them what system we will

1 accept or we won't accept. You mentioned the "EPICORE-II System."
2 You have to recognize, too, that the EPICORE-II System was
3 developed within days after the accident -- the start of the
4 accident -- when it was recognized that there would be a need
5 for a water treatment system to clean up the large amounts of
6 water that was being generated as a result of the accident.
7 They are two entirely different circumstances.

8 MR. SMITHFALL: I guess what I'm thinking of, there
9 have been systems that have been suggested by the licensee to be
10 used for the cleanup process -- EPICORE-II being one of them.
11 You then approved the process to be implemented. The same
12 thing with this SDS system. It was proposed by the licensee to
13 be used without your approval, and then I assume it will be
14 approved.

15 MR. COLLINS: I don't think that's --

16 MR. SMITHFALL: I would like to finish with my
17 comment and then ask a question.

18 It appears, then, you are setting precedents for the
19 processes that the licensee has proposed.

20 (Applause.)

21 MR. COLLINS: I think that's a very wrong assumption
22 to make, that the NRC will approve it.

23 MR. SMITHFALL: It appears that the record, as given
24 to me, I should say, gives reason to believe that.

25 MR. COLLINS: No, I think the record will show that

1 the necessity for the EPICORE-II System was during the height
2 of an emergency and it was necessary to make sure that a water
3 treatment system was in place to handle the water. You just
4 couldn't keep building up water without processing the water.
5 So the circumstances were entirely different.

6 MR. SMITHFALL: I'm worried about your precedent-
7 setting. I am worried about you saying that these can be used,
8 and then eventually, as you've proposed here this evening, that
9 the safest solution is to dump it in the Susquehanna River.

10 MR. COLLINS: No, I did not say that the safest
11 solution was to dump it in the Susquehanna River.

12 THE AUDIENCE (in unison): Yes, you did.

13 MR. COLLINS: I said I thought it would be "possible"
14 to put it into the Susquehanna River; that there would be no
15 environmental impact. But I was quick to point out -- and it
16 is even on the slide -- that the Commission has made no decision
17 as to what method will be used for disposing of the water --
18 none whatever.

19 MR. SMITHFALL: I will go on to something else.

20 MAYOR MORRIS: Before you do that, I meant what I
21 said earlier, that you give the gentleman an opportunity to
22 respond to questions, and please don't interrupt him. If you
23 disagree with him, you have an opportunity to speak that and
24 say that. But the very least you can do is to give the
25 individuals here an opportunity to respond to the questions.

1 Sir, if you have a question, now, please go ahead.

2 VOICE: That goes both ways. Both ways.

3 MR. SMITHFALL: Were you referring to me?

4 MAYOR MORRIS: No, I was not.

5 MR. SMITHFALL: Section 1.3 of the PEIS states a
6 summary of Metropolitan Edison's objectives, proposed actions,
7 and schedule. When the licensee presented their schedule for
8 Phase I and II, which are containment entry and decontamination
9 and fuel removal and coolant decontamination, did they at that
10 time present to you a third phase which would, I presume, have
11 dealt with the reconstruction for operation at that time?

12 MR. COLLINS: No, they did not.

13 MR. SMITHFALL: My question then is: How can you
14 put the horse before the cart? How can the NRC approve Phases
15 I and II without knowing the ultimate disposition of the plant?

16 MR. COLLINS: Because, as I indicated to you in the
17 beginning, no matter whether you want to decommission the plant,
18 if that decision is made, or to restore the plant, it must be
19 cleaned up to the same level. The cleanup methodologies would
20 not change if you decided on decommissioning, or whether you
21 decided to restore it. The objective now is to clean up the
22 plant.

23 The decision as to what will be done with it will be
24 decided later.

25 MR. SMITHFALL: Thank you.

1 MAYOR MORRIS: You're next.

2 STATEMENT OF WALDEN RANDALL

3 MS. RANDALL: My name is Walden Randall. I live at
4 341 North West End Avenue, in Lancaster City.

5 Before I begin, I would like to comment. I have been
6 to many meetings with the Nuclear Regulatory Commission, and I
7 appreciate you being here this evening. However, I am becoming
8 increasingly concerned that these meetings are an opportunity for
9 us to ask questions, but if we do not feel that a full explana-
10 tion has been offered, or if we still have more questions --
11 such as this crowd which has now grown to probably over 300 --
12 it's not a satisfactory way to allow the public to comment.

13 My first question would be to Mayor Morris:
14 Mr. Collins says the decision has not been made whether or not
15 to dump the water into the river. All the way through the
16 document is "if approved." Lancaster City under Mayor Wolten
17 (phonetic) has an agreement that no water that is accident-
18 generated or cleanup water will be allowed to enter the river --
19 God help us -- from an accident or a mistake, be allowed to
20 enter the river until the Final Environmental Impact Statement
21 is completed. That will be March, 1981. Am I correct,
22 Mr. Collins?

23 MR. COLLINS: That is correct.

24 MS. RANDALL: At that time, if the Commission so
25 decides, the agreement with the City is void. Is that correct?

1 MR. COLLINS: No. At that time, the licensee would
2 propose to the Nuclear Regulatory Commission a method for
3 disposing of the water. At that time, the NRC Commissioners
4 would take that proposal under consideration and make a decision
5 on it.

6 MS. RANDALL: Mayor Morris, if the decision at that
7 time is made to dump the partially treated filtered water into
8 the river, have you and your staff and your legal advisors had
9 time to read this PEIS and make a decision as to whether or not
10 you will not allow that to proceed?

11 MAYOR MORRIS: Well, I'm going to answer the question
12 that you just asked, but I do want to make it clear that I am
13 not here to answer all kinds of questions. I am attempting to
14 moderate tonight, but I will answer your question that you asked.

15 First of all, I believe it was Mayor Morris who
16 ended up signing that agreement, because it happened after
17 Mayor Wolten left office. That can be checked, but I believe
18 I was the person who signed the agreement.

19 Secondly, we have the Solicitor here tonight, and
20 we have the City's staff here tonight, and we will be making
21 comments in writing to the NRC which will be publicized in the
22 local news media, prior to the expiration date of the comment
23 period. So we will be responding actively to what this says.

24 But is not my attempt tonight to encourage people
25 to comment in one direction or another; but, rather, to have

1 people get up and give their views. But we will be commenting
2 on it. We will be reviewing it. We have begun, but it is very
3 thick, as you suggested.

4 MS. RANDALL: I had one other question which I wanted
5 to raise on Section 10 which deals with the desilting basin at
6 the site which will be used to store the canisters containing
7 the resins from the EPICORE procedure and, if approved, I assume
8 the SDS resins. Is that correct?

9 MR. COLLINS: That's correct, the second and third
10 stage SDS. The first stage SDS will be stored in the fuel pool
11 itself.

12 MS. RANDALL: Those resins will be high-level waste?
13 Is that correct?

14 MR. COLLINS: The first stage will be high-level --
15 Well, "high activity waste," not "high-level waste." There is
16 a difference.

17 MS. RANDALL: Right. One is only spent fuel.

18 MR. COLLINS: That's correct. "High-level waste"
19 has been defined in the regulations. We refer to this as
20 "high-activity waste," and we have recognized that such waste
21 should not be disposed of in shallow-land burial. And until
22 such time as the disposition for that waste has been found, we
23 will store it in the concrete structure on the site.

24 MS. RANDALL: The high-activity waste in the canisters
25 in the shallow burial site in the desilting basin are projected,

1 according to your document, to be covered by a probable maximum
2 flood for only four days. Could you please tell me where you get
3 the figure that if there is to be another Agnes, or another
4 flood on the Susquehanna River, that your high-level activity
5 wastes inside the canisters would only be exposed to a continuous
6 water path for four days?

7 The reason I ask the question is that I have served
8 on the Lancaster Planning Commission. I am now the Land Use
9 Advisory Chairman for one of the Subcommittees, and in all of
10 our meetings we have become increasingly aware that flooding
11 problems on the Susquehanna River are increasing; they are not
12 decreasing.

13 The "probable maximum flood" is Agnes? Am I correct,
14 in 1972?

15 MR. COLLINS: That is exactly right, and that is what
16 the dike area is designed to take, an Agnes-type flood, and so
17 is the concrete structure itself designed to take the Agnes-
18 type flood.

19 MS. RANDALL: The Agnes-type flood happened in '72?

20 MR. COLLINS: '72, correct.

21 MS. RANDALL: It is now 1980, and every official
22 government document -- the National Flood Insurance, Watershed
23 Basin Studies, Pennsylvania Act 282, Storm Water Management,
24 passed by the legislature last year -- the volume of a flood
25 on this river is increasing yearly. It will continue to increase

1 as various areas are paved over and become impermeable, which
2 means that as the rain falls, the water hits the river faster;
3 it doesn't have time to be absorbed by the ground because the
4 ground is covered by asphalt.

5 In question the storage of any high radioactive waste
6 on an island based on a design-basis flood which was prior to the
7 probable maximum flood, and then a probable maximum flood that
8 is eight years old. I think that you may in fact be placing
9 the canisters of high-level waste -- high-activity waste in a
10 shallow burial site where there could be an extremely serious
11 flooding problem. Those canisters could then be -- the contamina-
12 tion within the canisters would then be spread all the way down
13 the river and into the Bay.

14 I think that is terribly alarming, and I would like
15 your reaction.

16 MR. COLLINS: Well, I think my reaction to it is:
17 Even if the concrete structure itself were to be inundated, it
18 does not necessarily follow that the steel liner will disperse
19 out the radionuclides and the resins and mix them in the
20 Susquehanna River.

21 Those liners are steel liners, sealed liners. They
22 are in concrete vaults with a 3-1/2-foot-thick concrete shield
23 block on top of it. There is a subsystem that monitors any
24 leakage of water, including water that may seep in from the
25 outside.

1 So I don't think it necessarily follows that if you
2 had a flood worse than the Agnes-type flood, that it would
3 disperse the material out into the Susquehanna River.

4 MS. RANDALL: Is there no burial site available in
5 the country that can take those canisters, other than leaving
6 them on the Island at this time?

7 MR. COLLINS: Well, the reason they're being stored
8 on the Island at the present time is that the Commission, in its
9 order in November of Metropolitan Edison Company, ordered
10 Metropolitan Edison to solidify all of the resins, either in
11 concrete or some other solidification agent, prior to shipping
12 those resins off-site. If that order were not in effect, it
13 would be possible to ship those resins out to Richland,
14 Washington.

15 MS. RANDALL: Even though they're high-activity
16 waste, they are acceptable?

17 MR. COLLINS: Well, when you say -- There are the
18 first-stage liners at the present time from the EPICORE which
19 is what we would consider to be a higher activity waste; but
20 there are two other stages. So those stages, the second and
21 third stage resins, could be shipped out if it were not for
22 the Commission's order to solidify all the resins generated
23 from cleaning up the water.

24 MS. RANDALL: And yet, I don't see anywhere in the
25 document the solidification process underway. So we've become

1 a high-activity waste disposal site.

2 MR. COLLINS: Well, at the time the Draft Environ-
3 mental Impact Statement was prepared, Metropolitan Edison was
4 engaged in the technical development of looking at various
5 alternative ways of solidifying the agents and solidifying
6 the resins. That is rather complex, because the resin mixes
7 themselves are not uniform from liner to liner and, because of
8 that nonuniformity, it would require an adjustment in what
9 type of solidifying agent you would use and what mixes of
10 solidification you would use.

11 They are investigating those, together with their
12 consultants from Oak Ridge National Laboratory, and with other
13 contractors that are engaged in this evaluation.

14 MS. RANDALL: If they were solidified, is there a
15 site available in the United States to which they can be sent?
16 Or must we await the development of a deep geological reposi-
17 tory somewhere else in the country, approved by the Department
18 of Energy, which no one has been able to find since 1941?

19 MR. COLLINS: No, these resins would not find their
20 way. nor are they intended to go to a deep repository
21 geological formation. What we are looking at is a site that
22 would be suitable for deep burial, rather than shallow-land
23 burial. And it may even be that we want to engineer a
24 facility, or go to a strong type container, before you put it
25 into the ground to add to the long-term integrity of that

1 container. But there are sites where it can be handled, and
2 those decisions and those discussions have been ongoing with
3 the Department of Energy for some time, and we are continuing
4 those discussions.

5 Right now there is no decision that has been made
6 as to what to do with the higher activity waste. The second
7 and third stages, there's no question; they can be solidified
8 and shipped to Richland.

9 MS. RANDALL: Thank you very much.

10 MAYOR MORRIS: Yes, sir.

11 STATEMENT OF JOHN ADAMS

12 MR. ADAMS: My name is John Adams. I live at
13 Riverview.

14 The Clean Water Act prohibits discharge of radio-
15 active waste into navigable waters causing further dilution
16 and dispersal of radioactivity into the environment.

17 Would any proposed dilution of radioactive processed
18 waste -- accident or cleanup -- conforming to NRC standards
19 discharged into the Susquehanna violate the intent of the
20 Clean Water Act?

21 MR. COLLINS: I must admit that I was not aware
22 that the Clean Water Act, as originally published, prohibited
23 discharge of radioactive waste into navigable water. I believe,
24 if you're talking about a recent amendment to the Clean Water
25 Act -- I'm not aware that the original Clean Water Act that

1 came out in the latter '60s made that stipulation.

2 MR. ADAMS: Well, if it is the case --

3 MR. COLLINS: It certainly may be, and I can't
4 really -- I'm not that familiar with all of the events that
5 have occurred on the Clean Water Act. But certainly if that
6 is true, we will certainly look into it if your comment is
7 correct.

8 Would the proposed dilution of radioactive processed
9 water conforming with standards' discharge -- Right now, from
10 what I know of the Clean Water Act, it would not violate the
11 Clean Water Act.

12 If you are saying that amendments have been made
13 that would prohibit this, then of course that is a matter
14 that we would have to review, certainly.

15 MR. ADAMS: I would like to ask another question,
16 or make a comment on a point brought up about the workers'
17 exposure at the plant.

18 I feel it is somewhat contradictory to call the
19 workers, or mention that they're "apart from the general
20 public"; yet, their genetic effects are increased over the
21 general public, and they will continue to father and mother
22 the children that will become part of the "general public."

23 Now I feel that that is an erroneous statement to
24 claim that they're "apart from the general public."

25 MR. COLLINS: Well, I will say a few words, but you

1 must recognize that there is the occupational work force, and
2 the Commission has set forth regulations governing the occupa-
3 tional worker that is involved with handling radioactive
4 materials.

5 There is a distinction made between the amount of
6 radiation that he can receive versus what members of the general
7 public receive. Because, first of all, there is a different
8 age group. When you're considering members of the public, you
9 are considering all people of all ages from birth to death,
10 and you are considering the difference in the sensitivities
11 of people. Whereas, in the working force you are considering
12 people between the ages of 18 and 60 years old -- and with the
13 recognition that he is an occupational worker involved in
14 handling radioactive materials.

15 Tom, do you want to answer that? "

16 MR. GERUSKY: The number of people employed and
17 thus exposed to radiation in the atomic energy industry or the
18 radiation industry is small compared to the total population.
19 That is one reason that a distinction can be made.

20 The other reason is the one that John gave. That
21 is, that it is a decision that is made by the individual who
22 is working, whether he wants to be employed there and receive
23 that radiation exposure. He is given training and some
24 information, at least -- hopefully better information than a
25 person in the general public would get on what his exposure --

1 what the effects of his exposure will cause. It is his
2 decision to make.

3 In the general public, usually the decision is not
4 one that can be made by a member of the general public, whether
5 or not he wants to continue to get exposure from a variety of
6 sources. And that is another reason for the exposure levels
7 to be considerably lower.

8 MR. ADAMS: Thank you.

9 MAYOR MORRIS: Thank you, sir.

10 Yes, sir?

11 STATEMENT OF DAVID DOBBINS

12 MR. DOBBINS: Hello. I am David Dobbins from
13 Wellington Road in Lancaster. I have a couple of questions.

14 This PEIS Statement gives alternatives to the
15 disposal of the radioactive water -- or processed radioactive
16 water. Who is responsible for choosing the alternative to be
17 used of the many that are listed in this document?

18 Secondly, once that choice has been made, will the
19 public be allowed to have comment and review on that?

20 MR. COLLINS: First of all, the choice would be
21 made by the licensee, Metropolitan Edison. They would propose
22 to the NRC, and the Staff would receive and evaluate that
23 proposal, and then recommend to our Commissioners the action
24 which they deemed they should take.

25 At a Commission meeting involving a discussion on

1 that item that would normally be in an open meeting -- which
2 all of the Commission meetings must be under the Sunshine Act --
3 and the public certainly may appear at that meeting and offer
4 comments.

5 MR. DOBBINS: Okay. Will the comments given at this
6 meeting and the meetings like this, along with the comments
7 that are requested by November 20th -- How will those comments
8 be incorporated into the final draft, or the final copy of
9 the draft?

10 MR. COLLINS: I missed the first part. Could you
11 speak into the microphone?

12 MR. DOBBINS: The comments that are given at meetings
13 such as this one --

14 MR. COLLINS: Yes.

15 MR. DOBBINS: -- and also the comments, the written
16 comments that you would receive by November 20th of this year,
17 how would those be incorporated into the final copy of the
18 PEIS?

19 MR. COLLINS: Well, all of the comments, whether
20 they be at meetings such as this is, which is being reported,
21 or those received in letter form, will be reviewed by the Staff.
22 The Staff will go over this transcript and pull out those
23 comments by individuals, and they will be addressed and
24 considered in the Final Environmental Impact Statement.

25 MAYOR MORRIS: David, could I go back to your first

1 question? Were you asking whether there would be public
2 meetings to discuss the choice that was taken? Or were you
3 saying: What forum would there be available? Did I misunder-
4 stand your question?

5 MR. DOBBINS: I was interested in actually if the
6 public would have a comment on the choice of the alternative
7 chosen. What kind of forum, as you mentioned. Or would there
8 be public input?

9 In other words, do we have any kind of commentary
10 on the choice chosen? Because one of the choices is dumping
11 the water into the River.

12 MR. COLLINS: Well, I think going back again, first
13 of all you certainly have the right to comment on it now as
14 to which particular alternative you would favor. Then, as I
15 indicated to you, the licensee would propose to the NRC -- they
16 would send me a letter saying, "we proposed to do such-and-
17 such."

18 The Staff would then evaluate that, and propose or
19 recommend to our Commissioners whether or not we accept that
20 proposal. If we did not, what alternative we would propose.
21 And the Commission would ultimately make that decision.

22 Now if the Commission when it is briefed by the
23 Staff -- that is an open meeting, and the public certainly can
24 be in attendance at the Commission meetings and voice their
25 opinion. Now usually what happens is that an item such as

1 this is discussed at a briefing, and then the Commission takes
2 it under advisement. And they may even allow for a comment
3 period, such as they did on the Environmental Assessment. They
4 allowed the public to review those before they took final
5 action.

6 There are a number of courses that are open to the
7 Commission, and really it depends at the time that it is
8 presented to them as to what their action will be.

9 MR. DOBBINS: Am I understanding you correctly when
10 you say that when Metropolitan Edison chooses the alternative
11 of the various alternatives, that the Nuclear Regulatory
12 Commission is going to have to okay that alternative, even
13 though it is in the PEIS?

14 MR. COLLINS: Absolutely. Metropolitan Edison,
15 everything they do down there must be reviewed and approved
16 by the NRC.

17 MR. DOBBINS: On the final form of the PEIS, will
18 there be public hearings on that final form?

19 MR. COLLINS: Will there be what?

20 MR. DOBBINS: Public hearings.

21 MR. COLLINS: Public hearings?

22 MR. DOBBINS: Yes, where there will be cross-
23 examination --

24 MR. COLLINS: You mean, adjudicatory hearings?

25 MR. DOBBINS: Yes.

1 MR. COLLINS: No. Under the Commission's regulations,
2 that is not required for an Impact Statement such as this. So
3 an adjudicatory hearing is not required under our regulations.

4 MR. DOBBINS: So if that is the case, then what you
5 are saying is, the only time we will have a chance to comment
6 on the final form is at the Commission meeting for consideration
7 of the alternative?

8 MR. COLLINS: Well, you recognize that at the time
9 the PEIS is finalized and the Commission publishes it, at that
10 time it does not say that this is going to be the alternative
11 selected.

12 What I am saying is: The document that you have
13 now will be finalized in the form that it is now, making no
14 specific recommendations. Once the document has been published,
15 then the licensee would propose certain methods for cleaning
16 up the various parts of the plant. He would ask for that
17 permission.

18 That would come back to the Staff as a letter saying:
19 NRC, we want to dispose of the water in this way. The Staff
20 would then evaluate it and make a recommendation to the
21 Commissioners, and they would make the decision. And that
22 could be months after the PEIS has been finalized, not the
23 day after.

24 MR. DOBBINS: Okay. And this particular choice,
25 then, is at the Commission meeting that we would have input on

1 the choice?

2 MR. COLLINS: Well, let me say that you can "attend"
3 the Commission meetings as a member of the public, because the
4 Commission meetings are open to the public.

5 MR. DOBBINS: I would recommend having meetings like
6 this one on the choice, particularly in this area since it
7 affects the people in this area, as well.

8 (Applause.)

9 MR. COLLINS: Your comment is a matter of record,
10 and the Commission of course will be reviewing the transcripts
11 along with the Staff. And certainly I will make them aware of
12 your concern and the feelings of the public in this area.

13 MAYOR MORRIS: Thank you.

14 Yes, ma'am?

15 STATEMENT OF DEBORAH THOMPSON

16 MS. THOMPSON: My name is Deborah Thompson. My
17 address is 1302 Willow Heights in Lancaster.

18 Rather than ask you a question, I would like to
19 make a brief statement, and I would welcome any comments you
20 might care to make to that statement.

21 The scope of the Programmatic Environmental Impact
22 Statement, as it stands, is inadequate. Before any cleanup
23 actions proceed, the following factors should be more fully
24 addressed by the NRC.

25 First, the decision whether to commission or

1 decommission Unit 2 must be fully addressed to make an
2 intelligent cleanup decision and, by doing as little cleanup
3 as is necessary, forestall the possibility of more environmental
4 contamination.

5 Secondly, the disposition of high-level wastes must
6 be fully addressed before a decision to produce more wastes
7 is made. TMI cannot function as a waste repository without
8 endangering the health of our community.

9 Thirdly, public safety and health factors are not
10 adequately considered in the PEIS. Stress will not be alleviated
11 by the speed of cleanup as is suggested in the Environmental
12 Impact Statement; but, rather, by competent decisions based on
13 concern for health and safety of the community in proportion to
14 concerns for Metropolitan Edison's financial viability.

15 Fourthly, radiological effluent criteria for the
16 community during the cleanup process must consider the
17 accident-generated releases. Only in this way would the total
18 effects of TMI and the accident on the community be accurately
19 addressed. In setting these radiological effluent criteria,
20 the accident releases must be honestly and openly reflected.

21 Fifthly, the dilution of contaminated water to
22 Federal Drinking Water Standards is not an acceptable method of
23 cleanup for persons who drink, bathe in, and use the
24 Susquehanna River for recreational purposes.

25 (Applause.)

1 In conclusion, I would urge the NRC to be more
2 responsive to the public comments you hear tonight and you
3 will receive in writing than you were vis-a-vis the public
4 comments you received concerning the venting of krypton-85.

5 (Applause.)

6 MS. THOMPSON: In conclusion, I would urge the NRC
7 to be more responsive to the public comments you have received
8 tonight and that you will receive in writing than you were
9 vis-a-vis the public comments you received concerning the
10 venting of krypton-85.

11 (Applause.)

12 MAYOR MORRIS: John, would you or anybody else up
13 here like to comment on that comment?

14 MR. COLLINS: Well, you covered a number of subjects,
15 and I would be happy to take each one of them if you want me
16 to.

17 MS. THOMPSON: I would.

18 MR. COLLINS: Do you want to repeat them for me,
19 because I wasn't taking notes on them.

20 MS. THOMPSON: The first point was the decision to
21 commission or decommission Unit 2 must be fully addressed.

22 MR. COLLINS: The reason it was not -- as I pointed
23 out before -- it does not matter whether you decommission the
24 plant or restore it, the plant must be cleaned up, the fuel
25 must be removed, and the primary system must be decontaminated.

1 And it doesn't really matter, because if you decommission the
2 plant, you tear it down, you mothball it, it must be cleaned
3 up to the same level as if you wanted to go in and remove the
4 equipment and restore it, and refurbish it, and put it back on
5 the line, to the same level. It does not really matter whether
6 that issue is specifically addressed or not. That is going to
7 be decided at another time. The plant has been ordered shut
8 down by the Commission, and it will not start up without going
9 through a very lengthy hearing process.

10 MS. THOMPSON: The next point is, the issue of
11 high-level waste must be fully addressed.

12 MR. COLLINS: Well, when you -- the disposition of
13 the high-level waste, are you suggesting that the cleanup
14 operation be deferred until such time as the solution to the
15 high-level waste problem occurs? I don't think that that is
16 being realistic, either, because the longer the plant sits
17 there without cleaning the plant up, it is being subjected to
18 deterioration and the potentials for releases to the environ-
19 ment.

20 I will not argue the point that there is a need to
21 answer the high-level waste -- repository of high-level waste
22 problem. I think that the Federal Government must move more
23 responsibly and in a faster way to finding solutions to that
24 problem. But that in no way should stop the effort to clean up
25 TMI-2.

1 MS. THOMPSON: The third point: Public safety and
2 health factors are not adequately considered.

3 MR. COLLINS: I'm not really sure I understand what
4 you mean there, because I think they were. The impacts have
5 been addressed. We did indicate what the dose would be -- the
6 maximum dose to the offsite population. We discussed the dose
7 to the population within a 50-mile radius of the reactor. I
8 guess I'm not clear as to what you mean by your statement.

9 MS. THOMPSON: Would you like me to elaborate?

10 MR. COLLINS: Sure. Fine. I think it would be well
11 to note for the record what you meant.

12 MS. THOMPSON: In saying that the public safety and
13 health factors were not adequately considered, it was my
14 feeling and the feeling of many people that I know that there
15 were other concerns that were more important to the NRC than
16 the health and safety of the community. Namely, the financial
17 considerations and various decisions, the effect of the cleanup
18 decisions on the continued operability of the plant. We feel,
19 many people in the community feel that no environmental releases
20 in the cleanup process is the only acceptable standard for the
21 public health and safety.

22 And while I realize that it is difficult to achieve
23 that standard, we feel that the NRC and Met Ed can choose
24 alternatives and consider more fully alternatives that would
25 permit you to reach that level.

1 MR. COLLINS: First of all, I don't think that's
2 correct in saying that we are choosing alternatives that would
3 help Met Ed's financial stability. Our concern is that we pick
4 those alternatives and expedite as quickly as possible the
5 cleanup of the plant, irregardless of the cost.

6 Now cost is not a major factor in the NRC's
7 decision-making process. It is difficult, I should say, to
8 end up with cleanup operations where there is a zero release.
9 There is no such thing as a "zero release" plant. But we
10 have achieved through our regulations -- at least we strive for
11 maintaining those releases as low as reasonably achievable --
12 as low as reasonably achievable -- and those are written words
13 into our regulations.

14 In fact, the criteria being applied to Met Ed is
15 more stringent than is being applied to any operator of a
16 power plant today. So that, in that regard we do have a
17 concern for the protection of the health and safety of the
18 public.

19 MS. THOMPSON: The fourth point: Radiological
20 effluent criteria must consider the accident-generated releases.

21 MR. COLLINS: Well, of course the document did not
22 address the environmental impact associated with the accident
23 itself. That has been well documented in the many reports
24 that have been issued as a result of the accident.

25 MS. THOMPSON: Excuse me. Specifically, I was

1 referring to the statement in the Impact Statement which says:
2 "The proposed procedures should be designed to assure that the
3 offsite doses resulting from releases, when added to the doses
4 from releases over the previous year, do not exceed the
5 numerical design objectives of 10 CFR Part 50 in Appendix I."

6 MR. COLLINS: Appendix I?

7 MS. THOMPSON: Appendix I.

8 MR. COLLINS: And what you're saying is that we
9 should consider that the cumulative effect --

10 MS. THOMPSON: Yes.

11 MS. COLLINS: Frank, would you like to address that?

12 MR. CONGEL: The one point I would like to make
13 regarding the doses in the cumulative doses is the fact that
14 the impacts that were calculated or estimated for the cleanup
15 and discussed in the PEIS represent, as I said some time ago,
16 virtually a negligible impact in terms of at least the numerical
17 quantities that we came up with. I had to put that qualifier
18 in because I realize I have probably a perspective, or maybe
19 a sense of objectivity that would characterize it in that way.
20 But the fact of the matter is, we did consider what this lady
21 was addressing a moment ago: That is, the cumulative impact,
22 the additional impact that was discussed and stated even on the
23 slides, is negligible. It is very, very small.

24 We came up with numbers of risk factor of 10^{-6} ,
25 10^{-7} . I don't know how we could talk about numbers any smaller

1 than that.

2 MS. THOMPSON: My final point was: Dilution of
3 contaminated water to Federal Drinking Water Standards is not
4 an acceptable method of cleanup.

5 (Applause.)

6 MR. COLLINS: Again, I don't understand the
7 rationale for the statement, because the Environmental Protec-
8 tion Agency's drinking water standard at 40 CFR 141 is the
9 one you are referring to.

10 MS. THOMPSON: If I could clarify, my rationale for
11 that is dispersal of poison; it is not removal of poison. It
12 simply spreads the poison around, rather than reducing the
13 actual level of contamination. And I feel that if you dilute
14 the contaminants in the water to the drinking water standards,
15 all you're doing is diluting it. You are not reducing the
16 level of contamination that people are exposed to.

17 MR. COLLINS: But that is cleaning up the water to
18 the drinking water standard before it is dispersed into the
19 Susquehanna River. By the time it would reach the nearest
20 intake structure, you couldn't measure the activity. It would
21 be too low. And that is when actually the drinking water
22 standard is applied in a water distribution system, not at the
23 outfall of the plant.

24 It says -- if you read the drinking water standard --
25 it says: In the distribution system, this is the allowable

1 radioactivity. It is up to the water distribution system that
2 they're in compliance with the Environmental Protection Agency's
3 drinking water standard.

4 MS. THOMPSON: Thank you.

5 (Mr. Morriss takes a drink of water.)

6 (Laughter.)

7 VOICE: That's bottled water. You can't fool us.

8 MAYOR MORRIS: That was right from TMI.

9 (Laughter.)

10 MAYOR MORRIS: You're next.

11 STATEMENT OF DONALD CRYDER

12 MR. CRYDER: You can't fool me, Mayor Morris. I
13 know that's bottled spring water.

14 (Laughter.)

15 I don't know who to address this question to --

16 THE REPORTER: May I have your name, please?

17 MR. CRYDER: Donald Cryder, 108 North Plum Street,
18 Lancaster.

19 The first conclusion that was in the slide stated
20 that total whole-body dose to individuals offsite should not
21 exceed 1.6 millirem.

22 Now what does that mean? Does that mean, as a
23 result of the proposed cleanup the offsite exposure to the
24 radioactivity? Is this the projected from any method of
25 cleanup and disposition of the waste?

1 MR. COLLINS: Would you repeat that? Because I
2 really did not follow your whole question.

3 MR. CRYDER: Okay. One of your slides stated, or
4 you said: The total whole-body dose to individuals off-site
5 should not exceed 1.6 millirems. That was your first conclusion.

6 Now what do you mean by that? Is that a proposed
7 from the --

8 MR. COLLINS: That is taking the various alternatives--

9 MR. CRYDER: Okay, so this is an estimated of all
10 the proposed --

11 MR. COLLINS: Yes. This is not one specific --

12 MR. CRYDER: Okay. So how did you come to this
13 conclusion? Did it involve people in a 50-mile radius of the
14 site?

15 MR. COLLINS: The 1.6 is the maximum that an indi-
16 vidual would receive -- the maximum, if he were at the critical
17 boundary of the site.

18 MR. CRYDER: Okay. Okay, then further in that same
19 conclusion you state: The risk of cancer, death cancer, is --

20 MR. COLLINS: The "risk," right.

21 MR. CRYDER: -- is 2.2 in 10 million --

22 MR. COLLINS: -- is 1.2 in 10 million.

23 MR. CRYDER: Do you mean that a certain number of
24 people exposed to that amount of 1.6 millirems of 1.6 milli-
25 rems of radiation, 2.2 in 10 million of those -- if there were

1 10 million there -- will get cancer as a result?

2 MR. COLLINS: Yes. That there is a "potential."
3 There is a "risk" that they may.

4 MR. CRYDER: Okay, there's a potential, but --

5 MR. COLLINS: It doesn't say that they "will" get it.

6 MR. CRYDER: -- this is an average. There are --
7 I believe there is a difference in the amount of radiation
8 that various people can take without having side effects. For
9 instance, females, I understand, develop breast cancer more
10 readily than males; and babies may be more sensitive. So this
11 is an average? Is this right?

12 MR. COLLINS: This is an average of the people in
13 the population.

14 MR. CRYDER: Okay, averages are never precise.

15 MR. COLLINS: Well, it does consider the sensitive
16 people in the population, too, because it represents a suitable
17 sample of the population. So you're looking at all of what
18 you're saying.

19 MR. CRYDER: Okay. Now let's say that this projec-
20 tion is wrong. Suppose, instead of 1.6 millirems, people just
21 offsite of the reactor building are exposed to 3.2 millirems.
22 Now would the risk of cancer increase linear to that? Would
23 it double if the exposure is doubled? Or would it be
24 exponential? In other words, like 10 percent -- that there is
25 a 10 percent risk of cancer?

1 MR. COLLINS: It would be linear.

2 MR. CRYDER: Okay. At what point, then, would you
3 know that a person who receives X amount of millirems that
4 causes death? Would you know that?

5 MR. COLLINS: I'm sure Frank will.

6 MR. CONGEL: I would like to try to shed a little
7 bit of light on the line of questions that you were having.

8 In our health effects' analysis, we used what is
9 called the "linear no-threshold hypothesis." That is, there
10 are no data to indicate what the effects are at very low dose
11 levels. But what is generally accepted in the field now is
12 what they call a "linear extrapolation" from the area in which
13 they have effects noted and demonstrated at certain dose levels.

14 What you do is, you would look at the behavior of
15 the effects, or the manner in which they manifest themselves at
16 higher dose rates, and then extrapolate down to where you have
17 zero at zero dose -- zero effects at zero dose.

18 To get, then, the effects of the kind of dose rate
19 that we're talking about here, we would just look at points on
20 this curve. It's called "linear extrapolation."

21 Now earlier when I was talking, I mentioned the
22 report of the National Academy of Sciences that came out this
23 past summer. They have analyzed the available data, and they
24 have come up with an estimate of effects at low dose rates
25 that indicate even lower effects than what we have proposed in

1 our document. They have two methods of looking at them --
2 the linear no-threshold hypothesis; and also the so-called
3 quadranic relationship to express dose and effects at low dose
4 rates.

5 In any case, I don't want to get carried away with
6 the analysis, but the point is: We don't have any hard data.
7 What they had to do was look at the various data that were
8 available from the human beings who had been exposed, either
9 accidentally or intentionally as in the case of warfare, and
10 anticipate what kind of doses we have.

11 I would point out that the overwhelming majority of
12 people in the field feel that, if anything, this was likely to
13 overestimate what the real effects would be. But for the
14 purposes that you were describing, indeed if you went from
15 1.6 to 3.2 millirem, you would go from 2.2 changes in 10 million
16 to 4.4.

17 MR. CRYDER: Okay. I would also like to ask: What
18 is considered a "high level" of exposure, as opposed to "low
19 level"?

20 MR. CONGEL: Well, I would, firstly, say "high
21 levels of exposures" are in the 50 rem and greater dose rate.

22 MR. CRYDER: 50 rem?

23 MR. CONGEL: That's just a number I pulled.

24 MR. CRYDER: Then the second conclusion, that a man
25 could stand in front of a truck for three minutes at three feet

1 would receive 1.3 millirems, there's a possibility the man
2 could stand there for an hour.

3 MR. CONGEL: That is correct.

4 MR. COLLINS: Let me answer that, Frank. All
5 shipments of radioactive waste, as I indicated earlier, must
6 meet the NRC and the DOT regulations. Our regulations require
7 that all radioactive shipments, that the dose on contact of
8 that shipping container not exceed 200 millirem; and that the
9 dose 10 feet from the container itself not exceed 6 millirems.

10 So that if you were to stand there even for doubling
11 that number at, say, 6 millirems, if you were that close to it,
12 instead of one hour he's going to receive 6 millirems, in two
13 hours it would be 12 millirems.

14 But it is highly unlikely that an individual would
15 be standing there in front of a moving truck for a number of
16 hours.

17 (Laughter.)

18 MR. COLLINS: Even if it were broken down, the truck
19 would be -- There are two drivers on the truck and --

20 MR. CRYDER: What about the drivers?

21 MR. COLLINS: What about the drivers?

22 MR. CRYDER: What kind of precautions will be taken
23 for the driver?

24 MR. COLLINS: What about the driver?

25 MR. CRYDER: Yes.

1 MR. COLLINS: The dose inside the cab cannot exceed
2 2 millirems for the driver. Most of the shipments that I have
3 seen leaving TMI, the dose in the cab has been on the order of
4 .2 millirems.

5 MR. CRYDER: .2 millirems?

6 MR. COLLINS: Per hour.

7 MR. CRYDER: Per hour?

8 MR. COLLINS: .2 millirem per hour.

9 MR. CRYDER: Thank you.

10 MAYOR MORRIS: Thank you, sir.

11 Yes, ma'am?

12 STATEMENT OF BEVERLY HESS

13 MS. HESS: I am Beverly Hess, and I live at RD #1,
14 Columbia.

15 I have a couple of questions that have to do with
16 the oversight of NRC. Is NRC operating under National Environ-
17 mental Policy Act considerations in the cleanup process as
18 outlined in the EIS, Mr. Collins?

19 MR. COLLINS: Yes, we are. We are operating under
20 our 10 CFR Part 51, which implements the National Environmental
21 Policy Act.

22 MS. HESS: That is what I had understood.

23 I would like to state a concern. I read that the
24 National Environmental Policy Act does not require that an
25 agency select the most environmentally beneficial alternative;

1 but only that it understand the environmental consequences of
2 its actions and consider them in its decision-making. An agency
3 may proceed with an action that involves environmental damage
4 if it is convinced that there are economic and technical
5 benefits that override the environmental drawbacks.

6 I am very concerned, as I understand what is being
7 said here today, that there will not be an opportunity for the
8 public to do anything more than comment on what we consider to
9 be the environmental consequences of the alternatives that are
10 being outlined, and which will be chosen.

11 (Applause.)

12 At the time of the elections in the spring,
13 President Carter said that he would make the health and safety
14 of the people of the Three Mile Island area the primary consid-
15 eration in the cleanup. As I understand these regulations,
16 that is not being said; that that primary consideration has to
17 be the overriding concern.

18 And I would like to know, Mr. Collins, what -- I
19 mean, other than the public comments, and I understand that this
20 is being reported, and I understand that there will be
21 opportunities for public comment to be taken again -- but since
22 the Staff recommends to the Commission, and the licensee
23 recommends what shall be done, at what point -- or does, or
24 will -- the public ever have an opportunity to say what they
25 consider must be done in this instance that affects our lives?

1 MR. COLLINS: Well, I think that, as I mentioned to
2 you, there are two alternative ways that you can participate
3 in the decision-making process. One is to comment on the
4 Environmental Impact Statement as it appears today; and in
5 commenting on it, the level of specificity in outlining those
6 alternatives which you feel are better than any other alternative
7 is one mechanism.

8 I think the other mechanism is to appear at such
9 time that the Commission meets on an individual proposal, to
10 meet at that time and voice your opinion.

11 MS. HESS: So again, "comment."

12 MR. COLLINS: Well, and there is always the legal
13 route.

14 MS. HESS: Well, that was what my next question
15 was going to be: Whether there is anything short of the
16 legal route, where citizens have to sue the NRC to see to it
17 that the water doesn't get dumped into the river. Is there
18 anything short of that legal procedure by which citizens can
19 have a real effect, other than just public comment?

20 MR. COLLINS: Yes, there is. Because on certain
21 various cleanup operations, it would require that those
22 operations be included in the plant technical specifications,
23 which would be an amendment to a license. At that point, the
24 public could intervene and request a public hearing on that
25 license amendment.

1 MS. HESS: And that is an adjudicatory hearing?

2 MR. COLLINS: Yes, it is, ma'am. Yes, it is.

3 MAYOR MORRIS: Thank you.

4 Yes, sir?

5 STATEMENT OF STEPHEN SYLVESTER

6 MR. SYLVESTER: Stephen Sylvester, from Lancaster.

7 I would like to make a statement, first, and then ask a
8 question.

9 MR. COLLINS: Could you speak into the microphone?

10 MR. SYLVESTER: I would like to make a statement,
11 first, and then as a question.

12 I have read almost all of the statement, and I
13 have listened here tonight, and I must say that you've gone
14 into a good more detail in the past. This both puzzles me
15 and concerns me.

16 I think what most people in this room really want
17 to hear is: When is the cleanup going to be finished? And
18 what are you going to do with the waste? When are you going to
19 truck them out of south central Pennsylvania?

20 And despite the fact that you've answered every
21 question here in a great detail of detail, and you've told us
22 over and over: We know what we're doing. We have experience.
23 It seems that tonight what I hear more and more is: The
24 cleanup process is becoming, time-wise, more open-ended. All
25 of a sudden you're telling us: Well, it may take longer now.

1 Met Ed said three years; now we think it's seven; we think it
2 may even be longer.

3 If you want to settle this thing with the public,
4 if you want to somehow win the public over, to cooperate with
5 you and to listen to you, you'd better come up with these
6 answers, fast. And if you tell me you don't know, you
7 shouldn't be sitting up there. You should be sitting down
8 here and somebody with the answers should be sitting up there.

9 (Applause.)

10 MR. SYLVESTER: That is my statement.

11 MR. COLLINS: When you say "tell you when the
12 cleanup is going to be completed," the NRC, as long as I can
13 remember, has said it was going to take five to seven years.
14 The Environmental Impact Statement says "five to seven years."

15 MR. SYLVESTER: Tonight you're saying something
16 different.

17 MR. COLLINS: No, I did not.

18 MR. SYLVESTER: You're saying there's not enough
19 money, possibly, and it may take longer and the schedule may
20 be pushed back.

21 MR. COLLINS: Well, certainly, because of recent
22 cutbacks at Metropolitan Edison, you can't proceed at the same
23 level of cleanup if you don't have funding --

24 MR. SYLVESTER: I'm not after -- I'm not after
25 excuses.

1 MR. COLLINS: I'm not giving you any excuses --

2 MAYOR MORRIS: Sir, I think the gentleman has
3 answered your question.

4 MR. COLLINS: I'm giving you a statement of fact.

5 MR. SYLVESTER: Okay.

6 Now my question is: I have read in the newspapers
7 that Met Ed is asking for money, or is about to ask for money,
8 or is looking around for money from the Federal Government to
9 help with the cleanup. Part of their rationale is that the
10 regulatory process didn't protect them from this accident.

11 Could you, in your position working for the NRC,
12 comment on this? Did the NRC do a good job? Was there any
13 malfeasance? Is there any sort of, in your mind, liability
14 that the NRC has from this accident and thereby committing the
15 public Treasury to clean this up?

16 MR. COLLINS: Well, I'm aware that the Metropolitan
17 Edison has spoken with the Pennsylvania delegation in this area,
18 and it has looked at the possibility of federal legislation to
19 secure funds. At the current time, I am not aware of any
20 action in Congress right now to propose legislation.

21 If you're saying: Is the NRC liable? I can't see
22 how we are liable, and there are no funds that are available
23 from the NRC for the cleanup. We operate under an appropri-
24 from Congress and carry forth the regulatory program on a
25 yearly basis.

1 MR. SYLVESTER: I would like to ask one more question
2 on financing.

3 I understand that Met Ed has brought a lawsuit
4 against Babcock and Wilcox.

5 MR. COLLINS: That is correct.

6 MR. SYLVESTER: In terms of figuring out who is
7 going to pay for what, has the possible settlement from that
8 lawsuit been figured into any of the --

9 MR. COLLINS: I must be very honest with you. I
10 don't know where that lawsuit stands. I know that they have
11 sued B&W, but I don't have any idea where that lawsuit stands.

12 MR. SYLVESTER: Have you heard anything in terms
13 of maybe that money could be tapped or used --

14 MR. COLLINS: No, I haven't heard anything to that
15 order; nothing.

16 MR. SYLVESTER: Thank you.

17 (Applause.)

18 MAYOR MORRIS: Yes, sir?

19 STATEMENT OF KENNETH MAY

20 MR. MAY: I am Kenneth May. I live in Owings Mills,
21 Maryland. One of the thing that was striking to me, as a
22 lawyer, about this PEIS was that there were no cost figures,
23 financial figures as to the cost of the various alternatives,
24 which I thought would have been in the PEIS.

25 On September 18th in a meeting in York, you,

1 Mr. Collins, said that the only criteria is something along
2 the line of "as low as reasonably achievable," and the costs of
3 the various methods would not be a consideration.

4 Now on September 30th at a meeting in Annapolis,
5 the same question was asked of Dr. Bernard Snyder, and he said
6 that cost would be a "secondary consideration," which seems to
7 be different.

8 I was wondering if the two of you have discussed
9 which one of you is right?

10 MR. COLLINS: No, I don't think there is a difference
11 of opinion at all. I think that what I said in York at the
12 meeting was that the costs were not included in the document
13 because all of the costs were not available at the time, and
14 that the final document as required by NEPA would contain the
15 costs.

16 I also added that cost is not an overriding consid-
17 eration in the decision-making process. I have said that
18 repeatedly. And that is not in conflict with what Dr. Snyder
19 said. He said, it's a secondary consideration. And I think
20 those are two consistent statements.

21 MR. MAY: I guess one of misinterpreted somewhere
22 along the line.

23 MR. COLLINS: Well, I know I have always said that
24 the reason those costs were not in there is because they were
25 not all available at the time the document was published. They

1 will be in the final document.

2 STATEMENT OF MARCIA WEISS

3 MS. WEISS: My name is Marcia Weiss. My address is
4 401 Eden Road, Lancaster.

5 First of all, I would like to know if I will receive
6 a copy of the transcript, because I have given you my address?
7 Am I giving you my address so I can get a copy of the transcript?

8 MR. COLLINS: No. You are giving your address to
9 identify yourself. If you want a copy of the transcript, they
10 will be available through my Middletown Office.

11 MAYOR MORRIS: You will have to make a specific
12 request. It will be available in about a week.

13 MS. WEISS: First of all, I would like to say that
14 I am an educator and not a scientist, so I really cannot get
15 into the technical aspects of your survey. But I am deeply
16 involved in this issue because, at the time of the accident I
17 was pregnant, and I was to be in the area of the -- the area
18 that was to be under Phase I. It has deeply affected my life,
19 but I have decided to not be upset by it and to do things about
20 it.

21 One of the concerns that I have -- or a comment, is
22 that, if you would, to talk to the local water companies and
23 find out what their sales were before the accident, and what
24 their sales were after the accident. I think you would be
25 quite surprised.

1 I know many people through employment and through my
2 church activities, and I think that most people switched over,
3 or a lot of people have switched over to the Diamond Springs
4 Water. Now if a survey went out to those people, I think that
5 an underlying reason would be fear of the drinking water. We
6 can't get away from it. Our children brush their teeth in it,
7 and they take their baths, and we wash our clothes in it. I
8 know you have good scientific reasons as to why we are safe,
9 but there are a lot of people that are still afraid; and there
10 are people that just cannot forget it.

11 We don't have a packed house tonight, but there are
12 people here who care and people who read the papers. And
13 there are many more people that care about it than I think
14 you people realize, and that is one way of showing it.

15 (Applause.)

16 Now one of my questions is: In your statements
17 concerning the low-level dose rate, the rems that a person can
18 receive per year, that safe average, are people included in
19 the statistic?

20 MR. COLLINS: Yes, they are, ma'am.

21 MS. WEISS: Are the infants also included?

22 MR. COLLINS: Yes, they are, ma'am.

23 MS. WEISS: What about the fetuses?

24 MR. COLLINS: Yes, they are, ma'am.

25 MS. WEISS: And that's all taken into the average,

1 though?

2 MR. COLLINS: Well, I'm going to have to call on
3 Dr. Congel to explain, because it's not -- when you say
4 "average," to lump them all together?

5 MS. WEISS: I would like to say, when you say the
6 dosage rates we get are safe, I want to know that my 15-month-
7 old baby is as safe as my five-year-old, as I am.

8 MR. COLLINS: Dr. Congel?

9 DR. CONGEL: I can say unequivocally that the doses
10 that we are talking about, like the 1.6 millirem risk factors
11 definitely include all of the people that you have mentioned;
12 yes, they have.

13 MS. WEISS: If it's an "average," you're talking
14 about both ends. Children are at the low end of the average.
15 They are more susceptible. My baby was ten times more suscep-
16 tible that day of TMI than my five-year-old was, than I was.
17 And you just can't listen to the statistics like that. It
18 should be as safe for a child as it is for an adult, and I
19 don't think they are. But I'm not a scientist, and I can't
20 get into an argument about it.

21 Now I do have another comment --

22 MR. COLLINS: Excuse me. Sir, could you speak to
23 that?

24 DR. CONGEL: The risk per unit millirem received is
25 age-dependent.

1 MR. COLLINS: Frank, would you talk into the
2 microphone?

3 DR. CONGEL: The risk permillirem received by any
4 individual is age-dependent. What I thought you were getting
5 at when we talked about the risk of 2.2 chances in 10 million,
6 it includes all of the individuals that you were referring to.
7 That is what I was talking about when I was up here the last
8 time. But indeed, the risk for a child -- the millirem-dose
9 to a child does result in a higher risk than it does for an
10 adult. I'm sorry if I misinterpreted what you were asking
11 before.

12 MS. WEISS: What is it, the higher risk?

13 DR. CONGEL: The risks run, I believe for the one-
14 year age group is about four to five times what it is for an
15 adult of total-body exposure per millirem received.

16 MS. WEISS: What about the fetus?

17 DR. CONGEL: The fetus -- it depends on the stage of
18 the development, but the numbers that I have seen are something
19 on the order of 10 to 20 times.

20 VOICE: I heard it was in the thousands.

21 DR. CONGEL: Well, I've seen all sorts of numbers.
22 This lady in front of me said she saw "a thousand times."

23 VOICE: (Inaudible.)

24 DR. CONGEL: I'm sure that they were.

25 MS. WEISS: And I am very concerned about the children.

1 Many of the people in this area are conservative. We have a
2 lot of older people that are saying: Well, in 20 years I'll
3 be 70 and it doesn't matter. But there are a lot of parents
4 that are concerned, and the people in my age group think about
5 that for their children, and it is an underlying concern
6 constantly.

7 Now since there is no hard data on the results of
8 low-level dosages, which you've said tonight -- and I believe
9 Frank had said this earlier -- I resent the fact that our
10 children are being used as guinea pigs to provide these results
11 in the future, and I feel that is what is happening.

12 (Applause.)

13 STATEMENT OF JOYCE NETKE

14 MS. NETKE: My name is Joyce Netke. I used to live
15 in Lancaster, but I moved away from this area since the acci-
16 dent. Fortunately I am in town tonight so I could come to this
17 meeting and hear what you have to say.

18 MR. COLLINS: Ma'am, could you tell us where you're
19 from?

20 MS. NETKE: I live in Boston now. Unfortunately,
21 though, since I've been out of town I haven't been able to read
22 the PEIS, but I did get to read your slides and to hear you.
23 I just want to make a couple of brief comments, and then ask
24 a couple of questions.

25 The first comment is that one experiences a

1 considerable amount of psychological stress just sitting here
2 and listening to what you say, and reading your slides.

3 (Applause.)

4 MS. NETKE: I don't know if anybody from Met Ed is
5 here, but I would just like to make a brief comment for the
6 benefit of anyone from Met Ed that might be here. It is real
7 quick, if you will tolerate it.

8 I saw the newspaper coverage of the "manned entry"
9 a couple of weeks ago, of the people who tried to get that door
10 open and couldn't get it open. I just wanted to tell Met Ed's
11 PR people that the billing of the whole thing as a "manned
12 entry" by a couple of astronauts, whatever, didn't reassure me
13 that anything patriotic or heroic was going on. It sort of
14 reassured me that a bunch of clowns were still up there in
15 charge.

16 My first question is: If I would happen to be
17 driving down Route 81 one day and get behind a truck with some
18 of that waste in it, would I be able to tell? And if so, how?

19 MR. COLLINS: Yes, you would be able to tell. All
20 trucks carrying radioactive materials must be placquered with
21 a radiation symbol on it, on all three sides, the back and the
22 two sides of the truck. You would be able to tell it.

23 MS. NETKE: Do some other vehicles, for security,
24 drive before and behind?

25 MR. COLLINS: Not on all shipments leaving TMI, no.

1 MS. NETKE: Why?

2 MR. COLLINS: Because they're not required to be
3 escorted. In various states along the way, there are shipments
4 the state police do escort.

5 MS. NETKE: Do they escort them in Pennsylvania?

6 MR. COLLINS: In the beginning the shipments were
7 escorted, but that practice was stopped.

8 MS. NETKE: Why?

9 MR. COLLINS: I think you would have to ask the
10 Commonwealth of Pennsylvania that.

11 MS. NETKE: Does the NRC view that as safe?

12 MR. COLLINS: We don't require that they be escorted.
13 We consider those --

14 MS. NETKE: Is that because you think it's safe not
15 to escort them?

16 MR. COLLINS: That's correct, ma'am.

17 MS. NETKE: Why do you think it's safe not to
18 escort them? Might there be an accident?

19 MR. COLLINS: I think, yes, and we have analyzed it
20 and there is an environmental impact statement which has
21 addressed the transportation hazards, and we believe that the
22 hazards that have been analyzed and the shipping containers that
23 are being used at Met Ed, that there's a very low risk of
24 radiation exposure as a result of an accident.

25 MS. NETKE: Can you clarify what you mean by a "very

1 low risk"?

2 MR. COLLINS: I would say that if we're shipping out
3 one of our resin-liner casks, which is encased in what we refer
4 to as a "Type B Overpack," which is a container that must be
5 licensed by the NRC, and it must take a 30-foot drop test on
6 its edge, and it is subjected to a high-intense fire, and must
7 withstand those conditions. That's the type of -- If you did
8 have an accident, that probably the vehicle that hit the
9 tractor trailer would be severely damaged, and the container
10 would still be intact.

11 MS. NETKE: But you said that some states do
12 require escorts?

13 MR. COLLINS: Yes, in various states along the way
14 there are states that do require it.

15 MS. NETKE: Do you think that shows, then, that
16 there is some area of disagreement as to whether --

17 MR. COLLINS: No, I think that in those states it
18 is just the --

19 MS. NETKE: You think they're just --

20 MR. COLLINS: -- the political environment would
21 require an escort through the state. That's a decision that is
22 made by the governor and his advisors.

23 MAYOR MORRIS: Ma'am, I think he has answered you
24 from the NRC's standpoint. I don't know if the DER --

25 MS. NETKE: I was just wondering if --

1 MAYOR MORRIS: -- person would like to speak on
2 behalf of the Commonwealth of Pennsylvania or not?

3 MR. GERUSKY: We do not feel it is necessary to
4 escort the shipments at the present time.

5 MS. NETKE: Even given the political environment
6 here?

7 MR. GERUSKY: Well --

8 MS. NETKE: I just have another question. It's a
9 little bit on the lighter side.

10 Who came up with the word "milestone"? And what is
11 that supposed to mean compared to (inaudible).

12 MR. COLLINS: Well, a "milestone" is a term that is
13 used in all PERC diagrams. It refers to those occurrences, or
14 those events that have to occur, and they're referred to as
15 "milestones."

16 MS. NETKE: Well, they are "milestones," indeed,
17 but maybe not the way you mean them.

18 I had another question --

19 MAYOR MORRIS: Ma'am, would you make it more on the
20 more serious side, so that those people --

21 MS. NETKE: Yes, this one's on the more serious side.

22 MAYOR MORRIS: -- people here waiting to get up and
23 ask maybe serious questions --

24 MS. NETKE: Well, we've listened to a lot, and I'll
25 only take a minute.

1 If the Court does not see fit to order the PUC to
2 require the rate-payers to pay for cleanup over and above what
3 insurance would pay for, what do you see as a viable alterna-
4 tive for financing?

5 MR. COLLINS: That's a question that I can't address.
6 That's a question that Metropolitan Edison is going to have to
7 address. And as I say, the Court has stayed that right now
8 and Metropolitan Edison and the PUC are negotiating.

9 MS. NETKE: I know that, but surely the NRC has also
10 thought about it, and I just wondered if you had any thoughts
11 on it.

12 MR. COLLINS: We have met on this subject, and at
13 the present time we are waiting to see what action is going to
14 occur as a result of these negotiations. I cannot tell you
15 what the bottom line is; I don't know that bottom line.

16 MS. NETKE: Thanks.

17 MR. GERUSKY: Mr. Mayor, can I comment on the
18 transportation?

19 MAYOR MORRIS: Yes.

20 MR. GERUSKY: On all shipments from Three Mile
21 Island, the state is notified prior to the shipment and is
22 notified when the shipment takes place. We in turn notify the
23 State Police and the Pennsylvania Emergency Management Agency,
24 the Pennsylvania Hazardous Substances Transportation Board.

25 All State Police barracks along the route, and all

1 counties along the route are notified when the shipments --
2 what the shipment is, and when it is expected to leave
3 Middletown, and when it is expected to cross the Ohio line.
4 So there are notifications, and people are aware the shipments
5 are taking place. We don't feel there's a need, on top of
6 all that, to have somebody escort the shipment.

7 MR. COLLINS: I might also add, taking that further,
8 every state along the 2300-mile route is notified when the
9 shipment is leaving TMI, and when it is due to arrive in
10 Richland, Washington -- every state along the route.

11 MAYOR MORRIS: Yes, sir. You're next.

12 STATEMENT OF STAN KOHLEP

13 MR. KOHLER: My name is Stan Kohler. I am from
14 Cardiff, Maryland.

15 I am here tonight because I am going to be impacted
16 by this, just as I was impacted by the 20 million curies that
17 were initially released by the original accident. I come to
18 Lancaster frequently, and I used to drink the water here. I
19 drink the water in Havre de Grace, and I used to enjoy eating
20 the shell and fin fish from the Chesapeake Bay.

21 So I have some questions pertinent to Section 6.
22 These relate to some of the biological concentrations that
23 you're indicating in the report.

24 There are a couple of things I would like to make
25 clear, first. Number one is that, when you talk about 1.6 --

1 1.7 cancers in 10 million due to exposure to the 1.2 to 1.3
2 millirems, these are whole-body exposures that these are based
3 on; correct?

4 MR. COLLINS: Yes, that's correct.

5 MR. KOHLER: So this is assuming that the 1.2 to 1.3
6 millirems are exposed over the whole body. Now two of the
7 more potent radioisotopes that we're talking about, or radio-
8 nuclides, are cesium-137 and strontium-90. Both of these are
9 fairly strong bioaccumulators, and not just bioaccumulators
10 but also ecosystem concentrators -- which means that they
11 concentrate as they move up the food chain.

12 You said a number of different things in your report.
13 You said that if there was an accident, that somebody who
14 consumes a grand total of, I believe it was, 2 liters of water
15 a day and 21 kilograms of fish could get a total of 31 millirems
16 and 21 millirems respectively. Correct?

17 MR. COLLINS: That's correct.

18 MR. KOHLER: And if you total that up, if somebody
19 happens to be somebody who likes to drink a lot of water and
20 they drink 2 liters of water a day and they also eat a lot of
21 fish, that means a total of 58 millirems.

22 Does this include the overall effects of accumulation
23 and concentration in the body? In other words, does that
24 include the fact that it is going to stay there for awhile?
25 Or does it mean a one-time-only deal? That it's going to --

1 MR. COLLINS: Frank, why don't you answer that
2 question, since you're the one who got involved in the
3 evaluation.

4 DR. CONGEL: All the doses that were calculated
5 include the accumulation in the food chain in the final
6 receptor next to man -- namely, in the case you brought up of
7 fish and shell fish -- and all of the internal doses that are
8 calculated and presented in the document for human beings
9 includes what is called the "50-year dose limit effect." So
10 all of the one-time intake includes the dose that you receive
11 from that one-time intake out to a period as much as 50 years.

12 Now depending on the radionuclide involved, 50 years
13 may not be meaningful if it has a very short half-life, for
14 example, biological or radiological.

15 MR. KOHLER: Okay, but in the case of cesium-137
16 we're talking about a half-life of 30 years, and a biological
17 hazard life of 600 years --

18 DR. CONGEL: And it includes a 50-year --

19 MR. KOHLER: And if you're talking about strontium-
20 90 -- It's what?

21 DR. CONGEL: And then it includes a 50-year dose
22 commitment associated with the one-time intake.

23 MR. KOHLER: Okay, and of course we're talking about
24 approximately a 540-year biological hazard life for strontium-90
25 in the environment. And we're also talking about -- So if you

1 just take your linear relationship that you were talking about
2 earlier, that automatically boosts the potential cancer rate
3 to 40 per 10 million, I guess it was, as opposed to 1.2. Is
4 that correct? Assuming, of course, that a person has ingested
5 5.2 liters a day and 21 kilograms a year of fish?

6 DR. CONGEL: Let me make sure I follow your numbers
7 before I give any answers.

8 MR. KOHLER: Okay.

9 DR. CONGEL: We have, as the beginning relationship,
10 that the 1.6 millirem dose is equivalent to a 2.2 changes in
11 10 million of cancer induction.

12 MR. KOHLER: All right.

13 DR. CONGEL: So you're saying you're extrapolating
14 that to a dose of, what, 50 millirem?

15 MR. KOHLER: Well, yes, if you take it out to 58
16 millirem.

17 DR. CONGEL: 58 millirem? Okay. Then you've just
18 extrapolated the 2.2 out by the same factor?

19 MR. KOHLER: Yes.

20 DR. CONGEL: Yes.

21 MR. KOHLER: Okay, so it's probably up around 40 or
22 50, or something like that. And of course if you happen to be
23 a child -- a very young child -- your chances are much, much
24 greater. And if we take it a factor of 10, then it's up to
25 400, assuming that child drinks water and eats fish in the

1 approximate amounts that you've listed here.

2 DR. CONGEL: No. No, wait. Because the dose factor
3 and the risk factor are based on averages. The child doesn't
4 stay a child for 50 years. So that when you talk about the
5 risk associated with the one-time ingestion, then you have to
6 talk about the risk over the remaining lifetime of the child.

7 MR. KOHLER: Okay, but one point we definitely agree
8 on is that a child is much more seriously impacted by this --

9 DR. CONGEL: I told you that the recollection of --
10 I know the number for comparing the adult risk to a child risk,
11 and if you're talking "child" in the one- to five-year group,
12 you're talking about a difference of five.

13 MR. KOHLER: Okay. So my last point to make here
14 is that all of these projections are based on whole-body counts.
15 It's a well-known fact that cesium and strontium do not
16 disperse throughout the whole body; they concentrate in specific
17 areas of the body. Is that correct?

18 DR. CONGEL: That's correct. Primarily in the
19 liver.

20 MR. KOHLER: So what that means -- Pardon me?

21 DR. CONGEL: Primarily in the liver.

22 MR. KOHLER: For cesium?

23 DR. CONGEL: Yes.

24 MR. KOHLER: And also the gonads, and a lot of
25 the soft parts -- the fatty tissues, adipose tissues, et cetera.

1 DR. CONGEL: But the critical organ for cesium is
2 the liver, cesium-137.

3 MR. KOHLER: But other areas, also, because there are
4 other areas --

5 DR. CONGEL: That's why we give the whole-body dose
6 equivalent to you can include --

7 MR. KOHLER: Okay, but the fact is that as far as the
8 total kilogram weight in the body, when you're talking about
9 that, it's probably narrowed down -- it would be much closer to
10 about 5 percent, or maybe 2 percent of the whole-body weight?
11 Correct? Which means that that's --

12 DR. CONGEL: Let's go back. You're going --

13 MR. KOHLER: I'm not going to worry about exact
14 factors --

15 DR. CONGEL: Let's go back a second. I'm not
16 following you.

17 MR. KOHLER: I'm talking about the liver. Let's
18 say the total weight of the liver per body, and the total weight
19 of any adipose tissue that these things concentrate in.

20 My point is that it's concentrating at a much
21 smaller section of tissue, so therefore --

22 DR. CONGEL: Correct. And that's reflected --

23 MR. KOHLER: -- that smaller section of tissue will
24 be exposed to a much higher amount of radioactivity than the
25 whole body.

1 DR. CONGEL: No.

2 MR. KOHLER: It won't be?

3 DR. CONGEL: No. The dose already reflects that
4 count. That's what I thought you were going to get at. That
5 dose already reflects the kind of concentration you're talking
6 about. The rem is already given in terms of energy depos. on
7 per gram of tissue. And if the particular radionuclide you're
8 talking about concentrates in the liver, then it's the energy
9 dissipated in the liver.

10 MR. KOHLER: Right.

11 DR. CONGEL: All right, and that's already reflected
12 in the dose. I'm going to come back to that point.

13 MR. KOHLER: A whole-body count means "whole body,"
14 though, correct?

15 DR. CONGEL: A whole-body dose, you can either talk
16 one of two concepts. You either talk about the organ-dose --
17 and I don't think we should get into a dialogue here -- we
18 either talk an organ-dose, or the whole-body dose equivalent;
19 they're both normalized to the same mean in terms of risk.

20 What I think you're trying to do is trying to show
21 that the doses that were calculated, you can start extrapolating
22 upwards by the kinds of numbers you're talking about. I think
23 for the purposes of our discussion here -- and I would point
24 out and be happy to discuss with you, or give you the documents
25 on how we did the calculation -- that they already include both

1 the dose factors. There is no way that you're going to get
2 any other increases in the manner in which I think you're
3 questions or comments are leading. They already include the
4 fact of the 50-year dose commitment. If you want to extrapolate
5 it for a child as opposed to an adult, you can do that; but
6 you'll find, if you go 50 years, it stays at 50 years, the risk
7 is age-proportionate. A child is a child for 10 years. You've
8 got 40 years left as an adult. The risk is not going to change,
9 on the average, that much.

10 MR. KOHLER: Okay. My point here is that when you're
11 talking about things that concentrate in certain tissues, those
12 tissues are much more potentially impacted by -- not "potentially
13 impacted"; are much more impacted by those isotopes that
14 concentrate there.

15 DR. CONGEL: You're absolutely correct, and it is
16 included in the dose --

17 MR. KOHLER: So therefore, you're greatest chance
18 of getting cancer in those areas are, if it concentrates in the
19 liver, in the liver. And if it concentrates in the bone, in
20 the bone and the bone marrow.

21 DR. CONGEL: Correct.

22 MR. KOHLER: Okay. And --

23 DR. CONGEL: And that is reflected in the risks I
24 was talking about.

25 MR. KOHLER: I would have to go over that, because it

1 just seems to me that, from the way I read it here, it doesn't
2 necessarily state that.

3 Initially, also, in here it does not -- I did not
4 see anywhere in here where it does talk about ecosystem accumula-
5 tion. I did not also see any estimate in here as to what
6 happens to people who consume fin fish or shell fish from the
7 Chesapeake Bay over a long period of time when you have these
8 things accumulating in the system. I didn't see any direct
9 reference to that in here. The only thing I saw was in the
10 conclusion where it talked about a potential accident and
11 somebody consuming fish.

12 DR. CONGEL: Okay. There are two points that I want
13 to make:

14 Biological accumulation is discussed in the immediate
15 site environments. "Biological accumulation" reflects reaching
16 equilibrium. That is, the fish grows to its whole life cycle
17 in that concentration is what is reflected in the doses that
18 would calculate for those circumstances. It is just like the
19 1.6 millirem dose that John referred to at the beginning of his
20 talk, that was the maximum individual dose. That was for the
21 point offsite that we anticipate the poorest dispersion, and
22 therefore the highest dose. All other doses that could
23 possibly be received by anybody else would be less than that.

24 As we start talking about doses associated with
25 consuming fish or shell fish in the Chesapeake Bay Region, they

1 are going to be much smaller fractions of the doses that we've
2 presented near the site. But bioaccumulation was addressed.

3 MR. KOHLER: Okay. I saw bioaccumulation for
4 organism, but I didn't see it addressed as an ecosystem; but we
5 can talk about that another time.

6 DR. CONGEL: Well, and maybe we should clarify it in
7 the final. That is a good point. But the bioaccumulation does
8 reflect an equilibrium through the food cycle.

9 MAYOR MORRIS: Could we get you two guys together
10 after this meeting?

11 VOICE: Let him talk. Let him talk.

12 MR. KOHLER: My last point is just a comment. That
13 is, just that the government standards that are relied upon
14 here are being contested in many areas. Many people do not
15 agree with them.

16 MAYOR MORRIS: Well, this gentleman said, "let him
17 talk." I have no objection to that. There are about 40 minutes
18 left. You can write -- I think you have had a good dialogue
19 here. You can write additional comments in, if you want to.
20 There will be that possibility.

21 I am just giving as many people a chance to comment
22 as possible. That's all. I am not deliberately attempting to
23 cut you off. I think you have had a pretty good chance to ask
24 your questions.

25 MR. KOHLER: Okay. My last comment, though, is that

1 the standards are being contested. In the interest of every-
2 one concerned, I would vote that the water not be released. And
3 it seems to me that solidification on-site has a very, very
4 good potential. I think that it can be done in such a way that
5 workers are not exposed, and I think that having it there on-
6 site -- and I'm talking about fairly low concentrations, as you
7 indicate they are here -- in cement are going to stay there
8 for a long time. And if they build a wall around it, so much
9 the better

10 Thank you.

11 (Applause.)

12 MAYOR MORRIS: Yes, sir.

13 STATEMENT OF JIM BRESFLOWER

14 MR. BRESFLOWER: My name is Jim Bresflower, and I
15 live in the Willows Creek Pike in Lancaster. I work in
16 Harrisburg, and I take a train right past TMI ten times a week,
17 and I'm scared.

18 You, Mr. Collins, are a part of the same government
19 that marches soldiers out to watch nuclear tests, and then 30
20 years later denies liability when they contact cancer. Anything
21 you don't know about TMI, such as the disposal of high-activity
22 waste, you now cavalierly dismiss as "unimportant."

23 Politician, I believe your only possible alterna-
24 tive at this point is to assure us that everything concerning
25 TMI is safe. I don't believe a word you say.

1 (Applause.)

2 MR. BRESFLOWER: Until you involve the Union of
3 Concerned Scientists, and other independent, nongovernmental
4 and nonindustry groups in the decision-making process, that
5 will continue to be my attitude.

6 (Applause.)

7 MR. BRESFLOWER: My question to you is: Do you have
8 any plans to do so?

9 MR. COLLINS: Do I have any plans to do what?

10 MR. BRESFLOWER: To involve the Union of Concerned
11 Scientists and other independent, nongovernmental and
12 nonindustry groups in the decision-making process?

13 MR. COLLINS: As part of the decision-making process,
14 this document is being reviewed by a lot of independent bodies
15 other than federal agencies, and certainly I would expect to
16 have comments received from the Union of Concerned Scientists.

17 MR. BRESFLOWER: I have submitted comments on
18 different regulations and had them universally ignored. Why
19 should this be any different?

20 MR. COLLINS: Well, I can't answer your question
21 without a specific reference to where it was being ignored.
22 I can't comment on that. You say that you have commented on
23 standards and they were ignored?

24 MR. BRESFLOWER: I'm not saying specifically regarding
25 this issue. I'm talking about governmental regulations that

1 I've commented on, and they've been ignored in final regulations.

2 But my question to you is: Why should we believe
3 this is any different?

4 MR. COLLINS: I guess with that kind of a track
5 record, I guess there isn't any reason why you should believe
6 me. All I can say is that it is the interest of the NRC to
7 solicit your comments. If your comments had been ignored in
8 the past, that doesn't necessarily mean that it follows that
9 they're going to be ignored in this review.

10 And without your specific reference to where your
11 comments were being ignored so that I may follow up on it, I
12 can't really address that.

13 MR. BRESFLOWER: But the extent that you are going
14 to involve other independent groups is solely through the
15 comment process --

16 MR. COLLINS: That is correct.

17 MR. BRESFLOWER: -- and they're not going to have
18 input in the actual decision.

19 MR. COLLINS: That's correct. Under the comment
20 period, numerous groups are reviewing the document, and we
21 would certainly expect to receive comments from them, including
22 such groups as the Union of Concerned Scientists.

23 MR. BRESFLOWER: But you are making the ultimate
24 decision; they will not be involved in that?

25 MR. COLLINS: The ultimate decision will be made by

1 the Nuclear Regulatory Commission.

2 MAYOR MORRIS: Yes, ma'am?

3 STATEMENT OF LUCILLE WRIGHT

4 MS. WRIGHT: My name is Lucille Wright. I live in --

5 THE REPORTER: What was your name?

6 MR. COLLINS: Would you speak into the microphone,
7 please?

8 MS. WRIGHT: Lucille Wright, and I live in Landis-
9 ville.

10 I am concerned about several things, and I think
11 that I may be suggesting something that might help the concerns
12 of different groups who have expressed themselves.

13 First of all I would like to say that I really do
14 feel as though the Nuclear Regulatory Commission has a pretty
15 big job. So I think it is healthy that the opinions and views
16 of people who have expertise -- local people -- should be
17 expressed. But I also feel that -- this is the first time I
18 have ever attended a meeting like this, and there are not many
19 of us here from the area. I feel as though we need to have
20 some kind of an expression. And I am wondering if there are
21 any plans or any consideration of a local referendum that
22 would include the people in the counties here that are directly
23 involved in this issue.

24 I feel as though we should have something to say,
25 a chance to say how we feel about the release of water into the

1 Susquehanna. I feel as though we ought to be able to say
2 something about how we feel about the disposal of the solid
3 waste. And I also feel as though the general public ought to
4 have some input into the reopening of Three Mile Island.

5 (Applause.)

6 MR. COLLINS: Let me address -- and I'll let Mayor
7 Morris address the questions concerning a referendum -- but let
8 me address the question of public participation when it comes
9 to the question of whether or not TMI would reopen or not.

10 The public can participate. That is, TMI 1, as you
11 know, is in the hearing process. The hearings will begin on
12 October the 15th, and the public can participate in those public
13 hearings.

14 MS. WRIGHT: I realize that, but there too many
15 people who, you know, just don't have the opportunity, or don't
16 make the opportunity to do it in that forum. And I feel as
17 though if there were just some way of generally involving the
18 public in some type of vote, it would be helpful.

19 MAYOR MORRIS: Ma'am, quite frankly, any referendum
20 we would have locally would have absolutely no impact that I
21 would know of on what the NRC can or cannot do. They are the
22 ones that make the decisions on this, and I think -- To me, I
23 am glad to see this many people show up. I would have expected
24 this hall to be full, quite frankly, and I am somewhat
25 surprised there haven't been more people that came out to

1 express their concerns, because I've heard a lot of it. And I
2 think this is our opportunity -- at least this time -- to come
3 out and give your concerns and be heard, and write your concerns--
4 the people who didn't come to the meeting -- to write their
5 concerns about the PEIS and to go on record, and not say that
6 our comments are going to be ignored so I won't show up. Because
7 that's going to do nobody any good.

8 So, you know, I think your referendum question -- I
9 don't think there's anything we can do locally, legally, to make
10 that effective. I think the thing we can do is, if we have
11 joint concerns and problems, that we voice those concerns and
12 we be heard. And people are being heard tonight. And along
13 that vein, I would ask you to state the concerns that you have,
14 other than the ones you've already mentioned.

15 MS. WRIGHT: Well, I'm extremely concerned about the
16 solid waste, because -- Well, I don't know the answers to these
17 things, but what is the half-life of the higher activity waste
18 that is apparently on the site?

19 MR. COLLINS: Well, the higher activity waste is
20 composed principally of cesium and strontium. Basically that is
21 the -- they are the major nuclides remaining to be cleaned up --
22 cesium-134, cesium-137, strontium-89, and strontium-90. Those
23 are the principal nuclides in the waters that have to be cleaned
24 up, and in the water that was cleaned up already.

25 MS. WRIGHT: What is the half-life?

1 MR. COLLINS: The half-life for cesium-137 is 30 years;
2 strontium-89, or strontium-90 is 23 years.

3 MS. WRIGHT: Aren't there materials -- aren't
4 there things there that have half-lives much longer than that?

5 MR. COLLINS: The only other nuclides that are in
6 there in the fuel itself -- now not in the waters -- are the
7 actonides or the transuranics which are the plutoniums and the
8 uraniums, but that's in the fuel. That's sitting in the vessel.
9 That's not outside the vessel.

10 MS. WRIGHT: Would --

11 MR. COLLINS: And they do have, yes, much longer
12 half-lives to them.

13 MS. WRIGHT: Would the NRC consider the result of a
14 referendum? I mean, I know we can't say that this is the way
15 it is going to be, but would there be any value to you in having
16 a definite vote from the people of the area?

17 MR. COLLINS: Are you speaking to the Mayor, or to
18 me?

19 MS. WRIGHT: I'm speaking to you, yes.

20 MR. COLLINS: Well, I think that certainly if the
21 City of Lancaster had a referendum, the results of that referen-
22 dum would certainly be considered by the NRC Commissioners.
23 Now what final impact it would have, I can't really address;
24 but I certainly would think that if the City of Lancaster passed
25 a referendum, that would certainly greatly influence the decision

1 that the Commission would make.

2 MS. WRIGHT: Well --

3 MR. COLLINS: It would be just like the Governor of
4 the State saying something. Certainly the Commission would
5 consider his comments and try to reconcile, if there was a
6 difference. We don't ignore the Governor, and I doubt very
7 seriously that our Commissioners would completely ignore the
8 people in the City of Lancaster if a referendum were to be had.

9 MS. WRIGHT: Well, I'm thinking of a much larger
10 area as far as a referendum, because I feel as though, you know,
11 York, Lancaster --

12 MR. COLLINS: Sure.

13 MS. WRIGHT: -- Cumberland, some of these counties
14 that are involved. And I just feel as though the state legisla-
15 tors should be able to handle something like this, perhaps in
16 the limited area -- they put out mailing lists for everything
17 imaginable. And I feel as though we should be able to -- the
18 average householder should be able to have a direct input.

19 (Applause.)

20 MAYOR MORRIS: Yes, sir?

21 STATEMENT OF RICHARD DRENNE.

22 MR. DRENNEN: My name is Richard Drennen, and I
23 live at 21 Springhouse Road in Lancaster.

24 My first question is: Who is this fellow taking
25 my picture, and everybody's picture here?

1 MR. COLLINS: He's not mine, so I can't tell you.

2 MR. DRENNEN: Well, I would like to know who he is,
3 and why he is taking our picture.

4 MR. SACHS: My name is Ed Sachs, from the Lancaster
5 New Era.

6 VOICE: What?

7 MAYOR MORRIS: His name is Ed Sachs, and he's from
8 the newspaper.

9 VOICES: What newspaper?

10 MAYOR MORRIS: The Lancaster New Era.

11 MR. DRENNEN: Okay, I have just a short comment.

12 It was interesting, the fellow that was before me, what he
13 had said about the atomic bomb and what happened earlier years
14 ago.

15 I was a nuclear weapons assembler in the Army,
16 MOS 436.1. I was stationed at Sandia Base in Albuquerque. I
17 know what radiation does to people. I've seen films that have
18 never been shown to the public. I know how people turn very
19 ugly because of it. I have seen it. These films are top secret.
20 They will never be shown to anybody.

21 What I am worried about, more than this low-level
22 radiation and so forth, God has a way of doing things with the
23 earth. You can have earthquakes, typhoons, floods bigger than
24 you have ever seen or I have ever seen. What happens to my
25 home? What happens to all our homes when this place is under

1 water, when the rock splits because of earth problems and this
2 radiation goes down this river? Can you guarantee me that in
3 my lifetime I can come back to my home and drink my water because
4 you have permitted something like that to be this close to this
5 many people in a waterflow area?

6 MR. COLLINS: Well, certainly I cannot give you any
7 guarantee. I think that would be foolish of me to even say
8 that I could guarantee you anything. But I do believe that the
9 measures that we have put in place to contain radioactive material,
10 and the design of the plants are such that I do believe the
11 safety -- the health and the safety of the public can be and are
12 being protected.

13 More than that, I think that the NRC has never said
14 to you, or the public, or anybody else that we would never have
15 accidents. Accidents will occur.

16 MR. DRENNEN: Well, why did you even permit the
17 place to be put there if there's a chance that the entire popula-
18 tion would never survive again in this area if the accident was
19 that bad? Because I have seen accidents that the Atomic Energy
20 Commission could not control. Human beings could not control
21 those accidents.

22 MR. COLLINS: Oh, no, no, no. I think you're talking
23 about two entirely different types of accidents. You're talking
24 about the deliberate bomb tests, the above-ground bomb tests,
25 and that certainly should not be compared to the operation of a

1 nuclear power plant. No way.

2 MR. DRENNEN: It's still radioactive material --

3 MR. COLLINS: It's radioactive material, but --

4 MR. DRENNEN: -- that will affect our bodies. Is
5 that correct?

6 MR. COLLINS: Certainly, if you want to relate it
7 to the atomic bomb tests, but you're talking an atomic bomb
8 test. Here you've got a controlled nuclear reaction inside
9 a vessel --

10 (Boos and jeers.)

11 MR. COLLINS: -- and I think it's a much different
12 situation than trying to correlate it to the above-ground, or
13 even the underground tests.

14 MR. DRENNEN: Like the fellow before me, I do not
15 believe you.

16 MR. COLLINS: Fine.

17 (Applause.)

18 MAYOR MORRIS: Yes, ma'am.

19 STATEMENT OF SYLVIA BUYAN

20 MS. BUYAN: My name is Sylvia Buyan, and I live in
21 Marietta, Pennsylvania.

22 From the way I understand your Environmental Impact
23 Statement, these environmental impacts would occur over a period
24 of what you now estimate to be five to seven years. However,
25 you mentioned tonight that this may have to be extended out.

1 MR. COLLINS: Yes.

2 MS. BUYAN: Now r/ question is, because you have no
3 control over how quickly this will be done because it's a
4 question of money, time, and all this other kind of thing, that
5 there is a possibility that this could go on for 10 or 15 years.

6 MR. COLLINS: I hope not. I really don't think --

7 MS. BUYAN: I hope not, either. I live 12 miles away.
8 However, if this were to drag on for whatever reason, how would
9 this change the Environmental Impact Statement? Would you then
10 have to do another survey? Would it change these statistics?
11 Because I understand the plant is, I don't know, decomposing,
12 or it has a life --

13 MR. COLLINS: No, it has --

14 MS. BUYAN: -- what --

15 MR. COLLINS: There is a possibility for deteriora-
16 tion of equipment. I think that's what you were trying to say?

17 MS. BUYAN: Right. How would this change your
18 environmental impact?

19 MR. COLLINS: I don't think that at the present time,
20 until we know for sure what the outcome is going to be of the
21 recent actions, that we can really predict how much longer it's
22 going to project the cleanup operations. But even if it did
23 project it -- or even if it did slide it out a couple of years,
24 I doubt very seriously that it would have any serious impact,
25 environmental impact, associated with that. I don't believe that

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 the dose that we've calculated would change very much. The
 2 same cleanup operations would have to be performed, but over a
 3 different period of time. So that instead of receiving 1.6
 4 millirems on the 5 to 7 years; it may be received over 7 to 9
 5 years. And certainly I would hope it would not be extended out
 6 10 or 15 years as you've indicated.

7 I think it is necessary for the plant to be cleaned
 8 up, and cleaned up as safely and as quickly as possible. Because
 9 as long as the plant sits there without being cleaned up, there
 10 is always a potential -- as we've indicated -- for human or
 11 mechanical failure. And it is essential that the plant be
 12 maintained, and the maintenance must go on to maintain it in a
 13 safe condition.

14 But surely if the plant were all cleaned up and the
 15 piping removed, and the fluid and the liquid was all cleaned up,
 16 and the fuel removed, you have removed that potential accident.

17 MS. BUYAN: That's what I would like for you to make
 18 known. I, for myself personally, would like to see this plant
 19 cleaned up as fast as possible in the most safe manner, because
 20 I feel very nervous with it sitting there. I understand you
 21 have a very difficult position to be in, and you have very
 22 difficult decisions to make, and I would just like to say that
 23 someone has to make these decisions -- and I'm glad it's not
 24 me -- but I do appreciate the time and care you've put into
 25 that. I just hope that there are no horrible things coming up

1 the road for any of us.

2 Thank you very much.

3 MR. COLLINS: And certainly it is the major objective
4 of the NRC to clean it up as quickly and as safely as possible.

5 MAYOR MORRIS: Yes, sir?

6 STATEMENT OF BYRON CORE

7 MR. CORE: My name is Byron Core from Millersville.
8 This comment and question is directed to Frank Congel.

9 A few moments ago you referred to calculated risks
10 on the base of linear interpolation. I read in the EIS,
11 Section 10.1, "The processed water would be diluted and then
12 discharged to the river at controlled rates. Such concentra-
13 tion of radionuclides in the river would be well below the
14 threshold level for deleterious effects in aquatic species of
15 humans."

16 Now this suggests to me that there is some sort of
17 threshold level that is also being considered. Would you
18 comment on this, please? Also, what is that threshold level, if
19 there is one?

20 DR. CONGEL: I'm familiar with what you've quoted,
21 and whether it came across as it should or not, the doses that
22 would result to any species other than man, that goes to the
23 rest of the ecosystem, would not be affected in a deleterious
24 way. The basis for making that statement is the fact that
25 there are a number of studies -- quite a few studies that have

1 been carried out exposing populations in the natural environment
2 to higher levels of radioactivity, and they've had to go well
3 above the kinds of dose rates that we're talking about before
4 any effects were observed. So in that regard, we could say
5 with confidence that the dose rates that would result in the
6 environment to the other species -- species other than man --
7 we would not expect to see anything. We just have no evidence
8 that anything at all would happen at those levels.

9 MR. CORE: What about humans?

10 DR. CONGEL: Like I said during the number of my
11 times up here, the dose rates that we're talking about we can
12 only extrapolate in some, what we consider conservative manner
13 as to what the effects would be. We have not seen any evidence
14 of any effects.

15 I have quoted the BEIR Report of 1980 saying that
16 doses on the order of 100 millirem a year are not expected to
17 show any kinds of effects. Nevertheless, even at the dose rates
18 of 1/100ths of that, on the order of 1 millirem, we attempt to
19 quantify what the risk is.

20 MR. CORE: So there isn't any "threshold level"?

21 DR. CONGEL: Absolutely not. I thought I said that
22 at the very beginning. It was a linear, low threshold hypothesis.

23 MR. CORE: But this refers to a "threshold level."

24 DR. CONGEL: Well, maybe we should change that.

25 MR. CORE: One other thing. Would it be possible to

1 get a copy of some of your calculations on this 1.6 millirem as
2 a maximum dosage that you're talking about?

3 DR. CONGEL: I'll be happy to give them to you.

4 MAYOR MORRIS: Thank you, sir.

5 Yes, sir?

6 STATEMENT OF CARL HUIER

7 MR. HUIER: I'm Carl Huier. I'm from Bel Air,
8 Maryland.

9 I, too, am opposed to the dumping of the water into
10 the Susquehanna River, because I live right on the Bay. I'm a
11 little closer to the Bay than I am to Bel Air. I used to like
12 crabs. I don't eat crabs and shellfish from the Bay anymore.

13 I do have some questions. One of them refers back
14 to Mr. Congel, and he opened it up by what he said there.
15 The amount of radiation that's taken into the body as a child,
16 the infant at one year, no matter what level we're talking about,
17 is considerably growth-related to the child. Not that the
18 child gets older from the time of one year to fifty years, that
19 way. But if the child is there in an area where there is
20 radiation, year two, how much radiation does that child receive
21 as whole-body radiation, and how much does it retain, year three,
22 year four, year five?

23 The cumulative effects on that infant, or unborn
24 fetus, or fetus, will continue to grow as a cancer if the
25 cancer is there.

1 Now getting back to this BEIR Report, as expected
2 over a year, what period of time are we talking about in the
3 experiments or the data that was extrapolated on giving doses
4 of radiation to mice at 100 millirems, or to hampsters or
5 guinea pigs are we considering that you extrapolate to a year?
6 Is it a day? Was it five hours? Did you observe the animal
7 through its lifetime, as we're doing with human beings?

8 DR. CONGEL: No. Most of the data that -- in fact,
9 I would say all of the data that were used to come up with the
10 risk estimate that we're using in this analysis came from human
11 beings. They came from the survivors of the Hiroshima and
12 Nagasaki bombings; they came from a number of other individuals
13 that were exposed, either as a result of occupational exposure --
14 for example, the uranium mining claims, as an example -- or
15 others that were exposed to radiation as a result of some
16 medical procedures that were thought at the time to be an
17 acceptable procedure, and they've been followed.

18 And of course with the Hiroshima and Nagasaki people
19 we're talking a whole spectrum of ranges, from the young infants,
20 and in fact there were fetuses that were exposed, all the way up
21 to older people. And these data continue to be gathered and
22 they are used to go back into the statistical base to determine
23 what the risk of exposure is.

24 MR. HUIER: Yes, but we do have evidence in Nagasaki
25 they just had two weeks ago, the reunion of all those people

1 who were born, and who are the descendants, and who do have
2 genetic defects that they're passing on hereditarily. not just
3 by being exposed, but by their parents or grandparents being
4 exposed to the radiation effects of Nagasaki and Hiroshima.

5 DR. CONGEL: Well, I don't know what the two-weeks-
6 ago reunion was that you're referring to --

7 MR. HUIER: It was in Japan.

8 DR. CONGEL: Well, I would assume it was there. In
9 that case, the National Academy of Science, and the BEIR Report
10 of 1980 -- and I keep coming back to that because I've heard
11 some remarks from the audience that "I heard a scientist say
12 that it was this many tens of thousands of times in effect"
13 than someone else.

14 Well, the National Academy of Sciences is made up of
15 a group of people who are chosen because of their expertise in
16 the area. They spent several years putting together this
17 report. And when it came to genetic effects, they were not able
18 to discern any evidence of genetic effects associated with the
19 data base that they had to go from at the Hiroshima and Nagasaki
20 exposures.

21 Nevertheless, the data that was finally used to show,
22 or indicate -- because they felt that there probably is
23 evidence of genetic effects, was the result of Dr. Ellis Stewart's
24 tests with leukemia induction as a function of in utero exposure
25 of mothers to X-rays. That was the only evidence that they had.

1 Now they feel -- They have qualified their data and
2 said that they haven't got a very good handle on it, but they
3 feel that, if nothing else, they are conservative. They are
4 probably overestimating the real effect.

5 MR. HUIER: But we do know of effects in plants.
6 Take the spider, for instance. Is a plant less or more suscep-
7 tible than human beings or animals?

8 DR. CONGEL: No.

9 MR. HUIER: Let's go to something else, now. I think
10 you've addressed -- You didn't answer quite what I was thinking
11 of, the cumulative effect in the infant as the child grows --
12 But if you were standing there and received the same doses that
13 the child does -- and you said before it could be 10 to 20 times
14 greater in a one-year-old infant than it is in you -- the second
15 year you're standing there, is it still to 20 times? Or is it
16 15?

17 DR. CONGEL: Okay, just a second.

18 MR. HUIER: Because as the first --

19 DR. CONGEL: The risk is, the lifetime risk asso-
20 ciated with one year of exposure.

21 MR. HUIER: Just one year?

22 DR. CONGEL: One year.

23 MR. HUIER: We're talking about seven-plus years of
24 exposure at TMI.

25 DR. CONGEL: If you're going to do that, then you have

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20021 (202) 654 2345

JWB

1 to compound the risk. The maximum to the individual is the same
2 individual each time, and then of course you have to account for
3 the fact that that individual --

4 MR. HUIER: That's just what I'm saying. And we've
5 already received X amount of dose of radiation this last year.
6 We're going to be receiving it for the next seven years,
7 whichever way the wind blows. We may receive it in the water,
8 or the air, or the plants that we eat, but we've already been
9 exposed in the food chain.

10 The next question is: Has the NRC, or its parent
11 organization, because they license facilities and represent
12 the public interest, taken continuing surveys for cancer,
13 deformity, still-births, lower fertility surveys on the
14 populace of mammals and vegetation in the environment directly
15 surrounding nuclear facilities at any time, past, present, or
16 ongoing?

17 Can anybody answer that?

18 DR. CONGEL: I can point out that there have been no
19 studies that I'm aware of --

20 MR. HUIER: Well, then, for the record I would like
21 to say that I think the NRC or a group should start these
22 studies.

23 (Applause.)

24 DR. CONGEL: We have considered making such studies,
25 but the amount of radiation that is received or delivered to the

1 public from an operating nuclear plant is not sufficient to
2 warrant the cost associated with it. I will hear all sorts of --
3 The fact of the matter is, there are other bases, other data
4 bases to be used to try to derive the cost-effect relationship
5 that you're referring to.

6 MR. HUIER: Well, the other bases? I went to do
7 some research in this. The Cancer Society can only provide what
8 is available through radiation by the amounts of deaths they get
9 in a hospital here or there. There are no surveys done to find
10 out how many deaths over the populace in an area surrounding,
11 or abnormalities in birth, whether it be human or any other animal
12 life --

13 DR. CONGEL: Well, I would like to point out that
14 there have been studies in regions where the dose rates are
15 significantly higher because of natural background radiation
16 in an attempt to relate those --

17 MR. HUIER: But they are not continuing studies.
18 They are only --

19 DR. CONGEL: Oh, yes, they are. Yes, they are.

20 MR. HUIER: I have only known of two --

21 DR. CONGEL: Which ones?

22 MR. HUIER: Now the one that's been done up in -- is
23 it Michigan, I believe? And that was a 15-month study. Now
24 how can we relate that when the government says -- I can't
25 remember right off-hand. I don't have it with me. But --

1 DR. CONGEL: No, I'm not talking about studies like
2 that. I'm talking about studies that were done on a section of
3 India with natural background radiation --

4 MR. HUIER: I'm talking about studies in our country.

5 MAYOR MORRIS: Gentlemen, we have 12 minutes to go.
6 You can debate this for two more minutes, if you like; but I'm
7 going to give this gentleman five minutes, and the lady five
8 minutes, and that will conclude the questions.

9 DR. CONGEL: Then the only point I would like to
10 make is that there has been an attempt to relate cause and
11 effect relationships in the areas where the dose rates are
12 considerably different from an average. And I'm talking about
13 India; I'm talking about Colorado. There have been studies to
14 look at 2- 3- 400-millirem-per-year exposures compared to 100
15 and have not been able to discern any.

16 There is also a study at the Mayo Clinic in
17 Rochester that include medical-exposure histories in the
18 counties surrounding the Mayo Clinic. They have not been able
19 to discern. And we're talking hundreds of millirem, not one.

20 MR. HUIER: Well, you discern them over a period of
21 time.

22 The other thing, why does cesium or strontium have
23 to be released? Why can't it be superfiltered, or continually
24 heavily filtered to get it out of the contaminated water?

25 MR. COLLINS: I don't think anybody indicated to you

1 that we were going to release strontium. The levels that we're
2 cleaning up --

3 MR. HUIER: Well, we're talking about the threshold
4 level and strontium, Mr. Collins. That's all I've heard here
5 tonight.

6 MR. COLLINS: No, I don't think we ever quantified
7 how much strontium would be released. Certainly we're going to
8 clean up the water before it's released.

9 MR. HUIER: Then you're telling me that all the
10 strontium and all the cesium, everything but tritium will be
11 released?

12 MR. COLLINS: No, I'm not going to give you any
13 assurance that all of the strontium will be removed. As far as
14 the tritium, there is no process that will remove the tritium.

15 MR. HUIER: Okay, Mr. Mayor, if I may, one more
16 thing.

17 MAYOR MORRIS: Well, sir --

18 MR. HUIER: Well, this is for you, as well as the
19 rest of us out here --

20 MAYOR MORRIS: Well, make it brief so that these two
21 people can make their comments.

22 MR. HUIER: Well, this is so everybody can speak.
23 I would like to see a show of hands of all the people who are
24 opposed to the dumping of the water into the Susquehanna River,
25 of those here?

1 (A unanimous show of audience hands.)

2 MR. HUIER: Would you like to count those, Mr. Mayor?

3 MAYOR MORRIS: No, I would like to see who are for
4 the dumping of the water.

5 (No response.)

6 MAYOR MORRIS: Okay.

7 MR. COLLINS: Ms. Court Reporter, would you note
8 that all of the people showed their hands, please?

9 THE REPORTER: Yes, sir.

10 MR. HUIER: And note the estimate that Mr. Mayor
11 gave prior to the question, the number of people here, at least
12 that many? Thank you.

13 (Applause.)

14 STATEMENT OF BARNEY EPSTEIN

15 MR. EPSTEIN: My name is Barney Epstein from
16 Millerville.

17 MAYOR MORRIS: Sir, I do want to repeat, you do have
18 five minutes, and this lady (indicating) has five minutes.
19 Okay?

20 MR. EPSTEIN: Oh, I'm going to be very brief.

21 By your own statement, you mentioned the fact that
22 the scientific community has been searching for a burial ground
23 for years for the high-level waste. I would like to know what
24 constitutes "temporary"? Because in your statement, you mentioned
25 the fact that the waste will be left on the Island

1 "temporarily."

2 Also in conjunction with that: How long after the
3 time limit "temporary," does it become a waste ground, a
4 permanent waste ground?

5 With Met Ed's track record, and invoking Murphy's
6 Law, I would be fearful, very fearful indeed, that the waste
7 would be there a longer time than temporary.

8 MR. COLLINS: Well, first of all, let me assure you
9 that the NRC does not want to see TMI become a "long term
10 burial ground." We don't want that.

11 How long is "long"? How long is "temporary"? I
12 wish I had an answer. I wish I could say it's "one year," or
13 "two years," but I have to be honest. I don't know. The
14 answer is not available to us yet. We are investigating it.
15 We are continuing our discussions with the Department of Energy
16 as to where this higher activity waste can go and be disposed of
17 safely.

18 With regards to the fuel, the fuel, once it's
19 removed from the reactor, is put into stainless steel containers,
20 canned, and it's stored in the spent-fuel pool. Actually, it
21 could stay in that spent-fuel pool for 40, 50 years, because
22 that's what those fuel pools were designed to do. That is a
23 seismic structure, it's a steel-lined structure, it does have
24 a well-monitored system to it. But I don't know how long.

25 Certainly I would think that a final repository, or

1 a final resting place for the fuel, whether it be an independent
2 fuel storage facility, certainly would be available in less than
3 40 or 50 years. But right now, in all honesty, I can't give
4 you that. I would hate to say it's going to be two or three
5 years from now, and then you come back and say: You told me
6 two or three years ago that it was two or three years.

7 MR. EPSTEIN: I was afraid you couldn't answer that
8 one. That's what we're fearful about.

9 MR. COLLINS: No, I don't think it's "fearful" --

10 MR. EPSTEIN: It is to me, sir.

11 MR. COLLINS: Well, but I think the spent-fuel --

12 MR. EPSTEIN: Well, I'm not speaking of spent fuel,
13 primarily. I understand what you've been doing with spent fuel.
14 I'm talking about the waste materials. Not the fuel.

15 MR. COLLINS: Well, we're not talking all the waste
16 down there now.

17 MR. EPSTEIN: Well, right now you are, aren't you?
18 All but the water, perhaps?

19 MR. COLLINS: No, the waste -- the low specific
20 activity waste, which is the compacted/noncompact waste, that's
21 being shipped off the Island right now. It's going to Richland,
22 Washington.

23 What I am referring to is the higher activity waste
24 contained on the resins. All of the resins are being stored
25 there right now because the Commission has ordered Met Ed to

1 solidify all those resins before shipment, and they cannot go
2 out of there until they are solidified. There is no process
3 right now to solidify those resins. And until that methodology
4 is put in place, they cannot be shipped.

5 MR. EPSTEIN: Thank you.

6 MAYOR MORRIS: Yes, ma'am.

7 STATEMENT OF KITTY LOVINGSHANK

8 MS. LOVINGSHANK: My name is Kitty Lovingshank,
9 Lancaster City.

10 I am having a hard time with the lack of confidence
11 that I have in the people that are sitting here tonight, and
12 the people who have been represented to us throughout this
13 whole accident. The track record for the Atomic Energy
14 Commission before you, and now the Nuclear Regulatory Commission,
15 for responsibility and honesty has been very poor.

16 And I think that when we as citizens see what is
17 happening -- this is my statement, Mr. Mayor -- the uranium
18 mining workers, for instance, in New Mexico and Utah and
19 Colorado and Arizona, the government still, with all the
20 information that they kept from those men, will not take
21 responsibility for the cancer patients that are dying right now
22 in hospitals.

23 Now my question is: Sitting here tonight, I am
24 really confused about how much authority the National Regulatory
25 Commission has over the decisions that are made by Metropolitan

1 Edison. If I understood you correctly, you very early this
2 evening talked about an installation that is being put in at
3 TMI that you people do not agree with; and that it's costing
4 \$35 million, but you told them to go ahead, that it's their
5 problem.

6 And on top of the fact that the lack of Nuclear
7 Regulatory inspections of these plants is what made this
8 accident possible in the first place.

9 Now I would like some clarification about just what
10 kind of a watchdog you really are.

11 MR. COLLINS: Well, with regards to what authority
12 the Nuclear Regulatory Commission has, there is no operation
13 that can be performed by Metropolitan Edison without those
14 procedures being reviewed and approved by the NRC Staff on-site.

15 MS. LOVINGSHANK: Did I understand you to say that
16 you did not approve of it?

17 MR. COLLINS: We did not approve of the SDS system.
18 I have said that consistently.

19 MS. LOVINGSHANK: But they're installing it, aren't
20 they?

21 MR. COLLINS: That's correct, and they are installing
22 it -- and twice we have told them that they are installing that
23 at their own risk, and they are willing to assume that risk.

24 MS. LOVINGSHANK: Do you see why your authority seems
25 rather strange?

1 MR. COLLINS: No, I don't think that it's strange.
2 (Boos and jeers.)

3 MAYOR MORRIS: Ma'am, I think Mr. Collins, whether you
4 agree with him or not, he has answered that question on at least
5 two occasions.

6 MS. LOVINGSHANK: But, Mr. Mayor, can you see how very
7 shakey we feel with a Commission that can't even enforce their
8 own rules?

9 MR. COLLINS: No. There is no rule that would
10 prohibit them from not installing it.

11 MS. LOVINGSHANK: But they are under your jurisdic-
12 tion, are they not?

13 MR. COLLINS: Oh, no. We regulate them, and we
14 regulate them to assure that they meet our regulations. There
15 is no regulation that says that they cannot install a system.
16 But there is a regulation that says that they cannot operate it.

17 MS. LOVINGSHANK: I am more confused --

18 MAYOR MORRIS: I think the gentleman has been very
19 clear on that. If you don't want to accept that, so be it. But
20 he has explained that I think very concisely.

21 Yes, ma'am?

22 STATEMENT OF BETTY TOMPKINS

23 MS. TOMPKINS: My name is Betty Tompkins, from
24 Lancaster.

25 I want to make a brief statement. I did spend some

1 time in Washington this past year with some of the radiation
2 victims, two of whom have died. One was from Nagasaki, and he
3 left behind five genetically damaged children; and the other
4 was Joe, whose last name escapes me, who worked in the enrich-
5 ment plant in Paducah, Kentucky, and has his fingernails
6 growing from all other places in his body other than his fingers
7 as a result of working in radiation. I just wanted to make
8 that statement in answer to what the gentleman here had said
9 about no statistics.

10 My question then to you, Mr. Collins: On what
11 basis did you make the statement that there will be no long-
12 term psychological effects from Three Mile Island?

13 MR. COLLINS: I said that, based on the study that
14 was done by our consultants and the staff who made that
15 conclusion. I have our man here who was in charge of that,
16 and I would be happy to have him address that.

17 MS. TOMPKINS: Are you saying the study that was
18 made in Middletown, sir?

19 MR. COLLINS: No.

20 Don, why don't you address that question?

21 MR. CLEARY: In looking at psychological effects --
22 Don Cleary, from NRC.

23 In our examination of psychological effects, we
24 found that one has to differentiate between the severe types of
25 effects that have a clinical basis, and the types of effects

1 that are lower level anxieties and concerns.

2 Our findings were that the --

3 (Pause.)

4 Excuse me.

5 (Pause.)

6 MR. COLLINS: Well, didn't your study really conclude,
7 though, that the greatest amount of stress could be relieved as
8 a result of the krypton being -- as a result of a limited study
9 by our consultants that showed no long-term effect as a result
10 of the continuing operations?

11 MR. CLEARY: That's correct, in terms of severe
12 effects we found that removing the stress is --

13 MR. COLLINS: Yes.

14 MR. CLEARY: -- would reduce the level of anxieties
15 and stress. That's not to say "reduce concerns"; and that in
16 the severe levels of stress which would have long-term impacts,
17 in other words, that individuals would have great difficulty in
18 adjusting to, recovering from, would not -- that the incidence
19 would be extremely low in this.

20 MR. COLLINS: Did you have a follow-up question on
21 that?

22 MS. TOMPKINS: Yes, I did, Mr. Collins.

23 I would like you to revise your estimate at least to
24 say that it's "99 percent sure," because here is one person --
25 and I've told you before, at the time of TMI, that my grandson

1 was two weeks old. He's now a year-and-a-half old, and we will
2 have psychological concerns about him, and we will suffer stress
3 as long as I live, and until at least 20 years from now.

4 So I don't know how you can say that there will be
5 no long-term psychological stress.

6 (Applause.)

7 MAYOR MORRIS: Ladies and gentlemen, thank you for
8 coming.

9 I would like to thank the NRC, DER, and EPA, for
10 coming here and making this possible. I would specifically like
11 to thank Mr. Collins for spending three hours with us and, I
12 think, answering your questions to the best of his ability.

13 Thank you, Mr. Collins.

14 (Applause.)

15 (Whereupon, at 10:32 p.m., the public meeting in
16 Lancaster, Pennsylvania, was concluded.)

17 * * *

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

In the matter of: PUBLIC MEETING REGARDING NRC DRAFT PROGRAMMATIC
ENVIRONMENTAL IMPACT STATEMENT RELATING TO DECONTAMINATION OF TMI UNIT 2

Date of Proceeding: October 6, 1980

Docket Number: _____

Place of Proceeding: Lancaster, Pa.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

Jane M. Beach

Official Reporter (Typed)

Jane M. Beach

Official Reporter (Signature)

POOR ORIGINAL