

1 UNITED STATES OF AMERICA
2 MEETING OF THE

3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

4 * * *

5 STAFF STATUS REPORT RE
6 HYDROGEN CONTROL AT SEQUOYAH
7

8 Saturday, November 8, 1980

9 Washington, D. C.

10 The meeting came to order, pursuant to notice, at
11 11:10 a.m., where were present:

12 ACRS MEMBERS PRESENT:

13 M. PLESSET, Chairman
14 J. C. MARK
15 C. SISS
16 S. LAWROSKOI
17 M. BENDER
18 D. MOELLER
19 W. KERR
20 M. CARBON
21 D. WARD
22 W. MATHIS
23 J. RAY

24 DESIGNATED FEDERAL EMPLOYEE:

25 R. FRALEY, Executive Director

ALSO PRESENT:

J. M. JACOBS, Secretary

8011180003

1 MR. PLESSET: Now we are going to have a little
2 interruption in the second half of writing letters to get a
3 discussion on Sequoyah Nuclear Plant. Mr. Stahle is kind
4 enough to come down here on Saturday, and we certainly
5 appreciate it. We would like to be able to let him get back
6 to his weekend activities as soon as possible.

7 Carson, do you want to introduce the people?

8 MR. MARK: I think, as you remember, Sequoyah,
9 which has its license, was early in the business of starting
10 a test exercise on igniters for igniting hydrogen in
11 vessels, presumably in containment vessels. We had not
12 heard very much. But the first observations they had been
13 able to make, at the same time the staff was working on a
14 program in support or in parallel at Livermore. I am not
15 sure, there may or may not be some work also under the
16 staff's guidance at Sandia, either being or planned.

17 And along with all that, there is the terms of the
18 license that Sequoyah has that, by January 31st, they have
19 to have demonstrated to the staff something -- it was not
20 too clear what -- and that they have adequate safety
21 margins. And I think it is of interest to the Committee,
22 some of us on the Subcommittee in particular, just to get as
23 much of a warning as possible as to how that program is
24 going and what it is, if it is going to be available or
25 needed come January 31.

1 So to the extent that is what you can tell us, it
2 would help. Thank you very much.

3 MR. STAHLER: My name is Carl Stahle. I am the NRC
4 project manager for the Sequoyah plant. This morning I will
5 provide a brief status report of the work going on on
6 hydrogen control measures for Sequoyah.

7 I would like to start basically where we left off
8 in September. As you recall, September the 8th you did
9 provide us a letter. First and foremost, you reiterated the
10 conclusion that you had made in July that we could license
11 Sequoyah for full power license.

12 Secondly, you did mention in the September letter
13 that it would be prudent to provide additional hydrogen
14 control measures and studies ought to be continued and
15 intensively carried out.

16 You further indicated that we should demonstrate
17 -- and I shall read here, to put this in perspective: The
18 effectiveness of candidate measures should be pursued
19 effectively on a time scale that would permit their
20 application for more than a few additional reactor years of
21 operation of an ice condenser plant."

22 A week after the letter was received we met with
23 the Commissioners and they did approve the licensing of
24 Sequoyah for full power operations. However, there were
25 stipulated three licensing conditions. I regard these as a

1 mandate from the Commissioners, and therefore it set the
2 stage for the program we are embarking on.

3 Because of its importance, let me again read the
4 license conditions, and this is the basis for proceeding:

5 "First, by January 31, 1981, TVA shall do testing
6 and analysis to show to the satisfaction of the NRC staff
7 that an interim hydrogen control system will provide with
8 reasonable assurance protection against breach of
9 containment in the event that a substantial quantity of
10 hydrogen is generated."

11 The second condition: "For operation of the
12 facility beyond January 31, 1982, the Commission must
13 confirm that an adequate hydrogen control system for the
14 plant is installed, and it will perform its intended
15 functioning in a manner that provides adequate safety
16 margins."

17 The third, more administrative in nature, but:
18 "During the period of operation, TVA shall continue a
19 research program on hydrogen control measures and the
20 effects of hydrogen burns on safety functions, and shall
21 submit to the NRC quarterly reports on the research
22 programs."

23 That is the charter we began with when we licensed
24 Sequoyah for full power operations on September 17, 1980.
25 My purpose today is to provide you with an outline of the

1 programs that are under way for meeting our first goal.
2 Later on we will describe at subsequent meetings our
3 full-term program to meet our second license objective.

4 Secondly, today I do not intend to give you a
5 detailed discussion of the results, principally because it
6 is premature to do so. What I shall do is briefly provide a
7 scoping of the efforts that are under way. Secondly, I
8 shall provide you a schedule here of extreme importance, and
9 principally I will identify the roles of the various people,
10 organizations and people who are involved here. The idea of
11 the schedule is to make you aware of the extensive work that
12 is under way.

13 Additionally and most important today, I will make
14 the Committee aware that it should plan for its
15 participation in this effort.

16 Now, at this point I would like to state that we
17 believe, in view of the mandate we have from the
18 Commissioners and the intensive interest that has been
19 expressed in this area, we will ask for your continued
20 participation in this matter. And secondly, we will be
21 requesting a letter from you on the results of this program,
22 the first phase, which must be completed no later than
23 January 31, 1981.

24 You will see the schedule mandated again. One
25 must be completed by January 31. Utilizing that as the very

1 end date, we anticipate that we will have an SER on this
2 matter, phase one, to be completed in mid-December. We will
3 be requesting a meeting on the 1st of January, the first
4 week of January, 1981, to assist us in this matter.

5 Secondly, we anticipate to go before the
6 Commissioners again some time in the middle of January to
7 present our findings and recommendations on the use of the
8 interim distributor ignition system.

9 Now, at this point in time the system is installed
10 and operable. But the NRC has not authorized its use. And
11 its use is pending the results of this first phase of
12 efforts that is under way.

13 Now, let me take you to phase one effort here.

14 (Slide.)

15 The first listing I have here is the industry
16 programs being carried out. Phase one, called the Fenwal
17 phase one, these tests, were completed September 22. The
18 purpose of these tests is to determine if the igniter would
19 burn hydrogen in hydrogen concentrations of between 8 to 12
20 percent for various environmental conditions of pressure,
21 temperature, air flow across igniter, and humidity, and to
22 demonstrate the igniter durability.

23 The Applicant stated -- and I think we agree at
24 this point -- that the pressure, temperature, humidity and
25 air flow across the igniter have little effect on the

1 ability of the igniter to perform.

2 The first effort on phase one was encouraging, and
3 it is sufficient to proceed now to the more intensive
4 effort, which is now called phase two scheduled. As noted
5 in this chart, completion is expected on or about the 24th.
6 It is an extremely ambitious schedule.

7 Some of the material may not be fully completed,
8 as you will see as we get into the work. The way of
9 defining the tests here obviously is an extension of phase
10 one. What our intent here is in phase two is, one, to
11 establish the lowest hydrogen concentration at which the
12 igniter would initiate burning; much more detailed, of
13 course, than we have been able to accumulate in the first
14 phase; determine the igniter's ability to function in a
15 spray environment; three, confirm the multiple burns due to
16 continuous addition of hydrogen; and, fourth and most
17 important is to measure the effect of hydrogen burns on
18 representative samples of material and equipment inside of
19 containment.

20 Now, this last item mentioned is under intensive
21 investigation both by TVA and the staff, recognizing its
22 importance here to assure ourselves there are no adverse
23 effects from hydrogen burns inside of containment. And so
24 the Applicant and ourselves are going through detailed
25 analyses of lists of equipment necessary for operation of

1 the plant.

2 Materials at this point have already been inserted
3 in the chambers, looking at tables, some switch-coating
4 materials. And from this we hope to determine, if
5 necessary, what equipment may have to be hardened against
6 any hydrogen burn. Again, this matter is under review.
7 Nothing more can be said at this point in time other than to
8 recognize its importance and that we must have a reasonable
9 assurance that there are no adverse effects prior to its use
10 in January.

11 MR. MARK: Just to get a feeling here, they have a
12 tank, a fair size, I believe. It does not matter, the exact
13 size. It is not a containment, but it is an experimental
14 tank with gauges and so forth. How long does it take them
15 to get one data point?

16 Let's pretend that you have told them, we want you
17 to feed in hydrogen at some rate and store it, and run the
18 igniters and find out at what concentration it burns and how
19 much is burned, and now do that over again when you put in
20 the same amount of steam as hydrogen. How long to get the
21 first data point, then the second data point, that is going
22 to give a feeling how much they are going to know by
23 November 24th, which is exactly 11 days off?

24 Can they do this before lunch and again before tea
25 time, or does it take until Thursday when they start on

1 Monday?

2 MR. STAHLER: I will have Dr. Butler respond to
3 that. He has been intimately involved in the test program.

4 MR. BUTLER: It is my understanding they can run
5 between two and four tests a day, depending on the
6 parameters that are being changed.

7 MR. MARK: Things of the sort I mentioned, they
8 could do a couple of those a day?

9 MR. BUTLER: Yes.

10 MR. MARK: Okay. They will have a chance, then,
11 to really get quite a spectrum examined.

12 MR. STAHLER: I think they will be. We feel
13 reasonably assured there will be a substantial amount of
14 data accumulated for such an analysis, certainly by the
15 completion of this period.

16 MR. LAWROSKI: Can you refresh my memory with
17 respect to the composition that would have been included in
18 the phase one if they found postulated hydrogen, steam and
19 oxygen composition?

20 MR. BUTLER: I do not recall the particular steam
21 content that Fenwal tests were going to be conducted at.
22 But at Livermore in that vessel we were testing up to about
23 35 percent by volume steam, with hydrogen up to 12 percent
24 by volume. I expect Fenwal is on the same order.

25 MR. PLESSET: Are they going to measure pressures

1 generated?

2 MR. BUTLER: Yes, they will.

3 MR. PLESSET: And they will get into detonations?

4 MR. BUTLER: I think they plan not to
5 intentionally test for detonable mixtures.

6 MR. PLESSET: I wonder why not.

7 MR. MARK: It takes two months to get the safety
8 evaluation report experimental apparatus.

9 (Laughter.)

10 MR. PLESSET: Is that supposed to be a reason?

11 MR. MARK: Sandia is proposing to do something.
12 They are going to get a steel tank, bury it, and then do
13 some detonations in it after they are sure that everybody is
14 standing back far enough.

15 MR. PLESSET: What are they afraid of?

16 MR. MARK: Regulations.

17 (Laughter.)

18 MR. PLESSET: Okay. Go ahead, Mr. Stahle.

19 MR. STAHLE: All right. The second item, of
20 course, the halon systems and studies here are the backup to
21 the interim distributor ignition system. This work will be
22 completed by January 1, obviously a late date, but
23 nevertheless the results we anticipate having earlier than
24 that.

25 MR. MOELLER: Could you expand on that, please? I

1 do not understand what the halon system study -- what is the
2 objective or the goal? It is to put out the fire or --

3 MR. BUTLER: No. The objective is to assess the
4 feasibility of using halon as a mitigative measure where,
5 when you detect substantial amount of hydrogen and before
6 any combustion of that hydrogen, you quickly inject the
7 necessary concentration of halon to prevent any combustion.
8 It is an inerting mechanism.

9 MR. MOELLER: And the igniters would not be on at
10 this time?

11 MR. BUTLER: It would be a separate -- of course,
12 if the igniters were proven unacceptable for whatever
13 reason, then we would have to go to a backup mitigation
14 system.

15 MR. MOELLER: Thank you. That explains it.

16 MR. MARK: It is an idea in which you inert the
17 atmosphere on the spot with the thing that is more effective
18 than getting the oxygen out quicker.

19 MR. MOELLER: Okay.

20 MR. PLESSET: Do you have any idea of the lifetime
21 of the igniters? How long will they last? Will they find
22 that out?

23 MR. BUTLER: They do intend to run the igniters
24 for extended periods. But whether they can define the
25 ultimate number of hours or not, I do not know if they

1 intend to carry it that far. But I think they will have
2 information that will make them comfortable that the
3 igniters can stay on for at least a month without adverse
4 damage.

5 MR. PLESSET: Fine.

6 Steve, did you have a comment?

7 MR. LAWROSKI: On your point, if they don't have
8 the kind of data that you were asking about, then the people
9 should have some schedule of getting it or replacing the
10 igniters at some predetermined point.

11 MR. FRALEY: This is once they get turned on
12 during the accident. I don't think replacement is
13 feasible. It is a matter of how long they last once you
14 turn them on.

15 MR. LAWROSKI: They won't turn them on until --

16 MR. FRALEY: That is right, until the accident.

17 MR. PLESSET: I think the question is a little
18 broader. There might be alternate types of igniters that
19 could last indefinitely. Is that being considered in the
20 longer term?

21 MR. BUTLER: Well, the TVA and the ice condenser
22 owners group, they do have a program to study alternative
23 igniters. Also, EPRI has a contract with Rocketdyne to
24 study alternative igniters, including spark igniters.

25 MR. PLESSET: Okay. We've interrupted you too

1 many times.

2 MR. STAHLER: That's fine. The last item
3 identified is EPRI. We understand they are planning or
4 proposing these four studies. The information at this point
5 is somewhat sketchy. Its impact or use for the first phase,
6 I think we do not feel will be considered or will be
7 useful. But for the long term the program itself certainly
8 by 1982, this data may, in addition to what we are doing, be
9 useful.

10 It is an identification of what is involved in
11 industry and a recognition that this program is a very
12 intensive, broad-based type of program on the whole hydrogen
13 control measures.

14 (Slide.)

15 The second slide here is a continuation. As
16 mentioned before, the Lawrence Livermore National Lab here
17 is working on a program that is complimentary to the TVA
18 program, in that they are testing igniters like TVA and
19 planning a spectrum of tests in the varying percentage of
20 hydrogen, steam, and so forth.

21 In addition, I understand at this point their
22 objective is also to look at current hydrogen analyzers in
23 the plants.

24 The second -- third item on the chart here, the
25 Sandia study of course is self-explanatory, an overall study

1 related to the halon, interim distributor ignition system,
2 water fogging, all possibilities to hydrogen control or
3 mitigation systems.

4 The last item identified here on this chart is the
5 Zion. Indian Point studies, of course, originally began
6 back in January 1980 and continuing on. Three parts of work
7 presently under way will be of use to us in incorporating
8 into our own evaluations.

9 (Slide.)

10 I put this schedule -- this schedule has been
11 drawn up and illustrates two things I wish to point out to
12 you, namely the number of participants, of course, involved
13 in this program: TVA, Livermore, Sandia, as well as six
14 branches of NRC that will be actively involved in this
15 program.

16 The second point that this schedule shows is
17 mainly the very ambitious type schedule which we are dealing
18 with. You will recall that we do still have a mandate from
19 the Commissioners that all of this be done no later than
20 January 31, and therefore the schedule has been drawn
21 together and all of this data we hope to be completed, most
22 of it to be in by the 1st of December.

23 On the right-hand part of the schedule it shows
24 additional Fenwal, additional Lawrence Livermore work,
25 additional TVA submittals. This is in anticipation that

1 testing work will probably still be going on, particularly
2 in the area of survivability of critical components and
3 materials. We factored that in at the last moment, and we
4 will make this material available to you as well as the
5 Commissioners. We simply identified that on a schedule
6 chart to recognize the fact of, again of the work and the
7 tightness of the schedule.

8 Six branches are identified. The most important
9 branch was the fact that that is my branch. The involvement
10 here is all of this material will need to be put together
11 and form a safety evaluation report.

12 Last but not least, findings and recommendations
13 that we provide to the director and of course to the
14 Commissioners at that time.

15 MR. MATHIS: So far on the results to date, have
16 you had any surprises?

17 MR. STAHLER: The Applicant provided me some
18 information on phase two, all of which seems to be quite
19 encouraging. I could briefly go over this if you wish. But
20 to my knowledge -- and maybe I could check with Walt Butler
21 -- have there been any surprises in the program that you are
22 aware of?

23 MR. BUTLER: No.

24 MR. MATHIS: Fine.

25 MR. MOELLER: Let me ask, if I may, supposing --

1 hey are going to need a hydrogen analyzer which acts on line
2 and warns them, you have two percent hydrogen in there, or
3 some -- I'll pick a number. That doesn't mean they are
4 required. That will presumably be one of the things that
5 will have to be in place before January 31. They know they
6 have hydrogen.

7 And then they will have tested with the igniters
8 to show that, we usually ignite at whatever you like, 6
9 percent, we are absolutely sure we will ignite before 8, or
10 words to that effect.

11 Is that then going to meet the kind of
12 requirements that will have to be met in January, that kind
13 of information?

14 MR. BUTLER: I am not sure I heard the very first
15 part of your question.

16 MR. MARK: Since they don't turn on the igniters
17 until they think they are having hydrogen, they must have a
18 hydrogen analyzer, I suppose.

19 MR. LAWROSKI: I thought they might turn on the
20 igniter even before they suspect hydrogen, if there is some
21 --

22 MR. BUTLER: Their procedures call for turning on
23 the igniters as soon as they have a genuine LOCA on their
24 hands.

25 MR. MARK: Okay.

1 MR. STAHLER: It is a safety injection signal that
2 would be the basis for turning on the igniters, not
3 necessarily --

4 MR. MARK: Very good.

5 MR. STAHLER: This matter has still not been fully
6 resolved.

7 MR. MARK: It is a packet of that kind that is
8 expected to cover the needs of the current phase?

9 MR. BUTLER: I'm not -- would you repeat that,
10 please?

11 MR. MARK: They have experience that says we
12 almost always ignite at 6 percent, and we are absolutely
13 sure we ignite before 8. They have enough experimental data
14 to have established that. That was what you wanted?

15 MR. BUTLER: That is correct. We have some
16 concerns about the degree of mixing, the distributions,
17 about the effect of sprays on cooling the igniters. These
18 things we have to -- we have to determine the effects of
19 these things as part of the task. And when we satisfy our
20 concerns in that regard, we then conclude our review.

21 MR. PLESSET: I think Bill, Dade and Steve.

22 MR. KERR: What happens if you don't meet the
23 schedule?

24 MR. BUTLER: Well, it depends on which schedule.
25 You are talking about the January 31 date?

1 MR. STAHLER: I think at this point we have not
2 crossed that bridge. The mandate is -- circumstances may
3 require us to request some relief of that date, and
4 therefore we would go back to the Commission possibly for
5 the basis of why we need relief on this date. There is a
6 date targeted, a degree of arbitrariness in that, in the
7 sense we feel the plant can still operate without the
8 interim distributor ignition systems.

9 But at this point, and from Project Management's
10 point of view, we regard that as a mandate and we will meet
11 it.

12 MR. BUTLER: It depends on why we don't meet the
13 schedule. For example, if we find unacceptable results, I
14 think you have to wait until you get to that point and find
15 out why you are missing the schedule. Is it simply because
16 reports cannot be published in time? I think then the
17 consideration of relief might be appropriate.

18 MR. PLESSET: If things look very black, I think
19 there will be some motion upstairs to ask that the license
20 be suspended.

21 MR. STAHLER: There is the element of adequacy of
22 our evaluation.

23 MR. PLESSET: It seems to me it looks quite
24 hopeful right now, as I expected before the start of the
25 tests, I must say.

1 MR KERR: And it was your view that hydrogen and a
2 suitable mixture of oxygen could be ignited.

3 MR. PLESSET: Yes, that was my position, Dr. Kerr.

4 MR. STAHLER: I have seen, and the Applicant feels
5 very confident at this point, the data he has to date. He
6 is very encouraged that the igniters are reliable, will
7 work, and so everything is -- again, I emphasize, probably
8 the most difficult area is the question of survivability of
9 equipment. They are working very hard on that, because that
10 is a very difficult area, very difficult.

11 MR. PLESSET: Dade and then Steve.

12 MR. MOELLER: I note, and you have just shown us
13 on those charts, that Lawrence Livermore, Sandia, and TVA
14 are involved. What about the utility that operates D.C.
15 Cook; aren't they involved?

16 MR. STAHLER: They are part of the owners group
17 here.

18 MR. MOELLER: I see. Okay. I guess the other
19 question -- and it is just a thought to add to Mr. Kerr's --
20 and that is what would be the implications for D.C. Cook if
21 you do not meet the deadlines?

22 MR. STAHLER: I cannot address that.

23 MR. BUTLER: Let me try to respond to that. We
24 are dealing with the hydrogen issue on all the plants on a
25 case by case basis. Now, the license condition that exist

1 today is one that applies to Sequoyah only. Now again, if
2 the reason for not satisfying the license condition is
3 because we find that we are not satisfied safety-wise, then
4 that would have an impact on D.C. Cook and the other ice
5 condensers as well.

6 We have issued a 50.54(f) letter to D.C. Cook,
7 basically suggesting that they consider the license
8 conditions on Sequoyah as to applicability for D.C. Cook.
9 And we are taking steps to get the D.C. Cook people up to
10 speed with the Sequoyah people. They will be treated in
11 much the same way.

12 MR. STAHLER: I might add, they have been not
13 participants but observers at meetings, and they are
14 tracking this very closely, obviously for reasons that are
15 self-evident.

16 MR. PLESSET: Steve?

17 MR. LAWROSKI: Assuming you find that the igniters
18 are acceptable with you, will your tests on the factors that
19 influence the performers of the igniters include enough to
20 be able -- for you to be able to determine whether or not
21 the igniters have to be replaced or not, depending on
22 whether you have a core spray actuation, first without the
23 additive having been added and then, in the second instance,
24 if the additive has been added?

25 MR. BUTLER: Okay. Clearly, once you have the

1 igniters in containment and you need them, you turn them on,
2 you do not have access to them for any replacement. So that
3 if it turns out that the chemicals mixed in the containment
4 spray system would have an adverse effect on the igniters,
5 then we would have to have a resolution to that problem.

6 Now, we do have a second phase to this igniter
7 review program. We have a 1981 license condition which is
8 the interim program. We are also under way with a final
9 program for Sequoyah which has a January 31, 1982,
10 concluding date.

11 Now, we could well look into this longer-term item
12 of yours as part of that second phase.

13 MR. LAWROSKI: You see, it is quite possible that
14 the igniter may function well shortly after spray has been
15 actuated, with or without the additives, but six months
16 later, as a result of -- I want to make sure you know
17 whether or not you plan to test them, bound that. For
18 example, if you don't conduct tests for beyond six months
19 after you won't know.

20 MR. PLESSET: It is a facetious remark, but I
21 think you have made the point, Steve.

22 Okay, go ahead, Mr. Stahle.

23 MR. STAHLER: I just wanted to indicate, I know
24 there is a surveillance program associated with the
25 igniters, and therefore that would ensure continued

1 operability.

2 MR. PLESSET: He is commenting -- his comment
3 relates to your question.

4 MR. STAHL: There has been and will be in place a
5 surveillance program with respect to the igniters, and they
6 will be periodically tested to assure continued operation
7 over the period of time. So I think -- I know that is under
8 way with TVA and will be part of a surveillance program, if
9 this is what you are alluding to.

10 I think TVA is considering this. This is not to
11 say we won't be running duration type tests. So I think
12 your point is, what happens over some long period of time.
13 The answer is, they will assure, through the surveillance
14 program, they are operable and continue to do so.

15 MR. BUTLER: But basically, the igniters are not
16 planned to be used unless there is an accident. Any use of
17 the igniters will be just for test purposes prior to an
18 accident.

19 MR. PLESSET: Is that it? Let me ask one
20 different questions. There are two ice condenser plants in
21 Japan that have been operating for a while. Have they shown
22 any interest in this?

23 MR. BUTLER: We have not had any communications
24 with them.

25 MR. PLESSET: I did not think that they cared

1 about it, from my contact with them. They are not
2 interested. Okay.

3 MR. STAHLER: I promised to keep it down to this
4 period of time. I could go into the various functions and
5 responsibilities of the branches. But I think it is fair to
6 say that we now have a very involved, intensive program, and
7 with a very tight schedule, all of which culminates coming
8 to you with an SER, again hopefully to be able to sit down
9 with you the 1st of January in expectation of getting a
10 favorable letter.

11 MR. PLESSET: Okay. Well, thank you, Mr. Stahle.
12 We appreciate it.

13 (Hereupon, at 11:50 a.m., the reported portion of
14 the meeting was concluded.)

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
ACRS/247th General Meeting

in the matter of: Staff Status Report re Hydrogen Control at
Sequoyah

Date of Proceeding: November 8, 1980


Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

David S. Parker

Official Reporter (Typed)



(SIGNATURE OF REPORTER)