

**UNITED STATES  
NUCLEAR REGULATORY COMMISSION**

**\* \* \* \* \***

**MEETING ON STRATEGIC PROGRAMMATIC OVERVIEW OF THE FUEL  
FACILITIES AND THE SPENT FUEL STORAGE AND TRANSPORTATION  
BUSINESS LINES**

**\* \* \* \* \***

**WEDNESDAY,  
DECEMBER 4, 2019**

**\* \* \* \* \***

**ROCKVILLE, MARYLAND**

**\* \* \* \* \***

The Commission met in the Commissioners' Hearing Room  
at the Nuclear Regulatory Commission, One White Flint North, 11555  
Rockville Pike, at 9:00 a.m., Kristine L. Svinicki, Chairman, presiding.

**COMMISSION MEMBERS:**

**KRISTINE L. SVINICKI, Chairman**

**JEFF BARAN, Commissioner**

**DAVID A. WRIGHT, Commissioner**

ALSO PRESENT:

ANNETTE VIETTI-COOK, Secretary of the Commission

MARIAN ZOBLER, General Counsel

NRC STAFF:

JOHN W. LUBINSKI, Director, Office of Nuclear

Material Safety and Safeguards (NMSS)

ANDREA KOCK, Director, Division of Fuel Management,

NMSS

JACOB ZIMMERMAN, Chief, Fuel Facility Licensing

Branch, Division of Fuel Management, NMSS

ROBERT WILLIAMS, Chief, Projects Branch 1, Region II

CHRISTOPHER REGAN, Deputy Director, Division of Fuel

Management, NMSS

JOHN MCKIRGAN, Chief, Spent Fuel and Transportation

Licensing Branch, Division of Fuel Management,

NMSS

LINDA HOWELL, Acting Director, Division of Nuclear

Materials Safety, Region IV

1 P-R-O-C-E-E-D-I-N-G-S

2 9:03 a.m.

3 CHAIRMAN SVINICKI: Well, good morning everyone. I  
4 call the Commission's meeting today to order.

5 And we are convening in a public session this morning for  
6 the purpose of hearing about two of our business lines. This is our, all of our  
7 important activities are organized in a business line.

8 So the two that we're going to hear about today we tend to  
9 meet on the two topics at the same time because there are a number of  
10 interrelated topics that are being carried out, but the two that we'll be  
11 discussing today are the fuel facilities and the spent fuel storage and  
12 transportation business lines.

13 And for the Staff it's convenient because it tends to be some  
14 of the same individuals and supporting organizations. And then I know it's  
15 always noteworthy when people tune in or come in and they see, wait a  
16 second, it looks different on their side of the table.

17 Commissioner Caputo had an unexpected need to be  
18 absent this morning, and of course, takes a great interest in these topics. It's  
19 in no way a reflection of that, as we all do. And I'm sure that she'll review  
20 these materials subsequently, but she expresses her regret in not being here  
21 this morning.

22 And so, we will have a little bit more abbreviated questioning  
23 time. That works out well for the presenters, I think.

1                   And again, I think these topics, I always look forward to  
2 hearing presentations from these business lines because this is a lot of, kind  
3 of important backbone to other programs we do that might get a little bit higher  
4 attention and visibility.

5                   But I think that a lot of the work that we're going to discuss  
6 today are the activities that enable a lot of other things that we regulate to  
7 occur. So, I know that I always take a very strong interest.

8                   We will hear from the Staff in a series of two panels. And  
9 I believe we're taking a very short break in-between. Yes, we are.

10                  So, the first panel will be the fuel facilities business line.  
11 But before we begin, do the two colleagues present have any opening  
12 comments? Okay, hearing none, then I will begin by turning it over to Mr.  
13 Lubinski. Please proceed.

14                  MR. LUBINSKI: Good morning, Chairman and  
15 Commissioners. I'm John Lubinski, I'm the director of the Office of Nuclear  
16 Material Safety and Safeguards, or NMSS.

17                  Today's briefing will be provided in two panels, as the  
18 Chairman stated. And we will begin with the fuel facilities business line.

19                  For that panel I have at the table with me today, to my right,  
20 Andrea Kock, who is the Director of the Division of Fuel Management.

21                  To her right is Jake Zimmerman, who is the Chief of the Fuel  
22 Facilities Licensing Branch in NMSS.

23                  And to my left, I have Robert Williams, Chief of the Projects

1 Branch 1, Division of Fuel Facility Inspection in our Region II office.

2 We appreciate the opportunity to provide the Commission  
3 with an overview of both the fuel facilities and the spent fuel storage and  
4 transportation business lines. We will discuss workload drivers, building a  
5 21st century workforce and how processes are improved through innovation  
6 and transformation.

7 Both business lines are led by NMSS. Both business lines  
8 are proactively preparing for changes in the industry.

9 These preparations include ensuring that we are prepared  
10 to effectively evaluate applications for new technologies. Which include high  
11 assay low enriched uranium, or HALEU, and accident tolerate fuel, or ATF.

12 As the Chairman stated, some of these issues are  
13 backbones of other parts of our organization. ATF is definitely one of those  
14 when you consider the, before the fuel makes it to a reactor, it has to be  
15 enriched, fabricated and transported. And that all falls within these two  
16 business lines.

17 We're also evaluating applications for new facilities, such as  
18 consolidated interim storage facilities. We merged the two business lines  
19 recently into one division, the Division of Fuel Management. And that  
20 occurred on October 13th.

21 This is expected to result in efficiencies, which will support  
22 strategic workforce development by combining functions and cross training of  
23 Staff. The reorganization maintains the same number of direct technical staff

1 and did result in a reduction in supervisors as well as management support  
2 positions.

3                   Next slide, please. I will now provide an overview of the  
4 fuel facilities business line. The business line continues to be successful in  
5 regulating the countries fuel cycle facilities.

6                   The scope of the activities in the business line includes the  
7 licensing and oversight of ten fuel cycle facilities in the United States. Six of  
8 these are currently operating, three are licensed with construction pending  
9 and one facility is idle production. The location of the facilities are shown on  
10 this slide.

11                   The business line supports additional broad areas, including  
12 material control and accounting, export licensing, special nuclear material  
13 security and the implementation of international safeguards that comes from  
14 US-IEA agreements and bilateral agreements with nuclear trading partners.

15                   These activities are accomplished in close coordination with  
16 our partner offices. These include Region II and the Office of Nuclear and  
17 Incident Response, the Office of the General Counsel, Office of International  
18 Programs and the Office of Research.

19                   Next slide please. We are effectively implementing  
20 strategies to prepare for emerging technologies, including receipt of license  
21 amendments and new applications for HALEU and ATF.

22                   We have been conducting assessments of the current  
23 regulatory framework to identify and resolve any licensing challenges. We

1 are ensuring that our workforce is equipped to review the new applications for  
2 both HALEU and ATF.

3 We are engaging early with our stakeholders to prepare for  
4 anticipated applications to support these new technologies. In the spring, we  
5 anticipate Centrus submitting a license application to amend its American  
6 Centrifuge plant license for a HALEU demonstration cascade.

7 In anticipation of receiving that request, the Staff is holding  
8 pre-application meetings with Centrus and the Department of Energy. We  
9 are also meeting with X-energy to prepare for a potential application to  
10 fabricate pebble bed reactor fuel.

11 Next slide please. We are also making progress and  
12 becoming a modern risk-informed regulator. We have engaged our  
13 stakeholders to make our programs smarter and more efficient without  
14 compromising our goal of safety.

15 For example, we are building smarter licensing and  
16 inspection programs through extensive engagement with stakeholders and  
17 evaluation of where we can utilize risk insights, operational experience and  
18 agency best practices to improve our programs.

19 We continue to provide additional information to support a  
20 shared understanding of expectations on what constitutes reasonable  
21 assurance of adequate protection. We are determining the scope and focus  
22 of reviews based on safety significance of the activities.

23 Also, we are reaching conclusions by understand

1 performance at a system level, instead of an individual component level. And  
2 understanding that new technologies may be safer although they lack the  
3 operating experience.

4 We are communicating the importance of becoming a  
5 modern risk-informed regulator with all the Staff in NMSS and our partner  
6 offices through direct conversations with our executive team and through  
7 Skype side chats.

8 The graphic on this slide is one that we developed for a  
9 recent Skype side chat. I would like to turn to Andrea for her part of the  
10 presentation.

11 MS. KOCK: Thank you, John. Good morning, Chairman  
12 and Commissioners. I'll be providing you with an overview of the fuel cycle  
13 current environment, including an update from our last Commission briefing  
14 last spring.

15 During the presentation I'm going to highlight a few of our  
16 significant programmatic activities that demonstrate our focus on preparing for  
17 new technologies, making progress and becoming a modern risk informed  
18 regulator and optimizing our program so that we can find a smarter way to  
19 safety together.

20 Next slide please. We are effectively implementing  
21 strategies to prepare for new technologies by amplifying our engagement with  
22 both internal and external stakeholders. This will facilitate a common  
23 understanding of these new technologies, as well as the timelines that are



1 needed to support the proposed deployment of these new technologies.

2 For example, in late August we issued a letter to the Nuclear  
3 Energy Institute notifying them of when we need to receive applications for the  
4 use of ATF and HALEU fuels. This letter defines the schedules and the time  
5 frame of fuel enrichment, fabrication and transportation licensing actions that  
6 will be needed to support the industries plan for batch loads of ATF by 2023.

7 To support the 2023 deployment of ATF, for example, for  
8 higher enrichments, NMSS must receive an application to increase fuel  
9 enrichment by June of 2020. And in fact, we have received our first license  
10 amendment requests related to higher enrichment applications from Global  
11 Nuclear Fuel Americas and Louisiana Energy Services.

12 We received an amendment Global Nuclear Fuel Americas  
13 to increase their enrichment limit to eight percent in October. And just in  
14 November we received an amendment from the Louisiana Energy Services to  
15 increase their enrichment limit from five to five and a half percent.

16 Since the last Commission meeting, our Staff worked with  
17 NRR to issue a burn up enrichment extension to the ATF project plan that  
18 identifies our strategy to prepare the agency to review future licensing actions.

19 The draft extension to the project plan went out for public  
20 comment in August and September. We held a public meeting in early  
21 September, and then we finalized and issued the project plan in October.

22 To date, we have not identified any significant regulatory or  
23 technical challenges with regard to HALEU or ATF for fuel cycle facilities. We

1 are engaging in early training, research requests and continued dialogue with  
2 internal and external stakeholders as new information becomes available, with  
3 the goal of ensuring that our Staff are equipped with the knowledge and skills  
4 that are needed to support this workload.

5 We have evaluated our regulations to determine if review of  
6 these new technologies will require rulemaking.

7 For fuel facilities, no changes to our regulations are needed  
8 to accommodate these new technologies. We will, of course, engage the  
9 Commission if we determine that rulemaking is necessary.

10 We've also not identified any new technical issues that are  
11 vastly different from the technical issues that are associated with existing fuel  
12 facilities.

13 Externally, we're utilizing our various forms for engaging our  
14 internal and external, stakeholders.

15 Most notable we are going to have a fuel management track  
16 at the 2020 Regulatory Information Conference. Where we will have a  
17 session on licensing, storage and transportation for fuels for advanced and  
18 non-light water reactors.

19 Through these different forms and communication with  
20 industry, we're working to identify and address any challenges early. We're  
21 also actively participating in the industries ATF working group that was formed  
22 to discuss regulatory and technical initiatives that are needed to support ATF  
23 and HALEU.

1                   Next slide please. As John mentioned, we are making  
2 progress in becoming a modern risk-informed regulator. We continue to  
3 enhance and revise our licensing practices.

4                   For example, last November we issued a comprehensive  
5 update to the licensing handbook for fuel facilities that enhanced our licensing  
6 practices by providing clearer roles and responsibilities and expectations for  
7 conducting licensing reviews.

8                   We're also integrating licensing procedures for the two  
9 business lines, with the goal of adopting best practices from across the  
10 business lines and further risk informing our approaches.

11                  In April we proactively initiated efforts to further enhance  
12 licensing and inspection programs for fuel facilities. Two working groups  
13 were formed to holistically assess the programs and to make  
14 recommendations on where we can further integrate best practices and risk-  
15 informed insights.

16                  As we make progress in these areas, we've been  
17 coordinating across business lines to share any insights.

18                  Since the briefing in April, the business line has held several  
19 public meetings, which involve the wide-range of stakeholders, to discuss  
20 improvements to the licensing and oversight programs.

21                  The working group on inspection oversight is developing its  
22 final recommendations. Based on the numerous public interactions we've  
23 had, we are confident that changes can be made to risk-inform our oversight

1 process while maintaining safety.

2           During our most recent meetings, our stakeholders  
3 expressed optimizing in the progress we've made, and that we have alignment  
4 in several areas. Including identification of the areas where inspection  
5 procedures may have overlaps, the overall risk ranking of the areas that we  
6 inspect, and the level of effort required for these areas and accounting for the  
7 effectiveness of approved corrective action programs in the inspection  
8 program.

9           There are other areas where we do not have alignment, and  
10 we're still considering these. Such as, whether and how we should  
11 incorporate flexibility into the level of inspection effort, the degree to which we  
12 should utilize evolving information on safety margins to guide our inspection  
13 program and the areas that should be inspected by regional and resident  
14 inspectors.

15           The working group on licensing is expected to provide its  
16 report this month. The working group is evaluating the recommendations  
17 received, which include enhancements in the areas of communication,  
18 issuance of requests for additional information and early alignment on the  
19 focus areas for our licensing efforts.

20           We're evaluating these recommendations. We plan to  
21 finalize them in the near future. And we plan to implement these  
22 recommendations by Fiscal Year 2021.

23           Next slide please. To promote transparency and clear

1 communication, the business line has taken significant steps to move forward  
2 with implementing recommendations from the self-assessment report on non-  
3 fee billable work that was mentioned during the last Commission briefing.

4 In July we met with management from across the major  
5 offices, our partner offices, to present the results of the self-assessment and  
6 our plan for corrective actions.

7 Key recommendations from the assessment include  
8 creating and reviewing easily accessible reports on non-fee billable charges  
9 to the business line, maintaining closer oversight about resource management  
10 on non-billable projects and conducting an annual review of the mapping of  
11 cost activity codes to business line products.

12 Since the last Commission briefing, we've taken actions to  
13 improve our ability to track projects associated with non-billable hours. We  
14 will be using this information in the future to ensure that we're spending efforts  
15 on the most important areas.

16 For example, we had a meeting with our partner offices and  
17 then we issued a memo which provides guidance on tracking non-billable  
18 work. We're also developing tools and practices to better track and monitor  
19 non-billable hours for better accountability and transparency.

20 We will be completing an annual review of the charges  
21 toward non-fee billable work, and then we will identify any additional actions  
22 that are needed based on this assessment.

23 Although we're still in the early phases of implementing

1 these actions, we're optimistic that they will help to provide better planning,  
2 prioritization and management of future initiatives within our business line and  
3 increase in the transparency of our annual fees, potential opportunities for our  
4 stakeholders to weigh in on the priority of initiatives and tools that demonstrate  
5 consistency with the NMSS, adequate protection memo and NRC's principles  
6 of good regulation.

7 This concludes my presentation. I will now turn it over to  
8 Jake. Next slide please.

9 MR. ZIMMERMAN: Thank you, Andrea. Good morning,  
10 Chairman, Commissioners.

11 I'll be providing you an overview of the fuel facilities licensing  
12 and activities with emphasis on our continued worked to safely license fuel  
13 facilities, actions to prepare for new applications and workforce readiness.

14 Next slide, please. We continue to effectively and  
15 efficiently conduct our fuel facility licensing reviews. While there has been an  
16 overall decline in the number of licensing actions over the last several years,  
17 as shown by the chart above, we continue to effectively implement our  
18 licensing program by performing timely reviews and successfully achieving  
19 our performance metrics. While also implementing program improvements.

20 We continue to successfully navigate the unique aspects of  
21 fuel cycle licensing through applying technical expertise in the areas of  
22 complexity, openly considering alterative views in our decisions and focusing  
23 on effective and risk-informed licensing processes.

1                   In Fiscal Year 2019 we completed a total of 46 licensing  
2 actions, an increase of 18 percent over Fiscal Year 2018. While completing  
3 these reviews with approximately 19 percent less resources.

4                   A significant accomplishment that I attribute to, one, and  
5 most importantly, our knowledgeable and dedicated Staff. And many of them  
6 are here in the audience. And I thank them for their efforts.

7                   An implementation of enhancements that we've made to the  
8 program. Most notably our licensing review handbook that include increased  
9 focus on the use of document templates, detailed schedule and resource  
10 estimates for our reviews and tracking of milestones throughout our review.

11                   Notable examples of our accomplishments include  
12 expedited reviews associated with security requests. And several first of the  
13 kind requests for medical devices that would be used in classified areas.

14                   We also made significant progress on the review of two  
15 license renewals. Specifically the Westinghouse, Columbia Fuel Fabrication  
16 Facility and the Honeywell Metropolis Facility.

17                   As reported to you in April, the environmental assessment  
18 for the Westinghouse license renewal was reopened in June of 2018 because  
19 of new information on a number of leaks at the facility and public concerns  
20 about contaminated groundwater.

21                   We recently completed the draft Environment Assessment  
22 and made it publicly available in October for a 30 day comment period. The  
23 Staff is currently evaluating the public comments.

1                   For Honeywell, the Staff has completed its safety and  
2 environmental review and anticipated issuing a final decision by the end of the  
3 month.

4                   Currently, we continue to manage our licensing program,  
5 meet the needs of our licensees and deliver licensing actions in a timely  
6 manner. Moving forward, based on the known and anticipated workload, we  
7 expect that the volume of licensing actions will remain near today's levels.

8                   Next slide please. We are ensuring that we are prepared  
9 for new applications expected through proactive communication. Given the  
10 evolving environment, we are emphasizing the importance of communications  
11 with our licensees and applicants.

12                   Frequent and early communications on future plans allow  
13 us to create a more accurate budget, ensure we have the required technical  
14 skills and allocate sufficient resources.

15                   For example, we gather information on potential licensing  
16 actions during site visits, routine management calls, and in our discussions as  
17 part of the biannual cumulative effects of regulations meetings that we hold.

18                   We reach out to anticipated applicants for upcoming  
19 projects and are coordinating internally on several applications. For  
20 example, we are providing substantial support to the Office of Nuclear Reactor  
21 Regulation for the review of the Part 50 operating license for SHINE, a medical  
22 isotope product facility.

23                   We are also preparing to license and inspect fuel, facilities



1 with new fuel types and higher enrichments. We are conducting pre-  
2 application meetings with X-energy for their expected application in Fiscal  
3 Year 2021 for a new facility for pebble bed reactor fuel.

4 And similarly, we are preparing for the application from  
5 Centrus for construction and operation of the American Centrifuge Plant at  
6 higher enrichments. We are enhancing our communications to reach a great  
7 external audience.

8 In October of 2019 we issued a *Federal Register* notice  
9 announcing the creation of the fuel facilities correspondence Listserv. The  
10 new Listserv will allow stakeholders, including members of the public, to  
11 register their email, which will then allow them to receive notification of NRC  
12 public documents.

13 You may be familiar that this is something that the power  
14 reactors have also used over the years. This will be used by both  
15 Headquarters and our Region II counterparts for the fuel facilities.

16 We are also coordinating with the federal government to  
17 share information. Most notably, we continue to engage the Department of  
18 Energy to ensure we'll be ready for future reviews of new fuel types for existing  
19 and advance reactors.

20 We are working with the Office of Nuclear Regulatory  
21 Research and National Laboratories to conduct research on different fuel  
22 types, such as metal fuel or molten salt, so that we are prepared for the future  
23 and applications for operations with different fuel types.

1                   We contracted with Pacific Northwest National Laboratory  
2 to identify hazards associated with metal fuel fabrication and methods for  
3 controlling those hazards.

4                   Similarly, we contracted with Oak Ridge National Laboratory  
5 to identify hazards typically associated with fuel salt processing. As well as  
6 methods for controlling these hazards.

7                   The reports from these efforts are available to help  
8 reviewers assess future applicant's identification and management of fuel  
9 fabrication hazards for their specific operation.

10                  We also contracted with Oak Ridge National Laboratory to  
11 consider how metal, material, control and accounting of special nuclear  
12 material would be applied at a pebble bed reactor. As the fuel type and fuel  
13 reloading cycle are quite different than at current light water reactors.

14                  The Oak Ridge National Laboratory report provides a  
15 model, material, control and accounting plan for a pebble bed reactor.  
16 Including areas such as management structure, measurement control system,  
17 material balance areas and item control areas.

18                  The draft report is currently being reviewed by the Staff.  
19 When finalized, the report will help inform future guidance on material, control  
20 and accounting for review of advance reactor applications.

21                  Finally, we are also working with Research to assess  
22 availability of criticality code benchmarking data for higher enrichments. This  
23 assessment will determine if new criticality experiments are necessary or if

1 existing experiments can be extrapolated to higher enrichments or otherwise  
2 be demonstrated to be applicable for benchmarking higher enrichment  
3 criticality code calculations.

4 And this is for the, in the area of storage and transportation.

5 Next slide please. To ensure our workforce is prepared to  
6 license the technologies of the future and to enhance knowledge and  
7 management, in Fiscal Year 2019 we had a series of licensing seminars to  
8 enhance and promote knowledge management across the business line.

9 Topics included draft requests for additional information,  
10 writing safety evaluation reports, understanding the licensing metrics and  
11 Staff's roles, counterintelligence, and the use of web-based licensing to  
12 manage and monitor our licensing workload.

13 Recently we expanded our licensing seminars to talk about  
14 individual fuel facilities to deepen our Staff's knowledge and understanding of  
15 those fuel facilities. And that's been a really great initiative as we've merged  
16 into the division of fuel management, where we'll be cross training individuals  
17 so those people that hadn't worked on fuel facilities in the past, this is a good  
18 overview to start them with.

19 We also anticipate providing licensing seminars on process  
20 improvements identified during our smarter licensing effort in new technology  
21 and working groups.

22 The newly merged division allows for sharing technical  
23 experts between the spent fuel and fuel facilities business line. We are

1 encouraging Staff in key technical areas to complete cross qualifications to  
2 enhance their agility and enable their review of future license applications.

3 To ensure we can support the expected new applications for  
4 medical isotopes in the X-energy application for fuel facility, we factored the  
5 skills necessary to support these reviews into the strategic workforce planning  
6 process so we have the correct Staff to meet the workforce demand.

7 We will rely on mentorship from senior staff, qualification  
8 programs and other in-house training opportunities to train new hires. This  
9 concludes my part of the presentation, I'll now turn it over to Robert Williams.

10 MR. WILLIAMS: Thank you, Jake. Good morning,  
11 Chairman, Commissioners. My presentation will focus on the fuel cycle  
12 inspection program. I will highlight several accomplishments, enhancements  
13 and ongoing activities.

14 Region II has oversight of the nation's fuel cycle facilities  
15 and plays a crucial role in ensuring safe and secure operations at the sites.  
16 The safe oversight of fuel cycle facilities continues to be our primary focus.  
17 Next slide please.

18 We are focused on effective implementation of an inspection  
19 program that concentrates on those areas that are most important to safety  
20 and safeguards.

21 We completed the fuel cycle facilities core inspection  
22 program for Fiscal Year 2019, which included conducting approximately 65  
23 core inspections, a program adjustment review and two supplemental

1 inspections, which ranged in scope from follow-up activities at the BWXT  
2 facility due to previous escalating enforcement actions involving a desiccant  
3 vessel, to inspections centering around safety culture issues at the  
4 Westinghouse facility.

5                   These activities were comprised of multiple inspection  
6 procedures at each of the operating facilities, including information and  
7 physical security.

8                   With an eye toward the future, we are actively engaged in  
9 efforts to ensure we are ready to support inspection activities at new facilities.  
10 As Centrus transitions the American Centrifuge Plant from the  
11 decommissioning phase to the operating phase, Region II plants work closely  
12 with our partners in NMSS to develop a master inspection schedule.

13                   This will account for the licensee's current plan to  
14 commence limited operations with only one cascade and adding addition  
15 cascaded as budgeted by the Department of Energy.

16                   In support of the licensee's current plan to submit an  
17 amendment request to increase enrichment to 19.75 percent, we will again  
18 work NMSS to develop an inspection program commensurate with any  
19 additional risk.

20                   The Region has been actively engaged in efforts to  
21 modernize our decision-making while implementing the inspection program.  
22 In September, the Westinghouse Columbia facility notified us of an issue  
23 involving moisture intrusion in their instrument air system, which could have

1 allowed water into a uranium oxide powder system.

2 Initial screening of this issue would have driven us to  
3 consider immediately launching a reactor inspection team to the site without  
4 the benefit of understanding the safety significance of the event. Instead, the  
5 Region employed several tenants of integrated decision-making by allowing  
6 the inspectors time to engage licensees from the Regional Office and quickly  
7 collaborate with subject matter experts.

8 When eyes-on observations were required, a short two-day  
9 site visit by Regional inspectors afforded additional overall understanding of  
10 the event. The information gained provided valuable insights that informed  
11 recommendations to senior management resulting in a more effective use of  
12 resources.

13 Ultimately it was decided that inspection follow-up on the  
14 event during the next scheduled onsite visit would be the most appropriate  
15 regulatory response.

16 As a continuous learning organization, we are proactively  
17 making changes to enhance our effectiveness within the inspection program.  
18 We are partnering with NMSS in support of this modern fuel cycle inspection  
19 program efforts.

20 As part of the working group evaluation of the program, we  
21 are proposing adjustments to ensure we are focusing our resources on the  
22 most important issues. For example, we assessed how to best employ the  
23 Category 1 facility resident inspectors limited resources by reevaluating how

1 much time they were spending in areas where specific expertise is required.

2           We performed an in-depth, holistic review of each inspection  
3 procedure currently in use, focusing on right sizing and eliminating overlap of  
4 activities and duplicative efforts. We look for ways to better incorporated  
5 operating experience at the inspections, both during the planning stages and  
6 during their implementation.

7           These efforts were to ensure that we maintained our focus  
8 on areas of risk significance and continued to apply resources commensurate  
9 with that risk.

10           We ensured that our efforts were informed through actively  
11 soliciting feedback from both internal and external stakeholders. This  
12 included holding nine public meetings at various locations in an attempt to  
13 maximize public engagement.

14           Next slide please. All of these program enhancement  
15 efforts will amount to little without continued investment in our people.

16           We are actively maintaining a focus on knowledge  
17 management, Staff agility and emphasizing greater collaboration with other  
18 Regional divisions, our partner office and stakeholders.

19           Presently, 55 percent of our inspectors have pursued cross  
20 qualifications in the reactor oversight program, the construction inspection  
21 program, the materials business line or as a safety culture assessor.

22           Our inspectors have provided resident support and initial  
23 startup testing report for the Vogtle 3, 4 units currently under construction.

1 Support of the review of licensee submittals in the area of nuclear criticality  
2 safety and participated in resident baseline and problem identification and  
3 resolution inspections at operating reactor facilities.

4 The specific knowledge gained and benchmarking of those  
5 programs helps bolster our technical credibility and gives valuable insights to  
6 identify trends and best practices that can inform our inspection planning and  
7 implementation efforts.

8 This focus also greatly aligns with Region II's ongoing efforts  
9 to both holistically management our future workload shifts and to provide our  
10 Staff with more opportunities to develop their skill sets.

11 We're employing individual and intentional talent  
12 development, aligning the specific needs of the inspectors with the  
13 opportunities that become available. This win-win environment increased the  
14 depth of resources available to the Region and Headquarters, while also  
15 giving the Staff greater opportunities in their careers.

16 Pictures in the top right corner of this slide is our senior  
17 resident inspector with BWXT conducting an inspection of licensee activities at  
18 that Category 1 facility. The bottom right corner shows one of our regional  
19 inspectors performing walk downs at the URENCO facility.

20 Following NMSS's Division of Fuel Management  
21 reorganization, we have a continued focus on collaboration with the program  
22 office. As new project managers were assigned to each facility, we  
23 developed new working relationships and established routine communications



1 to reinforce our collaborative work environment.

2 Our community of practice leads are identifying relevant  
3 training and actively conducting knowledge management sessions with Staff  
4 and new project managers to ensure and strengthen technical competencies.

5 The Division of Fuel Facility Inspection recently held a  
6 management retreat and integrated key principles of the leadership model.  
7 This was the first time we included the senior inspection staff in such an effort.

8 The focus was to advance the idea of leadership at all levels  
9 and empower the Staff to take ownership of their roles as leaders within the  
10 agency. Specifically, the management staff actively participated in  
11 discussions around innovation, diversity of thought, collaboration and  
12 teamwork.

13 We developed more meaningful communication methods,  
14 developed strategies for overcoming barriers to engagement and table topped  
15 ways to incentivize Staff to embrace leadership opportunities. Since the best  
16 instructors tend to be our peers, the senior Staff then took it upon themselves  
17 to inform and communicate these behaviors to the remaining division  
18 inspectors by planning their own retreat and incorporating engaging innovative  
19 activities.

20 Next slide please. Enhancing our openness with the public  
21 remains a focus for us to ensure we consider diverse viewpoints. We strongly  
22 believe that open dialogue leads to broader views being expressed. And this  
23 in turn enhances our decision-making process.

1                   We continue to perform outreach and actively engaged with  
2 local stakeholders, closely partnering with our government liaison and public  
3 affairs officers, we supported joint meetings with the South Carolina  
4 Department of Health and Environmental Control and met with newly elected  
5 council members to proactively communicate regarding the events at the  
6 Westinghouse Facility.

7                   Our inspectors also participated in public meetings for the  
8 environment assessment review associated with the Westinghouse license  
9 renewal. We held teleconferences with Congressional staff and supported  
10 discussions surrounding the URENCO Facility.

11                  To provide more options for in-person participation in NRC  
12 public meetings, we also hosted several of the smarter fuel cycle inspection  
13 program meetings in Region II. Our residents have conducted extensive  
14 outreach to local communities and local officials.

15                  For example, our senior resident inspector at BWXT  
16 proactively engaged with Campbell County Sheriff and members of the  
17 Campbell County Public Safety Office to identify areas of local concern and  
18 cooperatively develop public outreach activities.

19                  We also piloted a poster session at nuclear fuel services this  
20 year to encourage more one-on-one participation with the public during  
21 licensee performance review meetings.

22                  As seen in the top right picture of this slide, our senior  
23 resident inspector at the nuclear fuel facility services is directly engaging with

1 members of the public in a more relaxed environment.

2           At this same meeting we also accommodated a public  
3 poster session presented by local advocacy groups. These interactions  
4 fostered a healthy dialogue of differing viewpoints. And out of this, our Staff  
5 was able to directly address more than 20 specific questions related to the  
6 NFS facility.

7           The pictures shown in the bottom right of this slide shows  
8 our public affairs officer collaborating with inspectors as they talk with  
9 members of the public at a local fair event about the NRC and what we do.  
10 It's these levels of engagement that promotes transparency and builds public  
11 trust and confidence in our mission of safety, security and environmental  
12 protection.

13           All in all, we will continue to focus on our mission, implement  
14 strategies to address current and future challenges, identify innovative ways  
15 to continue preparing our Staff for the future and maintain and nurture our  
16 relationships with all of our stakeholders.

17           This concludes my part of the presentation, I'll now turn it  
18 back to John.

19           MR. LUBINSKI: Thank you, Robert. Also, thank you,  
20 Andrea, Jake. With that, Chairman, that concludes our prepared remarks this  
21 morning and we now entertain any questions.

22           CHAIRMAN SVINICKI: All right, thank you. Thank you  
23 very much for your presentations. We'll begin the questions today with

1 Commissioner Baran.

2 COMMISSIONER BARAN: Good morning, thanks for your  
3 presentations. Andrea, I'd like to delve into the potential changes to fuel  
4 facility inspections in greater detail.

5 I know that an NRC Staff working group has been  
6 developing recommendations in this area. Are those recommendations final  
7 or are they still a work in progress?

8 MS. KOCK: So, right now the recommendations are a work  
9 in progress. The working group has some proposed recommendations that  
10 were discussed at a public meeting a few weeks ago. And they'll be  
11 considering the feedback that we receive before we make any final decisions.

12 COMMISSIONER BARAN: Okay. I reviewed the working  
13 groups presentation for that November 15th public meeting and I think we  
14 need some truth in advertising.

15 The Staff refers to smarter or more risk informed  
16 inspections, but to be clear, the Staff is talking about an overall reduction in  
17 NRC inspections for fuel facilities, is that right?

18 MS. KOCK: I wouldn't necessarily characterize it that way.  
19 When we started on, down the path of looking at the inspection program, the  
20 thought was to do a holistic review of the program. That means risk informing  
21 it. Our goal was not necessarily to reduce inspection hours.

22 I think what you're pointing to is that the proposal that was  
23 discussed at the meeting did include a reduction of hours. The important

1 thing, I some areas. And it also included an increase in other areas.

2 COMMISSIONER BARAN: Yes, so my question really  
3 goes to the effect, not the goal or the intent, but the effect of the changes being  
4 discussed as an overall reduction of NRC inspections. Is that right?

5 MS. KOCK: So, we haven't made any final decisions so I  
6 wouldn't say that our, the effect of the changes being discussed is a reduction.  
7 Again, we're looking to risk inform the program.

8 The proposal that was discussed at the meeting did reflect  
9 an overall reduction. And that reflected a reduction in some areas and an  
10 increase in others.

11 COMMISSIONER BARAN: Let's look at that in a little more  
12 detail. I have the slides here from the November 15th meeting, and as you  
13 say, these are not final recommendations, let alone a final decision it's the  
14 current state of the recommendations, proposed recommendations.

15 Based on the slides, the working group seems to be  
16 contemplating a ten percent reduction in overall annual inspection hours for  
17 the two Cat 1 facilities, a 20 percent reduction in overall annual inspection  
18 hours for the Cat 3 fuel fabrication facilities and a 19 percent reduction for the  
19 gas centrifuge facility. Is that your understanding of what's being discussed  
20 at this point?

21 MS. KOCK: That was what was discussed at the public  
22 meeting. And if I could just give you a little bit of background on how the  
23 working group was considering what they proposed at the public meeting.

1 I think it actually was a good testament to our Staff. And as  
2 long as I have been with the agency it never ceases to amaze me what they  
3 can come up with you set them on a task.

4 But they went through a very methodical process to come  
5 up with a proposal. Again, it's not final but it was discussed at the public  
6 meeting.

7 They looked at a few different factors in coming up with the  
8 original proposal. They looked at the risk of the different areas that we  
9 inspect, they looked at ISA insights from the facilities, they looked at  
10 operational experience.

11 They even went so far as to look at, where are our  
12 regulations more complex or less complex. And they had a very methodical  
13 and objective way to kind of roll that up in coming up with a proposal. So I  
14 just wanted to share with you that background.

15 The other thing --

16 COMMISSIONER BARAN: I appreciate that. Let me ask  
17 about this. So, you mentioned kind of tiering, by risk, the safety issues. And  
18 the working group views criticality as a top tier safety issue that warrants,  
19 maintain a high level of inspection effort.

20 But the working group is apparently still contemplating a 37  
21 percent reduction in annual inspection hours focused on criticality safety at  
22 Cat 1 facilities. Is your understanding that that's the change that's being  
23 actively considered?

1 MS. KOCK: So you're correct, criticality is one of the high  
2 risk areas that we consider in the fuel cycle inspection program.

3 The reduction in hours that you see on that chart is actually  
4 not a reduction, it's a shift of those hours into plant ops.

5 COMMISSIONER BARAN: Into what?

6 MS. KOCK: Into plant, I'm sorry, into plant operations.

7 COMMISSIONER BARAN: Okay.

8 MS. KOCK: The plant operation procedure. And so, in  
9 some areas there is a reduction based on what we view as the risk or the  
10 stability of a particular program or the maturity of that program. That is true.

11 In other areas there's a shift made, and criticality was one  
12 of those.

13 COMMISSIONER BARAN: So, if I look at this chart it looks  
14 like the working group is considering a 50 percent reduction in fire protection  
15 inspection hours at Cat 1 facilities and a similar 40 percent reduction in fire  
16 protection inspection hours for all the other classes of fuel facilities.

17 Working groups considering a 39 percent reduction in  
18 material, control and accounting inspection hours for Cat 1 facilities. Working  
19 group is contemplating cutting emergency preparedness inspections for all  
20 fuel facilities from once a year to once every two years.

21 As we heard earlier, environmental protection and  
22 groundwater contamination have been an issue at the Westinghouse  
23 Columbia facility. But it looks like the working group is thinking about

1 recommending reducing the frequency of the effluent control and environment  
2 inspection from once a year to once every three years. So that would be a  
3 two-thirds cut in inspection.

4 How do you think state and local stakeholders would react  
5 to that reduction and oversight if it were made?

6 MS. KOCK: So, through our efforts in looking at the  
7 inspection program, I've heard a wide variety of views from stakeholders.

8 I think some stakeholders would be, for example, the  
9 reduction that we're considering in the effluent area, which was driven by the  
10 safety risk in that area as well as the stability of those programs. Some  
11 stakeholders would not agree with the reduction that was discussed at the  
12 meeting.

13 I think there are other stakeholders who would think that we  
14 aren't taking enough of a reduction in that area. And so that's why we held  
15 nine public meetings and really wanted to make sure that we got fulsome  
16 feedback from our stakeholders.

17 And before we make any final decisions, we'll really want to  
18 consider all of those views.

19 COMMISSIONER BARAN: I don't want to be one sided on  
20 this. As you mentioned, there is, it's not multiple areas, it's one area, plant  
21 operations, that the working group is contemplating an increase.

22 Are there, and you've kind of talked this a little bit, is it, for  
23 that increase in that area of plant operations, are other existing inspections



1 being folded into plant operations or would this be an actual increase in  
2 inspection hours?

3 MS. KOCK: So, in plant operation there is a couple of  
4 different plant operations. There's a couple of different things going on.

5 One is the shift of some of the hours from criticality into plant  
6 operations. There is actually an increase being proposed there in the area of  
7 chemical safety.

8 So in our group, and Robert was part of the group, they did  
9 a great job. When our group looked back and where we need to focus, they  
10 did determine that chemical safety was an area where we probably need more  
11 focus than we had in the past.

12 So there is an actual increase there as well as a shift. So,  
13 in some cases it's a little bit difficult to determine, is it an actual increase or  
14 decrease.

15 COMMISSIONER BARAN: Right. In our presentation  
16 you mentioned that the Staff has alignment with stakeholders on accounting  
17 for the effectiveness of approved corrective action programs and inspections.

18 Which stakeholders is the Staff aligned with on this point?

19 MS. KOCK: So, let me make it clear. I think you of course  
20 understand this, the final decision on any changes that we make will be the  
21 NRC's it won't be our stakeholders. So I think that's clear to all of us.

22 When I referred to alignment, what I meant was we had a  
23 common understanding with our stakeholders as far as what the risk rankings

1 are in different areas. What the level of inspection should be.

2 And what was discussed at the public meeting was, there  
3 was a common understanding in some of those areas among the stakeholders  
4 that were present.

5 COMMISSIONER BARAN: Okay. And what would it  
6 mean to account for the effectiveness of corrective action programs and  
7 inspections? What's being contemplated here?

8 MS. KOCK: So, what's being contemplated, and this is a  
9 complex area of our regulations I think, but what we're trying to consider is  
10 how we should consider, and so for fuel cycle facilities a corrective action  
11 program isn't actually required.

12 But if a licensee commits to one and we review it and we  
13 have said we approve of this and it's a good corrective action program, how  
14 should that be considered in our program.

15 I think there is some recognition that if a licensee has a  
16 corrective action program that we've reviewed and approved, it could result in  
17 some risk reduction at the facility because that licensee is actively looking for  
18 problems, identifying problems and correcting problems. And so, one set of  
19 views would be, that actually could reduce the risk at the facility.

20 The other thing we're trying to contemplate there is, how  
21 should we consider those fuel facility licensees that do have reviewed and  
22 approved corrective action program compared to other facilities in the fuel  
23 cycle area that don't and kind of normalize that across the inspection program.

1 So how should that be considered.

2 COMMISSIONER BARAN: Is there a potential that  
3 licensees would get even fewer inspections on the basis of having a functional  
4 corrective action program?

5 MS. KOCK: It could result, if you were to "credit the  
6 corrective action program," it could result in a reduction in other areas if you  
7 try and normalize the number of inspection hours across the entire inspection  
8 program.

9 COMMISSIONER BARAN: If you --

10 MR. LUBINSKI: If I could --

11 COMMISSIONER BARAN: Oh, go ahead.

12 MR. LUBINSKI: I'm sorry, if I could add to that,  
13 Commissioner. As Andrea said, when we're talking about the corrective  
14 action program itself and the identification.

15 What we've also heard from our external stakeholders is,  
16 when they're implementing a corrective action program effectively, not only  
17 are they self-identifying, they're going above and beyond what the regulatory  
18 requirements are in implementing additional controls, which they're saying to  
19 us is actually decreasing a risk profile, increasing their safety margins.

20 So, we believe the team is looking at that to say that if a  
21 licensee has a program in place that actually is increasing safety at the plant  
22 and having addition safety margin, should that then correspond to less  
23 inspections in certain areas where they have put those voluntary controls in

1 place, whether active or passive controls that they would install.

2 COMMISSIONER BARAN: Hmm. I mean, it's interesting  
3 that what we're contemplating is extra credit for corrective action program. It  
4 just seems like, almost like a basic element of running up --

5 MR. LUBINSKI: I wouldn't --

6 COMMISSIONER BARAN: -- safety.

7 MR. LUBINSKI: I wouldn't call it the extra credit. I would  
8 say that as the team looked at it, as Andrea said, factoring in things like the  
9 risk profile of the plants, the impacts of the ISA, how do they look at risk  
10 insights.

11 It's us looking at the program in accordance with the PRA  
12 policy and looking at our risk assessments to say, how do you appropriate  
13 consider risk in using your resources to focus on the most significant areas.  
14 And if a plant, a licensee were to put measures in place that actually increases  
15 safety of the plant, we have to ask ourselves, should we be spending the same  
16 amount of effort inspecting that area versus focusing our efforts somewhere  
17 else.

18 COMMISSIONER BARAN: I want to ask two other quick  
19 topics in this area. One on the concept of flexible inspection hours that's  
20 been discussed.

21 Can you give me just like a brief description of what that  
22 would look like or what's being contemplated there?

23 Is it the idea that within a certain band inspection hours

1 could increase or decrease based on something?

2 MS. KOCK: So, flexibility is a concept that's actually  
3 implemented through several of the inspection programs at the NRC and other  
4 programs. And the concept is, we're trying to determine what is necessary  
5 for us to provide adequate oversight at these facilities.

6 And that's like the core inspection program or a base line  
7 number of hours. But there's always the possibility that we may need more  
8 or less inspection based on factors at the plant, operational experience that  
9 we see, events that may occur.

10 Our inspectors have great intuition in insights and  
11 experience and we want to, and a lot of cases provide them the flexibility to  
12 be able to make those judgements in the field if they see something that they  
13 need to delve into a little bit more. So, that's the concept of flexibility that's  
14 being discussed here.

15 COMMISSIONER BARAN: And then, it sounds like the  
16 Staff is considering, at least at the working group level at this point, some  
17 potentially major changes to the inspection program for fuel facilities. Do you  
18 plan to provide a notation vote paper to the Commission so that we make the  
19 final decision on this?

20 MS. KOCK: So, again, we haven't made a decision. So I  
21 think the next step is for us to decide what changes that we think we need to  
22 make. And based on what changes we think we need to make, then we'll  
23 look at, is this a policy issue or not.

1                   The way we have typically looked at whether there is a  
2 policy issue is, is it a major programmatic change to the inspection program.  
3 Basic tenants of the program that are changing. And that's the decision, I  
4 think, that we'll need to look at when we consider, is this something that the  
5 Commission should weigh in.

6                   COMMISSIONER BARAN: Is there, as you're thinking  
7 about inspection hours, the overall structure would remain the same but the  
8 hours were to be dramatically reduced. Is there some threshold at which you  
9 would say, well, doesn't the policy matter if we're going to reduce hours by a  
10 significant margin?

11                  MR. LUBINSKI: In looking at our guidance, as Andrea  
12 said, that would be a judgement we would need to make based on what we  
13 would see the overall impact would be of the program. So we haven't made  
14 that final decision yet.

15                  But again, it would be within the judgment. And where  
16 there was no prescriptive formula would tell us X percent decrease therefore  
17 you come to the Commission.

18                  COMMISSIONER BARAN: Okay, thank you.

19                  MR. LUBINSKI: If I could also add --

20                  COMMISSIONER BARAN: Oh, sure.

21                  MR. LUBINSKI: -- in response to one of the answers,  
22 Commissioners, I want to recognize the folks who are on the working groups.

23                  As Andrea said, when we asked them to put together this

1 task we asked them to come with their best thinking on what they felt was  
2 important to bring to the table. And early on they were approaching it from  
3 many different directions.

4 From looking at the ISAs, looking at their past experience,  
5 looking at risk, but keeping a risk focus in mind as they came forward. And  
6 what's interesting is, even coming from the different directions that they did,  
7 many times the results seem to come in the same place rather quickly, where  
8 the approaches that we're taking were different and then later there became  
9 more alignment on the approaches and how they got there.

10 So I want to really complement the folks for the openness  
11 that they brought. And then also, as Andrea said many times, being able to  
12 do this in a public setting and making sure that we're inviting all of our external  
13 stakeholders to public meetings so that we can hear any concerns that they  
14 would have we felt was very important as well through this entire process.

15 COMMISSIONER BARAN: Yes, I appreciate that. Thank  
16 you.

17 CHAIRMAN SVINICKI: Thank you very much.  
18 Commissioner Wright.

19 COMMISSIONER WRIGHT: Good morning, thank you.  
20 So good morning, everyone, it's been a good dialogue.

21 And before I get started I just want to recognize you for your  
22 work on the Westinghouse. I mean, that's ten miles from my home, down in  
23 South Carolina, and I've been paying very close attention to it.

1                   And I really appreciate the way that the Region and the way  
2 that you all have handled things in the public arena. You've been very  
3 transparent and very open. And I just to just commend you for that. And  
4 pass that back to the Region as well.

5                   MR. LUBINSKI: Thank you. Jake, I'll you add to that.

6                   I want to think a lot of what we're talking about today is a lot  
7 of the safety aspects of the programs. But that's an area where we've  
8 definitely looked at the environmental side.

9                   And I want to complement the environmental folks for what  
10 they've done on that outreach and the coordination we've had between  
11 Headquarters and the Regions.

12                  COMMISSIONER WRIGHT: Okay, thank you for that.  
13 So, John, I'm going to start with you on this.

14                  But I've enjoyed and appreciate the discussion on the risk-  
15 informed regulator stuff today. And back in October, at the transformation  
16 meeting, I had some questions about this topic but I ran out of time, so I want  
17 to kind of go back and start with that today if you don't mind.

18                  In September you held the first office live Skype call --

19                  MR. LUBINSKI: Yes.

20                  COMMISSIONER WRIGHT: -- and about what it meant.  
21 What modern risk-informed regulator meant at NMSS.

22                  And so how did that go and what kind of comments did you,  
23 and questions did you get from Staff, and how are you using the insights that



1 were gained from this going forward?

2 MR. LUBINSKI: Thanks, appreciate it. There was  
3 actually a few things involved with that. And let me drop back before I talk  
4 about the risk aspects.

5 I felt it was important that we were hearing feedback from  
6 our Staff is that they wanted to have more interactions with the senior  
7 managers in the office and how could they do that. We actually proceeded  
8 that with what we called an executive team chat where we asked for just an  
9 executive team and Staff and other management to be present for the  
10 meeting. And we had about an hour and a half of just open dialogue.

11 It came out of that meeting as a recommendation of, let's do  
12 something more inclusive like a Skype call. And that's how we came up with  
13 a Skype side chat was from the Staff saying, let's do that.

14 I put it as very successful. At one point we had 137 people  
15 on the Skype call. So there was a lot of engagement.

16 Now, were they there for the entire hour plus that we were  
17 on the call, probably not. But it invited them to maybe be multitasking at their  
18 desk while they were able to do it and still engage and get other work done.

19 And also feel that they didn't, if they stayed for ten or 15  
20 minutes they could do that as well.

21 The topic, again, that came up with risk was, out of our initial  
22 executive team chat where they said, tell us more on why we need to do this.  
23 And that's where you see the graphic why we started with the whys involved.

1 And that was a lot of the discussion that started with the why.

2 That's what a lot of people engaged on. And the questions,  
3 John, why do you believe this, Rob, why do you believe this.

4 And we shared our thoughts on why we believe that looking  
5 from the standpoint of our external changes, the changing environment we're  
6 in and that we need to be looking proactively at what the future looks like and  
7 how can we effective and efficiently regulate in that environment.

8 Also, a lot of what we heard out of was what they say the  
9 whys for why they felt they needed to change. And I thought that was  
10 probably the most important because they were coming up with ideas of what  
11 they saw as barriers. Whether it was in their current processes or in current  
12 thinking on where to go.

13 And they came up with ideas about how to change our  
14 processes, how to change our procedures as we continue to move forward.  
15 In fact, after that we had asked for some feedback. And the response was,  
16 we'd like to see this more.

17 And we had another call just last week on more the first  
18 format where it was just an open dialogue. And a lot of that probably focused  
19 more on personnel type issues.

20 COMMISSIONER WRIGHT: Sure. Thank you for that.  
21 So, some of the challenges that I see in this risk-informed decision-making  
22 arena, on the material side I guess is the, you've got diverse group of  
23 licensees, you don't really have, I guess you lack a formal risk assessment

1 tools, like PRA and stuff, on the reactor side has.

2                   You've got the ISA, but that really is for fuel cycle facilities.

3 Nothing for the other classes of licensees.

4                   So, what do you see as challenges and how do you think  
5 you can overcome those challenges to move the materials program toward a  
6 more risk-informed?

7                   MR. LUBINSKI: So as you said, on the fuel facility side we  
8 do have the ISAs, which helps. As we went into this, I'll give you my  
9 perception is, even the industry on the fuel facility side was maybe a little bit  
10 skeptical coming to the table about looking at the program overall and what  
11 we were trying to do.

12                   But I think the openness that we used and the fact that we  
13 didn't look at the ISA numbers as being hard numbers the way we would look  
14 at it in a PRA, opened everyone's eyes on both sides of the table that we had  
15 to look at this not only quantitatively but qualitatively. And I think that's what  
16 we take out that goes to other areas.

17                   You'll hear in the next presentation, we'll talk a bit about  
18 independent spent fuel, storage installations and what we're looking at there  
19 from a risk-informed perspective.

20                   Do we have PRAs, no, but do we have risk studies that were  
21 done in those areas, yes. And that's what we're relying on is, where do we  
22 have hard numbers from a risk standpoint.

23                   And then also in that area we've tried to equate that to other

1 regulatory programs. We looked at, does this facility, what does it look like,  
2 what does it act like, what are the risk associated most similar to in other areas.

3 In the fuel facility, some of that relates more to reactor  
4 programs, which is why we look very much at corrective action programs  
5 because they're required for the reactors, not for the fuel facilities.

6 For ISFSIs, we looked more towards the material programs  
7 and said, what do we have in the materials area.

8 About six months we had a program briefing on our nuclear  
9 materials users' program, and we're looking in that area to how do we risk-  
10 inform in that area as well. That's very qualitative.

11 And I think the approach though is using the experts, as we  
12 did in this area, where you bring in your inspectors, your licensing folks, those  
13 who have been to the sites, to bring their insights to bear.

14 And something Andrea said is, when we talked about  
15 flexibility in a program in providing flexible hours, and I would agree with  
16 Andrea, I see it this way, that the best way to look at flexible hours is allowing  
17 the person who was there has their boots on the ground, is there seeing it  
18 firsthand, training them from the standpoint of qualitative insights in the way  
19 they approach their job to then use their judgment on site of where they should  
20 be focusing their hours and efforts based on the experiences they have.

21 COMMISSIONER WRIGHT: All right. And I appreciate  
22 value my fellow Commissioner's concern about the reduction hours or shifting  
23 of hours and things like that, but I guess my question, I don't know that, and

1 to me I don't, am I wrong, if you're looking at re-calibrating and changing the  
2 way that you're basically looking at the quality of the inspections that you're  
3 doing, not necessarily the number of hours that you're putting in just to do  
4 inspections, would that be --

5 MS. KOCK: So what I, I agree with you. And the way I  
6 keep putting it is, we are looking at what is needed. What is needed for an  
7 effective oversight program. Not necessarily a reduction or an increase but  
8 what do we need to do in order to do our job effectively.

9 COMMISSIONER WRIGHT: Right.

10 MS. KOCK: And not do too much and not do not enough.

11 COMMISSIONER WRIGHT: And where that falls is where  
12 that falls.

13 MS. KOCK: That's right.

14 COMMISSIONER WRIGHT: Okay. I was just trying to  
15 understand that.

16 MR. LUBINSKI: And another point that I think is important  
17 as we talked about that part of the program and the flexibility is, we really are  
18 trying to engage that the flexibility part of the program is a proactive approach,  
19 where when we're looking at the site we're looking at what I'll call, what could  
20 be called precursors along the not an event response type flexibility.

21 With that said, all the programs are still going to have that  
22 aspect of the program that there will be a reactive part and we will respond.  
23 But the more important part is to have the proactive part first and have the

1 flexibility part of the program be proactive.

2 COMMISSIONER WRIGHT: Right. Okay. Thank you.

3 Hey, Jake, how are you? So, your branch seems to have  
4 a lot of new and novel work coming its way so, and it's kind of exciting too and  
5 I wish you luck as you tackle that.

6 You mentioned how you used the strategic workforce  
7 planning process to prepare for the X-energy and medical isotopes facility  
8 reviews. Can you share with us your experience or the divisions experience  
9 in implementing that process? How did it go or how is it going?

10 MR. ZIMMERMAN: So far, I think it's gone well. There is  
11 obviously some growing pains with it but I think it's a useful tool long-term  
12 when you start to look out five years in advance of what applications or types  
13 of technologies you may have to deal with and then you start to dial down and  
14 look into, what are the critical skills that you're going to need and then look at  
15 your current staffing and then combine that with the budget that you're going  
16 to have to project out and then marry that up.

17 So, I've used different strategic workforce planning tools in  
18 the past. I think this one goes a little bit further and provides a little bit more  
19 detail.

20 But there is still more work that remains, but so far I've found  
21 it to be a useful tool.

22 COMMISSIONER WRIGHT: Have you considered any  
23 other novel ways of carrying out the projects like agile teams or skills

1 marketplace? Have you --

2 MR. ZIMMERMAN: I have not looked into, I personally  
3 haven't looked into the skills marketplace. Now that we've merged and we're  
4 still forming, I think what we're looking for right now is the opportunity to cross  
5 train Staff on the storage and transportation, which there are very similar  
6 common skills, they just haven't worked in fuel facilities and vice versa.

7 So, I think right we're first targeting within. And right, we  
8 haven't yet identified a need to go external.

9 So I think merging the division has allowed us to centralize  
10 some common critical skills. And so, we want to take advantage of that first.

11 COMMISSIONER WRIGHT: Okay.

12 MS. KOCK: Can I just add --

13 COMMISSIONER WRIGHT: Sure.

14 MS. KOCK: I can't help myself.

15 COMMISSIONER WRIGHT: Please.

16 MS. KOCK: I've tried to, but --

17 (Laughter.)

18 MS. KOCK: The idea of agile teams is something that's  
19 come up multiple times through the agency's transformation efforts. And is  
20 one of the common themes that's going up in the review of the fuel cycle  
21 licensing program that we're doing now, in terms of the need to bring people  
22 together early in the process, to identify what's really important, has really  
23 helped us on several projects. And it is a common theme that's coming out

1 of our licensing review.

2 And so, it was something that we're looking very closely at  
3 as we review and revise our licensing guidance.

4 COMMISSIONER WRIGHT: Thank you. And by the way,  
5 congratulations on your new role and we look forward to big things coming  
6 from you in that branch.

7 MS. KOCK: Thank you, I think.

8 (Laughter.)

9 CHAIRMAN SVINICKI: But no pressure.

10 (Laughter.)

11 CHAIRMAN SVINICKI: Well, my colleagues have covered  
12 a lot of the topics here. Maybe I'll just return to some of these areas and ask  
13 some additional background information.

14 You know, I often comment that the strengths of our  
15 Commission is that we do have different perspectives. And people come at  
16 things and kind of the questions they ask are not exactly the same questions  
17 that you would ask.

18 But I think at the end of the day, similar to what Andrea has  
19 described with the teams working on some of the initiatives here and you've  
20 got a lot of different perspectives. You have people with different experience  
21 levels and different backgrounds in the room.

22 And in general, I think the rock polisher of that kind of  
23 process gets you with a pretty good public policy outcome. Generally. You



1 know, if people are respectful and kind of not withholding their concerns and  
2 things like that.

3 So, I might ask you, Andrea, in terms of the, we're spending  
4 some time talking about inspection hours today so I'll ask a little bit about that.

5 Is it your understand that the level of inspection hours, as  
6 they are set now, different from anything the Staff might be thinking about  
7 proposing, is it your sense those were arrived at in the kind of systematic,  
8 holistic type of review that's being done now?

9 I mean, maybe you weren't there, but is your sense of the  
10 background that a team was given the opportunity to really look at it or, and  
11 again, kind of integrated across.

12 And I know there is this narrative about the fact that while  
13 we're looking to cut hours, I can speak only for myself but I will tell you that  
14 that is not my understanding on the reactor side or the programs we're talking  
15 about today.

16 I'm not aware that any NRC team has been, and if they have  
17 been given this direction I want to know about it, that they have been told,  
18 you've got to come up with a design that cuts X percentage or does something  
19 like that. That's not my understanding of what's happening here, so, my  
20 sense is they're going, they're doing another fresh look at the relative risk, as  
21 we see it, not as the public sees it.

22 And I understand that's a sensitive point. You mentioned  
23 effluent. I know for many communities, actually, my colleague here could

1 probably speak to this very knowledgeably, very low risk effluence off the sight  
2 are very concerning to communities. But as the nuclear safety and  
3 environment experts on this particular facility, we would say criticality or we  
4 would say some other areas where we would be giving our closest look or  
5 maybe spending the bulk of our inspection hours.

6 So, can you talk a little bit about how the team began?

7 Was it really just to do the risk informing view or were they  
8 told that there was some other outcome or goal here?

9 MS. KOCK: So I'm going to agree with you that the team  
10 was not given direction, that this is a reduction. That is not my expectation at  
11 all and is not something I would propose.

12 The charter for the work was actually very kind of open  
13 ended for a purpose, and that purpose was to the holistic look at the program  
14 based on risk informing our approaches. So, yes, it was more of an open  
15 look.

16 And as far as your question, in terms of how did we set the  
17 hours that we have today versus, so my sense is, I mean, the great thing about  
18 the NRC Staff, and I think we're usually in about the right place, so the program  
19 is not broken.

20 And I think that the hours that we came up with, that exist  
21 today, were based on our experience and there's nothing wrong with them.  
22 But I don't think that they were developed based on a systematic review, like  
23 we're doing now.

1                   CHAIRMAN SVINICKI: Do you think that if we left all those  
2 things just where they are today, that that would be better or worse for safety  
3 than doing the kind of, and I don't mean to, I'm trying to ask a neutral question  
4 and I'm struggling with it a little bit, but do you think if we locked all those points  
5 of emphasis and the corresponding hours in place for the next ten years, do  
6 you think that that is more enhancing to safety than taking this kind of look and  
7 making adjustments?

8                   MS. KOCK: So, again, I don't think that the program is  
9 broken, but based on what we've seen so far from the working group, I think  
10 that there are areas where we're overspending effort and I think there are  
11 some areas where we're not expending enough efforts, and that's not what's  
12 best for safety. That's not --

13                  CHAIRMAN SVINICKI: Are you confident that given the  
14 composition of members on this team, and Robert I think you said was one of  
15 those members, do you think that if they felt overall that the set of ideas being  
16 advanced to executives here at the Agency, at this point, if they had concerns  
17 about it, are you confident that they would speak up?

18                  MS. KOCK: I am 100 percent confident that they would  
19 speak up because we have had a wide diversity of views. And as John  
20 alluded to, you know, where the team started versus where they end up, there  
21 was a lot of different views and a lot of work put in to come up with where we  
22 are today.

23                  And my experience, again, with the NRC Staff is they're not

1 shy, we are not shy. People do speak up. And I always we need to listen to  
2 those views, understand them fully and then make a decision.

3 CHAIRMAN SVINICKI: Robert, I'm going to put you on the  
4 spot here. Do you want to talk a little bit about that dynamic in the team?

5 If it's difficult to say, do you agree with Andrea, but maybe  
6 just tell me your testimonial of the group. Was it pretty, kind of a free  
7 conversation amongst experts?

8 MR. WILLIAMS: Yes, I'll definitely agree with the way  
9 Andrea presented it. We had a diverse viewpoints, and even early in the  
10 public meetings that we've presented some of the ideas, we've presented I  
11 think a total of four different options before we finally centered on the last  
12 option that we presented.

13 So we've been, along this whole process, approaching it  
14 from all different angles. We had a lot of initial disagreement about the,  
15 where the focus area should be. A lot of constructive conversations  
16 happened.

17 And the team, as a whole, just came together, worked  
18 cooperatively and had the same mission in mind of maintaining safety, right  
19 sizing the program and putting the efforts where we thought they would best  
20 be needed.

21 MR. LUBINSKI: Chairman, if I could add. Early on, as  
22 Andrea said, there was questions, why are we doing this, what are we trying  
23 to achieve, where are we trying to go, what are the goals.

1                   And I do remember one of the specific questions asked is if  
2 the result of this evaluation comes back and says, there are no changes to the  
3 program, would that be an acceptable answer. And I remember my answer  
4 is that being two part.

5                   One is, yes, that could be an acceptable answer. But then  
6 I said, but don't come back in ten minutes and tell me that that's an acceptable  
7 answer, you need to be open to saying, not just this has always worked, it's a  
8 program that's not broke, why are we trying to fix it, do an evaluation.

9                   So, people did ask that question right up front and said, if  
10 there are parts or the whole thing is fine the way it is and we think we have a  
11 basis for it, should we do that. And I would say that I appreciate that  
12 openness to do that.

13                   I do think as being, looking at the program over the years  
14 and your question about, was this kind of rigor put in, I'd say, there was some  
15 level of rigor put into the initial programs and it has continued to be modified  
16 over the years.

17                   I was involved in some of that in the early 2000s in looking  
18 at the program. But what we didn't have is a lot of the current risk insights  
19 we have today, such as the insights from the ISAs. And not just the ISAs, but  
20 the reviews of the ISAs, the inspection of the ISAs.

21                   So our Staff learned lot over the last 20 years about how to  
22 look at these plans from a risk perspective. And that's what I think is being  
23 added in this assessment now were the folks who are looking at it today are

1 more educated on what we mean by risk insights, not so much a deterministic  
2 review in developing those programs.

3 CHAIRMAN SVINICKI: With that, maybe I'll just have you  
4 pause on that point because that could sound a bit theoretical. And so,  
5 maybe I'll ask you this question.

6 Do you think that with the experience we have now with the  
7 integrated safety assessments, I'm not sure we've defined that yet in the  
8 conversation, the ISAs as we're calling them, does it bear relevance and  
9 correlation to the events? Kind of the noteworthy events we've seen at these  
10 facilities in recent years.

11 And I would see that if there is not a good correlation  
12 between where the ISAs would draw your attention as a safety expert and  
13 what we're really seeing at these facilities, then I think folks may legitimately  
14 say, well, I worry about the effect of making changes that are rooted very  
15 theoretically in the ISAs, how do you respond to that?

16 MR. LUBINSKI: So I would, just on my own personal  
17 experience, I can say just recently looking at where my mind set was 20 years  
18 ago and looking at some of the risk associated with something like UF6  
19 cylinders and drops, which when I came into the program was trained that that  
20 is the worst hazard that you could ever have at one of these plants.

21 However, now looking at the ISA insights and what we  
22 reviewed, there was recently an incident where rigging on, when it was being  
23 placed, moved, and the question was, what's the significance of that. We

1 were able to go back and look at the ISA and say, you were dealing with a  
2 cold cylinder, it was in place over top of the rack where it was supposed to be,  
3 this is not a risk significant issue.

4                   So it's a change in thinking where we actually have an  
5 analysis that was done to tell us we're in the right place today. Which is  
6 different than I think some of us would have thought 15, 20 years ago.

7                   CHAIRMAN SVINICKI: Well, and I appreciate that. And I  
8 think an added complexity here, not that it isn't complex on the reactor  
9 oversight side, but we have fewer of these facilities that we're regulating in this  
10 category, and they differ from each other in terms of the operation and the  
11 hazard.

12                   So, it does, I think, challenge the Staff in terms of coming up  
13 with templates for inspection hours or even a program overall. That being  
14 said, that's not a reason to declare defeat. There are approaches here that  
15 allow you to look at similar hazards across this class of facilities.

16                   And I appreciate the Staff, they work they're doing here. I  
17 encourage anyone in these working groups to speak up and to have a really  
18 good dialogue among experts.

19                   I think that we do want to move in a risk-informed way. But  
20 one of you, it might have been Andrea talked about, the wonderful insights  
21 that the Staff that's been doing this work for a long time, particularly out in the  
22 Region where we've got folks very present at these facilities frequently I think  
23 I important.

1                   And I know from my time here, I'll speak for myself, but I  
2 think the Staff moves with a lot of trepidation and caution in making changes.  
3 I find that to be somewhat of the organizational bias here. Not bias in a bad  
4 way but bias in favor of safety and security that has the Staff moved in a very  
5 deliberative and measured pace.

6                   And from my part, that's what I observe you doing here. A  
7 lot of outreach, a lot of input. So I fully expect that you'll continue moving  
8 forward in that vein. John, did you want to have a quick last word?

9                   MR. LUBINSKI: Thank you, Chairman. If I can say, we've  
10 talked a lot about the program today and we've done in the evaluation and,  
11 again, complementing the folks in the program.

12                   And the biggest reason, the complement, it was not just the  
13 great work but this was a difficult project to take on. Because again, we're  
14 trying to look at it differently.

15                   It's not easy. As Robert said, when the team got together  
16 originally there were a lot of differing views on how do you even approach the  
17 project to begin with, so we've appreciated that.

18                   So, it's not an easy answer and we recognize that, but that's  
19 why we're also taking the extra time. We were hoping to have this project  
20 completed a month or two ago, but the folks came back and said, no, we need  
21 to get this right, we need to take the time to do. And we've supported that  
22 because we need to get the right answer.

23                   CHAIRMAN SVINICKI: Okay, I appreciate that very much.



1 And I think we are taking a quick break here before the next panel.

2 So, we will reconvene at 10:20 and we'll reset the table.

3 Thank you.

4 (Whereupon, the above-entitled matter went off the record  
5 at 10:14 a.m. and resumed at 10:20 a.m.)

6 CHAIRMAN SVINICKI: Well, we are reconvening now to  
7 hear from the second of our panels, which I don't think has a complicated  
8 name, but let me make sure that I get the business line correct. Spent Fuel  
9 Storage and Transportation Business Line. And we are hearing from one of  
10 the same panelists, and that is Mr. Lubinski. I will ask you to take it away.  
11 Thank you.

12 MR. LUBINSKI: Thank you again, Chairman and  
13 Commissioners. With me at the table for our second panel are Chris Regan,  
14 the Deputy Director of the Division of Fuel Management, NMSS. We also  
15 have John McKirgan to Chris' right, who is the Chief of the Spent Fuel and  
16 Transportation Licensing Branch. And to my left we have Linda Howell, who  
17 is the Deputy Director of the Division of Nuclear Material Safety in our Region  
18 IV Office. We would like to provide the Commission with a strategic  
19 discussion of the current spent fuel storage and transportation business line.

20 As we mentioned during the first panel the division merger  
21 is expected to result in benefits in terms of Staff agility and strategic workforce  
22 development. These benefits also apply in the spent fuel storage and  
23 transportation business line.

1                   Many of the themes we will discuss are similar to what  
2 you've heard for the previous panel although the activities are different. This  
3 is an expected and intentional result of agency-wide strategic direction.

4                   Next slide. The work within the spent fuel storage and  
5 transportation line continues to be significant in terms of breadth and scope.  
6 It includes licensing and oversight of spent fuel storage at 76 sites in 35 states  
7 including two applications for consolidated interim storage. It includes  
8 certification of transportation packages for more than 3 million shipments of  
9 radioactive material each year. It includes international support on technical  
10 and regulatory issues and it includes engagement with multiple diverse  
11 stakeholders outside the Agency including tribes, states, the Department of  
12 Energy, Department of Transportation and other federal agencies and non-  
13 governmental organizations.

14                   We are effectively responding to a changing environment.  
15 These changes include a renewed interest licensing of consolidated interim  
16 storage facilities and increased and accelerated decommissioning resulting in  
17 increased movement of spent fuel into dry storage.

18                   We are on track to complete our safety and environment  
19 reviews of the two consolidated interim storage facility applications by mid-  
20 2021. We also approved a number of applications for transporting fresh  
21 accident-tolerant fuel lead test assemblies to support use in reactors. Staff  
22 is preparing for transportation applications for batch loads of accident-tolerant  
23 fuel by identifying specific licensing and technical focus areas.

1                   In response to the environment we are making efforts to  
2 engage a wider set of stakeholders in new forms. For example, this year we  
3 held our annual Spent Fuel Management Regulatory Conference near our  
4 Region I Office and held an evening stakeholder engagement session where  
5 we heard from a wide range of stakeholders including members of the public  
6 on spent fuel storage and transportation issues.

7                   Next slide. In this business line we are continuing to make  
8 progress becoming a modern, risk-informed regulator through implementation  
9 of process improvements. In September the Staff completed a pilot review  
10 of the application for a graded approach that applies risk insights to determine  
11 the appropriate level of detail required for the certification of compliance  
12 technical specifications. We plan to incorporate the insights from the pilot  
13 into guidance for new applications. The Staff expects the effort will make the  
14 storage licensing process more effective by reducing the certificate  
15 amendment burden on industry based on the safety significance of the issues.

16                   Also we initiated a working group to perform an assessment  
17 of the current Independent Spent Fuel Storage Installation Inspection  
18 Program. The group evaluated inspection efforts based on their safety  
19 significance. We are in the process of evaluating the recommendations.

20                   I will now turn to Chris Regan for his part of the presentation.

21                   MR. REGAN: Thank you, John.

22                   Good morning, Chairman and Commissioners. I will be  
23 providing an overview of significant spent fuel and transportation business line

1 activities.

2                   Next slide, please. As mentioned during the fuel facilities  
3 business line briefing earlier this morning, Staff assessed the current  
4 regulatory framework related to the use of accident-tolerant fuel and fuel with  
5 higher enrichment and developed a comprehensive agency plan to enable  
6 their use.

7                   At the upper right of this slide is a picture of silicon carbide  
8 accident-tolerant fuel. The agency plan includes the necessary actions to  
9 support the industry's goal of 2023 deployment of accident-tolerant fuel from  
10 both the fuel facility and transportation perspective. For transportation we  
11 evaluated our regulations to determine if review of the technologies will require  
12 rulemaking. In the vast majority of cases no changes to our regulations are  
13 needed to accommodate the new technologies.

14                   To facilitate 2023 deployment of accident-tolerant fuel with  
15 higher enrichment below 10 percent NMSS must receive an application to  
16 revise a certificate of compliance from a vendor for transporting UF6 by August  
17 2021. For fresh fuel transportation NMSS must receive an people to revise  
18 the certificate of compliance no later than January 2022. As of today we not  
19 received any formal applications or letters of intent, but we continue to invest  
20 in the openness principle communicating clearly our expectations for timely  
21 submittal of license applications and identifying challenges early to internal  
22 and external stakeholders.

23                   We are also preparing to address other changes in the

1 areas of spent fuel storage and transportation. In this capacity we conducted  
2 an initial assessment of spent fuel transportation oversight inspection  
3 readiness for the potential future needs of industry to transport spent fuel to a  
4 consolidated interim storage facility.

5                   Based on the initial assessment the Staff determined that  
6 the current inspection program adequately addresses the potential future  
7 needs, but that there are opportunities for enhancements. Specifically, the  
8 program could benefit from additional inspection procedures or guidance in  
9 current procedures and associated training that addresses a way from reactor  
10 independent spent fuel storage installations or any unique aspects of  
11 shipment preparation activities for spent fuel transportation.

12                   We recently presented the Staff's assessment at the spent  
13 fuel storage inspector counterpart meeting and the spent fuel regulatory  
14 conference to solicit stakeholder feedback. Staff is currently developing our  
15 path forward and coordinating with other affected NRC offices.

16                   In coordination with our tribal, federal and state partners we  
17 also observed and participated in two transportation tabletop exercises: the  
18 NEI Transportation Tabletop in May 2019 and the Midwest Council of State  
19 Governments Tabletop in November 2019. These tabletop exercises  
20 allowed participants and observers to gain a better understanding of the spent  
21 fuel transportation planning and implementation processes through dialog,  
22 information transfer and decision making on legal, regulatory and process  
23 requirements, as well as stakeholder interests.

1                   In the lower right picture you can see a transportable spent  
2 fuel cask.

3                   Next slide, please. We are optimizing our licensing and  
4 inspection practices to ensure we are prepared for the future. Some  
5 examples include the completion of guidance documents to prepare for  
6 workload associated with the safety review of license and certificate renewals  
7 beginning in fiscal year 2020 as the number of certificates approach the end  
8 of their initial 20-year term. We are setting the stage for future by revising our  
9 guidance to ensure it can be easily adapted when necessary and we are  
10 adding clarity and efficiency to the licensing process through consolidation of  
11 several separate Standard Review Plans and Interim Staff Guides into two  
12 documents.

13                   In addition, we accommodated early review of renewals  
14 from Humboldt Bay, Holtec International and TN Orano by following recently  
15 issued guidance in NUREG-2214, Managing Aging Processes and Storage,  
16 which facilitates a more efficient review by identifying credible aging  
17 mechanisms for the components of most of the dry cask -- dry storage casks  
18 designs in the U.S.

19                   Earlier this year the Staff presented the final report on  
20 NUREG-2224, Dry Storage and Transportation of High-Burnup Spent Nuclear  
21 Fuel, to the ACRS Subcommittee on Metallurgy and Reactor Fuels. NUREG-  
22 2224 is new guidance that delineates acceptable conditions for spent nuclear  
23 fuel with higher burnup in storage and transportation. These conditions will

1 limit degradation during storage and transportation evolutions.

2                   In addition, the NUREG provides guidance on how to  
3 demonstrate that the conditions will be maintained and applicable for higher  
4 burnup fuel. The Staff is finalizing the document and publication is expected  
5 by the second quarter of FY 2020. The issuance of the NUREG is expected  
6 to assist licensees to more efficiently and effectively prepare applications for  
7 the safety and transport of high-burnup spent fuel and assist license reviewers  
8 in their evaluation of these applications.

9                   We are also ensuring a shared understanding of what facility  
10 changes can be made without the need for prior NRC approval as afforded by  
11 the provisions in our regulations. The Staff is working to endorse industry  
12 guidance NEI 12-04, Guidelines for 10 CFR 72.48 Implementation, which  
13 delineates methods and approaches that are considered acceptable for  
14 complying with the regulation.           Specifically, endorsement of NEI 12-04  
15 will clarify that licensees or certificate holders for spent fuel storage systems  
16 can use methods of evaluation used in establishing the design bases across  
17 certificates of compliant amendments without the need to seek NRC approval.  
18 This clarification will potentially reduce the number of certificate amendments  
19 received by the NRC for review.

20                   This effort, together with the graded approach pilot,  
21 complement each other by focusing on the more safety-significant aspects of  
22 certificate reviews and clarifying the flexibility that exists for certificate holders  
23 to make appropriate changes without the need to request amendments while

1 still maintaining safety. We are currently assessing an innovative approach  
2 to facilitate early implementation by industry of the guidance contained in NEI  
3 12-04 while we finalize our endorsement in the Regulatory Guide.

4                   Recognizing the likelihood for an increase in the number of  
5 design changes made by licensees without prior NRC approval through  
6 application of the guidance contained in NEI 12-04 and to assure appropriate  
7 regulatory oversight of all design changes made by licenses, the Staff also  
8 completed development of draft inspection guidance that will further inform  
9 and proceduralize the process for sampling of license design change  
10 screenings and evaluations so as to focus on the changes that have the  
11 greatest potential to increase risk.

12                   Next slide, please. As I mentioned, we completed an  
13 assessment of the current Spent Fuel Storage Inspection Program to ensure  
14 we are focused on the items of highest safety significance and apply our  
15 resources in a smart manner and which accounts for the operating experience  
16 we've obtained to date. This will be important given the expected continued  
17 increase in the movement of fuel into dry storage as decommissioning is  
18 accelerated.

19                   A working group comprised of Staff from all four Regions,  
20 NMSS and NRR used operating experience and risk insights to eliminate  
21 overlaps with other procedures, develop more realistic estimates of the time it  
22 takes to complete inspections and optimize resource use to focus effort on the  
23 most critical aspects of the oversight program.



1                   To ensure we proceed in a fully informed manner, we had a  
2 public meeting just this past Monday to solicit stakeholder feedback and we  
3 plan to finalize our recommendations and complete implementation of  
4 program revisions by Fiscal Year 2021.

5                   This concludes my part of the presentation. Now I'll turn it  
6 over to John.

7                   MR. McKIRGAN: Thank you, Chris.

8                   Good morning, Chairman, Commissioners. I'll provide you  
9 an overview of the spent fuel safety and transportation licensing activities with  
10 a focus on how we're promoting transparency in a dynamic environment while  
11 we continue to work toward becoming a modern risk-informed regulator to  
12 achieve our mission more effectively.

13                   Next slide, please. We continue to effectively and  
14 efficiently license spent fuel storage facilities and transportation containers.  
15 The number of completed licensing actions was up roughly 20 percent from  
16 last year while the budget for the licensing product of the business line was  
17 relatively flat, illustrating an enhancement in the efficiency of our program.

18                   Specifically, this year we completed 66 transportation  
19 certificate approvals and 15 storage licensing actions including two storage  
20 renewals: Trojan and Three Mile Island 2, TMI-2. The TMI-2 ISFSI is pictured  
21 there in the bottom right of the slide. Fiscal Year 2020 is a big year for  
22 renewals with an anticipated record number of submittals planned. As we'll  
23 discuss later, the Staff is well-positioned to review these incoming renewals.

1                   During this past year the business line completed a number  
2 of significant licensing actions. These include expedited reviews of a number  
3 of storage cases to support decommissioning activities and a number of  
4 transportation cases to support the shipment of accident-tolerant fuel.  
5 Examples include the MAP-12 transportation package, also pictured at the top  
6 right on the slide, to ship accident-tolerant fuel chromium-coated lead test  
7 assemblies. On the storage side of the house the review of the HI-STORM  
8 100 Amendment 14 supported the Pilgrim decommissioning schedule.

9                   Next slide, please. We are promoting transparency by  
10 proactively engaging with industry and external stakeholders to enable timely  
11 licensing decisions. Concurrent consolidated interim storage facility  
12 application reviews coupled with accelerated decommissioning of power  
13 reactors has emphasized the importance of timely regulatory decision making  
14 and the proactive engagement of stakeholders is a key element. As such,  
15 we've continued periodic communications with licenses and certificate  
16 holders. The Staff is actively seeking and obtaining advanced notice of  
17 upcoming licensing actions and industry schedule drivers that substantively  
18 inform our workload prioritization.

19                   We are obtaining early insights on upcoming amendment  
20 requests through review of industry responses to our generic communications  
21 and periodic scheduling dialogues with vendors. Additionally, the Staff has  
22 augmented its outreach activities to accommodate the increased engagement  
23 from interested parties and stakeholders for both CISF applications through

1 responses to written inquiries, Congressional staff briefings and government-  
2 to-government interactions with the State of New Mexico and the Wyoming  
3 legislature.

4                   In September we testified at the Wyoming legislative  
5 session regarding the NRC's role and regulations related to the storage of  
6 spent fuel. We have also gathered the most common questions and  
7 significantly enhanced our public web page to provide plain language  
8 responses to these technically-complex issues. We continue to provide cost  
9 and schedule estimates at the beginning of each licensing action. This  
10 proactive engagement has facilitated timely decision making.

11                   We are making substantive progress on the technical review  
12 of Holtec and Interim Storage Partners CISF applications. Based on the  
13 latest information from our applicants we have issued revised schedules for  
14 the reviews of the two CISF applications. Based on this latest information the  
15 Staff plans to complete its review of both applications in mid-2021.

16                   We are currently within our project budget expenditures for  
17 both reviews. We have completed several key milestones on these projects  
18 including publication of the scoping comment report as part of the  
19 environmental review. We are progressing on the draft Environmental  
20 Impact Statements or EISs for both applications. We've issued the first round  
21 of safety and environmental requests for additional information for both  
22 projects, begin consultation and tribal interactions and completed a number of  
23 public meetings.

1                   The next key milestone in the project will be the publication  
2 of the draft EISs for public comment. This is scheduled for March 2020 for  
3 Holtec and May 2020 for ISP. We anticipate significant public interest in  
4 these documents and are preparing public meetings near the facilities to  
5 present our draft documents and to receive public comments.

6                   Next slide, please. We're continuing to safely license  
7 transport packages while exercising agility in a dynamic industry environment.  
8 Some examples include the completion of an exigent letter authorization to  
9 ship a damaged cesium source safely. The Staff performed a timely safety-  
10 focused review of the modified RH-TRU radioactive material transportation  
11 package, pictured here, to meet the industry needs in moving the damaged  
12 source to a safe and secure location. The damaged source had resulted in  
13 exposures to workers and needed to be moved quickly to a facility that had  
14 the equipment to handle it.           The Staff engaged constructively in  
15 effective dialog with the transportation package vendor as they described the  
16 necessary modifications to the package that would ensure safe transport. In  
17 an integrated team approach the Staff worked together across technical  
18 disciplines addressing the different aspects of structural and shielding  
19 elements of the modifications. As a result the Staff was able to issue the  
20 letter authorization enabling the timely movement of the damaged source.

21                   Another example is the completion of an expedited  
22 exemption request to Arizona Public Service Company for Palo Verde to allow  
23 a modification to the technical specifications of the MAGNASTOR spent fuel

1 storage cask. The review of this request was accelerated to accommodate a  
2 planned outage by the plant. The Staff's timely review enabled the plant to  
3 maintain a full core off-load capacity.

4 This request also demonstrated the need for the graded  
5 approach pilot on the content of the CoC and technical specifications that I'll  
6 talk about in the next slide. The level of detail in the tech specs which  
7 precipitated this exemption request is the kind of issue that the graded  
8 approach will help Staff and industry avoid in the future.

9 We were successful in these cases by exercising our work  
10 prioritization guidance and leveraging our IT planning and scheduling tools to  
11 complete these high-priority cases with only minimal impact on other case  
12 work. Our prioritization guidance provides a framework that ensures that the  
13 most critical and important cases are handled appropriately. We are  
14 improving renewal reviews through the use of the MAPPS report and  
15 leveraging contractor resources to assist with technical reviews of renewal  
16 applications to address surge capacity.

17 As mentioned, our IT planning and scheduling guidance is  
18 a key component of our work flow management capabilities and our success  
19 in exercising agility. We use STIMS, a module of web-based licensing, to  
20 allow frequent checking and adjusting of resources as incoming casework  
21 demands shift. We have added the capability to track and report on our  
22 NEMA metrics with STIMS.

23 Strategic workforce planning has helped the business line

1 identify future workforce gaps in the nuclear criticality and shielding areas and  
2 we have used the summer intern program to identify top candidates and are  
3 very excited about the N-RAM Program to help ensure future success of the  
4 program.

5                   Next slide, please. We are making progress in becoming a  
6 modern risk-informed regulator through further incorporating risk insights into  
7 our reviews. Some examples of the specific licensing actions where this  
8 mind set is shifting include the graded approach pilot amendment that I just  
9 mentioned.

10                   The graded approach is a major initiative for the Staff and  
11 industry. In completing the graded approach pilot the Staff evaluated 99  
12 items in the current certificate of compliance and used a systematic risk  
13 screening to determine if the element needed to be included in the certificate.  
14 As a result of our efforts 16 items were removed from the certificate either due  
15 to being low risk or being duplicative of another requirement. A further 52  
16 items were rearranged or relocated and six items were removed from the tech  
17 specs to the final Safety Evaluation Report. This will provide licensees the  
18 flexibility to make changes in these low-risk areas without requesting  
19 unnecessary amendments.

20                   Next steps include the revision to Staff guidance documents  
21 including our format and content guidance and the Standard Review Plan for  
22 dry cask storage systems. While those guidance documents are being  
23 processed Staff intends to issue a letter to the industry endorsing the use of

1 the graded approach.

2           The Staff is also interacting with industry on an industry  
3 white paper to lay out a strategy for optimization of the storage certification  
4 process. Specifically, NEI is seeking to continue a dialog to enhance  
5 efficiency in spent fuel storage reviews by providing further guidance on the  
6 identification of performance margins in the areas of source term, thermal  
7 parameters, radiological parameters, fuel qualification and criticality. Staff  
8 continues to be very open to the potential enhancements that would also  
9 maintain adequate safety.

10           This was a topic of discussion at the recent Spent Fuel  
11 Regulatory Conference back in September. Industry has submitted a white  
12 paper in November and we held a public meeting to discuss the document on  
13 November 18th.

14           The Staff also attended several meetings being led by EPRI  
15 this past October to further understand fuel characteristics for the purpose of  
16 identifying margin. The Staff will be reviewing EPRI reports for insights where  
17 margins might exist that can be credited in our reviews.

18           We are building on agency best practices, re-instituting a  
19 topical report process that is expected to reduce undue engagement of  
20 regulatory resources by requiring fewer amendment submissions once a  
21 topical report approving a general design or approach is approved.

22           A vendor has discussed with NRC their plans to submit a  
23 topical report for allowance of candidate heat load patterns without an

1 amendment request. The applicant discussed their plan to propose a  
2 suitable methodology permitting licensee selection of candidate heat load  
3 patterns without the need for a license or certificate of compliance  
4 amendment. It is the applicant's intent that the topical report would receive  
5 NRC approval and that the approved methodology would allow the vendor and  
6 its clients to address emerging plant needs in a timely manner. The details  
7 of the report are still being developed and the Staff held an additional pre-  
8 application meeting in November before the submittal of the document.

9 I'll now turn it over to Linda.

10 MS. HOWELL: Thank you, John.

11 Good morning, Chairman and Commissioners. My portion  
12 of the presentation will focus on the Spent Fuel Oversight Program. I want to  
13 focus on three areas: collaboration between the Regions and Headquarters,  
14 engagement with stakeholders, and then preparing for the future in the Spent  
15 Fuel Oversight Program.

16 Next slide, please. The Regions and Headquarters  
17 routinely collaborate to ensure that NRC's oversight program for spent fuel  
18 storage and transportation is implemented effectively. During the past year  
19 however substantial collaboration has occurred between the Regions and  
20 Headquarters due to the significant oversight efforts expended evaluating  
21 complex technical issues at one spent fuel storage facility and in processing  
22 two significant escalated enforcement actions involving a spent fuel licensee  
23 and a vendor.



1           The collaboration included the use of multi-disciplinary  
2 teams involving Headquarters and Regional staff to review technical issues  
3 involving spent fuel loading at one facility, as well as inter-regional resource  
4 sharing to cover routine spent fuel storage inspections in Region IV while our  
5 technical staff was fully engaged in follow-up inspections relating to an  
6 escalated enforcement action involving an event that occurred in 2018. Our  
7 Headquarters inspection team also engaged in follow-up inspection of vendor  
8 activities following issuance of an escalated enforcement action to a vendor  
9 earlier this year.

10           The outcome of these collaborative efforts included  
11 expanding our ability to provide effective and enhanced oversight and  
12 resolved significant technical issues, maintaining oversight of initial and  
13 ongoing spent fuel loading operations at many sites during a period when  
14 resources were challenged, and enhanced learning opportunities and  
15 knowledge transfer among the technical staff assigned to inspection and  
16 licensing of spent fuel storage facilities. In addition, the exchange between  
17 Regions provided opportunities for new eyes to examine procedures and  
18 operations at several facilities during the past year, which always enhances  
19 and strengthens our inspection and oversight programs.

20           Next slide, please. Substantial public outreach was  
21 coordinated over the past year to communicate technical information and  
22 inspection and enforcement findings associated with one spent fuel licensee  
23 and a spent fuel storage system vendor. Public outreach efforts were

1 conducted in response to interest expressed by the public and Congressional  
2 stakeholders regarding technical issues associated with the enforcement  
3 actions that I previously mentioned as well as the interest in future spent fuel  
4 loading activities at one specific site.

5                   The Staff leveraged use of technology by conducting  
6 meetings via the Internet to share information with the public in a very timely  
7 manner. By scheduling public inspection briefings in this manner we were  
8 able to share inspection observations with members of the public, particularly  
9 those in local communities, in advance of publication of the formal inspection  
10 reports. Use of webinars also allowed us to capture questions and feedback  
11 from public stakeholders and be more responsive to their requests for  
12 information.

13                   We used this technology to broadcast a pre-decisional  
14 enforcement conference which provided an opportunity for the public to have  
15 a level of involvement beyond what is typically experienced by listening over  
16 a conference bridge. These opportunities to observe Staff briefings and  
17 obtain information more quickly as inspection activities progressed and  
18 Agency decisions were made regarding enforcement action and the Agency's  
19 conclusions on spent fuel transfer operations at a site were well received by  
20 the public.

21                   We participated in several community engagement panel  
22 meetings in the vicinity of a site to discuss our inspection observations and  
23 plans for future inspections at that site. These meetings provided

1 opportunities for Staff and managers to hold face-to-face discussions with  
2 members of the local communities. We also conducted a town hall meeting  
3 in the vicinity of the licensee's spent fuel storage site. That meeting was  
4 sponsored solely by the NRC so that the public would have an opportunity to  
5 interface with us independent of licensee representatives.

6           In addition to our public webinar meetings we fully utilized  
7 the Agency's public web page and the Spotlight feature to post inspection-  
8 related and technical documents of interest to the public as well as questions  
9 and answers related to the site-specific enforcement action and our ongoing  
10 technical review involving one licensee. We also used this web page feature  
11 to provide easy access to the Agency's frequently asked questions for spent  
12 fuel storage and transportation, as well as other technical documents.

13           During the past year several briefings were performed for  
14 Congressional representatives and their staff to explain the bases for Agency  
15 decisions and the status of spent fuel oversight activities. In addition, one  
16 senior manager, along with other invitees, participated in a Congressional field  
17 hearing conducted in California to discuss issues involving spent fuel  
18 management activities in that state. A second senior manager also  
19 participated in a hearing conducted by the California Coastal Commission.

20           Based on our experience over the past year the Staff plans  
21 to be proactive in considering enhanced public and Congressional stakeholder  
22 engagement when significant technical or safety issues are identified and  
23 when there is significant stakeholder interest with a specific spent fuel storage

1 site.

2 The photograph in this slide shows members of the NRC  
3 interacting with the public in the vicinity of operating power plants.

4 Next slide, please. As new spent fuel storage systems and  
5 facilities are constructed and operated additional inspections may be required.  
6 Regional and Headquarters staff will continue to closely monitor initial fuel  
7 campaign schedules and anticipate that licensees may choose efforts to  
8 expend fuel loading campaigns to support decommissioning activities.

9 The Regional and Headquarters teams will continue to  
10 collaborate and share resources to ensure oversight of the most safety-  
11 significant activities. As the model for decommissioning shifts to the  
12 increased use of contractors for turnkey operations the Staff will continue to  
13 ensure that safety culture considerations remain at the forefront of operational  
14 decisions.

15 The Staff recently completed a limited number of  
16 inspections of aging management programs. Those inspections were  
17 performed in accordance with Temporary Instruction 2690-11.  
18 Implementation of that temporary instruction was announced to the  
19 Commission in December of 2017. The purpose of the temporary instruction  
20 was to evaluate through inspection whether spent fuel storage licensees have  
21 adequate processes or procedures, either planned or in place, to implement  
22 aging management programs to support renewed specific licensees or  
23 renewed certificates of compliance for storage system designs.

1                   Renewed specific license holders and certificate of  
2 compliance holders are required to provide aging management programs with  
3 license or certificate renewal applications in accordance with 10 CFR 72.42,  
4 or 72.240, respectively.

5                   The Staff selected sites for review under the temporary  
6 instruction in accordance with specific criteria that included, among other  
7 items, sites with different storage system designs and inclusion of a site from  
8 each Region. Staff is currently completing their review of the initial data  
9 collected from this effort. The Staff will use the results of the inspections to  
10 develop future inspection guidance.

11                   We expect to incorporate review of licensees' aging  
12 management programs into our routine periodic inspections and we also plan  
13 to monitor operating experience in this area as we proceed with those  
14 inspections to determine whether adjustments to the inspection efforts or the  
15 guidance is needed.

16                   Regional and headquarters Staff have also evaluated  
17 technologies which have been successfully used to both inspect and repair  
18 metal surfaces. Those activities have included the observation of in situ  
19 visual assessments of spent fuel canisters loaded in a UMAX spent fuel  
20 system where the majority of the canister remains underground or below the  
21 pad surface. In that particular instance the assessments were performed  
22 using a video camera mounted on a small robot which navigated around the  
23 surface of the canister.

1           The Staff has also recently observed demonstrations of  
2 metal particle overlay, or a cold spray process that can be used to repair flaws  
3 in metal surfaces. One licensee is currently exploring the use of this  
4 technique with equipment that would be deployed robotically to assess the  
5 effectiveness of in situ canister repair. These efforts are being explored by  
6 industry to identify methods that can be used for canister inspection and repair  
7 in the future, if needed, and to support future aging management programs.

8           The photographs on this slide show robotic devices that  
9 have been tested and could be used in the future for inspection or repair of  
10 canisters.

11           Next slide, please. NRC continues to share operating  
12 experience gathered through our Vendor and Licensee Oversight Programs.  
13 Information is posted to the NRC web page either through site-specific  
14 portions of the Spotlight feature or through other more generic sections such  
15 as the frequently asked questions. When appropriate the Staff issues  
16 generic communications.

17           The Program Office has sponsored its annual regulatory  
18 conference meetings, as mentioned earlier, where operating experience as  
19 well as future program development are discussed. Regional inspectors  
20 have also noted that spent fuel storage system vendors continue to  
21 communicate operational experience and in some instances have issued  
22 recommendations based on lessons learned to their customers in an effort to  
23 enhance safety.

1                   In one instance a vendor recommended the use of  
2 equipment that would provide the ability to maintain visual observation of  
3 loaded spent fuel canisters during lifting and downloading operations as well  
4 as consideration of using load-sensing devices on equipment that is used to  
5 lift and move spent fuel canisters during fuel transfer operations. The NRC  
6 will continue to monitor operating experience and issue generic  
7 communications as we see appropriate to the industry.

8                   And finally, if interim consolidated storage facilities are  
9 approved, additional oversight of licensee inspections before and after  
10 transport may be needed. As licensing activities for these facilities  
11 progresses and the inspection program evolves we will monitor resource  
12 needs and will evaluate them further.

13                   That concludes my remarks. I'll turn it back over to John.

14                   MR. LUBINSKI: Linda, thank you.

15                   I also want to thank Chris, John. I also want to thank all the  
16 members in the Division of Fuel Management for helping prepare us for the  
17 two presentations this morning, as well as the work they do every day, and  
18 the program offices that we -- or program offices who we work with in the  
19 Regions for supporting the program as well as these presentations.

20                   With that, that concludes our prepared remarks for this  
21 morning and we now look forward to any questions.

22                   CHAIRMAN SVINICKI: Thank you for that  
23 acknowledgement, John. It is important to note that often the presenters

1 have been supported by a lot of other NRC Staff. So thank you for  
2 recognizing those individuals who may be in the room or just listening in today.

3 And with that, we'll begin questions with Commissioner  
4 Baran.

5 COMMISSIONER BARAN: Well, thank you for your  
6 presentations. I appreciate the discussion we had on the first panel about  
7 potential changes that would have the effect of reducing inspections and  
8 inspection hours for fuel facilities.

9 This ended up being I think the main focus of the first  
10 session, and I think that's appropriate because it's an important issue. It's  
11 good to hear that working groups aren't getting explicit direction to recommend  
12 cuts to inspections, but we also heard from one working group member that  
13 rightsizing was a key focus for the working group; and I think we all know what  
14 rightsizing means, and that orientation shows in a basic framework of what  
15 the working group recommended in that case.

16 And as we talked about in the first panel, there were three  
17 tiers of safety issues: Tier 1, Tier 2, Tier 3. And under this construct Tier 1  
18 gets flat level of inspection, or in some cases actually reductions. Tier 2 gets  
19 cuts. Tier 3 gets deeper cuts. And if that's the basic framework, the  
20 outcome seems pretty obvious. Cuts not just to inspection hours, but to  
21 inspections by reducing their frequency.

22 I disagree with the idea that fewer inspections would somehow  
23 enhance safety.



1                   For this panel I'd like to discuss the potential changes to  
2 independent spent fuel storage installation or ISFSI inspections. These of  
3 course are the dry cask storage pads located around the country, typically on  
4 site at operating or decommissioned reactors. There was an NRC Staff team  
5 looking at this issue, too. All four Regions were represented on the team.  
6 The stated goal of this effort is risk-informing the program. But to be clear,  
7 the Staff is talking about major reductions in NRC safety inspections for  
8 ISFSIs.

9                   In October the Staff team presented two options to  
10 management: One option was supported by three of the four Regions and  
11 the other option was put forward by Region II. Under the majority  
12 recommendation annual ISFSI inspection hours nationwide would be cut by  
13 47 percent. Region II recommends going further, to cut inspection hours by  
14 88 percent. Either way those would be dramatic reductions.

15                   Is NRC management considering inspection reductions of  
16 that magnitude?

17                   MR. LUBINSKI: So at this point, as we said earlier about  
18 our discussion, the report was provided to the Division Director. At the time  
19 it was Mike Layton.

20                   COMMISSIONER BARAN: Yes.

21                   MR. LUBINSKI: Now we've done our reorganization it  
22 would be Andrea Kock. Chris is the deputy of that division.

23                   That was the initial working group's recommendations.

1                   What we decided to do at that point was then go out for  
2 public engagement. So we have made no decisions yet as a management  
3 within NMSS on where we're going to go with that as far as any final decision.

4                   We are going to continue to engage with the public. We did  
5 handle this group a little differently where we worked a lot more internally  
6 before engaging with members of the public. And that includes industry, all  
7 the external stakeholders. So this is the start of that process now.

8                   As Chris mentioned, we just had our first public meeting two  
9 days ago and it was the first time people have had an opportunity to look at  
10 those reports. We've asked for written comments to come in on that. Once  
11 we get the evaluation of those written comments, we'll then make a decision  
12 on whether we move forward with additional engagements with the public or  
13 which decision we make. So in short, we've not made a final decision yet,  
14 but we're considering the recommendations of the working group.

15                   We have set up, as the previous working group set up the  
16 same way with asking the group to bring together groups of inspectors. One  
17 of the champions of this was a previous SRA out of the industry who -- or I'm  
18 sorry, out of the Region who had a great risk background to bring to the table  
19 in looking at risk insights. And we asked them to develop how do you look at  
20 what risk factors to consider in going forward. So we as a team didn't even  
21 define to them the true definition of risk. They came back to us on looking at  
22 the different risk factors on how to consider.

23                   And a little bit different than in the fuel facility area, but one

1 of the similarities is in the fuel facilities we looked at different disciplines such  
2 as chemical safety, criticality safety. In this area they were looking at  
3 operations. There's a lot of operations that occur when you talk about an  
4 ISFSI. It's not just the storage on the pad. It's the storage on the pad  
5 whether it's at the reactor or whether it's away from the reactor. What about  
6 during fuel loading campaigns? So we looked at where do you focus your  
7 efforts during those different facets of the ISFSI.

8 COMMISSIONER BARAN: I want to ask about that. San  
9 Onofre had a near-drop of a dry cask not that long ago, but it looks like the  
10 working group team is recommending a general reduction in inspection hours  
11 for dry cask loading campaigns from 66 hours per year to 35 hours per year.  
12 That would be a 47 percent cut in inspection hours. The Staff working group  
13 also recommends a 33 percent reduction in routine stand-alone ISFSI  
14 inspection hours.

15 Are those recommendations what we're putting out for kind  
16 of public comment?

17 MR. LUBINSKI: Those recommendations are being put  
18 out for public comment, yes.

19 COMMISSIONER BARAN: As I think about this kind of  
20 from a big picture, there's a lot going on right now that has the Agency, the  
21 industry and the public focused on the safety of dry cask storage. We have  
22 nuclear power plants decommissioning. There is increased interest in  
23 consolidated interim storage. There was the event at San Onofre. Casks

1 around the country are aging and obviously will continue to age.

2           The reality is that the Agency is not expending a lot of resources on  
3 ISFSI inspections right now. It's just around three full-time equivalents each  
4 year. This big potential cut, if it were at the recommended level of the working  
5 group, would only say 1.4 FTE.

6           So I think a question we have to ask ourselves as part of  
7 this decision making process is, is that small amount of savings really worth  
8 reducing public confidence in the safety of dry cask storage in communities  
9 around the country?

10           MR. LUBINSKI: So I would say there a couple things in  
11 that: Number one is we need to look from the standpoint of our own  
12 resources, as you said, as far as if there were a potential cut. And again, we  
13 haven't made any decision yet. How are we focusing our resources and how  
14 are -- how is that influencing where the licensees are focusing their resources?

15           So if a licensee is focusing their resources in an area that  
16 may not be as risk-significant, may have a very low safety significance, may  
17 require us -- them to continually do that based on the amount of inspections  
18 we do, that's going to take their focus away from safety -- or more significant  
19 safety issues at the plant. So that's the other impact when you look at  
20 reductions in a program or shifts on a program based on the safety  
21 significance from one area to the other.

22           So even if you're talking about small amounts of effort, you  
23 have to look at what the positive impacts are of those changes from the

1 standpoint of having a refocus of plant operations into the correct areas.

2 COMMISSIONER BARAN: Well, I think that's a  
3 reasonable factor to consider. I think though we also need to consider the  
4 reactions of non-industry stakeholders. How many communities hosting  
5 ISFSIs do you think would see a 50 percent reduction of NRC inspections as  
6 a safety enhancement?

7 MR. LUBINSKI: So at this point, as I said, we've gone out  
8 and asked for public comment. We have not received any public comments  
9 yet. We did have the meeting this past Monday. Most of the comments  
10 received during the discussion were from the industry.

11 I'm going to ask Chris. I think we had 60 people on the  
12 phone line?

13 MR. REGAN: We had 47.

14 MR. LUBINSKI: Forty-seven? Forty-seven people on the  
15 phone line. Not all of them identified themselves. But we did reach out  
16 beforehand to make sure that members of the public were notified about the  
17 meeting, and we believe some of them were on the phone. We heard nothing  
18 from them on the phone. That doesn't mean they're not going to comment in  
19 writing. So we look forward to getting those comments in before making our  
20 decisions.

21 COMMISSIONER BARAN: Yes, I mean, we don't want to  
22 guess about what people would think about this.

23 But, Linda, you were at a recent San Onofre public meeting

1 on NRC's response to the near-drop. How do you think the Staff's  
2 recommendation would have gone over with the stakeholders who attended  
3 that meeting?

4 MS. HOWELL: It is quite true that stakeholders in the  
5 vicinity of San Onofre might not be happy with the decrease in inspection  
6 effort, but I think if you step back and you take a look more broadly at the dry  
7 fuel storage facilities across the nation the level of interest from local  
8 stakeholders, members of the public, as well as Congressional stakeholders,  
9 will vary depending on where that particular storage system is in its life cycle.

10 In other words, if you have a site that's undergoing extended  
11 fuel off-load such as San Onofre to support more rapid initiation of true  
12 decommissioning activities, the members of the public may have greater  
13 interest at that time and they may question the NRC why would you decrease  
14 your level of inspection effort?

15 If you -- on the other hand if you have a site such as Trojan  
16 or Humboldt Bay where there is no continued active fuel loading, you hear and  
17 see less interest or belief expressed by members of the local communities that  
18 NRC needs to expend additional hours. And one of the things that was  
19 factored into this working group's recent review is that particular issue. It's  
20 like when and where should we be focusing our inspection efforts? And I  
21 think John alluded to that in his response.

22 So there's flexibility built into the approach for inspection  
23 procedures, even though you might ultimately end up with a slight decrease,

1 but it's -- the team attempted to focus their recommendations on where should  
2 we be putting our oversight efforts and what are the really risk-significant  
3 activities?

4 COMMISSIONER BARAN: Yes. Was there some area  
5 that these resources were recommended to be shifted to, or just cut?

6 MR. LUBINSKI: There was actually a slight increase in  
7 inspections during fuel loading, so there was an increase in that area.

8 COMMISSIONER BARAN: But the overall 47 percent  
9 recommended reduction, that's not being shifted to something else. That's  
10 just gone?

11 MR. LUBINSKI: No, it's not being shifted to something  
12 else. Where it will go is we will continue to see increases in this area as far  
13 as the number of inspections that we need to perform nationwide. So on a  
14 plant basis, no, it's not being shifted within that plant, but it will be used for  
15 inspections at other ISFSI facilities.

16 COMMISSIONER BARAN: Okay. Great. Thank you.

17 CHAIRMAN SVINICKI: Thank you.

18 Commissioner Wright?

19 COMMISSIONER WRIGHT: Thank you. Good morning.  
20 Still. Yes.

21 So the last time we were briefed on these two business lines  
22 we were at the beginning of our conversation on transformation, and the  
23 presentations from both the panels this morning have really highlighted how

1 you've embraced transformation and a lot of the changes that you are going  
2 through. And I think should be proud of the work you're doing and I look  
3 forward to hearing more as you progress through the full implementation.

4 So, Chris, I'm going to start with you. All right? And then  
5 your hour will be up.

6 (Laughter.)

7 COMMISSIONER WRIGHT: You mentioned the NEI  
8 transportation tabletop that was at Prairie Island. And I attended that in May.  
9 Found it very helpful to see how the different groups that would be involved in  
10 transporting spent fuel would interact and where the hand-offs would be. I  
11 was particularly impressed with the industry staff that were playing the role of  
12 the NRC. I understand that your Staff spent some time coaching them and --

13 MR. REGAN: We did, yes.

14 COMMISSIONER WRIGHT: -- on our role and the  
15 regulations. And that really seemed to pay off because they were quite  
16 impressive. So thanks for that.

17 I'm also pleased to hear about the work that your Staff is  
18 doing to be ready for the transportation of fresh and irradiated accident-  
19 tolerant fuel and high-assay LEU fuel. So it seems like we're making pretty  
20 good progress for the designs that we're familiar with such as the ceramic fuel  
21 pellets and zirconium cladding.

22 Are there any gaps that we still need to address for other  
23 designs like triso or metallic fuel or -- and what about the high-assay LEU



1 fuels?

2 MR. REGAN: So from a regulatory perspective, no, but  
3 there are some technical areas where additional data would be helpful to  
4 obtain to better inform our reviews of those new types of fuel cladding and the  
5 higher enrichment levels. If you focus on spent fuel storage, spent fuel  
6 transportation, material characteristics that we might need to know for  
7 transportation of spent fuel at the back end storage of that fuel -- because we  
8 do have regulatory requirements that would need to be addressed that you  
9 would need that data for.

10 So from a technical standpoint there are some areas that we  
11 want to look at, but that's currently something that we're assessing. But from  
12 a regulatory standpoint no regulatory gaps.

13 COMMISSIONER WRIGHT: So what do you see as the  
14 biggest change that the NRC has yet to make to be ready for these  
15 applications?

16 MR. REGAN: So our regulatory processes are in place,  
17 and as mentioned we actually have already approved transportation of fresh  
18 fuel for the lead test assemblies. So it can be done. We have the processes  
19 in place. What we're primarily waiting on at this point are applications.

20 We've engaged with industry. We've communicated with  
21 NEI what our -- what the expectations are if they are to meet their 2023 desire  
22 for batch loading of the advanced ATF or HALEU. So really we're collecting  
23 data, doing some research for the back end of the fuel cycle, but at the

1 moment we're in a holding pattern to actually get an application to start  
2 reviewing those.

3 COMMISSIONER WRIGHT: Are there any areas where  
4 Staff is waiting on us, the Commission?

5 MR. REGAN: No. None that I'm aware of, no.

6 COMMISSIONER WRIGHT: Okay. All right. Good.  
7 Thank you.

8 John, good morning.

9 MR. McKIRGAN: Good morning.

10 COMMISSIONER WRIGHT: So it can be hard to articulate  
11 what being a modern risk-informed regulator means, but the graded approach  
12 pilot for the certificate of compliance reviews is a great example I think of how  
13 we can use risk insights to appropriately focus the reviews.

14 So I understand that you're also working on a proposed rule  
15 related to a 2014 petition for rulemaking that requested changes to the  
16 regulations to address the format and content of certificates of compliance.

17 MR. McKIRGAN: Yes, sir.

18 COMMISSIONER WRIGHT: How do these two activities  
19 relate?

20 MR. McKIRGAN: So there is a nexus there. The graded  
21 approach came along somewhat after that petition was initially submitted, but  
22 there is a connection there.

23 And so one of the things the Staff is doing now is to kind of

1 re-look at the landscape in light of where we are and reassess what we can  
2 do just within our own purview, within guidance and within the current  
3 regulatory framework. And so that is where the graded approach really  
4 comes in. So we have regulatory framework that enables certain flexibility.

5                   The pilot that we chose was an excellent one in that it had a  
6 very long history, it had been modified a number of times and it had grown  
7 over time. And so it was ripe for a fresh look at what is in the tech specs,  
8 what is in the CoC that really needed to be retained for safety? And so it was  
9 an ideal pilot.

10                   The transformation and the risk informing of that process  
11 was also well timed and ideal in that the transformation mentality -- we were  
12 working with the Staff to come to that mind set and that pilot proved to be an  
13 excellent example of -- a practical example of where the Staff is actually  
14 working through the risk insights and sorting through item by item, 99 items,  
15 to partition them into what needs to stay and what can go or what can be  
16 modified. So there was a neat confluence of elements there that came  
17 together in that pilot.

18                   We are looking at more holistically some of the other items  
19 that were considered in that petition and I think that is still in process. We  
20 haven't come to any conclusions yet on that. But we did want to take a look  
21 at what we can do within our own purview first before going through a rather  
22 laborious rulemaking process.

23                   COMMISSIONER WRIGHT: Right. So you had a people

1 meeting in October, I understand --

2 MR. McKIRGAN: Yes, sir.

3 COMMISSIONER WRIGHT: -- to gauge I guess the  
4 interest in continuing with the rulemaking. What kind of feedback did you  
5 get?

6 MR. McKIRGAN: So I think there's a -- I don't know that  
7 we've gotten all the final feedback on that. I think there's still some more work  
8 to be done there. There was some good responses from industry. They  
9 have some views. I think there was good support for that notion of trying to  
10 see what we can do absent rulemaking, but we do need to follow the  
11 rulemaking process. That petition is in the process and we want to be true to  
12 that process and allow that to come to its conclusion. And we'll be certain to  
13 communicate those results.

14 COMMISSIONER WRIGHT: Okay. Thank you for that.

15 Coming to you, Linda. How are you this morning?

16 MS. HOWELL: I'm fine.

17 COMMISSIONER WRIGHT: So I really appreciate your  
18 leadership this year. You've done some very complex issues with a lot of  
19 public interest.

20 MS. HOWELL: Thank you.

21 COMMISSIONER WRIGHT: You appear to routinely kind  
22 of approach things with a level head and you have the ability to communicate  
23 very difficult technical, highly technical stuff in a way that people can

1 understand and connect with. So that's not an easy task, so congratulations  
2 on that ability.

3 So I'm impressed with how many communication  
4 techniques and channels were used to communicate with all the interested  
5 stakeholders on the issues with SONGS and Holtec. And you used town hall  
6 meetings, you used webinars, written communications, briefings for  
7 Congressional staff, website postings and social media postings.

8 So what did you learn from using these varied approaches?  
9 Are there lessons learned that we can apply to other high-interest activities?

10 MS. HOWELL: Perhaps. And thank you for asking that  
11 question. It was a daunting approach to the Staff initially, but as we  
12 completed the first webinar and prepared for the next one, it became easier  
13 over time. So it's really not complex.

14 I think one of the biggest lessons was the reception by  
15 members of the public. We'll talk about the webinars. The concept that we  
16 were able to get information that was of interest to them out in advance of that  
17 45 or 60-day period that it traditionally takes us to produce a team inspection  
18 report was important because they understood just based on what they saw  
19 and read in the media, what they were hearing from the licensee that decisions  
20 were being made, that inspection activities were ongoing.

21 And so I think there was a great appreciation by members  
22 of the public whether they specifically liked our decisions or whether they  
23 specifically liked the information, but they did appreciate the ability to hear that

1 in a timely manner and to have those opportunities when we went out and  
2 participated in the community engagement panels to step up and discuss their  
3 thoughts, express their views with us face to face. I think that's a great  
4 learning experience.

5                   And I think that over the course of the last year we became  
6 more proactive as we went along, if we knew that a report was coming out, a  
7 decision was about to be made, with reaching back to the Office of  
8 Congressional Affairs and making offers to do those Congressional staffing  
9 briefings. Not only did we do them remotely, but whenever we went out to  
10 the community engagement panel meetings, we made the offer to drop by the  
11 local district offices so that they could sit with us one on one, ask questions  
12 and we could ensure that they had a common understanding.

13                   So I think the approach to looking proactively at who do we  
14 need to engage with, when do we need to engage when we know that we  
15 have high stakeholder interest is a lesson that we should walk away from from  
16 this. And it doesn't just apply to spent fuel. It may apply to many other  
17 situations.

18                   COMMISSIONER WRIGHT: Were there any IT issues that  
19 maybe we should explore that would -- that we need to work on to improve  
20 our communications?

21                   MS. HOWELL: Honestly it was very easy. The  
22 technology that's out there and the infrastructure that we have in place at the  
23 Agency made it relatively straightforward to go ahead and conduct this.

1 COMMISSIONER WRIGHT: Thank you so much.

2 CHAIRMAN SVINICKI: Well, thank you all again for your  
3 presentations.

4 Linda, maybe I'll turn to you because it's easier sometimes  
5 just to continue rather than to keep going back and forth.

6 I do want to thank you for the work that you're doing, and  
7 particularly I was listening with interest to your response to my colleague about  
8 looking at our techniques of reaching out to people. I think that the days of  
9 considering it kind of a one-size-fits-all outreach program I think are over.  
10 And in a polarized world it's easy to just kind of go, well, there's trying and  
11 utter defeat and everything else, but I -- there are things that are more effective  
12 and it depends on who you're communicating or trying to communicate with  
13 and what you're trying to communicate. So I appreciate that we're bringing  
14 some thought to that.

15 And you're in Region IV, so I know you've been busy  
16 because we have some things that have garnered some public interest out  
17 there. If I may ask without being too personal, how many years of public  
18 service do you have?

19 MS. HOWELL: I achieved my 31st year with the NRC --

20

21 CHAIRMAN SVINICKI: Okay.

22 MS. HOWELL: -- this past fall.

23 CHAIRMAN SVINICKI: Well, wonderful for that. On any

1 given day I'm sure you've -- have you felt a lot as you've gone about -- that  
2 your job on many days is doing the easy thing or doing the right thing?

3 MS. HOWELL: I personally tend to focus on doing the right  
4 thing.

5 CHAIRMAN SVINICKI: Yes, okay. So often I think those  
6 of us with long public service know what it is to be the face of unpopular  
7 decisions. And it is not easy. It takes a certain evolved thinking not to take  
8 people's concerns and general criticism of your organization personally. So  
9 it is kind of a higher order evolved area to work in.

10 But I think we talked a little bit about rightsizing. When  
11 you're working in communication you find out that words mean different things  
12 to different people. I'd be interested; and maybe I'll pivot to John on this one.  
13 He's gotten so bored, he's writing a doodle there.

14 (Laughter.)

15 CHAIRMAN SVINICKI: Do you think that the concept of  
16 rightsizing a regulatory footprint bears a relationship to reasonable assurance  
17 of adequate protection, which is again the legal standard for what we do, which  
18 is not the absolute delight of every stakeholder and constituent all the time.  
19 It's reasonable assurance of adequate protection. Do you think rightsizing is  
20 an inherent element of that?

21 MR. LUBINSKI: Yes, I do. That's the premise of making  
22 the decisions. That's the task when we talk about risk-informing activities to  
23 still making sure we have reasonable assurance of adequate protection.



1 When we deal with external stakeholders, that's some of the challenge we  
2 have. Even when we use the words reasonable assurance of adequate  
3 protection, we'll hear back from them that's not enough. We want absolute  
4 assurance. And that's -- we have to tell them that's not our mandate.

5 CHAIRMAN SVINICKI: I had to sit once in a meeting with  
6 an elected official who didn't like our 95 percent confidence levels. He  
7 wanted it to be 100 percent. And it's interesting in those moments how you  
8 realize that it's everyone's background that gives them a different perspective.  
9 And as an engineer I really had to think on my feet. And so my answer was  
10 zero and 100 percent really don't exist in the physical world. Like zero was  
11 invented --

12 MR. LUBINSKI: Yes.

13 CHAIRMAN SVINICKI: -- I'm forgetting now by who.  
14 Somebody invented zero, but before that the concept of zero hadn't existed.  
15 And so I said really nothing is ever perfectly safe or absolutely risky. It's we're  
16 always kind of working at varying levels and 95 percent confidence is  
17 considered actually a very, very high confidence.

18 But it revealed to me the different things -- people hear  
19 things differently, they think differently. And I'm sure that you could find  
20 constituencies that would find both of those perspectives reasonable. So we  
21 often have to be the face of explaining these things, and it's not easy. But I'm  
22 sorry I cut you off on that.

23 MR. LUBINSKI: Oh, no, I appreciate that, because again

1 as we go forward and getting the input from the public many times we go  
2 through a -- what I'll say is a mini risk analysis as we're asking the questions  
3 and getting input. And as we answer the questions we find many times we  
4 get the what next, what if after that.

5                   And we find ourselves having to then explain that we're  
6 looking at the probability of that incident occurring when you start to get five,  
7 six, seven what ifs down the line and saying we have to make, as Linda said,  
8 the tough decision, the tough call to say, no, we've now determined this is  
9 reasonable assurance, no, it's not absolute assurance, we're not at zero risk,  
10 and have to be able to communicate that. But where do you draw that line?  
11 Where do you make that call? And that's the difficult decision we need to do.

12                   And then we need to make sure as we're communicating it  
13 -- because they're coming up with what has a consequence to it in their what  
14 if scenario. It's truly a consequence, but the probability of that consequence  
15 is so low that we need to make that decision.

16                   CHAIRMAN SVINICKI: Well, and we see this too often; I  
17 find myself thinking about this concept, when it comes to new technologies  
18 that in industry, or the industry we regulate here at NRC, which is mostly what  
19 we think about; but I try to think about other regulated industries -- there are  
20 new enhancing technologies that the regulator is not in a position to mandate.

21                   We heard a little bit about visual inspections and things that  
22 can be done that are not -- certainly something at this point in time we have  
23 no regulatory basis to compel everyone to send those little robotic crawlers in

1 there. Now, if there's some issue and we have a safety concern, then we  
2 would ask the licensee to propose some means of addressing it.

3                   But if the regulatory framework for any industry would never  
4 basically take into account some new technologies or in some ways -- I hate  
5 this term provide credit for, but I kind of think of it as in a regulatory space can  
6 you have some acknowledgement of an enhanced technology that you can't  
7 mandate if it's diagnostic or an inspection technology or something like that.

8                   What is the likelihood of the industry you regulate really  
9 exploring and funding the development of those things which again do have  
10 positive enhancing safety attributes, but you can't require them -- you could  
11 get kind of locked and frozen in a circumstance where they have no motivation  
12 to improve that. It does further enhance safety beyond the regulations. And  
13 so that's another element I think of rightsizing is having a system that gives  
14 you the flexibility if there's deteriorating regulatory performance of putting  
15 more regulatory oversight and a heavy regulatory footprint on something.

16                   But if regulatory performance is stabilized or they want to  
17 invest in -- for their own maybe business reasons have some of these  
18 technologies that further would enhance safety or give us greater knowledge,  
19 perhaps even further enhanced confidence about something, then you have  
20 to be able to somehow encompass those improvements.

21                   And so I think as we look at transformation, I think, sure our  
22 fiercest critics can look at it as some sort of diminishment of who we are and  
23 our commitment to safety and security, but I think for me that's first of all kind

1 of an injustice to the good people and the work they're doing here. I've been  
2 here a while. I've gotten to know a lot of you. And while NRC can move at  
3 a frustratingly ponderous pace sometimes, there is a lot of caution built into  
4 that.

5                   And so at the end of the day being the face of some of the  
6 Agency's decisions, it is wonderful to be able to engage an external  
7 constituency and say this is how we analyzed it. Here's the care and rigor  
8 that we used on something. So while it can seem to move at its own pace,  
9 you do come out at the end of the day with a well-substantiated set of  
10 recommendations and things like that. So I've talked a bit.

11                   John, when I communicated to you that the Commission  
12 was going to ask you to step into this role as NMSS director and the  
13 Commission asked you to do that, we were reflecting on your early career time  
14 in NMSS. And you've had some time now to be Director and during this  
15 transformation phase to look at where you're taking NMSS now. How would  
16 you contrast the two, of the NMSS you're leading today as the director and  
17 then your early experiences with NMSS. And I'm sure many in NMSS are  
18 tuning in.

19                   (Laughter.)

20                   CHAIRMAN SVINICKI: This is the Director's evaluation.

21                   MR. LUBINSKI: I find it interesting. When I look at my  
22 early career in NMSS, I really look at it as a two-part career. One was more  
23 in what's the nuclear materials users now and the other was in the fleet fuel

1 cycle area. So I'll address both of those.

2                   As I was responding earlier with your question about the  
3 oversight program, and using that as just one of the examples, just looking at  
4 that area the amount of new information we have right now on risk insights in  
5 that area I think is huge. And I think the Staff and their embracing of it is just  
6 much different than it was 20 years ago because they now have that  
7 information.

8                   So when I think about the changes that are taking the  
9 program, it's not that John Lubinski's coming into the job and asking make this  
10 change. It's me coming into the program and saying what changes do we  
11 need to make? The answer is in the room. What do you believe we need to  
12 do? And they're saying, oh, we do have ideas. We've had these ideas.  
13 Let's bring them into to -- so I've seen that as a difference and a contrast I'd  
14 say in that area and having those more risk insights.

15                   When I think back, it was longer ago when I was in the  
16 Nuclear Materials Users Group. And it's interesting because so many of  
17 those issues have evolved more, whether it's in the general licensing area,  
18 licensing in medical, and we've made a lot of changes in those areas over the  
19 years. So in some of those areas I'd say certain aspects I don't even  
20 recognize anymore. Others are still the same. But I've appreciated that the  
21 Staff in those groups have taken it to the next level and moved it forward to  
22 the place it is today.

23                   And again some of the issues are still the same that we're

1 dealing with, and I do get a smile on my face at times when people refer back  
2 to a paper that may have had my name on it from 25 years ago and use my  
3 words back to me. But, and I'd say in those cases some of my views have  
4 evolved, which is also interesting because we may look at where my position  
5 was 25 years ago and I feel that I've learned, I've grown, and my position has  
6 changed on many of those issues as well.

7                   And I think that's a good example that we can use as we're  
8 talking to others about our change and our transformation that when we can  
9 show ourselves the way we've changed and the way our thinking changed, it  
10 helps others to think about that as well.

11                   CHAIRMAN SVINICKI: I appreciate your candor on that,  
12 and I -- gosh, I would hope even in the time I've been at NRC that I hope I've  
13 changed and evolved in things. And I think a lot of us consider that a really  
14 healthy dimension. So I take that as a very positive answer on your part, that  
15 you'd be willing to acknowledge if you were a technical contributor to  
16 something 25 years ago that you've learned a lot, that the world has changed  
17 and we need to keep our aperture open in that way.

18                   I again as chairman get invited to speak a lot of places and  
19 I got a really good question. I can't remember the venue, but the question for  
20 me was so NRC is successful in this transformation journey and you come  
21 back and walk in the door five years from now, how does it look different?

22                   And my answer, I don't remember it specifically, but it was  
23 somewhere along the lines of I don't think it's about like changing who we are

1 and what we do. I don't think that's really the change. I think to me it would  
2 be more reflective of kind of what's happening in the wider world, our own  
3 practices and regulations and procedures and maybe the kind of how we do  
4 what we do has hopefully improved, it's more informed, we're leaning in and  
5 taking -- and having access to the tools and things and just the learnings and  
6 communication and other things that are available to us.

7                   But, again, it's been -- as I predicted at the beginning --  
8 there, see, you laid the table with a lot of really wonderful content there. I  
9 want to thank you all and again to your Staffs who prepared you for the  
10 presentations here today.

11                   And with that, we are adjourned. Thank you.

12                   (Whereupon, the above-entitled matter went off the record  
13 at 11:28 a.m.)