

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

1  
2  
3 - - - - -x  
4 In the matter of: :  
5 METROPOLITAN EDISON COMPANY :  
6 (Three Mile Island Unit 1) :  
7 - - - - - :  
8

Docket No. 50-289  
(Restart)

25 North Court Street,  
Harrisburg, Pennsylvania

Tuesday, December 2, 1980

11 Evidentiary hearing in the above-entitled  
12 matter was resumed, pursuant to adjournment, at 10:10 a.m.

13 BEFORE:

14 IVAN W. SMITH, Esq., Chairman,  
Atomic Safety and Licensing Board

15 DR. WALTER H. JORDAN, Member

16 DR. LINDA W. LITTLE, Member

17 Also present on behalf of the Board:

18 MS. DORIS MORAN,  
19 Clerk to the Board

20 APPEARANCES:

21 On behalf of the Licensee, Metropolitan Edison  
Company:

22 GEORGE F. TROWBRIDGE, Esq.  
23 THOMAS A. BAXTER, Esq.  
24 Shaw, Pittman, Potts and Trowbridge,  
1800 M Street, N.W.,  
25 Washington, D. C.

8012120444

T

1 On behalf of the Commonwealth of Pennsylvania:

2 ROBERT ADLER, Esq.  
3 Assistant Attorney General,  
4 505 Executive House,  
5 Harrisburg, Pennsylvania  
6 WILLIAM DORNSIFE,  
7 Nuclear Engineer

8 On behalf of the Regulatory Staff:

9 JAMES TOURTELLOTTE, Esq.  
10 JAMES M. CUTCHIN, IV, Esq.  
11 Office of Executive Legal Director,  
12 United States Nuclear Regulatory Commission,  
13 Washington, D. C.

14 Petitioners for leave to intervene pro se:

15 STEVEN C. SHOLLY,  
16 304 South Market Street,  
17 Mechanicsville, Pennsylvania

18  
19  
20  
21  
22  
23  
24  
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C O N T E N T S

A

WITNESS:

DIRECT CROSS REDIRECT RECROSS BOARD CROSS  
ON BOARD

T. Gary Broughton

By Mr. Baker 6947

By Mr. Sholly 6972

Afternoon Session p. 7004

T. Gary Broughton  
Gerald J. Sadauskas  
Luther L. Joyner

By Mr. Sholly 7025

By Mr. T. Adler 7093

By Mr. Sholly 7117

By Mr. T. Adler 7118

Dale Thatcher

By Mr. Cutchin 7120

By Mr. Sholly 7124

EXHIBITS

NUMBER

FOR IDENTIFICATION

IN EVIDENCE

17 6954

18 6988

18 7010

19 7022

19 1 7026

2 7029

20 1 & 2 7124

P R O C E E D I N G S

1  
2 CHAIRMAN SMITH: Mr. Tourtellotte, I would like to  
3 make an announcement. We have with us this morning Mr.  
4 Ernest Hill, who is a nuclear engineer with the  
5 Lawrence-Livermore National Laboratory. Mr. Hill has been a  
6 member of the Atomic Safety and Licensing Board Panel since  
7 the early '70s, as I understand it, and he is here perhaps  
8 for the first time in an NRC adjudicative hearing, under a  
9 new provision of our rules of practice, 10 CFR 2.722, which  
10 was published in the Federal Register, 45 Fed. Reg. 62027,  
11 approximately August or September of this year. Section  
12 6.722(b) is the section we are relying upon. That permits a  
13 presiding officer, the Board in this case, at its  
14 discretion, to call upon a member of the Atomic Safety and  
15 Licensing Board panel before the hearing to seek advice on  
16 complex matters.

17 In particular, in this case, Mr. Hill has been  
18 advising Dr. Jordan or will be advising Dr. Jordan as to  
19 questions to be asked witnesses to satisfy the Board's  
20 interest in certain subject matters.

21 There is no special significance about Mr. Hill's  
22 presence this morning, Mr. Sholly. It just happened to be  
23 he came here at this time to consult with Dr. Jordan, and  
24 there is nothing about your Contention that in itself  
25 requires his presence.

1           The new rule has two sections to it. The first  
2 section permits a rather wide range of consultation with  
3 other panel members. The second section, Subsection (b), is  
4 the one that we are employing. Mr. Hill's participation  
5 will be limited to advising the Board as to questions that  
6 might be asked of witnesses. We do not seek any  
7 recommendations from Mr. Hill on the resolution of issues,  
8 on findings of fact, or any of the factual issues to be  
9 resolved in this proceeding. It is merely to suggest to Dr.  
10 Jordan how he might develop the record for his purposes at  
11 this time.

12           Mr. Tourtellotte.

13           MR. TOURTELLOTTE: A couple of preliminary  
14 matters. One, the SER on management did issue and was sent  
15 out last week. Tomorrow we will have members of the staff  
16 here. As I recall, we agreed upon December 3 at 9:00  
17 o'clock. We will have members of the staff here to go  
18 through that SFR with interested parties and the Board and  
19 give a broad brush explanation of what is in the SER, and I  
20 recall that at the end of that meeting, the Board was going  
21 to establish some time, perhaps the following week, when we  
22 would get together and have an informal discovery session as  
23 we did in the emergency planning.

24           CHAIRMAN SMITH: I believe that we have already  
25 established that by Board order. I will check it during the

1 next recess, but I am fairly certain that we have already  
2 done that.

3 MR. TOURTELLOTTE: That may well be. It is sort  
4 of fuzzy in my mind as to whether we did or whether we  
5 didn't. At any rate, that will be coming up tomorrow.

6 And the other thing I wanted to mention was the  
7 pieces of testimony which I indicated would not be filed on  
8 time yesterday dealt with three areas of Class 9 accidents,  
9 inadequate core cooling, and control room design. The  
10 staff actually did file some papers yesterday, and the  
11 papers include responsive testimony we believe to UCS 13 on  
12 Class 9 accidents.

13 With respect to inadequate core cooling and  
14 control room design, there is also testimony or pieces of  
15 paper, maybe, I guess, partial testimony or a status report,  
16 if you will, of the other two items.

17 So, those, we had hoped we would have copies for  
18 you this morning, but they are on their way up and will not  
19 be here until afternoon. So in addition to serving them  
20 through the mail, we will provide both the Board and the  
21 parties present with copies of what we did file yesterday.

22 CHAIRMAN SMITH: Mr. Sholly, before we proceed in  
23 taking evidence, could you give a report on the substance of  
24 our telephone conversation yesterday with respect to --  
25 well, first, Mr. Sholly called to forewarn us as to which

1 documents would be needed so we would have them ready in the  
2 cross examination of the witnesses, and he also reported his  
3 conversations with Dr. Johnsrud of ECNP, so could you -- do  
4 you have any additional information? Could you give us an  
5 up to date report on that, Mr. Sholly?

6 MR. SHOLLY: I discussed it with Mr. Baxter and  
7 Mr. Cutchin this morning and told them essentially what I  
8 told you yesterday. If you want, I can repeat it.

9 CHAIRMAN SMITH: You have nothing new?  
10 Essentially you stated that Dr. Johnsrud is not well and  
11 does not know when she is going to be able to appear at the  
12 hearing.

13 MR. SHOLLY: I plan on calling her at lunch today  
14 and checking up and seeing what the status is.

15 CHAIRMAN SMITH: And you are prepared to proceed  
16 as lead interviewer on the computer Contention.

17 MR. SHOLLY: That is correct.

18 CHAIRMAN SMITH: What is the remaining Contention  
19 that you have in common?

20 MR. SHOLLY: The in-plant instrumentation ranges.

21 CHAIRMAN SMITH: That is still unsettled?

22 MR. SHOLLY: Yes. I hope to resolve that at lunch.

23 CHAIRMAN SMITH: Okay.

24 MR. CUTCHIN: Mr. Chairman, while we are  
25 discussing this subject, we have, I understand, a status

1 report on Dr. Johnsrud's health, but I have heard nothing  
2 with respect to Dr. Kepford's availability or  
3 non-availability.

4           CHAIRMAN SMITH: I do not think it is Mr. Sholly's  
5 responsibility.

6           MR. CUTCHIN: I realize that, sir, but I wonder if  
7 we are going to have the schedule turn on the availability  
8 of one or the other. and we might ask Mr. Sholly, if we are  
9 checking on that, to find out the status of the other  
10 participant for ECNP as well.

11           CHAIRMAN SMITH: You might recall, Mr. Cutchin,  
12 when the Board issued its memorandum and order with respect  
13 to dismissing some of ECNP's Contentions I believe it was  
14 this year, we noted that ECNP had not only Dr. Johnsrud but  
15 Dr. Kepford, Dr. Lockstead, and the gentleman that lives  
16 over in the vicinity of Peachbottom who is a technically  
17 trained person, plus other people.

18           The Board is not in a position to rule whether Dr.  
19 Johnsrud's health will affect the schedule. There is no use  
20 moving on things we don't have to. We have plenty to rule  
21 on, but we are aware that there are problems there, and we  
22 will be sensitive to the problems.

23           MR. CUTCHIN: Thank you, sir.

24           CHAIRMAN SMITH: Anything further preliminarily  
25 before we begin with the witnesses?



1 MR. ROBERT ADLER: Yes, Mr. Chairman. I have a  
2 matter that is preliminary to Sholly 6A. I wanted to  
3 inquire of the NRC staff whether any progress had been made  
4 in the area of obtaining testimony from Mr. Basdekas. There  
5 appears to be some connection between his concerns and ICS.

6 MR. CUTCHIN: Mr. Chairman, would you like me to  
7 address that again?

8 CHAIRMAN SMITH: Yes, you can respond.

9 MR. CUTCHIN: Perhaps Mr. Adler does not  
10 recollect, or I don't even remember whether he was here when  
11 I handed out the papers that Mr. Basdekas had made available  
12 and which we served on the parties and participants. The  
13 staff has no intention to offer Mr. Basdekas as a witness,  
14 and my understanding of the way it was left was that the  
15 Board would decide if it wanted to call Mr. Basdekas, and  
16 UCS, through Ms. Weiss, had asked if there were any  
17 objections to UCS' interviewing or meeting with Mr.  
18 Basdekas, and the staff had no objection, nor do I remember  
19 did the Licensee, but I have heard nothing further since  
20 those last conversations.

21 CHAIRMAN SMITH: Right. The Board had indicated  
22 it was going to defer its decision on whether we should  
23 bring -- whether and to what extent we should bring out Mr.  
24 Basdekas' point of view until after UCS had an opportunity  
25 to interview him and make recommendations.

1           However, I want to make it clear that as far as  
2 the Board is concerned, you certainly too should have access  
3 to Mr. Pasdekas and determine in advance if you wish what  
4 your interest may be in his information.

5           MR. ROBERT ADLER: Okay. My main purpose in  
6 raising it this morning was that there seems to be a  
7 relationship to ICS and there may be some perceived  
8 deficiency in the testimony as a result of that.

9           DR. JORDAN: I think you are quite correct in your  
10 observation. However, I believe there is a Contention that  
11 comes up later concerning the interaction of the safety  
12 systems with the non-safety systems which is really directly  
13 pointed toward Mr. Pasdekas' concerns.

14           So I think if we are going to have him here, that  
15 time would probably be the best time.

16           MR. BAXTER: I would note, Dr. Jordan, that is not  
17 very far away. That could be late this week or early next  
18 week.

19           CHAIRMAN SMITH: Anything further?

20           (No response.)

21 Whereupon,

22                           T. GARY BROUGHTON,  
23 was recalled as a witness by counsel for Licensee  
24 Metropolitan Edison, and having been previously duly sworn  
25 by the Chairman, was examined and testified as follows:

1 and Whereupon,

2           GERALD J. SADAUSKAS and LUTHER L. JOYNER,  
3 called as witnesses by counsel for Licensee Metropolitan  
4 Edison, having been first duly sworn by the Chairman, were  
5 examined and testified as follows:

6                                   DIRECT EXAMINATION

7           BY MR. BAXTER:

8           Q     Gentlemen, going from left to right, would each of  
9 you state your name, position and place of employment?

10          A     (WITNESS SADAUSKAS) My name is Jerry Sadauskas.  
11 I am supervising instrumentation engineer for General Public  
12 Utilities Corporation.

13          A     (WITNESS BROUGHTON) T. Gary Broughton. I am the  
14 control safety analysis manager for General Public Utilities.

15          A     (WITNESS JOYNER) My name is Luther Joyner. I am  
16 a principal engineer with Babcock and Wilcox in Lynchburg.

17          Q     I note my advice to you earlier may not be  
18 necessary as a result of the adjustments that have been made  
19 over the last weekend.

20                   DR. JORDAN: Mainly, speak clearly.

21           BY MR. BAXTER: (Resuming)

22          Q     I would like to call your attention to a document  
23 bearing the caption of this proceeding, dated September 15,  
24 1980 entitled Licensee's Testimony of T. Gary Broughton,  
25 Gerald J. Sadauskas and Luther L. Joyner in response to

1 Sholly Contention No. 6A (Integrated Control System.).

2 Does the material associated with your name,  
3 including the attached statement of qualifications,  
4 represent testimony prepared by you or under your direct  
5 supervision for presentation at this hearing, Mr. Sadauskas?

6 A (WITNESS SADAUSKAS) Yes, it does.

7 Q Mr. Broughton?

8 A (WITNESS BROUGHTON) Yes.

9 Q Mr. Joyner?

10 A (WITNESS JOYNER) Yes, it does.

11 Q Do you have any changes or corrections to make to  
12 your testimony?

13 Mr. Sadauskas?

14 A (WITNESS SADAUSKAS) No, I do not.

15 Q Mr. Broughton?

16 A (WITNESS BROUGHTON) No.

17 Q Mr. Joyner?

18 A (WITNESS JOYNER) I have a minor change on my  
19 statement of qualifications.

20 Q Okay, would you point that out, please?

21 A (WITNESS JOYNER) Yes. Under the experience  
22 portion, second paragraph, it states I was a supervisory  
23 engineer, instrumentation and controls unit, maritime  
24 reactors. The dates should be 1972 to '76.

25 And in the next paragraph, program manager,

1 product development section, the dates should be 1976 to '77.

2 That is the only correction required.

3 Q Is the testimony, Mr. Sadauskas, that you offered  
4 true and correct to the best of your knowledge and belief?

5 A (WITNESS SADAUSKAS) Yes, it is.

6 Q Mr. Broughton?

7 A (WITNESS BROUGHTON) Yes.

8 Q Mr. Joyner, as amended, is your testimony true and  
9 accurate to the best of your knowledge?

10 A (WITNESS JOYNER) Yes.

11 MR. BAXTER: Mr. Chairman, I move the receipt into  
12 evidence of the testimony and ask that it be physically  
13 incorporated into the transcript as if read.

14 CHAIRMAN SMITH: Seeing no objections, we will  
15 receive the testimony.

16 (The written direct testimony of T. Gary  
17 Broughton, Gerald J. Sadauskas and Luther L. Joyner follows.)

18

19

20

21

22

23

24

25

LIC 9/15/80

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of	)	
	)	
METROPOLITAN EDISON COMPANY	)	Docket No. 50-289
	)	(Restart)
(Three Mile Island Nuclear	)	
Station, Unit No. 1)	)	

LICENSEE'S TESTIMONY OF  
T. GARY BROUGHTON, GERALD J. SADAUSKAS  
AND LUTHER L. JOYNER  
IN RESPONSE TO  
SHOLLY CONTENTION NO. 6(a)  
(INTEGRATED CONTROL SYSTEM)

## OUTLINE

The purposes and objectives of this testimony are to respond to Sholly Contention 6(a), which asserts that prior to continued operation of TMI-1, a failure modes and effects analysis (FMEA) of the Integrated Control System (ICS) should be completed. The testimony shows that an ICS FMEA has been performed. The function and operation of the ICS are also described and the results of the ICS FMEA and complementary evaluations of field data from B&W operating plants are addressed.

INTRODUCTION

This testimony, by Mr. T. Gary Broughton, Control and Safety Analysis Manager, GPU; Mr. Gerlad J. Sadauskas, Group Leader, Instrumentation Engineering, GPU; and Dr. Luther L. Joyner, Principal Engineer, Power Systems and Controls Unit, Babcock & Wilcox Company, is addressed to the following contention:

SHOLLY CONTENTION NO. 6(a)

It is contended that the short-term actions identified in the Commission's Order and Notice of Hearing dated 9 August 1979 are insufficient to provide the requisite reasonable assurance of operation without endangering public health and safety because they do not include the following items:

- a. Completion of a failure mode and effects analysis (FMEA) of the Integrated Control System.

RESPONSE TO SHOLLY CONTENTION NO. 6(a)

BY WITNESS JOYNER:

Sholly Contention 6(a) states that a failure modes and effects analysis (FMEA) of the Integrated Control System (ICS) should be completed prior to continued operation of TMI-1. Such an analysis has been performed.

The B&W ICS provides a coordinated response from the reactor/steam generator/turbine system during power operation



see Figure 1. This results in a design which can readily respond to changes in demand for generated power and can accommodate various perturbations and maintain the unit in a stable power condition. During load changes or system upsets during power operation, the ICS applies signals to the major control variables (feedwater flow, steam pressure, reactor power and reactor coolant temperature) to achieve optimum overall plant response without challenge to the safety systems. The system is designed to provide automatic control during power operation, and to accept step load changes up to 10% and ramp load changes up to 5% rated power per minute. When load demand changes, the controls automatically adjust steam flow to the turbine and feedwater flow to the steam generators to maintain a constant steam pressure at the turbine throttle. Simultaneously, the system positions groups of regulating control rod assemblies to adjust reactor power and maintain a constant average coolant temperature over a load range of 15 to 100 percent power.

While the ICS was not involved in initiating the TMI-2 accident and subsequently functioned as designed, a detailed FMEA has been performed for the ICS - see Reference 1. The ICS FMEA determined the expected effects upon the B&W nuclear steam system from single failures of ICS inputs, outputs and internal modules. The analysis was complemented, as shown in Reference 1, with an evaluation of field data from all B&W operating plants, and a computer simulation to confirm the effects of

various ICS failures on associated equipment.

The overall conclusion of the FMEA was the reactor core remains protected throughout any of the ICS failures studied. For those postulated ICS failures that could cause reactor trip, the safety systems operate independently of the ICS malfunction.

The overall conclusion from the operating experience evaluation was that ICS hardware performance has not led to a significant number of reactor trips. The ICS has prevented more reactor trips than it has caused and thus its net effect has been a reduction in the number of challenges to the Reactor Protection System.

BY WITNESSES BROUGHTON AND SADAUSKAS:

The B&W ICS FMEA was reviewed by GPU and found to be applicable to the TMI-1 ICS. The TMI-1 safety systems which would be actuated following ICS failures would operate independently of the ICS malfunction. The FMEA did not identify any changes required at TMI-1 to ensure the public health and safety. Implementation of the FMEA recommendations, which will result in improved reliability, improved control system performance and reduced consequences of malfunctions, is addressed in the TMI-1 Restart Report (Supplement 1, Part 3, Question 12).


BY WITNESSES BROUGHTON, SADAUSKAS AND JOYNER:

In summary with regard to Sholly Contention 6(a), an ICS FMEA has been completed.

Reference

1. Report BAW-1564, "Integrated Control System (ICS) Reliability Analysis," August, 1979.

FIGURE 1  
INTEGRATED CONTROL SYSTEM



T. GARY BROUGHTON

Business Address:

GPU Service Corporation  
100 Interpace Parkway  
Parsippany, New Jersey 07054

Education:

B.A., Mathematics, Dartmouth College,  
1966.

Experience:

Control and Safety Analysis Manager,  
GPU Service Corporation, 1978 to  
present. Responsible for nuclear  
safety analysis and integrated  
thermal, hydraulic and control system  
analysis of nuclear and fossil plants.  
Supervised on-site technical support  
groups at Three Mile Island, Unit 2  
during the post-accident period.

Safety and Licensing Engineer; Safety  
and Licensing Manager, GPU Service  
Corporation, 1976 to 1978. Performed  
and supervised nuclear licensing,  
environmental licensing and safety  
analysis for Oyster Creek, Three Mile  
Island and Forked River plants.  
Served as Technical Secretary to  
Oyster Creek and Three Mile Island  
General Office Review Boards.

Officer, U.S. Navy, 1966 to 1976.  
Trained at Naval Nuclear Power School,  
Prototype and Submarine School.  
Positions held include Nuclear  
Propulsion Plant Watch Supervisor,  
Instructor at DLG prototype plant and  
Engineering Officer aboard a  
fast-attack nuclear submarine.

Publications:

EPRI CCM-5, RETRAN - A Program for  
One-Dimensional Transient Thermal-Hy-  
draulic Analyses of Complex Fluid Flow  
Systems, Volume 4: Applications,  
December, 1978, Section 6.1, "Analysis  
of Rapid Cooldown Transient - Three  
Mile Island Unit 2", with N.G.  
Trikouros and J. F. Harrison.

"The Use of RETRAN to Evaluate Alternate Accident Scenarios at TMI-2", with N. G. Trikouros. Proceedings of the ANS/ENS Topical Meeting on Thermal Reactor Safety, April 1980, CONF-800403.

"A Real-Time Method for Analyzing Nuclear Power Plant Transients", with P.S. Walsh. ANS Transactions, Volume 34 TANSAD 34 1-899 (1980).

GERALD J. SADAUSKAS

Business Address:

GPU Service Corporation  
100 Interpace Parkway  
Parsippany, New Jersey 07054

Education:

A.A.S., Electrical Engineering, State University of New York at Farmingdale, 1963.  
B.S., Electrical Engineering, C.W. Post College of Long Island University, 1970.  
Post-graduate courses, Mechanical Engineering, State University of New York at Stony Brook, 1975 to 1977.  
Post-graduate courses, Electrical Engineering, Stevens Institute of Technology, 1979 to present.

Experience:

Group Leader, Instrumentation Engineering, GPU Service Corporation, 1980 to present. Responsible for establishment of instrument design criteria; preparation of conceptual designs, and verification of technical adequacy of designs; responsible for modifications of existing plant systems. The instrumentation section is also responsible for the measurement of all system parameters, signal conditioning, display and processing of system parameter information.

Senior Supervising Instrumentation and Control Engineer, Burns and Roe, Inc., 1977 to 1980. Responsibilities included implementation of TMI-2 lessons learned instrumentation requirements for the Oyster Creek and Rancho Seco nuclear power plants; was involved in the development of a Disturbance Analysis System for Nuclear Power Plants under contract with EPRI; involved in the development of an oxygen-hydrogen flame arrestor for BWR plants; served as Supervising Engineer for TMI-2 recovery, instrumentation and control systems; responsible for instrumentation and control engineering for the Forked River plant.

Instrumentation and Control Engineer, Long Island Lighting Company, 1971 to 1977. Duties included: responsible for the installation and startup of instrument and control systems at the Shoreham nuclear plant and at the Northport Unit 3 oil-fired plant; and, served as Construction Engineer for the Glenwood Landing switchyard.

Electrical Engineer, Chemical Construction Corporation, 1970 to 1971. Involved in installation of a CASO3 Venturi type flue gas scrubber at Boston Edison's Mystic Station. Designed potential electrical power and control systems, including lighting power distribution and controls.

Instrument Engineer, M.W. Kellogg Company, 1965 to 1971. Responsible for the design of instrumentation and control systems for petro-chemical plants.

Service Engineer, Bailey Meter Company, 1963 to 1965. Serviced and installed electronic and pneumatic instrument systems on oil and coal-fired boilers, marine boilers and waste heat boilers.

Professional Affiliations:

Member, IEEE and IAS.

Licensed Professional Engineer, New York.



LUTHER L. JOYNER

Business Address:

Babcock & Wilcox Company  
Nuclear Power Generation Division  
P.O. Box 1260  
Lynchburg, Virginia 24505

Education:

B.S., Electrical Engineering, Clemson College, 1964 M.S., Electrical Engineering, Clemson University, 1969. Ph.D., Electrical Engineering, Virginia Polytechnical Institute and State University, 1973.

Experience:

Principal Engineer, Control Analysis Unit and Power Systems and Controls Unit, Babcock & Wilcox Co., 1977 to present. Responsible for diverse problems involved with operation and control of the B&W NSS. Participated in the failure modes and effects analysis and reliability study of the Integrated Control System, including co-authoring the resulting report, BAW-1564.

Supervisory Engineer, Instrumentation and Control Unit, Maritime Reactors, Babcock & Wilcox Co., 1976 to 1977. Responsible for design and procurement of a digital control system for a maritime nuclear propulsion plant.

Program Manager, Product Development Section, Babcock & Wilcox Co., 1972 to 1976; Responsible for the research and development program for NSS development.

Professional Affiliations:

Member, IEEE.

Registered Professional Engineer, Virginia.

1 MR. BAXTER: The panel is available for cross  
2 examination.

3 CHAIRMAN SMITH: Mr. Sholly.

4 DR. JORDAN: Mr. Sholly, if you do not mind, I  
5 think I would suggest that it would expedite matters if Mr.  
6 Joyner would tell us -- well, describe very briefly the  
7 integrated control system, and then following that, I think  
8 it would be very helpful if he would describe in some detail  
9 the nature of the document BAW-1564. I presume you were  
10 involved in the preparation of that document.

11 WITNESS JOYNER: Yes, sir.

12 DR. JORDAN: I notice your testimony goes into it  
13 very little. I believe there will be many questions  
14 concerning that document, and I think it would be helpful to  
15 the Board particularly if you would go through it briefly.  
16 As I say, first tell us what the ICS system does and then  
17 what -- how you went about making an analysis of the failure  
18 modes and effects analysis of the integrated control system,  
19 what you included in the analysis, and what was not included  
20 in the analysis, because I am sure that will be coming up  
21 later.

22 Would you mind going ahead?

23 WITNESS JOYNER: All right, sir.

24 I think to explain the ICS, it is best if you turn  
25 to my testimony, Figure 1. Figure 1 is a simplified

1 functional block diagram description of the integrated  
2 control system. The integrated control system is a  
3 well-defined piece of equipment that is sold with the B&W  
4 product. It has a well-defined function and is well  
5 understood by us.

6           The description -- the block diagram description  
7 that you have shows the major functional blocks of the ICS,  
8 and I think the thing to do perhaps is start at the bottom  
9 and work up, and if you -- if I do not do a good job, please  
10 stop me, sir.

11           The turbine control box on the bottom left  
12 represents those control functions that manipulate or the  
13 atmospheric and condenser dump valves and the turbine  
14 throttle valve, so that box represents those control loops  
15 that open and close those final control instruments,  
16 atmospheric dump valves, condenser dump valves, and the  
17 turbine throttle valves.

18           If you look at the diagram we have behind us, you  
19 can see -- if I can get up, I would point them out to you.

20           DR. JORDAN: Yes, explain that to me,  
21 particularly, what is the atmospheric dump valves and the  
22 other valves that you mentioned?

23           WITNESS JOYNER: This is the atmospheric relief  
24 valve. It is located on the steam line, and its function is  
25 to relieve steam pressure if necessary.

1 DR. JORDAN: To the atmosphere?

2 WITNESS JOYNER: That is correct, sir.

3 And these are the turbine bypass valves. They are  
4 also located on the steam line, and you bypass the turbine  
5 when required, dumping steam to the condenser, the desirable  
6 mode of cooling.

7 The other steam pressure controller is -- it would  
8 be -- is the turbine throttle valves which are located right  
9 here and not shown in this diagram.

10 Now, the ICS provides signals to the turbine  
11 control package. Each turbine comes with an electrical  
12 hydraulic control package that is used to open and control  
13 -- close the turbine throttle valves. The ICS sends the  
14 signals to this control system which says basically open or  
15 close the turbine throttle valves.

16 Now, the functions that it uses to determine when  
17 opening or closing of the valves are required, are  
18 determined by the way we operate the plant. Steam pressure  
19 is controlled constant at approximately 900 pounds over the  
20 entire load range.

21 DR. JORDAN: Steam pressure at the steam generator?

22 WITNESS JOYNER: That is the turbine throttle  
23 valve, sir. At low loads, that is the same as the steam  
24 generator pressure. At higher loads you have some drop in  
25 the line.

1 DR. JORDAN: So it is the pressure after the valve.

2 WITNESS JOYNER: It is just before the valves.

3 DR. JORDAN: Just before the valves.

4 WITNESS JOYNER: Yes. The sensor is located here,  
5 in the steam line (Indicating).

6 MR. BAXTER: Excuse me, Mr. Chairman.

7 I think for the record I would like to observe  
8 that in addition to the figure in his own testimony, Dr.  
9 Joyner has been referring to a blown up schematic of TMI  
10 Unit 1. That diagram appears in reduced form attached to  
11 Licensee's supplemental testimony of Robert W. Keaton,  
12 Joseph J. Colitz and Michael J. Ross in response to Board  
13 Question No. 6, and dated November 25, 1980, and this  
14 testimony will be offered and included in the record at a  
15 future date.

16 WITNESS JOYNER: So those three types of valves  
17 control steam pressure constant over the load ranges.

18 CHAIRMAN SMITH: Mr. Baxter, would it be helpful,  
19 even though it is going to be added as a part of the written  
20 testimony, would it be helpful to make it an exhibit?

21 I think it would.

22 MR. BAXTER: That would be fine. We don't have  
23 the copies right now.

24 CHAIRMAN SMITH: Just for shorthand  
25 identification, I expect we will be using this.

1 (Pause)

2 MR. BAXTER: I would ask, then, that it be marked  
3 for identification as -- diagram foldout labeled "Simplified  
4 Schematic of TMI Unit 1," as Licensee's Exhibit No. 17.

5 We will provide the Reporter with the requisite  
6 copies at the next break.

7 CHAIRMAN SMITH: All right.

8 (The document referred to was  
9 marked Licensee Exhibit No. 17  
10 for identification.)

11 DR. JORDAN: The pressure that you control is not  
12 the pressure at the turbine itself, neither is it the  
13 pressure at the steam generator, is that right?

14 WITNESS JOYNER: It is the pressure just upstream  
15 of the turbine throttle valves, and we maintain --

16 DR. JORDAN: Upstream of the turbine throttle  
17 valves?

18 WITNESS JOYNER: That is correct.

19 DR. JORDAN: Why is the pressure upstream from the  
20 turbine throttle valve the same as the steam generator?

21 WITNESS JOYNER: It is at the low loads.

22 DR. JORDAN: So it is essentially the steam  
23 generator pressure, minus the line drops.

24 WITNESS JOYNER: That is correct, sir, very small  
25 drop at low loads.

1 DR. JORDAN: Go ahead.

2 WITNESS JOYNER: That is the function of the  
3 turbine control block. It is fairly straightforward,  
4 control loop using proportional plus integral control loops  
5 and pulsers which are standard modules used in control  
6 systems.

7 Steam generator control box, which is in the lower  
8 center of figure 1, is used to control the flow of water to  
9 the steam generators. If you look on the diagram, you will  
10 see that you have now I think, which mimics this one, you  
11 will see for each steam generator a pair of feedwater valves  
12 and two feed pumps. I will point those out to you here.

13 DR. JORDAN: All right, do that.

14 WITNESS JOYNER: This is the startup feedwater  
15 level control valve and the main valve in parallel. The  
16 startup valve is sized to handle up to 15 percent flow. The  
17 main valve then controls flow above 15 percent, from 15 to  
18 100 percent.

19 There are two main feedwater pumps located here  
20 (Indicating). These are parallel and provide flow through  
21 these valves to steam generator B. Not shown for simplicity  
22 is a similar line which comes off and provides flow to steam  
23 generator A. It also has a main and a startup feedwater  
24 control valve.

25 DR. JORDAN: Yes. Are you controlling on steam

1 generator level?

2 WITNESS JOYNER: We control level from zero to 15  
3 percent flow at the low level limit. Above 15 percent flow  
4 we control the rate of feedwater flow to the generators.

5 DR. JORDAN: Does that mean that the steam  
6 generator then sometimes run with a high level of water and  
7 at other times runs with a very low level of water in it?

8 WITNESS JOYNER: From zero to 15 percent the water  
9 level measurement is about 30 inches of water in the  
10 generator. As you progress up in power, that goes up to  
11 about 160 to 170 inches at 100 percent flow. Now, that is  
12 somewhat plant specific, but those are reasonable numbers  
13 for this type generator, this size.

14 DR. JORDAN: Only about 15 percent that the  
15 integrated control system comes in?

16 WITNESS JOYNER: No, sir, it controls the level  
17 from 0 to 15 percent at a constant value. Above 15 percent  
18 --

19 DR. JORDAN: Constant value of what?

20 WITNESS JOYNER: Thirty inches of water, sir.

21 DR. JORDAN: So during that regime, it is level  
22 control. It lets in the flow of steam --

23 WITNESS JOYNER: Flow of feedwater, sir.

24 DR. JORDAN: Flow of feedwater is controlled, and  
25 it is controlled by supplying feedwater until the pressure



1 is adequate, or what is --

2           WITNESS JOYNER: Well, I think that will become  
3 clear as we progress on.

4           DR. JORDAN: All right, fine. I will wait.

5           WITNESS JOYNER: Let's just talk about the steam  
6 generator control loop. Its job is to manipulate the  
7 startup and main feedwater valves and the feed pumps so as  
8 to give the required amount of flow to the generators. Now,  
9 that is the function of that block.

10           If we move on over to the right, we see a block  
11 called reactor control. Its function is to control the  
12 action of the regulating rod groups in the reactor core. It  
13 issues a signal to the control rod drive system that causes  
14 insertion or withdrawal of rods from the core. It is  
15 constant speed, pull or insert, and can hold the rods at  
16 that point.

17           So coming out of the reactor control block is one  
18 signal that either inserts or withdraws rods.

19           Those three blocks, basically, constitute the  
20 heart of the control system in that they manipulate the  
21 steam valves, the feedwater pumps and valves, and the  
22 control rod signal.

23           If we move on up, we get to the integrated master  
24 control. Now, its function is to coordinate or integrate  
25 the operation of these three lower systems. You will see

1 existing that box, going downward, a solid line. That line  
2 represents signals that are being sent out to each component  
3 to determine what it should deliver. In the case of the  
4 steam generator control, for example, the signal leaving the  
5 integrated master is a demand for total feedwater flow to  
6 the generators. For instance, at TMI 1, if we wanted 600  
7 megawatts electric output from the plant, that signal would  
8 be on the order of 13 million to 14 million pounds feedwater  
9 flow power hour. That determination is made in the  
10 integrated master control. It also simultaneously sends out  
11 a signal to the reactor controller that would require  
12 approximately 75 percent neutron flux. These numbers are  
13 approximate, and if I had my calculator, I could tell you  
14 what they would be. The signal going out to the turbine  
15 controller is a demand for megawatts electric.

16           Now, just above the integrated master is the unit  
17 load demand control. Its basic function is to interface  
18 with the operator and to make sure that the control system  
19 does not allow the plant to operate outside of our desired  
20 envelope. For example, the operator inputs to the unit load  
21 demand control system his megawatt electric requirements,  
22 600 megawatts, for example, comes into the unit load demand.

23           DR. JORDAN: What is that?

24           WITNESS JOYNER: That signal is input to the unit  
25 load demand system. In the system, then, we make sure that

1 the plant is capable of delivering the megawatts that are  
2 required. For example, if we are operating with three  
3 reactor coolant pumps, we have a limit on operation of the  
4 plant, a control limit at 75 percent power.

5           In the unit load demand, there are status signals  
6 which tell us that we only have three reactor coolant  
7 pumps. It then limits the power -- power requests provided  
8 to the integrated master to 75 percent of the 100 percent  
9 load.

10           There are other limits in there, for example, main  
11 feedwater pump status. We only have one of the parallel  
12 main feedwater pumps on TMI 1, I believe we limit to like 68  
13 percent power because that is the maximum capacity of one  
14 feed pump.

15           There is a limit on asymmetric rod position which  
16 I believe that limit is about 65 percent.

17           In a nutshell, that is the ICS, sir. It consists  
18 of not so many outputs, as you can see -- as you might  
19 expect, relatively few in number, although six or eight --  
20 well, more than that, four feedwater valves, two feed pumps,  
21 atmospheric condenser, relief valve, turbine throttle valve,  
22 and a signal to the control rod drive system.

23           DR. JORDAN: Okay.

24           WITNESS JOYNER: I would be happy to go into any  
25 other depth you would like, sir.

1 DR. JORDAN: That is fine, unless some of the  
2 other parties or anyone else has a question.

3 All right.

4 WITNESS JOYNER: You had two or three questions.  
5 We began the discussion --

6 DR. JORDAN: Yes. This is just the start.

7 First I asked you to describe the integrated  
8 control system, but now I guess we are ready to get to the  
9 topic of the day, namely, the report, BAW-1564, which is a  
10 B&W document entitled "Integrated Control System Reliability  
11 Analysis."

12 CHAIRMAN SMITH: Mr. Sholly, do you plan to offer  
13 that document into evidence?

14 MR. SHOLLY: The B&W report?

15 CHAIRMAN SMITH: Yes.

16 MR. SHOLLY: I was going to just refer to it.

17 CHAIRMAN SMITH: Okay.

18 DR. JORDAN: All right.

19 MR. SHOLLY: I assumed the Licensee would offer it.

20 CHAIRMAN SMITH: If somebody is going to do it,  
21 now is the time. If it is going to be marked for  
22 identification, this would be a good time to do it. If not,  
23 fine. I was just inquiring.

24 (Board conferring.)

25 CHAIRMAN SMITH: Well, you are free to do it.

1 Is there any confusion about that?

2 MR. SHOLLY: I did not come prepared with the  
3 requisite number of copies to do so.

4 CHAIRMAN SMITH: All right.

5 DR. JORDAN: we can go ahead.

6 So your testimony does not tell what you did  
7 really in making this failure modes and effects analysis, so  
8 I would like for you to tell what B&W did, how they attacked  
9 the problem, and how they arrived at the conclusion that the  
10 integrated control system has adequate reliability and would  
11 not lead to an upset on the safety systems, if indeed that  
12 is the conclusion of the report.

13 Does that make it clear what I would like to hear?

14 WITNESS JOYNER: I will start with a general  
15 description of the reliability analysis that you referred to.

16 I assume you have an analysis there, sir.

17 DR. JORDAN: Yes.

18 WITNESS JOYNER: The analysis that you have is  
19 basically a two-part study. The first part, Chapter 4 --  
20 Section 4 is a failure modes and effects analysis of the  
21 integrated control system.

22 DR. JORDAN: One question first. Was this in  
23 response to the Commission order, long term Order No. 1?

24 WITNESS JOYNER: I do not believe so, sir. This  
25 was an agreement between B&W the operating plant owners, and

1 the Commission. The documentation that I have is dated  
2 April 27, I believe, where we described to Mr. Denton what  
3 we were going to do.

4 MR. BAXTER: Dr. Jordan, all of the B&W operating  
5 licensees were ordered by the Commission to submit such an  
6 analysis.

7 DR. JORDAN: Yes, but this is also part of the  
8 Order.

9 MR. BAXTER: It is part of the Order in this  
10 docket as well.

11 DR. JORDAN: Part of the Order for what?

12 MR. BAXTER: In this docket as well.

13 DR. JORDAN: Now, I guess I want to hear from the  
14 licensee.

15 Is this document the sole response to the Order  
16 Item, -- Order, Long Term Item 1? Is that correct?

17 MR. BAXTER: That is correct. It includes more  
18 than that.

19 DR. JORDAN: It does include more?

20 MR. BAXTER: It is the response to that Order Item.

21 DR. JORDAN: All right.

22 Okay, go ahead, please, Dr. Joyner.

23 WITNESS JOYNER: I am not sure I know where I  
24 was. It is a two-part report. Section 4 is a failure modes  
25 and effects analysis done along the lines of -- specified in

1 IEEE 352, which was the guiding document. Section 5 is a  
2 field performance survey which we did to complement the  
3 study, and the two of them together constitute the  
4 reliability study.

5 DR. JORDAN: All right. I think I understand the  
6 field performance survey moderately well, but I do need help  
7 in understanding the failure modes and effects analysis.

8 WITNESS JOYNER: All right, sir.

9 In the study, if you will -- let me get my copy  
10 out here. If you refer to page 4-24, this is a listing --  
11 (Board conferring)

12 WITNESS JOYNER: This is a listing of all the  
13 inputs and outputs to one particular ICS.

14 DR. JORDAN: Where is that?

15 WITNESS JOYNER: Page 4-24.

16 DR. JORDAN: All right.

17 WITNESS JOYNER: If you start at the very top of  
18 page 4-24, we list the inputs to the ICS. If you go over on  
19 that table one, two -- I guess three columns, you will see  
20 an I/O column. And if in that column we have an I, it  
21 implies it is an ICS input. If we have an O, which you will  
22 see if you read down some slightly, it implies it is an  
23 output from the ICS.

24 DR. JORDAN: I see.

25 WITNESS JOYNER: What we did in the failure modes

1 analysis was to assume the failure of each of those inputs  
2 and outputs, and then determine the effects upon the NSS.  
3 If they fail --

4 DR. JORDAN: The nuclear steam supply system?

5 WITNESS JOYNER: That is correct.

6 So there are three parts basically to the failure  
7 modes and effects analysis. We assumed failure of each  
8 input to the ICS for part 1. We assumed the failure of each  
9 output from the ICS for part 1. And if you will give me a  
10 minute, I will find the drawing of the ICS. That is on page  
11 4-67. That is a functional block diagram of the ICS. My  
12 copy has a fairly fuzzy box.

13 DR. JORDAN: My copy is so fuzzy that I gave up  
14 trying to read it.

15 WITNESS JOYNER: Well, what you have is a  
16 functional equivalent of the ICS.

17 DR. JORDAN: Each block does not represent a  
18 component?

19 WITNESS JOYNER: No, sir. There are more  
20 components than functional blocks. But this kind of  
21 functional description is acceptable both, I think,  
22 intuitively, and if you read 352, IEEE 352, it even  
23 explicitly states that functional representation is adequate  
24 for complex systems.

25 And we assumed the failure of each block in there.



1 DR. JORDAN: I see. Okay.

2 WITNESS JOYNER: And we assumed that both failures  
3 are high. A high failure, for example, would be an output  
4 failure that caused the atmospheric dump valves to go wide  
5 open. A low failure would be a failure that caused them to  
6 go completely closed.

7 DR. JORDAN: How about mid-range failures?

8 WITNESS JOYNER: We did not do mid-range  
9 failures. Our feeling was and still is that you get the  
10 worst system -- the most important system response by  
11 failing valves and pumps full open, full closed, and those  
12 kinds of responses.

13 DR. JORDAN: I see.

14 WITNESS JOYNER: So that is the failure modes  
15 analysis.

16 Now, you know, as far as what we did, the field  
17 performance analysis, which is Section 5, we actually sent  
18 the engineers to each site for a period of time and I really  
19 cannot say exactly, you know, the average amount of time  
20 they stayed there, to go through the records, determine ICS  
21 field performance, and come up with Section 5 documents,  
22 description of how ICS had performed.

23 DR. JORDAN: What was the goal? I will probably  
24 get back into the techniques later, but what was the goal?  
25 Was it to respond to IEEE -- what was the number?

1 WITNESS JOYNER: Well, no, sir. IEEE 352 is the  
2 guiding standard that describes how --

3 DR. JORDAN: It is really -- the object was to  
4 perform this analysis, and what were you trying to  
5 demonstrate, that it was -- that it had a high degree of  
6 reliability and was highly defined, or that it would not  
7 interfere with the safety functions of the plant, namely,  
8 the engineered safety features, or just what was the goal of  
9 the study?

10 WITNESS JOYNER: Well, the goal was -- I flatter  
11 myself to think that the goal was not to determine that it  
12 would or would not interfere, but the goal was to determine  
13 whether or not it did, and to look for failure modes that  
14 might interfere with --

15 DR. JORDAN: With the engineered safety features.

16 WITNESS JOYNER: That is correct, or the reactor  
17 protection system.

18 DR. JORDAN: You particularly mentioned the  
19 protection system in many -- at many times during your -- in  
20 the document. But did you also study the other protective  
21 systems such as the emergency feedwater system or the high  
22 pressure injection system? Does it have an effect on those  
23 systems or any other safety systems?

24 WITNESS JOYNER: I might summarize for you the  
25 results that came to me when we were doing the analysis.

1 DR. JORDAN: All right.

2 WITNESS JOYNER: We found that there were -- or we  
3 could assume three types of failures in the ICC: those that  
4 were -- I do not call them insignificant, but ones that  
5 would not cause a significant upset in operation of the  
6 plant. We called those category 1 failures.

7 Then there were the category 2 failures where, if  
8 that failure occurred, we would expect -- could reasonably  
9 expect an upset in the system that might cause the reactor  
10 protection system to trip the plant.

11 DR. JORDAN: Now, you do mean the protection  
12 system that operates the control rods.

13 WITNESS JOYNER: That is correct, sir, and we  
14 found that there were several.

15 And then there were category 3 failures where we  
16 found that if that failure occurred, we could reasonably  
17 expect -- although it is not sure by any means that the  
18 plant might trip, and if it did trip, operation of some  
19 backup system such as high pressure injection or emergency  
20 feedwater would be required or could be required.

21 Failures are very dependent on the time in core  
22 life, the initial power level that the failure occurs at, or  
23 where the failure occurs, operator response, and many other  
24 things. But our goal was to determine whether it was  
25 reasonable to anticipate that a trip might occur, and we

1 spelled those out in the report. In fact, they are in --  
2 page 4-22, ICS FMEA results basically summarizes what I just  
3 stated.

4 CHAIRMAN SMITH: May I interrupt?

5 Mr. Baxter, I think that the Licensee is verging  
6 on at least a violation in spirit of the best evidence rule  
7 by having this testimony so heavily dependent upon telling  
8 about what exists in this document, that I think the  
9 responsibility of producing this in evidence is upon the  
10 Licensee.

11 MR. BAXTER: I have no objection, Mr. Chairman.

12 CHAIRMAN SMITH: It is not a question of  
13 objection. It is a question of extensive summarization of  
14 what is in an original document.

15 MR. BAXTER: That is correct.

16 CHAIRMAN SMITH: And that is a violation of the  
17 rules of evidence.

18 MR. BAXTER: We will provide the Reporter with  
19 copies.

20 Just by way of explanation, though, Mr. Chairman,  
21 the Contention that we were addressing was whether or not it  
22 was required to submit such an analysis prior to the restart  
23 of the unit, and of course we have testimony that says we  
24 have submitted such an analysis. And the testimony does  
25 summarize in brief, but the Contention was not as to the

1 adequacy of the study that was done, but whether it had been  
2 done or not. And it was for that reason we did not  
3 initially determine to put the document in evidence.

4 CHAIRMAN SMITH: The study -- it is subsumed by  
5 the Contention certainly.

6 DR. JORDAN: It seems to me this was exactly one  
7 of the problems, that the Licensee assumed that the  
8 Contention where there was no analysis made. Here it is.  
9 There has been an analysis made, and that is the extent of  
10 the Licensee's testimony, we have done the analysis.

11 Now, as the Chairman says, it seems to us that it  
12 must also be demonstrated that the analysis really did meet  
13 the requirements of, if nothing else, the Order, Long Term  
14 Order 1.

15 MR. BAXTER: The testimony does get the overall  
16 conclusion of the analysis. I am not being resistant, I am  
17 just explaining why we made the presentation we did, based  
18 on our reading of what the issue was.

19 DR. JORDAN: Okay.

20 Well, my questioning is, I think -- well, now,  
21 which does result in bringing this in, I think is, as I said  
22 before, along the line that I am interested in myself, and I  
23 am sure that it will assist Mr., Sholly in his cross  
24 examination to get this out now. That is the reason for it  
25 now, so I guess the question is do we want the document.

1 CHAIRMAN SMITH: Dr. Jordan, my view is that  
2 licensee itself is subject to objection to having his  
3 testimony received into evidence because of extensive  
4 reliance upon a written report, and if I were the licensee,  
5 I would want to offer this report into evidence as its  
6 exhibit.

7 MR. BAXTER: We will --

8 CHAIRMAN SMITH: If you want us to give much  
9 weight to the testimony.

10 MR. BAXTER: We will offer the document as soon as  
11 we get the copies.

12 CHAIRMAN SMITH: I thought that that might occur  
13 to you.

14 MR. BAXTER: I thought I had said that, but --

15 DR. JORDAN: Mr. Joyner, I have forgotten where we  
16 stood.

17 WITNESS JOYNER: I have, too, sir.

18 DR. JORDAN: Go ahead with your explanation,  
19 unless we were in the middle of a question.

20 WITNESS JOYNER: I was on page 4-22.

21 DR. JORDAN: So you were. You were about to  
22 describe the results.

23 WITNESS JOYNER: And what is there is basically a  
24 statement of types of failures that we found.

25 Now, based on this characterization of the

1 failures that can occur, as well as the field performance  
2 survey, we offered the recommendations that are in Section 3  
3 of the report, and they are basically those that we feel the  
4 report indicated were desirable.

5           That is page 3-1 in the very front.

6           DR. JORDAN: Okay. Would you briefly then tell us  
7 what is in the recommendations?

8           WITNESS JOYNER: Well, Recommendations 1 and 2 --  
9 Recommendation 1A is to improve the reliability of the power  
10 supply to the NNI ICS. That basically came out of the field  
11 performance survey where we saw several failures of power to  
12 the ICS.

13           DR. JORDAN: Does the ICS have a separate power  
14 supply?

15           WITNESS JOYNER: There are two power supplies to  
16 the integrated control system, and we have seen --

17           WITNESS SADAUSKAS: If I may interject here, on  
18 the TMI Unit 1 plant, the integrated control system is  
19 powered from a power distribution panel ATA, and this panel  
20 is fed either from an inverter 1A, which is powered from the  
21 station batteries and the engineered safeguards bus, or it  
22 can be powered from a regulated AC bus.

23           DR. JORDAN: I see. Is this -- and the power that  
24 is put out is 60 cycle AC. Is that what feeds the  
25 integrated control system?

1 WITNESS SADAUSKAS: Yes. The integrated control  
2 system at TMI Unit 1 is a Baylor Meter Company 721 system.  
3 This system operates on 120 volts, 60 cycles.

4 MR. SHOLLY: Might I ask a question here, Dr.  
5 Jordan?

6 DR. JORDAN: Go ahead.

7 CROSS EXAMINATION

8 BY MR. SHOLLY:

9 Q Is the ICS powered from the diesels at all, or is  
10 it just from the station batteries and the AC system?

11 A (WITNESS SADAUSKAS) The station batteries are  
12 charged from the engineered safeguard system and power for  
13 the ICS through the inverter is from the engineered  
14 safeguards system, and the engineered safeguards system is  
15 on the diesel.

16 MR. SHOLLY: Thank you.

17 DR. JORDAN: Normal operation, I presume, is from  
18 the station, regular station power.

19 WITNESS SADAUSKAS: It is from the regular station  
20 power of the engineered safeguard bus.

21 DR. JORDAN: Of the engineered safeguard bus.

22 WITNESS SADAUSKAS: Right.

23 DR. JORDAN: There are two buses, is this right?  
24 There are two buses?

25 WITNESS SADAUSKAS: There are redundant buses,



1 yes, sir. The ICS is connected to one of them.

2 DR. JORDAN: To one of them. Switchable?

3 WITNESS SADAUSKAS: It is switchable.

4 DR. JORDAN: Why is it necessary to have a power  
5 supply of such high reliability? After all, the only time  
6 the ICS is operating, is it not, is when the station is  
7 generating power, so that you surely have -- you know you  
8 have AC power at the station at any time the ICS is  
9 operating. What is wrong with that?

10 WITNESS SADAUSKAS: As you said, the ICS performs  
11 a function when the unit is operating. When the unit is  
12 operating, it is important that the controls that the ICS  
13 manipulates perform, and it is for this reason that the  
14 power supply to the ICS was made quite reliable.

15 DR. JORDAN: Okay. That is more or less an aside.

16 So the first recommendation, then, was to improve  
17 the reliability of the power supply, and what -- and what --  
18 you have in mind plans for doing that?

19 Go ahead, Mr. Sadauskas.

20 WITNESS SADAUSKAS: Currently we have implemented  
21 improvements on the power to the integrated control system.  
22 Currently, in the event that inverter 1A fails, there is a  
23 static transfer switch that will automatically transfer the  
24 source of power from the inverter to a regulated 120 volt,  
25 60 cycle bus.

1           At the Ocone station, Duke Power, a failure was  
2 experienced with that switch. Metropolitan Edison has  
3 elected to install a backup device to the automatic transfer  
4 switch, and this is being implemented currently. In the  
5 event that the main source of power from the inverter fails,  
6 and in the event that the static transfer switch fails to  
7 transfer power to the regulated bus through some failure  
8 mode, an alarm will be activated in the main control room.  
9 The operator's response to the alarm will be to manually  
10 transfer the power to the regulated bus using a new switch  
11 that is being provided in the main control room for that  
12 purpose.

13           DR. JORDAN: During this transfer, does the  
14 integrated control system remember well enough so that it  
15 does not go jerking out control rods or causing steam valves  
16 -- there must be a transient during the transfer?

17           WITNESS SADAUSKAS: There is probably a transient.

18           DR. JORDAN: Yes.

19           WITNESS JOYNER: I might add, sir, that normally  
20 the automatic bus transfer is designed so that it transfers  
21 fast enough that the transfer is transparent to the ICS, if  
22 it operates properly, and that is how you would expect it to  
23 operate.

24           BY MR. SHOLLY: (Resuming)

25           2       That would be in the case where a transfer is

1 automatic, is that correct?

2 A (WITNESS JOYNER) Yes.

3 Q If it fails to transfer automatically, the  
4 operator has to take some action, and then there is a delay?

5 A (WITNESS JOYNER) Yes.

6 DR. JORDAN: All right. In answer to my question,  
7 I gather that Met Ed does have in mind what they are going  
8 to do to improve the reliability., It has not been  
9 accomplished yet, or will be, or has it?

10 WITNESS SADAUSKAS: The engineering design --  
11 well, first of all, Met Ed does have in mind what we are  
12 going to do to improve the reliability. The engineering  
13 design is complete for some of the modifications, and it is  
14 actively under way for others, and at this time there have  
15 been no changes to the existing plant system.

16 DR. JORDAN: All right.

17 The next one concerns the reliability of the input  
18 signals.

19 Mr. Joyner, is that correct? And what are the  
20 plans for that?

21 WITNESS JOYNER: Well, I think it is appropriate  
22 to -- for Met Ed -- let me give you some background.

23 DR. JORDAN: All right.

24 WITNESS JOYNER: Then we can discuss it.

25 Table 5-3 on page 5-12, it shows the input

1 failures that we observed had occurred, plus when the  
2 failure modes and effects analysis was performed, we  
3 determined that others could fail in an undesirable fashion.

4 DR. JORDAN: What?

5 WITNESS JOYNER: Other inputs could fail in an  
6 undesirable fashion, although we had not experienced that  
7 failure. So for the reason we added Recommendation 1B, that  
8 we improve the reliability of certain input signals.

9 DR. JORDAN: I see, failures not included in Table  
10 5-3.

11 WITNESS JOYNER: That is correct. They should be  
12 the reliability may need improvement, evaluating on a time  
13 specific basis.

14 DR. JORDAN: I see.

15 WITNESS JOYNER: And --

16 DR. JORDAN: There are plans to include those?

17 WITNESS JOYNER: I really think it is appropriate  
18 to talk to the GPU people, sir.

19 DR. JORDAN: Go ahead.

20 WITNESS BROUGHTON: With respect to the reactor  
21 coolant system flow signal at TMI 1, the initial design of  
22 the equipment provided that signal into the ICS through an  
23 arrangement of a jumper and a plug. So there was a wire  
24 that connected an output of one cabinet into the input of  
25 another. Previous to this particular analysis -- I don't

1 know exactly the timeframe -- that equipment at TMI 1 was  
2 modified to use a different method of putting the flow  
3 signal into the ICS. The jumper was replaced with a solid  
4 wire internal to the cabinets, and the signal that was taken  
5 from the protective system, the flow signal from the  
6 protective system was -- can be taken from one of two  
7 different channels.

8 DR. JORDAN: For which protective system?

9 WITNESS BROUGHTON: The flow system pumps from the  
10 reactor protection system, a separate system from the ICS.

11 DR. JORDAN: By the reactor protection system you  
12 mean the system that scrams the reactor?

13 WITNESS BROUGHTON: Yes.

14 DR. JORDAN: And it automatically scrams on loss  
15 of flow of coolant, is that right?

16 WITNESS BROUGHTON: Yes, if the flow is reduced  
17 below a predetermined level for the existing power, that  
18 could cause a scram of the reactor. Those flow signals  
19 first go into the reactor protective system where the  
20 protection system logic decides if the reactor should be  
21 left operating at power, and then a secondary use of the  
22 flow signals is to provide information into the ICS so that  
23 from a control standpoint, it also knows what the available  
24 flow in the reactor coolant system is.

25 DR. JORDAN: The reason it needs to know this is

1 because of the thing Dr. Joyner mentioned, that you may not  
2 call for full power if you only have three pumps.

3 Is that the reason for it?

4 WITNESS BROUGHTON: That is correct. There are  
5 several features within the ICS which depend on knowing what  
6 this flow is. That is one example.

7 DR. JORDAN: I will probably want to inquire in  
8 this in more detail later. Any time I find a connection  
9 between one of the safety systems and one of the control  
10 systems, I immediately become worried about the possibility  
11 of interactions. But we will come back to that later. I  
12 understand what it is then now.

13 WITNESS BROUGHTON: The modification that was made  
14 at TMI 1 to improve the reliability of this flow signal into  
15 the ICS was replacing the jumper with a cable which is  
16 permanently attached, and in addition, there is a relay  
17 which, on loss of power into the ICS channels -- excuse me,  
18 the reactor protective system channel which is generating  
19 the flow signal, this relay will cause the flow signal from  
20 the RPS to be selected to a channel which has power. So on  
21 loss of power to that flow signal, there is an automatic  
22 transfer for the ICS input to a channel which still has a  
23 valid flow signal.

24 DR. JORDAN: That is too complicated to understand  
25 right now. But I do not think it is important at the moment.

1           Where do you stand on Item C, the ICS -- this is  
2 the balance of plant system tuning, particular feedwater  
3 condensate systems, and the ICS controls.

4           What is being recommended there? Where do you  
5 stand?

6           WITNESS BROUGHTON: We have a fairly comprehensive  
7 program of maintenance and alignment at TMI 1 to deal with  
8 the ICS and to make sure that it is in fact calibrated  
9 properly and operating properly. That program is conducted  
10 whether the reactor is in operation or whether it is shut  
11 down. For example, the program is active today even though  
12 the plant is in a shutdown condition. It involves  
13 calibrating instruments which are used in sensors, checking  
14 the functioning of a loop --

15          DR. JORDAN: To simulate the signals.

16          WITNESS BROUGHTON: Yes, and evaluate the response  
17 of the components to make sure that they are proper for the  
18 signals that have been inserted.

19          DR. JORDAN: Yes.

20          WITNESS BROUGHTON: And the program goes beyond  
21 that in that it also looks at the actual components which  
22 are actuated, for example, the regulating valves for  
23 feedwater flow. Over a period of time they will begin to  
24 leak due to erosion in service, and the program rebuilds  
25 these valves on a periodic interval to ensure that the

1 leakage across the seat is within acceptable limits for the  
2 control system.

3           Our experience has shown that we have not seen the  
4 same types of problems with tuning that other plants have  
5 reported, and we believe it is because of the maintenance  
6 that is performed in conjunction with the system.

7           DR. JORDAN: I see.

8           WITNESS JOYNER: I would like to add a couple of  
9 things, if I may.

10           Your statement about the interaction of the safety  
11 and control systems, those inputs to the ICS that originate  
12 in safety systems like the RCS flow, are completely  
13 buffered. They are -- the only interface is that that  
14 protection channel provides a flow signal to the ICS through  
15 buffer amplifiers, and it is totally isolated and  
16 independent.

17           DR. JORDAN: Yes, but I -- it takes an analysis of  
18 every one of those systems to make sure that you are not  
19 getting informatin from the safety system which relies --  
20 which is then fed back to the safety system through the ICS,  
21 that there can be a feedback chain established which can be  
22 adverse. I have seen instances of it so, but I am not  
23 saying that there is one necessarily here. I am always  
24 suspicious whenever I see any interaction at all.

25           WITNESS JOYNER: We are, too, sir. I wanted to



1 make that clear.

2           The other point is to state that these  
3 recommendations now are generic. They may or may not apply  
4 to a particular plant. In my estimation, 1C does not apply  
5 very much to TMI 1.

6           DR. JORDAN: Then Recommendation 2 is balance of  
7 plant.

8           WITNESS JOYNER: It may or may not be specific to  
9 TMI 1. In some cases, I do not believe it is particularly  
10 important.

11           DR. JORDAN: Concerning Item No. 2, balance of  
12 plant, are any of those applicable to TMI 1, and are there  
13 any actions being taken?

14           WITNESS BROUGHTON: Yes, I can comment on each of  
15 those.

16           The first item, main feedwater pump turbine,  
17 minimum speed control, the concern here was that if the  
18 integrated control system desires a small amount of flow to  
19 the steam generator, it will send a signal to the feed pump  
20 which will slow it down, and it would be possible to slow  
21 the pump down low enough so that low oil pressure or some  
22 other pump protective system might cause the pump to trip to  
23 protect the pump.

24           At TMI 1, the main feedwater pumps have a  
25 mechanical low-speed stop which is completely separate from

1 the ICS, and that stop is set at a high enough value so that  
2 the pump will be self-sustaining even at that low speed. So  
3 independent of the ICS control signal, a minimum speed will  
4 be maintained.

5 DR. JORDAN: I see. So A does not apply to TMI 1.

6 WITNESS BROUGHTON: That is correct.

7 With regard to B, a means to prevent or mitigate  
8 the consequences of a stuck open main feedwater startup  
9 valve, the concern here was that if there was a malfunction  
10 of the valve or an incorrect signal sent to the valve, that  
11 when a low flow was required to the steam generator because  
12 the valve was more fully opened than it should have been --

13 DR. JORDAN: That is the bypass valve?

14 WITNESS BROUGHTON: Yes, that is the bypass valve  
15 around the main feedwater valve; that this overfeeding could  
16 lead to undesirable high levels or perhaps overcooling of  
17 the system.

18 DR. JORDAN: Yes.

19 WITNESS BROUGHTON: Some power plants do not have  
20 the capability to stop flow in that bypass line if the valve  
21 sticks open. At TMI 1 we have a separate, motor-operated  
22 valve which is independent of the ICS which can be shut to  
23 block flow in that line. So even if we had a stuck open  
24 startup valve, we could still prevent feeding through that  
25 line.

1 DR. JORDAN: I see.

2 WITNESS BROUGHTON: The third item is a means to  
3 prevent or mitigate the consequences of a stuck open turbine  
4 bypass valve. The turbine bypass valve is the valve which  
5 would put steam into the condenser and the concern here is  
6 similar with the stuck open main feedwater startup valve.  
7 And at TMI 1, there are two valves, motor-operated, in  
8 series, which could be shut to isolate steam through a stuck  
9 open turbine bypass valve. So that is also an event which  
10 could be terminated by the plant as it is without further  
11 changes.

12 (Board conferring.)

13 DR. LITTLE: I am a bit confused, and I wanted to  
14 get things oriented a little bit.

15 I understand Mr. Sholly's Contention to indicate  
16 that a failure modes and effects analysis of the ICS at TMI  
17 1 should be completed prior to continued operation of TMI 1,  
18 and as far as I can see in the testimony that has been  
19 provided, the documentation is BAW-1564, and then on the  
20 recommendations page, it points out that 1564 is essentially  
21 a generic report, and it indicates -- recommends that plant  
22 specific analyses should be done, and my question is, is  
23 there a plant specific analysis for TMI 1 which would be, in  
24 effect, the response to Mr. Sholly's Contention?

25 WITNESS SADAUSKAS: The answer to that question is

1 yes.

2 DR. LITTLE: Do we have it?

3 WITNESS SADAUSKAS: I do not have it, no. The  
4 study was prepared under my supervision. I am quite  
5 familiar with it.

6 DR. LITTLE: Am I mistaken, or wouldn't that be  
7 the response? Is that the response you were looking for,  
8 the plant specific analysis?

9 MR. SHOLLY: I think one quick question could  
10 clear this up.

11 BY MR. SHOLLY: (Resuming)

12 Q For Dr. Joyner, is the ICS system failure modes  
13 and effects analysis done on -- is that the model that is at  
14 TMI 1? There are two models, 721 and the 820. If I recall  
15 correctly, the FMEA was done on the 820 model.

16 A (WITNESS JOYNER) Functionally, the ICS at all B&W  
17 units is the same, very close to the same. Some are 721 ICS  
18 hardware. Others are 820 hardware. Functionally they  
19 perform the same jobs, control the same equipment, have the  
20 same inputs, and the recommendations that we have at Section  
21 3 are the same for both types of equipment.

22 MR. BAXTER: Dr. Little, the Commission's orders  
23 to the B&W operating licensees were to conduct a failure  
24 modes and effects analysis of the integrated control system,  
25 and this B&W report is the document which these operating

1 licensees have relied upon to satisfy that Commission order  
2 item, and it is the document which the staff has reviewed,  
3 as I understand it, in their safety evaluation report, to  
4 determine whether or not there has been compliance with the  
5 Commission's order.

6           So the fact that B&W recommended an additional  
7 plant specific study -- and one is being undertaken -- is in  
8 a way outside or beyond, I believe, at least, our compliance  
9 with the Commission's order as we view it.

10           DR. LITTLE: But a number of differences were just  
11 pointed out on the recommendations. Evidently some apply  
12 and some do not here. So we are going to have to go through  
13 quite a bit of questioning, I guess, to determine just what  
14 is applicable here.

15           CHAIRMAN SMITH: Let's hear from Mr. Cutchin.

16           MR. CUTCHIN: I wanted the record to reflect as  
17 well, Mr. Chairman, that it was indeed our understanding  
18 based on the October 26, 1979 letter from then Vice  
19 President Herbein to Mr. Vollmer that the document BAW-1564  
20 was submitted as being responsive to the long term  
21 recommended requirement No. 1 of the August 19, 1979  
22 Commission order regarding TMI 1 restart, and it was indeed  
23 on that basis that we performed our review.

24           MR. BAXTER: Our witnesses testify on page 3 of  
25 their direct testimony that the FMEA was reviewed by GPU and

1 found applicable to the TMI 1 ICS. I think the only  
2 distinction we have so far is simply Dr. Joyner's comment  
3 that it was a generic study, and he thinks 1C is less  
4 applicable to TMI 1 than it was to other units because he  
5 found that control system to be finely tuned, and to have a  
6 good record. I do not think that that means that the study  
7 itself is not applicable.

8 (Board conferring.)

9 DR. LITTLE: I will try to listen bearing those  
10 comments in mind as to what the testimony was intended to  
11 answer.

12 MR. SHOLLY: Mr. Chairman, if I might, I would  
13 like to repose the questions I asked because I do not think  
14 they were directly responded to. There were two of them,  
15 really.

16 BY MR. SHOLLY: (Resuming)

17 Q Which ICS model was the B&W report based on?

18 A (WITNESS JOYNER) It is based on the SMUD ICS.

19 Q Model 820?

20 A (WITNESS JOYNER) 820 hardware. I want to make  
21 the distinction that there is one ICS that uses 820 or 721  
22 hardware.

23 Q And TMI 1 is a 721 hardware.

24 A (WITNESS JOYNER) That is correct.

25 DR. JORDAN: Okay, good.

1 Well, I gather, then, that it is the Licensee's  
2 position that the document BAW-1564 does satisfy the  
3 Commission's requirements.

4 Now, this was a long term item. Is it the  
5 Licensee's position that it is satisfied now, or that it  
6 will be satisfied sometime in the future?

7 MR. BAXTER: One can argue about what the  
8 Commission meant by the order. We believe, looking at the  
9 words themselves, to submit such an analysis, that we have  
10 done so. I do know that the staff safety evaluation of this  
11 order item continues on and evaluates the recommendations  
12 made by B&W and what Licensee is doing in response to those  
13 recommendations.

14 They conclude in that January safety evaluation  
15 that reasonable progress has been made toward following  
16 through the recommendations. I do not think there is any  
17 dispute that the analysis has been done.

18 DR. JORDAN: Okay. When we get to the staff, we  
19 will pose such questions as that, but I think, then, for the  
20 moment, I have no further questions on the document  
21 BAW-1564. That is by no means a claim that I understand  
22 everything in the document. I do not, and I am not going to  
23 try to understand it all right now.

24 So, Mr. Sholly, I guess it is up to you, then.

25 MR. BAXTER: While we are making a transition, Mr.

1 Chairman, we have provided the Reporter with thrv copies of  
2 BAW Report 1564.

3 I would ask that it be marked for identification  
4 as Licensee's Exhibit No. 18. The document itself reflects  
5 Dr. Joyner's participation and partial authorship of it, and  
6 he has testified as to its contents. So I move its receipt  
7 into evidence.

8 CHAIRMAN SMITH: Any objections?

9 MR. SHOLLY: No objections.

10 MR. CUTCHIN: No objection.

11 CHAIRMAN SMITH: So received.

12 (The document referred to was  
13 marked Licensee Exhibit No. 18  
14 for identification, and  
15 received in evidence.)

16 CHAIRMAN SMITH: Mr. Sholly?

17 BY MR. SHOLLY: (Resuming)

18 Q A few brief questions for Mr. Broughton and Mr.  
19 Sadauskas, and if it is any consolation to you, you can rest  
20 easy because the rest of my questions will be for Dr. Joyner.

21 MR. BAXTER: No, Mr. Sholly, don't counsel them  
22 that way. I would rather they not rest easy.

23 (General laughter.)

24 BY MR. SHOLLY: (Resuming)

25 Q Within Dr. Jordan's questioning, Mr. Broughton,



1 there was some discussion of possible feedback between the  
2 integrated control system and the reactor protection system  
3 as a result of the direct connection of the reactor coolant  
4 flow signal.

5           Has the Licensee done any evaluations of that to  
6 see if there is any possibility of a feedback?

7           A       (WITNESS BROUGHTON) That question gets into some  
8 details of hardware that I am not personally familiar with,  
9 but the methods of isolating safety systems and signals from  
10 non-safety systems are ones that there are acceptable  
11 methods for doing that, and those methods were employed in  
12 this case. But I am not familiar enough with the hardware  
13 to be able to tell you exactly what those were.

14          Q       Dr. Joyner, do you have anything additional to  
15 remark on that point?

16          A       (WITNESS JOYNER) I really cannot add anything.

17          Q       Okay.

18                 Mr. Sadauskas, you discussed briefly about  
19 switching the engineered safeguards buses if the first one  
20 failed, and you mentioned that there are redundant buses,  
21 and that those could be switched.

22                 Do you have any estimate of how long that might  
23 take to accomplish?

24          A       (WITNESS SADAUSKAS) No, I do not. I -- no.

25          Q       Any idea?

1 A (WITNESS SADAUSKAS) No.

2 Q Could you say whether it might be in terms of  
3 minutes or tens of minutes, or --

4 A (WITNESS SADAUSKAS) Well, it is my opinion that  
5 it would be in terms of tens of minutes.

6 Q During that period of time, then, would the  
7 operator be able to take manual control of the ICS?

8 A (WITNESS SADAUSKAS) In the event that the ICS  
9 experiences a total power failure, and that the red train  
10 from which the ICS is powered fails totally -- and I really  
11 cannot -- I find it difficult to postulate a failure like  
12 that -- the ICS would be inoperative.

13 Q Have you any idea as to what means operators could  
14 take during that period of time, between switching  
15 engineered safeguard buses to control the plant? I realize  
16 it might depend on what particular situation they were in at  
17 the time, but generally what I am trying to get at, are  
18 there systems that would be powered that would enable the  
19 operator to control the plant while you got ICS back on line?

20 A (WITNESS SADAUSKAS) Well, by control of the  
21 plant, undoubtedly the plant would not remain at power  
22 level. The engineered safeguards features systems and the  
23 reactor protection system would be operable from the  
24 redundant bus. So the plant would be in a controlled  
25 situation by virtue of the fact that those systems are

1 operable.

2 DR. JORDAN: I am a little puzzled at your  
3 reticence to answer what happens if you lose power, because  
4 surely the failure modes and effects analysis, you must have  
5 followed exactly what happens if you lose power to the ICS.

6 What happens? You made the -- was this a fault  
7 tree kind of analysis or event tree analysis or not? What  
8 happens if you lose power?

9 WITNESS SADAUSKAS: No. What we did was, using  
10 the Baylor Meter Company and B&W drawings, we identified the  
11 source of power for all of the ICS components.

12 DR. JORDAN: The source of power?

13 WITNESS SADAUSKAS: The ICS receives essentially  
14 from the subdistribution system five sources of power.  
15 There is a fixed source of power that powers the cooling  
16 fans in the ICS cabinets.

17 DR. JORDAN: I see. So it is not a single power  
18 supply.

19 WITNESS SADAUSKAS: You may note I said  
20 subdistribution system. If I can run through it again, the  
21 ICS subdistribution system receives power from the 1A plant  
22 inverter, or from the regulated AC bus. From this  
23 distribution panel the power is subdivided to the ICS, and  
24 subdivided through five circuits.

25 DR. JORDAN: All the same voltage?

1 WITNESS SADAUSKAS: Yes, sir.

2 DR. JORDAN: Same frequency?

3 WITNESS SADAUSKAS: The current reading of the  
4 circuits are different.

5 DR. JORDAN: Than the fusing.

6 WITNESS SADAUSKAS: Right. In our study we  
7 considered the removal of each of the five power subfeeds to  
8 the ICS, and we did this to enable us to have an  
9 understanding of how the plant would react to an individual  
10 subfeed failure or to a major power loss.

11 DR. JORDAN: All right.

12 Does that appear in the report, the BAW, as to  
13 what happens in each one of those cases?

14 WITNESS JOYNER: That is not in the report, sir.  
15 That, it is my understanding, is part of your restart report.

16 DR. JORDAN: Are you saying that the restart  
17 report has the event tree diagram that one can follow and  
18 find what happens under each transient condition?

19 WITNESS SADAUSKAS: No, he is not.

20 DR. JORDAN: Then I -- what did Mr. Joyner say was  
21 in the restart report?

22 WITNESS JOYNER: Perhaps I misspoke, sir. I said  
23 it was my understanding that they had covered loss of power  
24 in the restart report. That may or may not be true. I  
25 really cannot speak for the restart report, and I should not.

1 DR. JORDAN: Did the failure modes and effects  
2 analysis follow what would happen upon the loss of each one  
3 of these five power supplies?

4 WITNESS SADAUSKAS: The --

5 DR. JORDAN: And what happened. I invite you to  
6 take me through the event -- what happens, event by event,  
7 upon the loss, say, as an example.

8 WITNESS SADAUSKAS: The result of our study, as I  
9 said, we removed the five subfeeds from the ICS, one at a  
10 time. These five subfeeds are called X power and Y power,  
11 also called Hex and Y, and these two sources primarily  
12 provide power to field mounted sensors, such as pressure  
13 transmitters or flow transmitters, things of that sort.

14 The other -- one of the other sources of power is  
15 the autopower system.

16 DR. JORDAN: What?

17 WITNESS SADAUSKAS: Auto.

18 DR. JORDAN: A-u-t-o?

19 WITNESS SADAUSKAS: Yes.

20 This essentially provides power to some computing  
21 modules, some indicators to the autotransfer relays which  
22 enable the operator to transfer the control of the various  
23 control loops from automatic to manual mode. The remaining  
24 system is the hand power system, and this system provides  
25 power for the generators that allow the operator to manually

1 position the final control elements. In addition, it also  
2 provides power to the electrical, to pneumatic converters at  
3 the control valves. The leading source of power of the five  
4 is the auxiliary power source which is used for the  
5 emergency feedwater system. And we conducted this study to  
6 enable us first of all to understand the failure modes of  
7 the ICS system on removal of the various sources of power,  
8 the objective being to develop procedures that could be used  
9 by the control room operator in the event that one or more  
10 of these power sources was left.

11 As a result of our investigation, we determined  
12 that under the loss of each one of these systems that I  
13 mentioned earlier, certain indicators, transmitters, valves  
14 in the system would fail.

15 We have developed a list of these items, including  
16 their failure modes, and it is our plan to conduct a test,  
17 an actual test of the ICS system under controlled conditions  
18 to simulate power failure prior to the restart of the plant,  
19 to enable us to verify the results of our study.

20 DR. JORDAN: Does the study -- can you turn to the  
21 study and look at it and see what it predicts would happen  
22 if a particular power supply fails?

23 WITNESS SADAUSKAS: Yes. The study contains a  
24 list of indicators and recorders, transmitters and such that  
25 would be removed from service in the event that a power

1 supply has failed.

2 DR. JORDAN: And then -- so all right, what  
3 happens to the system, the steam supply system upon failure  
4 of, let's say -- choose one.

5 WITNESS SADAUSKAS: On the failure of -- the  
6 system is operating in the plant at power, and operating in  
7 the automatic mode, that is, the ICS is in control of the  
8 plant.

9 DR. JORDAN: Good.

10 WITNESS SADAUSKAS: If the autopower fails, the  
11 control system will essentially fail to the manual mode in  
12 the control room, between the ICS signals that are developed  
13 in the integrated control system and the outgoing signal to  
14 the final control element. For each of the final control  
15 elements there is a manual automatic station. This station  
16 provides the man-machine or operator interface between the  
17 integrated control system and the plant operator. In the  
18 event that the auto power fails and the -- then the system  
19 will revert to manual mode. This will be brought to the  
20 operator's attention immediately.

21 These automatic stations that I discussed earlier  
22 have two indicating lights on them, one from manual, one for  
23 automatic. In the event that the automatic power fails,  
24 both of these lights will be out. This will inform the  
25 operator that the system has reverted to the manual mode.

1 In conjunction with this, Metropolitan Edison has  
2 decided to implement a power, an ICS power monitoring system  
3 prior to restart. What this system does is it looks at each  
4 of the six major feeds to the integrated control system as  
5 well as some of the subfeeds, and it provides the operator  
6 with an enunciation and visual identification in the main  
7 control room to tell him exactly which feed has failed.

8 Now, once the system has reverted to the manual  
9 mode, the operator will be able to operate the final control  
10 elements by hand from the manual automatic stations not on  
11 the main control board.

12 DR. JORDAN: Now, you say this is something that  
13 is being planned to be implemented.

14 WITNESS SADAUSKAS: Yes. The engineering is well  
15 under way on the implementation of this.

16 DR. JORDAN: Is that in BAW-1564? Is that one of  
17 the recommendations?

18 WITNESS SADAUSKAS: You might consider that to be  
19 one of the recommendations of the power supply -- improved  
20 power supply reliability in the sense that it is an  
21 information system.

22 DR. JORDAN: I see. BAW-1564 does not spell out  
23 what is needed in the way of improved reliability.

24 WITNESS SADAUSKAS: I do not believe so, no, sir.

25 MR. SHOLLY: Dr. Jordan?



1 DR. JORDAN: Yes, Mr. Sholly.

2 MR. SHOLLY: A few questions before we move off of  
3 this particular area.

4 DR. JORDAN: Fine, go ahead.

5 BY MR. SHOLLY: (Resuming)

6 Q These power failures in the ICS, I believe you  
7 indicated with the manual control station, that there was a  
8 light that informs the operator whether the system is in  
9 manual or auto control, is that correct?

10 A (WITNESS SADAUSKAS) Yes, that is correct.

11 Q And that enunciator light, does that appear on the  
12 main enunciator panel or is that down on a control panel?

13 A (WITNESS SADAUSKAS) We are monitoring the power  
14 feeds to the ICS system, and we provide the operator with a  
15 common alarm, if you will, that is all-inclusive, that  
16 brings to his attention via an audible and a flashing alarm  
17 from the main enunciator system that one of the ICS feeds  
18 has failed. We do not tell him with this alarm which one  
19 has failed. However, once he gets that alarm on the main  
20 control board, we are adding a series of six lights. The  
21 fail light, or the light that is indicative of which feed to  
22 the ICS has failed will de-energize, and the operator, once  
23 he becomes aware of the common alarm, the enunciator focuses  
24 attention on the light panel which will give him more  
25 definitive information. And it is our hope that from the

1 list that we have developed, which will be substantiated by  
2 an actual field test, the operator will know which  
3 instruments in the control room are affected by this  
4 particular failure.

5 Q He will know that by procedures, or how will that  
6 be passed on to the operator?

7 A (WITNESS SADAUSKAS) Well, the list that we have  
8 now will be verified by an actual test at the Island.  
9 Following that test, the operator will receive procedures  
10 that will document the consequences in the main control room  
11 of various ICS failures, power failures.

12 Q And this will all be done before restart?

13 A (WITNESS SADAUSKAS) Yes.

14 Q The procedure, the tests?

15 A (WITNESS SADAUSKAS) Yes, the tests are scheduled  
16 before restart.

17 CHAIRMAN SMITH: This is in the restart report,  
18 this information you just provided?

19 (Pause)

20 WITNESS SADAUSKAS: No.

21 DR. JORDAN: The only reference I saw in your  
22 testimony to the restart report referred to Question 12, I  
23 believe, and that seemed to provide very little  
24 information. It was very short.

25 Well, are you saying that if the auto supply were

1 to fail, the power supply, that what would happen, there  
2 would be certain lights come on, there would be no pulling  
3 of control rods, no closing of feedwater valves, nothing  
4 like that happens when one of these power supplies fails?  
5 All that happens is that the operator is told to take  
6 control and there is no plant upset?

7 WITNESS SADAUSKAS: On the case that I cited,  
8 which was the failure of the automatic power feed to the  
9 integrated control system, the final control elements would  
10 remain in their last position. This is an inherent position  
11 of the hardware, the manual automatic stations have a memory  
12 module that monitors the automatic signal, and when the  
13 transfer is made from automatic to manual, as would be the  
14 case when automatic power fails, the final control elements  
15 would remain in that off position, with the exception -- the  
16 control rod drive system is powered exclusively from auto  
17 power, the ICS portion, and failure of auto power would not  
18 cause the rods to move.

19 DR. JORDAN: Okay. Go ahead, Mr. Sholly.

20 BY MR. SHOLLY: (Resuming)

21 Q Mr. Sadauskas, you mentioned, I believe, that  
22 there was a study, a site specific study, a plant specific  
23 study for TH1 1 prepared under your direction.

24 Is this part of what you have just been discussing?

25 A (WITNESS SADAUSKAS) Yes, sir, it is.

1 Q Is that study in a written form such that it could  
2 be submitted to the Board and the parties?

3 A (WITNESS SADAUSKAS) Yes, it is.

4 MR. SHOLLY: Mr. Chairman, I believe that that  
5 study should certainly be submitted by the licensee. It  
6 seems to me that that is a rather important document that we  
7 should received.

8 WITNESS SADAUSKAS: I would like to add -- pardon  
9 me.

10 MR. BAXTER: I will have to confer with my client  
11 as to the status of the document. It is the result of  
12 additional work that has been done in response to a  
13 recommendation B&W made as a result of the failure modes and  
14 effects analysis which is what the Commission required.

15 I will not take issue with you one way or the  
16 other as to whether it is a crucial document for litigating  
17 this contention. It is not clear to me that it is, but we  
18 will confer about its status.

19 CHAIRMAN SMITH: Mr. Baxter, perhaps you can give  
20 us a more thorough explanation of how you view that  
21 requirement in the Commission's order, simply that a failure  
22 modes and effects analysis be done, notwithstanding how  
23 detailed it is, how reliable it is, how good it is, how bad  
24 it is, or anything else about it, just that it be done? Is  
25 that the Licensee's position in the case?

1 MR. BAXTER: Not quite. I think that after the  
2 accident at Unit 2, Three Mile Island, the staff perhaps for  
3 the first time gained an appreciation for interest in what  
4 the role of the ICS was in the operation of these power  
5 plants, and therefore, one of the things the Commission  
6 directed be done not prior to the restart of the other B&W  
7 units, but as a long term investigation by the staff was to  
8 look at what the failure modes and effects of these systems  
9 were, and I think it was so the staff could determine  
10 whether they precipitated, cause, aggravated or interfered  
11 with the mitigation in response to transients. Certainly I  
12 do not think it would have been acceptable for us to file  
13 two sentences or two lines. That analysis has been done,  
14 and the staff and the Licensee have both determined that the  
15 ICS is not a failure producer but is a failure mitigator.

16 The fact that B&W also made some recommendations  
17 for improvements in the balance of plant, by the way, not in  
18 the ICS, and that they are being pursued I think is to our  
19 credit, but I do not know it is subsumed within the  
20 Commission's initial requirement that you look at the ICS.

21 CHAIRMAN SMITH: Mr. Sholly was not inquiring, I  
22 don't believe, about the balance of plant, were you, Mr.  
23 Sholly?

24 MR. SHOLLY: I do not believe so. I think one of  
25 the things that I want to point out is that we will get to

1 whether the failure modes and effects analysis is adequate  
2 or not. You know, I am really not too concerned about what  
3 the staff and the Licensee have concluded. I think it  
4 remains for the Board to conclude whether it is adequate or  
5 not, and if this document that Mr. Sadauskas has had  
6 prepared bears on that, then I think it is entirely relevant.

7 CHAIRMAN SMITH: Mr. Baxter, the Board, without  
8 having conferred with my colleagues, I think I can sense  
9 among my colleagues a feeling that we have had to try hard  
10 to develop information on this point, harder than we would  
11 have expected to.

12 MR. BAXTER: Mr. Chairman, I can only say the  
13 staff did supply as a reference work with their testimony  
14 the B&W report. It has never been -- I did not think  
15 unclear what we were relying on in our testimony in terms of  
16 that reference. It is not easy to anticipate what the depth  
17 or the nature of the concern is by the Board and parties. We  
18 had almost no discovery by Mr. Sholly on this Contention.  
19 That is his right, but we got some questions about the  
20 maintenance history of the system. We had no Board  
21 questions. The restart report generally responds to the  
22 order items.

23 CHAIRMAN SMITH: I am not referring to the  
24 testimony as it was produced. I am referring to the events  
25 of this morning. I mean, information has not seemed to flow

1 easily.

2           Perhaps this would be a good time to take the  
3 lunch break, and we can all go back and think about our  
4 views on the Contention and the issue.

5           We will reconvene at 1:10.

6           (Whereupon, at 12:00 o'clock noon, the hearing in  
7 the above-entitled matter recessed, to reconvene at 1:10  
8 o'clock p.m. the same day.)

9           - - -

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

AFTERNOON SESSION

(1:15 p.m.)

1  
2  
3 Whereupon,

4 T. GARY BROUGHTON

5 GERALD J. SADAUSKAS

6 LUTHER L. JOYNER,

7 called as witnesses by counsel for the Licensee, having been  
8 previously duly sworn by the Chairman, were examined and  
9 testified further as follows:

10 CHAIRMAN SMITH: Mr. Sholly, you may proceed with  
11 your cross-examination.

12 MR. BAXTER: Mr. Chairman, I thought I might have  
13 heard some miscommunication during Dr. Little's examination  
14 of Mr. Sadauskas, and I have conferred with my colleagues  
15 over the lunch break and they heard the same. And I would  
16 like the opportunity to ask just a couple of clarifying  
17 questions, which I think would help the examination.

18 I thought, looking at the B&W recommendations on  
19 page 3-1 of Licensee's Exhibit 18, where it is recommended  
20 that the following areas be reviewed on a plant-specific  
21 basis, that Dr. Little then asked, was there an analysis, a  
22 failure modes and effects effect analysis, done of the TMI-1  
23 integrated control system. And Mr. Sadauskas said yes to  
24 that question.

25 I would like to ask him whether indeed that was



1 what he meant, and if not what he was referring to.

2 WITNESS SADAUSKAS: the study that we performed  
3 was an evaluation of loss of power to the ICS NNI system,  
4 and in the true context it cannot be regarded as a failure  
5 modes and effects analysis.

6 MR. BAXTER: And it was not an analysis of the  
7 integrated control system, but rather just of the power  
8 supply; is that correct?

9 WITNESS SADAUSKAS: It was an analysis of the  
10 effect of power supply failure on components of the  
11 integrated control system.

12 MR. BAXTER: The distinction that he made is that  
13 it is not a parallel study to the one that B&W has performed  
14 at all.

15 And two, I hope with that in context, I would like  
16 Dr. Joyner just briefly again to tell us what the role of  
17 the ICS is in plant performance, and what Licensee and B&W  
18 intended to show with this failure modes and effects  
19 analysis.

20 WITNESS JOYNER: The ICS is a non-safety grade  
21 control system. It is not responsible for protection of the  
22 plant. It aids the operator in controlling the plant to  
23 make megawatts.

24 The analysis that we performed was done with the  
25 goal of looking for failures that might be in the system

1 that would cause improper operation. The ICS itself is a  
2 standard functional system that we provide with each NSS.  
3 We failed the inputs, the outputs, the functional components  
4 of the system, and looked for failures that produced  
5 undesirable transients as far as from an operational  
6 standpoint.

7           We were not able to find failures that would  
8 affect the operation of the safety system. When large  
9 failure occurs, we get -- or a significant failure occurs --  
10 we get an upset in the plant, generally followed up very  
11 quickly by reactor trip.

12           When that occurs, the ICS role in operation and  
13 control of the plant is minimal. The rods are in the core.  
14 The turbine is tripped and the ICS really no longer is  
15 operating the plant.

16           Our recommendations were based upon failure modes  
17 that we thought were undesirable from an operability  
18 standpoint. We then said, these failure modes should be  
19 examined on a plant-specific basis and, if appropriate,  
20 changes performed.

21           That study, however, was applicable to all ICS's,  
22 because they basically have the same functional design and  
23 performance.

24           CHAIRMAN SMITH: Did you use the word "fail" as a  
25 verb? You "failed" the components? You disabled them?

1                   WITNESS JOYNER: That is correct. We postulated  
2 failure high, for example, a flow transmitter may measure  
3 from zero to 7 million pounds per hour feedwater flow. We  
4 would then postulate that that transmitter failed and  
5 indicated to the ICS a flow of 7 million pounds or of zero  
6 pounds, and looked at the operation of the system when that  
7 failure occurred.

8                   (Board conferring.)

9                   DR. JORDAN: I was thinking in terms of the  
10 Crystal River event. Was that not a case of a failure  
11 neither high nor low, but rather a sudden change, and the  
12 ICS misoperating, calling on a higher power than should be,  
13 higher pressures before, and therefore the operation of  
14 the PORV -- now, was that not the type of failure which you  
15 didn't -- did you look at failures of that nature?

16                   I asked you this morning, did you consider  
17 mid-range failures, and you said no. Does that mean  
18 therefore that failures of this type were not included in  
19 your failure modes and effect analysis?

20                   WITNESS JOYNER: Well, we felt and I feel -- let's  
21 go back to the example of the flow transmitter. It measures  
22 zero to 7 million pounds. A mid-scale failure would then  
23 indicate 3-1/2 pounds to the ICS.

24                   Now, I felt that a failure that indicated the  
25 largest possible flow or the minimum flow would produce the

1 most severe plant response.

2 DR. JORDAN: Such as therefore a situation that  
3 they had an increase in pressure in the reactor system which  
4 would result in the operation of the PORV?

5 WITNESS JOYNER: Yes..

6 DR. JORDAN: That would be one of the possible  
7 ways it could fail, then?

8 WITNESS JOYNER: Well, the ICS would not fail in  
9 that manner.

10 DR. JORDAN: But the ICS could cause an increase  
11 in pressure. Certain failures of the ICS could call for an  
12 increase in power in the system, and therefore an increase  
13 in the pressure, which would be handled either by reactor  
14 trip or by operation of the PORV.

15 WITNESS JOYNER: Well, the reactor would trip when  
16 the failure occurred. It hits the high-pressure trip point,  
17 rods drop into the core, and that basically terminates the  
18 ICS or minimizes the role of the ICS in control of the plant.

19 DR. JORDAN: Now, it is true, I guess, that the  
20 reactor is supposed to trip before the PORV; is that  
21 correct? No, it is the other way around?

22 Which is it on the modified system?

23 WITNESS BROUGHTON: On the modified system, the  
24 reactor should trip before the PORV opens.

25 DR. JORDAN: Right.

1 WITNESS JOYNER: So we inverted the PORV.

2 DR. JORDAN: Is Crystal River not changed yet? I  
3 thought this was well after TMI?

4 WITNESS JOYNER: I think it was.

5 DR. JORDAN: Where did the PORV go?

6 WITNESS JOYNER: Well, I really -- I hesitate to  
7 discuss the Crystal River transient, because it has been a  
8 while since I looked at the scenario. I did not really work  
9 on it.

10 But it is my understanding that the pressure  
11 signal failed -- not the pressure signal. One of the  
12 modules in the NNI caused it to open spuriously.

13 DR. JORDAN: Yes. And now then -- but you say you  
14 felt it was not particularly relevant to the study that you  
15 were doing, that the Crystal River transient is not relevant  
16 to a failure modes and effects analysis of the ICS?

17 WITNESS JOYNER: What we identified, sir, in the  
18 failure modes and effects analysis is that the loss of power  
19 should be examined on a plant-specific basis, because we  
20 recognize the undesirability of that event.

21 DR. JORDAN: I see. And this has been done at  
22 TMI-1.

23 MR. BAXTER: Dr. Jordan, my next question was  
24 going to be to return to Mr. Sadauskas and Mr. Broughton and  
25 ask them to review again the response to B&W recommendation

1 1-A and what Licensee has done in response to their  
2 suggestion that NNI/ICS power supply reliability be examined  
3 on a plant-specific basis, and in particular with reference  
4 to a figure we have distributed over the luncheon break to  
5 the parties and the Board entitled "Electrical Supply to  
6 ICS/NNI System," which I would request the reporter mark for  
7 identification as Licensee's Exhibit 19.

8 (The document referred to was  
9 marked Licensee Exhibit No. 19  
10 for identification.)

11 DR. JORDAN: You are going to bring out, then,  
12 that there is a failure modes and effects analysis specific  
13 to TMI-1?

14 MR. BAXTER: No, there is not a failure modes and  
15 analysis of the TMI ICS specifically.

16 DR. JORDAN: One of my questions is going to be  
17 specifically, then, how do you meet the long-term order item  
18 1, because we believe that applies to TMI-1, not to the  
19 across-the-board generic analysis.

20 MR. BAXTER: We are posing two questions, and  
21 let's do it one at a time. The first question to the  
22 witness perhaps should be why, in their view, is the  
23 analysis performed by B&W applicable to the integrated  
24 control system at TMI-1.

25 My question was going to be to review for the

1 record again what they are doing in response to B&W's  
2 recommendation on upgrading the reliability of the power  
3 supply.

4           Let's do them in that order, if you can. First,  
5 why is the Licensee's Exhibit 18, the B&W report, applicable  
6 to Three Mile Island Unit 1?

7           WITNESS BROUGHTON: The ICS which was examined by  
8 B&W and analyzed in their report is functionally the same  
9 ICS as we have at TMI-1. That is, it uses the same input  
10 signals in the ICS. It has the same major functional blocks  
11 as described in the report, and even down to the details of  
12 the individual modules which comprise those functional  
13 blocks the TMI-1 system is the same as the system examined  
14 by B&W.

15           The outputs of the ICS are also the same in terms  
16 of components that are controlled in the plant, based on the  
17 inputs and the logic of the ICS. So one of the things that  
18 we did when we got the B&W report was to compare the inputs,  
19 the functional description of the system, analyze it and the  
20 outputs against what actually exists at TMI-1. And that  
21 comparison indicated in some cases there might have been a  
22 minor difference between the two systems.

23           For example, the B&W study talks about an  
24 automatic dispatch signal and the effect that that could  
25 have on power. That is a signal that could come from a

1 dispatcher outside the plant to change electric load. We do  
2 not use that feature in our ICS, so that was a failure that  
3 we did not need to consider since it was not specific to  
4 TMI-1.

5           The only difference that we found that was not of  
6 that minor nature, that it was an unused feature or the  
7 alignment was slightly different, was the difference in the  
8 power supply arrangement for the two ICS's. The power  
9 supply that we have with the TMI-1 system is one which we  
10 described earlier, and we will go into again in some more  
11 detail. And the power supply studied in the B&W report is a  
12 slightly different power supply.

13           As a result, we have done more looking at our  
14 individual power supplies at TMI-1, which was the first  
15 recommendation of the B&W study. So we feel that the  
16 failures identified by the B&W generic analysis in terms of  
17 which ones they are and what they would cause to have happen  
18 in the plant do accurately represent what would take place  
19 at TMI-1, because of the similarity of the functional design  
20 and the details of inputs and outputs.

21           MR. BAXTER: The second question, then, would be  
22 to review for the Board and the parties again what the  
23 Licensee is undertaking to do in response to B&W's  
24 recommendation to study on a plant-specific basis the  
25 NNI/ICS power supply reliability.



1 WITNESS SADAUSKAS: Looking at a schematic drawing  
2 called "Electrical Supply to ICS/WNI System" that we just  
3 submitted as evidence, the ICS system is shown at the bottom  
4 of the diagram, identified as "auto" and "aux," "hex,"  
5 "hey," and "fan."

6 DR. JORDAN: Again, the acoustics in this room --

7 WITNESS SADAUSKAS: The ICS sub-feeder system is  
8 shown at the bottom of this diagram, and the sub-feeders are  
9 identified. There are six of them. They are fed -- the  
10 power source for the ICS system is 12-volt, 60-cycle,  
11 single-phase power.

12 This power is developed from the engineered  
13 safeguards bus.

14 DR. JORDAN: What?

15 WITNESS SADAUSKAS: Engineered safeguards bus,  
16 which can also be powered by the red deisel in the event  
17 that off-site power is lost.

18 DR. JORDAN: That is the ES bus on the right in  
19 this diagram; is that correct?

20 WITNESS SADAUSKAS: At the top of the diagram,,  
21 the 480-volt supply -- there is a signal on the right that  
22 means the voltage regulator goes to the ES bus.

23 DR. JORDAN: Okay.

24 WITNESS SADAUSKAS: Normally, power is fed from  
25 the 480-volt bus through the rectifier, through the

1 inverter, it is converted to 120-volt AC that the ICS can  
2 use.

3           In the event that the rectifier fails, an  
4 alternate source as shown on this diagram is from the red  
5 battery. That is also converted to 120-volt, 60-cycle power  
6 that the ICS can use.

7           DR. JORDAN: So is it normally, then, connected to  
8 the battery in the inverter? Is that the normal operation?

9           WITNESS SADAUSKAS: The inverter -- the power  
10 source normally is from the AC power in the plant. We do  
11 not draw on the battery normally. The battery is drawn upon  
12 in the event that the AC system fails.

13           DR. JORDAN: I see.

14           WITNESS SADAUSKAS: In the event that the inverter  
15 fails, a static auto transfer switch that is shown on this  
16 sketch monitors the voltage level of the VBA bus as shown.  
17 And this switch is designed to provide transfer  
18 automatically to the bus on the right, labeled TRA, which is  
19 a 120-volt, single-phase regulated bus.

20           DR. JORDAN: Is that the one that says "new  
21 remote-operated manual transfer switch"?

22           WITNESS SADAUSKAS: No, it is not. It is the one  
23 that is labeled "static auto transfer switch."

24           DR. JORDAN: That switch is normally to the right?

25           WITNESS SADAUSKAS: The switch is normally to the

1 left. The power is normally flowing from the inverter.

2 DR. JORDAN: Oh, I misunderstood your answer,  
3 then. I thought you -- I thought I asked if the normal  
4 power supply was from the inverter battery, and you said the  
5 normal supply was --

6 WITNESS SADAUSKAS: The inverter is fed from two  
7 sources. It is fed from the red battery --

8 DR. JORDAN: The inverter is fed to --

9 WITNESS SADAUSKAS: From two sources. You can see  
10 that it is fed from the red battery, and it is also fed from  
11 the 480-volt engineered safeguards bus.

12 DR. JORDAN: Through a rectifier.

13 WITNESS SADAUSKAS: That is correct.

14 DR. JORDAN: You are normally on a 480-volt bus?

15 WITNESS SADAUSKAS: That is correct.

16 DR. JORDAN: Rather than the battery.

17 WITNESS SADAUSKAS: Correct.

18 DR. JORDAN: I presume that is -- that switch --  
19 no, the battery; doesn't it just ride on the rectifier?

20 WITNESS SADAUSKAS: The battery is being charged  
21 from the 480-volt ES bus. It is floating on the 125-volt DC  
22 system.

23 DR. JORDAN: So you do not have to make any  
24 changes at all if you lose the 480-volt ES bus. The battery  
25 is automatically -- it is there.

1 WITNESS SADAUSKAS: Yes. There is an auctioneer  
2 circuit which looks at both power sources and it transfers  
3 power to the battery in the event that the 480-volt bus  
4 fails.

5 DR. JORDAN: I see. So the inverter does not ride  
6 on the battery all the time, with the rectifier charging the  
7 battery. That's what it looks like in the circuit diagram  
8 there, but that is not the case; is that what you are  
9 telling me?

10 WITNESS SADAUSKAS: No, it is the case.

11 DR. JORDAN: It is?

12 WITNESS SADAUSKAS: The inverter can take power  
13 from the battery and convert it to AC power, or it can take  
14 rectified AC power from the 480-volt bus and convert it into  
15 AC power for use by the ICS.

16 DR. JORDAN: It is one or the other. It is not  
17 both. It is not both simultaneously?

18 WITNESS SADAUSKAS: No, it is not, that is correct.

19 Now, in the event that the inverter fails, the  
20 static auto transfer switch is designed to automatically  
21 transfer power from the inverter which has failed to the  
22 120-volt single-phase regulated bus on the right. And it is  
23 a high-speed transfer, and was pointed out earlier.

24 We do not anticipate any transients occurring when  
25 this transfer takes place.

1 DR. JORDAN: All right. But this is another  
2 480-volt engineered safety bus, presumably?

3 WITNESS SADAUSKAS: It is a bus independent of the  
4 inverter. It is powered from the rei engineered safeguards  
5 power system, as is the --

6 DR. JORDAN: But there are two Class 1-E power  
7 buses, and they are both shown here, one on the left and one  
8 on the right; isn't that correct?

9 WITNESS SADAUSKAS: That is correct.

10 DR. JORDAN: Is that right?

11 WITNESS SADAUSKAS: That is correct, yes, sir.  
12 Now, as a result of the incident at Oconee --

13 DR. JORDAN: What?

14 WITNESS SADAUSKAS: The incident at the Oconee  
15 Nuclear Station, Duke Power, where the static auto transfer  
16 switch failed to transfer. We are aware of that incident  
17 and in order to improve the reliability of the Three Mile  
18 Island power transfer system we are installing a new  
19 remote-operated manual transfer switch, which is so labeled  
20 on this sketch.

21 And it is downstream of the automatic switch. In  
22 the event that the automatic switch fails to transfer, an  
23 alarm will be provided to the control room operator and the  
24 operator will manually transfer power, again to the same  
25 bus, the 120-volt bus TPA, via the new remote-operated

1 manual transfer switch.

2 DR. JORDAN: That is the one that takes a little  
3 while to operate?

4 WITNESS SADAUSKAS: That is a manual operation,  
5 yes.

6 DR. JORDAN: Yes, yes.

7 And during that period of time when you have lost  
8 power, say from the normal -- out of the inverter or the  
9 second engineered safety bus by failure of that transfer  
10 switch, during that period once you have lost power, are you  
11 saying that the controls will remain the same, the control  
12 rod positions, the valve positions for feeding feedwater and  
13 so on? And so therefore during this period the plant will  
14 continue to operate?

15 WITNESS BROUGHTON: It is likely, in a case where  
16 the automatic transfer switch does not function and it  
17 requires the operator to manually transfer power, that  
18 enough time would last between the loss of power and when it  
19 was restored that the plant would go through some sort of an  
20 upset, which might very well cause a trip of the reactor.

21 DR. JORDAN: Yes, okay. All right.

22 WITNESS BROUGHTON: I would note, however, that  
23 this manual transfer switch for the new remote-operated  
24 transfer switch is located in the control room. The  
25 operator has a button in the control room that he can

1 actuate to cause this transfer switch to move. He does not  
2 have to leave the control room to go out and manually  
3 operate breakers.

4           It is labeled a manual transfer switch because it  
5 takes an operator's action to cause the --

6           DR. JORDAN: Of course, the hope is you will be  
7 able to make the transfer, presumably, quickly enough to  
8 keep the plant on line, because after all that is your main  
9 job, to keep the plant on line.

10           WITNESS BROUGHTON: That is correct. And that is  
11 function of that static auto transfer switch.

12           DR. JORDAN: Yes, yes.

13           WITNESS SADAUSKAS: The addition of the manual  
14 switch is merely a way to improve the reliability of the  
15 transfer of power.

16           DR. JORDAN: Say it again?

17           WITNESS SADAUSKAS: The addition of the manual  
18 transfer switch is merely a way to improve the reliability  
19 of the power transfer, the reliability of the power to the  
20 BUS systems.

21           DR. JORDAN: Yes, all right.

22           Do you have any further questions, Mr. Baxter?

23           MR. BAXTER: Does that complete your response to  
24 B&W recommendation 1-A, the status of it? Do you have  
25 anything else?

1 WITNESS SADAUSKAS: I have nothing further to say.

2 WITNESS BROUGHTON: There are other things we are  
3 doing to look at in terms of improvements of reliability of  
4 the ICS/NNI power supplies. Those are not specifically as a  
5 result of this recommendation in the B&W report. They are  
6 more along the lines of improvements due to other events,  
7 for example the Crystal River event.

8 CHAIRMAN SMITH: For example what?

9 WITNESS BROUGHTON: We mentioned some of those  
10 earlier. But they would be --

11 CHAIRMAN SMITH: I did not hear your final word,  
12 that is all.

13 WITNESS BROUGHTON: The Crystal River 3 event was  
14 another event which brought the reliability of power into  
15 question, and as a result we are doing further studies on  
16 how to improve reliability of power.

17 CHAIRMAN SMITH: Could any member of the panel  
18 explain somewhat better the Crystal River event? Our  
19 understanding of it is that there was a spurious signal  
20 which actually resulted in the partial withdrawal of the  
21 control rods in the reactor.

22 Is that your understanding?

23 WITNESS JOYNER: I am not sure if the rods started  
24 out immediately or not, sir. Trip occurred very shortly  
25 after the loss of power occurred.



1 CHAIRMAN SMITH: There was an increase, however,  
2 in the neutron flux.

3 WITNESS JOYNER: The indicated neutron flux that  
4 the operator?

5 CHAIRMAN SMITH: In actuality.

6 WITNESS JOYNER: I suspect there was a small  
7 increase. I never have examined those transients. I know  
8 approximately what happened, but I'm a little bit hesitant  
9 to talk about it because I might give some misinformation.

10 I am reasonably sure that the trip was within  
11 eight to ten seconds following loss of power.

12 CHAIRMAN SMITH: Is -- except, of course, the  
13 difference in the reactor, do fossil fuel plants have a  
14 similar system?

15 WITNESS JOYNER: They use the same kind of  
16 hardware, but of course the control system is different, as  
17 it has to be, because, you know, we have a reactor as  
18 opposed to a fossil-fired boiler. The ICS and the fossil  
19 controllers are very similar, and the ICS was indeed an  
20 evolution from control systems that controlled the operation  
21 of B&W once-through steam generators in fossil plants.

22 CHAIRMAN SMITH: The principal goal, then, is to  
23 go to reliability, economy and efficiency?

24 WITNESS JOYNER: That is correct, sir.

25 CHAIRMAN SMITH: I mean reliability of the plant

1 as a whole.

2 WITNESS JOYNER: Right. You know, the purpose is  
3 to make megawatts. That is what we would like to optimize.

4 MR. BAXTER: Those are all my clarification  
5 questions. Thank you.

6 CHAIRMAN SMITH: Are you going to offer L-19?

7 MR. BAXTER: Yes. I so move.

8 CHAIRMAN SMITH: It is received.

9 (The document referred to,  
10 previously marked for identi-  
11 fication as Licensee Exhibit  
12 No. 19, was received in  
13 evidence.)

14 CHAIRMAN SMITH: If I can interrupt your  
15 cross-examination, Mr. Sholly, do you have a report from Dr.  
16 Johnsrud, or can you tell us what the plans are?

17 MR. SHOLLY: It places me in an uncomfortable  
18 position. I can report to you that under present  
19 circumstances Dr. Johnsrud will not be able to be here.

20 CHAIRMAN SMITH: I don't want to --

21 MR. SHOLLY: She will be communicating with the  
22 Board. She indicated to me she would be getting a letter  
23 out today.

24 As far as where this leaves us with the in-plant  
25 instrument ranges contentions, they will not be here and I

1 am going to have to take a close look here. Hopefully, I  
2 can do it at the afternoon break.

3 CHAIRMAN SMITH: To protect your interests --

4 MR. SHOLLY: And give you some idea of whether I  
5 wish to go forward with it or just decline cross-examining  
6 on it and move ahead.

7 I don't know how satisfactory that is, but that is  
8 the best I can come up with.

9 CHAIRMAN SMITH: I guess we are all involved in  
10 it. The Board is going to have to take a look at it.

11 MR. BAXTER: Mr. Chairman, I wanted to go back to  
12 that after lunch. I'm glad you brought it up. I had  
13 forgotten it.

14 For my planning purposes, in order to make sure we  
15 have witnesses here and keep the flow of the hearing going,  
16 I basically have to call these things two days ahead of  
17 time. And based on my preliminary discussions with Mr.  
18 Sholly, I think after the integrated control system issue  
19 the next two may go comparatively faster. And so we will be  
20 needing to make a determination, I think late today or  
21 certainly early tomorrow morning, as to where the schedule  
22 will be, if we can possibly do it.

23 CHAIRMAN SMITH: Mr. Sholly is going to have a  
24 busy day today. He has to have some time.

25 I think we all have to go back and take a look at

1 the contention and the testimony that has been offered on  
2 it, or has been proposed. It seems to me the earliest we  
3 can take it up would be tomorrow morning, won't it, unless  
4 we take a rather long break at mid-afternoon.

5 MR. BAXTER: If we can take it up as the first  
6 item tomorrow morning, that would be soon enough for me.

7 CHAIRMAN SMITH: Okay. Would that be agreeable?

8 MR. CUTCHIN: To take it up tomorrow, sir? I have  
9 a similar problem, because I was going to bring it up at the  
10 same time we discussed the schedule. I have the witness  
11 available for the subject we are presently on. I have the  
12 witness available for the next issue that we are to take up.

13 But I have a scheduling problem with respect to  
14 the computer issue, which, if we get to it this week, there  
15 will be no problem. However, if the computer issue, which  
16 would be the issue after next, runs over into next week, the  
17 situation is this. Mr. Joyce, who is our witness on that  
18 subject, has a long-scheduled computer room review out, I  
19 believe, at Comanche Peak, and he is the team leader of a  
20 ten-man team, and it would be impossible for him to  
21 reschedule next week.

22 So we may run out of gas in a hurry if we start  
23 shuffling things around and be back to the UCS contentions  
24 very rapidly.

25 CHAIRMAN SMITH: Mr. Sholly, the Board -- I myself

1 can call Dr. Johnsrud, or Ms. Moran can, if your  
2 relationship makes it difficult for you to be candid with  
3 the Board. Did Dr. Johnsrud authorize you to say that she  
4 would not appear this week?

5 MR. SHOLLY: That is correct.

6 CHAIRMAN SMITH: And that the relief she is  
7 seeking is going to be by letter?

8 MR. SHOLLY: That is also correct.

9 CHAIRMAN SMITH: Is there anything else she  
10 authorized you to say?

11 MR. SHOLLY: No, sir.

12 I believe if we get like a 15 or 20-minute break  
13 this afternoon, I think I can pretty well take a look at the  
14 contentions and the testimony and tell you what I want to do  
15 with them.

16 CHAIRMAN SMITH: All right.

17 MR. SHOLLY: I would like to try to get it out of  
18 the way today.

19 CHAIRMAN SMITH: All right. Okay, we'll take a  
20 little bit longer break and get that out of the way.

21 Go ahead with your cross-examination.

22 Off the record.

23 (Discussion off the record.)

24 CROSS-EXAMINATION -- RESUMED

25 BY MR. SHOLLY:

1 Q What I would like to do is tie together there some  
2 of the loose ends this morning before I get into some other  
3 areas.

4 Dr. Joyner, Dr. Jordan asked you some questions, I  
5 believe, about the B&W analysis in terms of failing signals  
6 high and low and mid-scale failures. Are you familiar at  
7 all with a meeting summary that was prepared that dealt with  
8 a meeting that took place on October 23, 1979? It dealt  
9 with a discussion of the B&W 1564 report?

10 A (WITNESS JOYNER) Yes.

11 Q Were you not in attendance at that meeting?

12 A (WITNESS JOYNER) Yes, yes, I was.

13 MR. SHOLLY: I have a copy of the meeting summary  
14 here. I would like to have it marked for identification  
15 Sholly Exhibit 1.

16 (Mr. Sholly distributes documents to the Board and  
17 parties.)

18 (The document referred to was  
19 marked Sholly Exhibit No. 1  
20 for identification.)

21 MR. SHOLLY: I should point out here, before I go  
22 on any further, that what I have handed to you deleted a  
23 repetition of the questions that are posed in the meeting  
24 summary. They are in the original document. There is an  
25 enclosure from Oak Ridge which poses the same questions

1 which are addressed in the pages which I have distributed.  
2 So I deleted that. I did not think it was particularly  
3 necessary.

4 I also deleted the service lists, if that is okay  
5 with everyone. I just wanted to let you know.

6 DR. LITTLE: Mr. Sholly, I notice that on the list  
7 of attendees at the meeting there is -- I presume that is  
8 Mr. Joyner's name which is misspelled on the list there; is  
9 that correct?

10 WITNESS JOYNER: I do not know. I was at the  
11 meeting.

12 DR. LITTLE: It must be you, then.

13 MR. SHOLLY: That is why I asked. I thought it  
14 was him and it was misspelled.

15 WITNESS JOYNER: I don't have a list of  
16 attendees. It is handwritten?

17 DR. LITTLE: Last page.

18 MR. SHOLLY: Enclosure 2 to the original  
19 document.

20 WITNESS JOYNER: I don't have that.

21 Well, that must be me, obviously. There was no  
22 "Voyner" there.

23 CHAIRMAN SMITH: Someone like you.

24 WITNESS JOYNER: I hope not.

25 BY MR. SHOLLY: (Resuming)

1 Q If you will look at Question 2, which is at the  
2 bottom of page 2 --

3 A My numbers are different from yours. Okay.

4 Q It begins with the words, quote, "The ICS signal  
5 input failure assumptions." Is that the same question you  
6 are on now?

7 A (WITNESS JOYNER) I think we have different  
8 copies. I guess maybe you had better pass me a copy.  
9 I suspect it is exactly the same. It is just typed  
10 differently.

11 CHAIRMAN SMITH: I think it is better if you work  
12 from a copy that will be received in evidence.

13 WITNESS JOYNER: Okay. This is okay. Thank you.

14 BY MR. SHOLLY: (Resuming)

15 Q Question 2, the bottom of page 2.

16 A (WITNESS JOYNER) I have it.

17 Q It asks about the very issue that Dr. Jordan had  
18 asked about, the possibility for mid-scale failures. And  
19 the response indicates that the failure modes and effects  
20 analysis as performed by B&W would not highlight these types  
21 of failures because of the definition of the ICS boundary;  
22 and that there were at that point, anyway, no plans to  
23 include mid-scale failures.

24 Has there been any additional work done on  
25 mid-scale failures, or is any planned?



1           A       (WITNESS JOYNER) Well, we have not expanded the  
2 work to include mid-scale failures. The most credible --  
3 the event that would probably cause mid-scale failures is  
4 loss of power, and of course that was a recommendation of  
5 the report.

6                   Now, in a single failure sense we believe, and I  
7 still believe, that high and low failures of inputs and  
8 outputs and modules gives a more drastic NMS response than  
9 mid-scale failures. And I really do not think that we  
10 missed any important failure modes by not assuming -- by not  
11 looking at mid-scale failures.

12          Q       Are you familiar with the Oak Ridge review report  
13 on BEW 1564?

14          A       (WITNESS JOYNER) Yes.

15                   MR. SHOLLY: I would like to distribute that and  
16 have it marked for identification Sholly Exhibit 2.

17                   (Mr. Sholly distributes documents to the Board and  
18 parties.)

19   (The document referred to was  
20   marked Sholly Exhibit No. 2  
21   for identification.)

22                   (Pause.)

23                   BY MR. SHOLLY: (Resuming)

24          Q       If you refer to page 20 at the bottom, Question 2  
25 we have just been discussing is repeated, and there is a

1 somewhat different response prepared. Apparently this one  
2 was prepared by Oak Ridge personnel, whereas the NRC meeting  
3 summary was prepared by someone from the NRC staff.

4           On page 21 there is a comment by Oak Ridge. It  
5 says: "We find no specific evidence to confirm this  
6 assumption." It says: "With regard to multiple-input  
7 single failures, operating experience confirms that this is  
8 a highly credible event which can result from the single  
9 failure of a power supply in the NNI in the input signal  
10 selection circuitry."

11           It goes on to give an example of that.

12           Now, I believe you indicated that you did not feel  
13 that the mid-scale failures were important, or that they  
14 would not -- that it would not lead to any additional --

15           A       (WITNESS JOYNER) I said the case where you are  
16 most likely to get mid-scale failures is the power supply  
17 failure. And we did recommend improvements in NNI/ICS power  
18 supply.

19           On page 21 they say: "Operating experience  
20 confirms that this is a highly credible event which can  
21 result from the single failure of a power supply." I would  
22 question the statement "highly credible," which in my mind  
23 means -- might mean highly probable, which has not been the  
24 case at all.

25           But power supply failures do cause mid-scale

1 failures. You know, we know that. And therefore we  
2 recommended improvements in that area.

3 Q I might ask Mr. Broughton and Mr. Sadauskas, then,  
4 what specifically has been done by the Licensee in terms of  
5 analyzing mid-scale failures or multiple failures resulting  
6 from this type of power failure?

7 A (WITNESS BROUGHTON) The NNI/ICS power supply  
8 reliability study that we have mentioned previously is the  
9 study which we are conducting to determine what the effects  
10 would be if various power supplies were failed. So this  
11 would include not only mid-scale failures of instruments, if  
12 that was caused by the power supply, but any other failure.

13 The study is in progress. There have been some  
14 conclusions reached. But in order to actually complete the  
15 study and feel confident in its results, one of the steps  
16 would be to actually go out and conduct a test in the field,  
17 where power supplies were de-energized and we could note the  
18 failures of the various components and indications.

19 I can review what some of the preliminary  
20 conclusions are of that study, if that would be helpful, to  
21 indicate what some of these effects would be.

22 Q I do not particularly think it is necessary. If  
23 the Board thinks it will help, it is fine with me.

24 DR. JORDAN: Yes, I would like to hear some of the  
25 conclusions of the study.

1           WITNESS BROUGHTON: All right. If I can refer you  
2 back to the last Licensee's exhibit, which was the Exhibit  
3 19, the diagram of the power supplies to the NNI/ICS. At  
4 the bottom of that exhibit, we list a distribution panel  
5 ATA, and from it there are six feeders to the ICS and NNI.

6           We have examined what would take place if each of  
7 these feeders were lost individually, which is a  
8 possibility. And we are also looking at what would happen  
9 if there was a sustained loss of power to that complete  
10 panel.

11           Starting with the feeder on the extreme right, the  
12 one labeled "fan," that simply supplies power to cooling  
13 fans in equipment cabinets. So the result of a failure  
14 would be, over a prolonged period of time, increased  
15 temperatures, possible component failures, but certainly  
16 nothing immediate in terms of effect on the ICS or the NNI  
17 or the plant due to that type of failure.

18           The next two power supplies are labeled "HEX" and  
19 "HEY." In general, the things supplied by those power  
20 supplies are transmitters for instruments in the plant or  
21 recorders for those instruments. And the general effect of  
22 losing either HEX or HEY is that some indication may be  
23 lost. It may be an indication which is not part of the  
24 control system and therefore would not affect plant control  
25 immediately.

1 I think in some cases there is some indication  
2 which might be part of the control system. If that were the  
3 case, then there could be some upset in one of the loops  
4 that was involved in using that particular instrument.

5 The next power supply over is the one labeled  
6 "aux" and that supplies power to control the emergency  
7 feedwater system valves when those valves are being  
8 controlled by the ICS. So failure of that particular power  
9 supply when the emergency feedwater system was not in  
10 operation, when the plant is at power, for example, would  
11 have no immediate effect.

12 If the emergency feedwater system were in  
13 operation following operation at power, then there might be  
14 some effect on the automatic control of level using the  
15 emergency feedwater system, or perhaps on manual control of  
16 emergency feedwater using the ICS.

17 But at any rate, independently of this aux power  
18 to the ICS, we are installing in TMI-1 a completely separate  
19 way to control the emergency feedwater system independent of  
20 the ICS, so that if this aux power were lost automatic  
21 control would not be available for the ICS system, but there  
22 would be manual control available.

23 CHAIRMAN SMITH: That is a result of a Commission  
24 order in this case?

25 WITNESS BROUGHTON: I believe that was the source

1 of the change. I note that appears in the order. And this  
2 change will address that item in the order, yes.

3 BY MR. SHOLLY: (Resuming)

4 Q And would the failure of the aux supply be  
5 annunciated to the operators so that they would know to  
6 undertake manual control of the feedwater?

7 A (WITNESS BROUGHTON) Yes. Perhaps I should have  
8 mentioned that one of the modifications we are putting into  
9 the plant before restart will be an annunciator which will  
10 indicate when power to any of these six feeders has been  
11 lost. So there will be a light and an alarm in the control  
12 room, an audible alarm which will tell the operator that he  
13 has a problem with one of these power supplies.

14 And in addition, there will be indicating lights  
15 which correspond to these power supplies, which will tell  
16 him whether or not that power supply is energized or  
17 de-energized. So he will be warned that he has a power  
18 supply failure and he will be able to identify which of  
19 these feeders is inoperative.

20 CHAIRMAN SMITH: What is happening at the plant  
21 when the auxiliary feedwater is being controlled by the  
22 ICS? What mode of operation is prevailing when that is  
23 happening?

24 WITNESS BROUGHTON: The emergency feedwater system  
25 would only be used when the reactor plant has been shut

1 down. So you would not be operating the turbine. There  
2 would be a minimal number of systems operating in the steam  
3 plant and you would simply be removing residual heat.

4 DR. JORDAN: But there was, during previous  
5 testimony, questions concerning what might happen if we had  
6 failures on the part of the ICS system. And the question  
7 was, for example, could there be a failure of the ICS system  
8 that would call for closure of the valve in spite of the  
9 fact that the valve should be opened.

10 Are there failures of that type, or are there also  
11 failures of that type that would cause the opening of the  
12 valve full open and flooding of the steam generators? Have  
13 such failures been looked at?

14 WITNESS BROUGHTON: Those were the types of  
15 failures picked up by the failures modes and effects  
16 analysis done by B&W. Those failures might be caused by  
17 faulty input signals, faulty modules within the ICS, or  
18 faulty output signals.

19 Since there are only a few components that are  
20 actually controlled by the ICS, there may be several types  
21 of failures which could cause the component to malfunction.  
22 But the malfunctions you mentioned of a valve being open  
23 when it should be shut or vice versa are the types  
24 identified by the failure modes and effects analysis.

25 DR. JORDAN: It seems to me you are now

1 controlling an engineered safety feature. It is a little  
2 different. You are not -- it is a little different, you  
3 see, from the protection system. You do not try to control  
4 the protection system. You control the rods. The  
5 protection system is automatic.

6           You are now controlling an engineered safety  
7 feature, a system that is vital to safety. So the failures  
8 in that system can result in serious damage to either the  
9 steam generators or to the core.

10           WITNESS BROUGHTON: I did not mention any  
11 engineered safety feature systems that we were controlling.

12           DR. JORDAN: You do not consider the emergency  
13 feedwater system as an engineered safety feature?

14           WITNESS BROUGHTON: With respect to the emergency  
15 feedwater system and the fact that it can be controlled by  
16 the ICS --

17           DR. JORDAN: Do you consider that an engineered  
18 safety feature?

19           WITNESS BROUGHTON: I do not believe we have  
20 considered it as such, although we have said that we will be  
21 upgrading it in the future to where it is fully safety-grade  
22 and would be considered an engineered safety feature. In  
23 part of that upgrade, we will providing all control of that  
24 system independently of the ICS. That is certainly one of  
25 the things that we would have to do to make it an engineered



1 safety feature.

2 DR. JORDAN: Good. And we understand that.

3 But I am now concerned about the possibility of  
4 ICS failures preventing that from operating, when it should  
5 be keeping the operator even from operating or overfilling  
6 the steam generator, that this -- these are -- as I say,  
7 this is an important safety system, whether you call it an  
8 engineered safety feature or not. It is a very important  
9 system for the safety of the plant.

10 And so here is a system that is being controlled  
11 by the ICS, and I am very much concerned about interactions  
12 between the ICS and that system and those type of failures.

13 Have you considered those, and what is the  
14 situation?

15 WITNESS BROUGHTON: Yes. Let's talk, then, for a  
16 few minutes about how --

17 DR. JORDAN: I believe this is plant-specific and  
18 not B&W -- the B&W system has various ways of providing  
19 engineered -- Davis Besse is different, for example, than  
20 TMI-1.

21 WITNESS JOYNER: Could I offer something, sir?

22 DR. JORDAN: Yes.

23 WITNESS JOYNER: The ICS controls only the  
24 auxiliary feed valves. It does not control --

25 DR. JORDAN: Precisely.

1 WITNESS JOYNER: It does not control the startup  
2 pumps or what have you. So its role is minimal in control  
3 of emergency feedwater, just control of the two valves.

4 DR. JORDAN: Shut or open; it is terribly  
5 important.

6 WITNESS JOYNER: That is correct, sir. And we  
7 could find no single failure that would cause both emergency  
8 feed valves not to provide water to the steam generator. So  
9 there was no single failure in the ICS which would prevent  
10 proper operation of the ICS.

11 They run on two separate generators, two level  
12 measurements, two set points, two sets of modules. So no  
13 single failure could be found that could prevent operation  
14 of both sides of the emergency feed system.

15 And in addition, if you have a failure and you  
16 have not lined up -- it is my understanding, and I will ask  
17 these gentlemen to correct me, because it is  
18 plant-specific. But unless you have an aux feed start, the  
19 auxiliary feedwater valves will not be lined up. So a  
20 failure in the ICS would not affect the system at all, in  
21 that the valves are not lined up to provide water to the  
22 generators unless we have an auxiliary feedwater start.

23 That is right, isn't it, Gary?

24 WITNESS BROUGHTON: I do not believe that is the  
25 case at TMI-1. But with regard to the same comments, even

1 if the ICS were, say, to open the emergency feedwater valves  
2 when the valves should not be opened, if the pumps are not  
3 running, if the system has not started, there will not be  
4 any flow into the steam generator, so there will be no  
5 consequence to the plant as a result of that type of failure.

6 DR. JORDAN: Under certain circumstances, you have  
7 said that the integrated control system does control the  
8 position of the valves in the emergency feedwater system,  
9 and it controls those valves so as to set the level of the  
10 water in the steam generators to 20 percent or 50 percent or  
11 whatever the desired level is.

12 Are you saying that there is no failure in the  
13 system that would fail -- it would always set the level at  
14 20 percent; no matter what the failure is, that the level  
15 automatically goes to 20 percent or whatever it --

16 WITNESS JOYNER: What I was saying is there is no  
17 single failure that would affect emergency feedwater control  
18 to both generators.

19 DR. JORDAN: To both?

20 WITNESS JOYNER: To both A and B generators. Each  
21 generator is provided with emergency feedwater. Each has  
22 its own valve. The ICS then controls --

23 DR. JORDAN: The ICS -- why can't it tell both  
24 those valves to go shut or both of the valves to go  
25 wide-open?

1 WITNESS JOYNER: It could, if we assumed multiple  
2 failures.

3 DR. JORDAN: But no single failure will do it?

4 WITNESS JOYNER: That is correct.

5 DR. JORDAN: That is what you are saying? That  
6 has been one of the consequences, then, of your failure  
7 modes and effects analysis.

8 WITNESS JOYNER: We found no single failure which  
9 could cause misoperation of both emergency feed systems.  
10 And as long as we get some emergency -- if we get flow to  
11 one generator, we are generally okay.

12 DR. JORDAN: All right. How about overfilling?

13 WITNESS JOYNER: There are some failures which  
14 could cause one generator to overfeed. Now, that  
15 information is readily available to the operator and the  
16 flow rate is such that he would have time to --

17 DR. JORDAN: He gets a warning?

18 WITNESS JOYNER: He gets a warning. And in  
19 addition, unless the aux feed system is started, it would  
20 not overfeed. It is a very limited amount of time. Most of  
21 the time we do not have aux feedwater. Most of the time we  
22 have main feedwater. And a failure in that case would not  
23 really affect the system.

24 DR. JORDAN: Yes, I am concerned about main  
25 feedwater transients.

1           Okay, that is enough for the moment. Go ahead,  
2 Mr. Sholly.

3           BY MR. SHOLLY: (Resuming)

4           Q       Along this immediate line of single failures, I am  
5 correct that the integrated control system is not  
6 safety-grade; is that true?

7           A       (WITNESS JOYNER) That is true.

8           Q       Why wouldn't it be prudent, then, to assume  
9 multiple failures? If I understand NRC practice, anyway, in  
10 a system which is not safety-grade you assume multiple  
11 failures or you assume that the system fails in a  
12 combination of worst possible ways in order to do your  
13 safety analysis, or the effects analysis. Why wasn't that  
14 done in the failure modes and effects analysis?

15          A       (WITNESS JOYNER) That was not a safety analysis,  
16 as you might note. A failure modes and effects analysis is  
17 a single failure technique, that we look at a failure and  
18 determine what the effect of that failure is on the system  
19 under study. That is the way it is done.

20          Q       Have you done any studies at all on multiple  
21 failures regarding ICS?

22          A       (WITNESS JOYNER) Yes, yes.

23          Q       What did those studies involve?

24          A       (WITNESS JOYNER) Well, they were not done for any  
25 particular reason I can recall, except knowledge on our part

1 as to what would happen. They were operability type studies  
2 to get a feel for what the plant transient was.

3 Q Did the studies look at all at the safety  
4 consequences of multiple failures?

5 A Well, that is the safety -- the safety analysis  
6 performed for the plants looks at multiple failures. Now,  
7 this analysis was done as a single failure type analysis to  
8 determine areas where we might need to study or to make  
9 changes to the ICS, where failures were possible or had been  
10 experienced in the field.

11 Q This is something that concerned me very greatly  
12 in reading through the B&W 1564 and the Oak Ridge review  
13 report on 1564. And I found a number of instances in the  
14 Oak Ridge report where they referred to the lack of multiple  
15 failure analyses.

16 In particular, I think there are two quotes that I  
17 would like you to look at and perhaps you can get an idea of  
18 what I'm driving at. Maybe you can be a little more  
19 responsive. I may not be posing the question quite the way  
20 I want to.

21 If you would look on page 8, about the middle of  
22 the page, the second paragraph under "Multiple Failures."  
23 The last sentence in the first paragraph concludes what you  
24 said, that: "The failure modes and effects analysis is  
25 suited to the single failure analysis and it is not

1 convenient for addressing multiple failures."

2           It goes on to say that: "The inability to address  
3 multiple failures may be significant, since failures can  
4 occur in the ICS without being annunciated." And the last  
5 part of the sentences says that: "Since sufficient evidence  
6 to the contrary does not exist, multiple failure-induced  
7 transients may have a significant probability."

8           Without analyzing that, how could you be sure,  
9 then, for instance, that multiple failures would not result  
10 in, say, both of the feedwater valves being closed, as Dr.  
11 Jordan was driving at?

12          A       (WITNESS JOYNER) Well, when we have -- let me  
13 stress again, when we have a major upset in the system, the  
14 first or one of the first things that happens is we get a  
15 reactor trip, or we would expect a reactor trip. After  
16 that, the influence of the ICS control on plant performance  
17 is minimal.

18                We control feedwater and we control atmospheric  
19 dump valves, or the condenser dump valves if the condenser  
20 is available. We do not control -- manipulate control rods  
21 or the turbine.

22                So the effect of ICS malfunction is greatly  
23 minimized by the trip of the reactor. In any event, effects  
24 of multiple failures are bounded by the safety analysis, and  
25 we feel confident that these failures are not a significant

1 threat to proper operation of the plant.

2           The safety systems are not affected by ICC  
3 failures or performance, and they operate independently  
4 following reactor trip.

5           DR. JORDAN: By "safety systems," are you now  
6 including emergency feedwater or not?

7           WITNESS JOYNER: No, sir, I am not.

8           DR. JORDAN: You are not. Okay.

9           WITNESS JOYNER: Although I might point out that  
10 emergency feedwater can be operated independently of the  
11 ICS.

12           BY MR. SHOLLY: (Resuming)

13           Q     I understand what your personal or professional  
14 opinion is regarding the possible effects of multiple  
15 failures. But the Oak Ridge report specifically says, at  
16 least the way I read it, that sufficient evidence to the  
17 contrary does not exist. So they seem to be assuming, in  
18 the lack of or absence of specific evidence to the contrary,  
19 that multiple failure-induced transients may have a  
20 significant probability. And to me that is a rather  
21 significant conclusion.

22           I think perhaps something to explore at this point  
23 is just exactly what is done in the safety analysis you are  
24 talking about. Is that the safety analysis for the plant or  
25 for the system? Which safety analysis are you referring



1 to?

2 A (WITNESS JOYNER) The plant safety analysis, you  
3 know, TMI-1 safety analysis. You know, not the ICS safety  
4 analysis. I do not know of any.

5 I missed your question somewhat, I think.

6 Q The safety analysis for TMI-1 would include  
7 analysis of multiple failures in the ICS system?

8 A (WITNESS JOYNER) It does not assume improper  
9 operation of non-safety systems. And I think, too, if we go  
10 back to the Oak Ridge report and look at page 15 and 16 of  
11 that report, we see a lot of agreement that the study was  
12 indeed sufficient. For instance, at the bottom of page 15,  
13 the last sentence states: "We are satisfied that failures  
14 within the ICS itself do not constitute a significant threat  
15 to plant safety, and that further analysis of this type may  
16 not be economically justifiable."

17 And chapter 6 basically concludes, the report is  
18 adequate and sufficient for its purpose.

19 Q I recognize what that last sentence there that you  
20 read states. I believe if you examine it in the context of  
21 what else is said on that page and the preceding pages, you  
22 will see that they are referring to failures within the ICS  
23 as it is defined and limited in the B&W report.

24 In the Oak Ridge review report, it goes to some  
25 length explaining why they feel that limitation -- why it

1 places limitations itself on the utility of the report  
2 itself.

3           One of the things they pointed to -- give me a  
4 moment.

5           (Pause.)

6           Q     On page 13, the second paragraph, under "Operating  
7 Data," it concludes that: "Only two percent of commercial  
8 operating plant trips were caused by internal ICS failures,  
9 excluding power supplies."

10           I think if you look at it in that context, that  
11 external failures within the ICS certainly do not appear to  
12 constitute a significant threat. But if you read further in  
13 that paragraph on page 13, it says: "Of the remaining  
14 trips, one-third were caused by operator-technician errors  
15 and two-thirds by ICS interactions with control equipment,  
16 failures of controlled equipment, ICS inputs, including  
17 power supplies, and failures of other control systems."

18           This seems to be one of Oak Ridge's major  
19 criticisms of the B&W report, that it failed to consider a  
20 sufficiently large or sufficiently scoped definition of just  
21 what the ICS was, but rather defined it rather narrowly.

22           A     (WITNESS JOYNER) Well, if you read the first five  
23 chapters -- sections, you might get that impression. I keep  
24 -- I had to read the thing three or four times myself to  
25 really get what I think was intended by the writers of this

1 report.

2           Section 6, the evaluation and recommendations, is  
3 really where they say what they think. If you look at the  
4 top paragraph on page 16, paragraph 2, it says: "The FNEA  
5 would have been of greater significance if it had been  
6 expanded to use other systems with which the ICS interacts,  
7 such as non-nuclear instrumentation and its power signal  
8 sources."

9           Then it goes on to say, skipping a sentence: "It  
10 is not evident that redoing the analysis at this point to  
11 include this information would be worthwhile."

12           This is a straightforward statement of the problem  
13 -- of their conclusion, I think.

14           Q     I understand their conclusion and I understand  
15 what they said in the first five chapters. They seem to me  
16 to be somewhat contradictory. Unfortunately, I am not  
17 technically qualified to address that. That leaves me in a  
18 bit of a fix right now.

19           It just seems to me that there is some  
20 contradiction between between what their statements are in  
21 the first five chapters and what their conclusions are. The  
22 conclusions do not seem to follow from their discussion, and  
23 some of their statements in the discussion seem to me to  
24 directly contradict or cast doubt on some of the testimony,  
25 and also on some of the oral testimony that has been going

1 on today.

2           The discussion of multiple failures, I think, is  
3 one example.

4           MR. BAXTER: Mr. Chairman.

5           CHAIRMAN SMITH: Dr. Joyner, you indicated you had  
6 spent some time studying the report, trying to understand  
7 what was in the minds of the authors, and it was a review of  
8 your own report.

9           Can you give any help to Mr. Sholly in addressing  
10 -- I mean, in the first place, to understand his perception  
11 of the report? Can you give him any help along that line?

12           WITNESS JOYNER: I can give you what I think about  
13 the report and whether that is the correct assessment of why  
14 it seems to be contradictory or not I don't know.

15           CHAIRMAN SMITH: Would you object to that, Mr.  
16 Sholly?

17           MR. SHOLLY: No, sir.

18           CHAIRMAN SMITH: It seems to be what you are  
19 seeking.

20           MR. SHOLLY: Fine. Go ahead.

21           WITNESS JOYNER: If you look at the title page --

22           CHAIRMAN SMITH: What?

23           WITNESS JOYNER: The title page, page 1, where it  
24 gives the authors of the report, the top three -- Anderson,  
25 Ditto, and Stone -- they are from Oak Ridge. The next three

1 -- Hedrick, McBride, and Penland -- are from SAI.

2 I suspect the first five factors were written by  
3 Oak Ridge and the rest by SAI.

4 MR. SPOLLY: When the staff gets on, I will try  
5 and remember to ask them that.

6 WITNESS JOYNER: I might add that there is nothing  
7 wrong with a discussion -- a report which discusses what  
8 might have been done, what could have been done, and then  
9 evaluates those alternatives and determines whether or not  
10 it really is justified.

11 Because we could have analyzed multiple failures  
12 does not mean it was necessarily required, or even  
13 desirable.

14 BY MR. SPOLLY: (Resuming)

15 Q Perhaps I can focus in on one part in particular  
16 in the Oak Ridge report that I feel gives me the most  
17 problems, and maybe you can comment on how you feel. That  
18 is reflected in their recommendations and conclusions. If  
19 you look at the general findings of the ORNL review, which  
20 begins on page 3, keep in mind that one of the very first  
21 things they point to, they say in the second sentence in  
22 that first paragraph, they say:

23 "With no other concerns expressed in the guidance  
24 given in the NRC order, the B&W analysis is more notable for  
25 what it does not include than for what it does include."

1           And it goes on to list perhaps half a dozen or  
2 eight different things that were not in the report, many of  
3 which seem to be rather important. And what I am trying to  
4 get to is just how useful is the FMEA which was done, when  
5 there are all these other questions remaining, some of which  
6 apparently were raised by the Commission order that the FMEA  
7 was done in response to?

8           A       (WITNESS JOYNER) The first question, please?

9           Q       What Commission action caused B&W to do B&W 1564?

10          A       (WITNESS JOYNER) My understanding of the  
11 agreement between B&W and NRC is based on a memo of April  
12 1979 from one of our people to Mr. Denton, in which we  
13 explained to him in a reasonably straightforward fashion  
14 what we would do in the reliability study.

15                 It was not performed as the result of an NRC order  
16 referred to in that paragraph. We agreed -- and I will try  
17 to remember what we agreed to do:

18                 One, to do a survey of field performance of the  
19 ICS;

20                 Two, to perform a failure modes and effects  
21 analysis of the ICS, which we understand quite clearly what  
22 the ICS is. And one of the things you must do before you  
23 start on any kind of failure analysis is understand the  
24 system that you are analyzing. And it was quite clear to us  
25 what that meant.

1 Three, we agreed to make recommendations.

2 And if I think a minute, perhaps I can think of  
3 the other four. But in general -- and I can get at the  
4 break -- can determine exactly what we agreed to for you, if  
5 you would like.

6 But in general we met that commitment quite well,  
7 I am convinced, with the report that we prepared. We did  
8 not perform the study as a result of these -- this  
9 Commission that is being referred to. That order is May '79  
10 and I was already at work on the report when it was done.

11 Q In other words, you dispute the position taken in  
12 the Oak Ridge report that the FMEA was done in response to  
13 NUREG-0560?

14 MR. BAXTER: Mr. Chairman, I am not sure what the  
15 relevance is of what it was done in response to. But I have  
16 got a point of clarification that may or may not help Mr.  
17 Sholly.

18 But the same confusion arose in the Pancho Seco  
19 case. If you look at page 2 of this Oak Ridge document,  
20 they cite as footnote 2 -- and they are citing to a sentence  
21 that says "NRC orders," and the footnote is to NUREG-0560.  
22 We find a confusion on the author's part here between that  
23 staff document, which was issued in late May, and Commission  
24 orders which had already been given to B&W Licensees. And  
25 what they are referring to in this page is the executive

1 summary of the NRC orders.

2           It does not exist. It is the executive summary of  
3 NUREG--0560. So I believe throughout the document, when the  
4 Oak Ridge authors are speaking about what they view to be  
5 the Commission's directive they are really talking about  
6 that Tedesco report, the first staff study of feedwater  
7 transients, and nothing that the Commission ordered.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1           MR. JORDAN: I had more or less concluded the same  
2 thing, but I was going to ask specifically if that was the  
3 licensee's and the staff understanding, too. Could the  
4 staff -- are they in a position to reply right now? I think  
5 it is a fairly important point.

6           MR. SHOLLY: I think it is very important in order  
7 to determine whether the study met what it was supposed to  
8 or not.

9           MR. CATCHIN: Let us discuss it and come back  
10 after the break, Mr. Chairman, and give you a complete  
11 answer.

12           CHAIRMAN SMITH: Fine.

13           (Board conferring.)

14           CHAIRMAN SMITH: While we are on this subject, is  
15 there anyone able to tell the Board what role, if any, did  
16 the ICS play in the accident at TMI-2? We were wondering  
17 how this order happened to end up in the Commission's order  
18 of August 9. Its close relationship to the high pressure  
19 injection -- I mean the auxiliary feedwater?

20           MR. BROUGHTON: I do not know what the reasons  
21 were for the NRC's interest in the study, but I have looked  
22 at the TMI-2 accident sequence enough to know that the ICS  
23 was not a factor in that accident. It was not an initiator  
24 and it performed as it should have throughout the time that  
25 it was called upon.

1           CHAIRMAN SMITH: Perhaps if it had not been  
2 expressly set forth in the order, except for its  
3 relationship to the feedwater system it would not be within  
4 the scope of this proceeding.

5           Mr. Sholly, do you have any feeling on this?

6           MR. SHOLLY: The only thing I might suggest we  
7 might find out is to go back to minutes of Commission  
8 meetings when they were debating the August 9th order, but I  
9 do not know if you are going to find anything there or not.

10          CHAIRMAN SMITH: It also appeared in the  
11 Davis-Besse order and the Rancho Seco order.

12          MR. BAXTER: Yes, sir, it is in all of them, and  
13 there was testimony by members of the Bulletins and Orders  
14 Task Force, some of whom, at least Mr. Capra will be coming  
15 up. He gave testimony at Rancho Seco as to why he thought  
16 the issue was included.

17          (Board conferring.)

18          CHAIRMAN SMITH: Are we waiting for you, do you  
19 know? What is your impression of what we are doing now, Mr.  
20 Cutchin?

21          MR. CUTCHIN: I understood you all were going  
22 forward and that my response to the question was that I  
23 would have to discuss it and we would respond after the  
24 break.

25          CHAIRMAN SMITH: That's right, you did say that.

1 Well, this would be a good time to take the break, then.

2           How much time do you think you will need, Mr.  
3 Sholly?

4           MR. SHOLLY: Fifteen minutes.

5           CHAIRMAN SMITH: All right, we will take a  
6 15-minute break.

7           (Recess.)

8           CHAIRMAN SMITH: Mr. Sholly.

9           MR. SHOLLY: As far as Contention 5, which is the  
10 one that Dr. Johnsrud, ECNP was supposed to be lead  
11 intervenor on, I can proceed on questions in two specific  
12 areas, which I do not think would take -- probably less than  
13 an hour, certainly less than an hour to explore. And in  
14 order to ensure that, I will put the parties on notice as to  
15 what they are now.

16           One is whether the high range monitoring system  
17 will or will not be installed prior to restart, and the  
18 other I want to ask some questions about how iodine is  
19 monitored. The testimony leaves me with some questions as  
20 to how that is done, and I would like to pursue that.  
21 Beyond that I do not think I would have any other cross  
22 examination.

23           CHAIRMAN SMITH: I do not know whether it is  
24 necessary to have all three of the panel witnesses answer  
25 for your questions. Do you have a feeling for that? Maybe

1 Mr. Broughton can tell us, since you are on the panel that  
2 would be addressing that contention.

3 MR. BROUGHTON: I believe those two areas could  
4 probably be addressed by two of the three witnesses.

5 CHAIRMAN SMITH: Would you have any objection to  
6 only those witnesses on the written testimony knowledgeable  
7 in your area attending?

8 MR. SHOLLY: I have no problem with that.

9 CHAIRMAN SMITH: How about --

10 MR. CUTCHIN: For the staff.

11 CHAIRMAN SMITH: The staff's presentation is  
12 entirely on E, C and B(1)(d).

13 MR. CUTCHIN: No, sir. We have Mr. Stoddard and  
14 Mr. Bridges. Mr. Stoddard addresses Mr. Sholly's contention  
15 in its entirety, and if the questions are only based on Mr.  
16 Sholly's contention, it would appear to me that the only one  
17 we need bring would be Mr. Stoddard.

18 Now, the question would be could we get an  
19 agreement that the testimonies could be stipulated into  
20 evidence so that we do not have the problem of having to  
21 bring the witnesses up to sponsor the testimony.

22 CHAIRMAN SMITH: That was the gist of my  
23 question. There is no use bringing people here solely to  
24 identify an item of testimony if we are not going to examine  
25 them if you are agreeable to having the testimony stipulated.

1 MR. SPOLLY: I should have explained that I do not  
2 intend to cross examine the staff's witness. I think those  
3 two are directed at the licensee's witnesses. I would not  
4 object to such a stipulation.

5 CHAIRMAN SMITH: Would you object to having Mr.  
6 Stoddard's testimony being received by a form of affidavit?

7 MR. SPOLLY: That will be fine.

8 MR. BAXTER: We have no objection.

9 CHAIRMAN SMITH: You have no objection.

10 MR. BAXTER: That is correct.

11 CHAIRMAN SMITH: What is the Commonwealth's  
12 position on that?

13 MR. THEODORE ADLER: I have no problems with  
14 stipulating as to Mr. Stoddard's testimony. I would like to  
15 ask Mr. Broughton one question concerning the capability of  
16 those two witnesses to answer questions regarding the scope  
17 of accidents for which the radiation monitors are designed  
18 and how you define the worst case accident.

19 Would those two witnesses be adequate for  
20 questions in that area?

21 MR. BROUGHTON: I am not sure if that would be two  
22 of the witnesses or if that would require the whole panel. I  
23 would have to rereview which parts were sponsored by which  
24 witnesses.

25 MR. THEODORE ADLER: That is within our area of

1 concern.

2 CHAIRMAN SMITH: We can leave it up to the  
3 licensee, then, to bring whomever they believe is necessary  
4 to meet these concerns, with the understanding that the  
5 missing witnesses' testimony would be stipulated.

6 Mr. Cutchin, the Board wanted to inquire into what  
7 the position of the parties -- we have not ourselves --

8 MR. CUTCHIN: Decided. You may have questions of  
9 other witnesses.

10 CHAIRMAN SMITH: That is possible. And we will  
11 announce that the first thing tomorrow morning.

12 MR. CUTCHIN: Thank you, sir.

13 MR. BAXTER: I am in the dark, Mr. Chairman --  
14 maybe I am the only one -- about what we are doing about  
15 ECNP.

16 CHAIRMAN SMITH: We have not gotten there yet.

17 MR. BAXTER: Okay.

18 CHAIRMAN SMITH: Now, what is your position with  
19 respect to the testimony which is directed to ECNP,  
20 Contention 1(d)? Do you have any interest of your own in  
21 pursuing that aspect of the presentation?

22 MR. SHOLLY: I do not. That would have  
23 represented the lines along which we would have split the  
24 cross examination as we had previously discussed.

25 CHAIRMAN SMITH: You and a representative of ECNP?

1 MR. SHOLLY: That is correct. Consequently, I  
2 have really not paid much attention to what the response to  
3 ECNP's contentions were.

4 CHAIRMAN SMITH: No, other than just dividing the  
5 subject matter between the two intervenors, you have not  
6 worked together on a cross examination approach. You just  
7 divided the subject matter, nothing else.

8 MR. SHOLLY: We would have gone further, but Dr.  
9 Johnsrud's illness has prevented us from getting together.

10 CHAIRMAN SMITH: Yes. What is your position on  
11 that aspect of the testimony? That would be the staff's  
12 panel and the balance of licensee's testimony on the issue.

13 Mr. Adler?

14 MR. THEODORE ADLER: We have not divided our  
15 questions. We did not pay any attention to what testimony  
16 was directed at what intervenor, so I have not analyzed  
17 that. I presume, however, that I would be afforded the  
18 opportunity to cross examine on the entire piece of  
19 testimony, so I am not sure I see a problem.

20 CHAIRMAN SMITH: I am sorry, I missed -- I did not  
21 appreciate the import of your remarks. I did not understand  
22 you.

23 MR. THEODORE ADLER: Perhaps I do not understand  
24 your question.

25 CHAIRMAN SMITH: In looking at this I see

1 testimony by staff witnesses Jensen, Oglewade, Bolger and  
2 Hearn relative to ECNP Contention 1(d), which is separate  
3 from the Stoddard testimony.

4 MR. BAXTER: Our testimony is divided also, Mr.  
5 Chairman, although it is on one piece of paper.

6 CHAIRMAN SMITH: Yes.

7 MR. THEODORE ADLER: I thought you were referring  
8 to licensee's testimony.

9 CHAIRMAN SMITH: I will be in a moment. I just  
10 sort of reversed the direction to keep you alert.

11 (Laughter.)

12 MR. THEODORE ADLER: I do not think I am alert  
13 enough because I do not have here both pieces of staff  
14 testimony; I only have the Stoddard testimony.

15 CHAIRMAN SMITH: Okay. All right. So could you be  
16 prepared in the morning to state what your position would be?

17 MR. THEODORE ADLER: Yes, I will.

18 CHAIRMAN SMITH: That is the NRC staff testimony  
19 on Contention 1(d), which was received by us October 2, 1980.  
20 As far as the portion of the licensee's testimony directed  
21 to ECNP Contention 1(d), would you state what your position  
22 would be there? That begins at page 6.

23 MR. THEODORE ADLER: Again, I am not sure I  
24 understand your question. Are you saying there is a problem  
25 in introducing the testimony in the absence of ECNP?



1           CHAIRMAN SMITH: The question would be do you have  
2 any cross examination plans for it or on it?

3           MR. THEODORE ADLER: The third question on page 6  
4 would be within the area of concerns that I raised earlier.  
5 Again, I presume that licensee still wants to introduce this  
6 evidence, and if Dr. Johnsrud chooses to not avail herself  
7 of her right to confrontation, that is her decision. I  
8 presume that this evidence will be introduced and we will  
9 have an opportunity to cross examine on it.

10           CHAIRMAN SMITH: This is what we are addressing,  
11 whether this is going to be required if the intervenor who  
12 offered this contention does not wish to or is not going to  
13 be available for cross examination and no one else wishes to  
14 cross examine. I hesitate to have these people come here  
15 solely for the purpose of identifying the testimony and then  
16 being excused. Unless there is a worthwhile purpose of  
17 having them here, I do not think we should bring them.

18           MR. THEODORE ADLER: They are the same panel of  
19 witnesses as are addressing Mr. Sholly's concerns.

20           CHAIRMAN SMITH: Except that that was two out of  
21 the three could satisfy Mr. Sholly's concern for the  
22 licensee's panel.

23           MR. THEODORE ADLER: The only additional concern I  
24 had was the scope of accidents concerned.

25           CHAIRMAN SMITH: Okay. That should give you some

1 guidance, then. You can present whoever you believe can  
2 cover those concerns.

3 MR. BAXTER: So it would be the Board's plan to  
4 proceed with the issue this week in the order we previously  
5 set?

6 CHAIRMAN SMITH: Yes, that is the case. I stated  
7 the Board wishes to consider after we adjourn this evening  
8 the extent to which it itself has an interest in the  
9 contentions. That is, if these contentions, for example,  
10 had been, ECNP contentions had been withdrawn earlier or if  
11 there had been a default earlier, would we have insisted on  
12 the issue being presented on our own? We have not decided  
13 that.

14 The ECNP contentions survived, as I recall, on the  
15 basis that there had been no discovery and therefore the  
16 licensee had not been prejudiced. Now, as compared to the  
17 other two contentions on this subject matter, which the  
18 Board itself, because it was not covered by other issues,  
19 decided should be kept in the proceeding, we have made no  
20 indication on ECNP 1(d) whether or not it involves an issue  
21 that the Board itself wishes to have explored on the record.

22 Do you share my memory of that?

23 MR. TROWBRIDGE: That is correct.

24 MR. CUTCHIN: The staff recalls that is the reason  
25 those two were not dismissed along with the others. Of

1 course, what the Board, I presume, is going to do is look  
2 and see if the testimony sufficiently covers its needs and  
3 whether it would have to have that testimony expanded by the  
4 witnesses on the stand.

5 CHAIRMAN SMITH: That is right. It may very well  
6 also be that the Board looks at it and does not even care if  
7 the testimony is offered. Or we may say offered and we may  
8 have some questions, we may have none. I don't know. But we  
9 just have not had an opportunity to evaluate it as our own  
10 issue.

11 MR. CUTCHIN: That I understand, sir. Am I to  
12 understand now -- I apologize, I am a little confused --  
13 that we would finish this issue, next take up containment  
14 isolation followed by the computer matter on Sholly 13 and  
15 ECNP 1(a), and then next we would take up Sholly 5 and ECNP  
16 1(d)?

17 CHAIRMAN SMITH: Yes. We are now acting in  
18 response to the parties' urging to let them know if and to  
19 what extent they have to proceed with the testimony  
20 presenting witnesses on these issues, and with the  
21 understanding from Mr. Sholly that no one from ECNP would  
22 appear during the timeframe during which this is scheduled.  
23 ECNP is communicating with us by letter.

24 We are going to try to give the parties guidance  
25 as to what we believe is appropriate, but the first thing we

1 wanted to determine was what the parties otherwise  
2 interested in the contention insist upon, and I think we  
3 have done that. We will have done that tomorrow.

4           The first thing we wanted to do was see what Mr.  
5 Sholly and what the Commonwealth would insist upon or  
6 request in any event in relation to these issues, and then  
7 the Board will say what it wants, if anything, and then we  
8 can deal with the problem of what seems to be an impending  
9 default or the possibility of it by ECNP.

10           MR. SPOLLY: Mr. Chairman, the only other thing I  
11 wondered about is my memory is confused on what Mr. Cutchin  
12 had said earlier about the availability of staff witnesses  
13 on the computer and the instrument range contention. If  
14 there can be a change made there that will accommodate the  
15 witnesses, I am amenable to that, but I would like to know  
16 ahead of time.

17           MR. CUTCHIN: My understanding now, Mr. Chairman,  
18 is that if there is a good chance that we will get to the  
19 computer matter this week, I have no scheduling problem. I  
20 did not, to my knowledge, have a scheduling problem with  
21 respect to the Sholly 5 and ECNP 1(d) anyhow, but my problem  
22 with respect to the computer issue is that if he does not  
23 appear this week, I will not have him available for at least  
24 another week. He will not be available next week.

25           CHAIRMAN SMITH: Okay. But we had anticipated the

1 computer contention goes before 5 and ECNP 1(d).

2 MR. CUTCHIN: Yes, sir.

3 CHAIRMAN SMITH: Okay.

4 MR. SPOLLY: That is what my confusion was on:  
5 which was first.

6 CHAIRMAN SMITH: Is there anything else we need to  
7 address on this problem?

8 MR. CUTCHIN: Nothing further from the staff.

9 I had indicated, sir, that I would attempt to get  
10 an answer to the question that I understood to be posed as  
11 sort of a chicken and egg problem, perhaps, but the problem  
12 that I had understood to be posed was what was BAW 1564  
13 submitted in response to?

14 I am not sure we will ever have a definite and  
15 exact answer, but it is my understanding that in the  
16 immediate aftermath of the TMI-2 accident, the licensee's  
17 people volunteered to do a failure modes and effects  
18 analysis in that same timeframe. Neither the staff nor  
19 others were absolutely sure as to whether there was some  
20 cause and effect relationship between ICS failures and what  
21 happened at TMI-2.

22 CHAIRMAN SMITH: At that time that was not  
23 determined.

24 MR. CUTCHIN: That is my understanding, and the  
25 possibility that there may have been some interrelationship

1 since clearly the ICS controls both main and emergency  
2 feedwater are aspects of those, and since the main feedwater  
3 transient could have been theoretically caused by an ICS  
4 failure. Anyhow, I am not sure we will ever get an accurate  
5 answer there, but many things were happening in the same  
6 timeframe.

7           But I understand that the failure modes and  
8 effects analysis was something that was volunteered by the  
9 licensee. The Commission's orders in effect were  
10 confirmatory in nature and therefore made that volunteered  
11 analysis an order requirement, and I guess NUREG 0560 were  
12 the studies that resulted in that. They were going on at  
13 the same time.

14           The staff, for the reasons I just stated, thought  
15 it would be a good idea and it sort of evolved from that,  
16 but I am not sure we will get a clear answer as to what came  
17 first and so on.

18           CHAIRMAN SMITH: Since that time, Mr. Cutchin, has  
19 the staff been able to identify any involvement of the ICS  
20 in the accident at TMI-2?

21           MR. CUTCHIN: It is my present understanding that  
22 the staff does not believe that there was any cause and  
23 effect relationship between ICS problems and TMI-2. A name  
24 I stumbled over about half an hour ago was Oglevie,  
25 O-g-l-e-v-i-e.

1 (Board conferring.)

2 CHAIRMAN SMITH: The Davis-Besse order and the  
3 other B&W orders were issued initially in late spring,  
4 approximately April of '79.

5 MR. BAXTER: The Rancho Seco order was on May 7.  
6 I do not recall the date of the Davis-Besse order. My  
7 understanding is they were all about the first week of May.

8 CHAIRMAN SMITH: About the same time.

9 All right, Mr. Sholly, I guess you can continue  
10 your cross examination.

11 (Pause.)

12 BY MR. SHOLLY: (Resuming)

13 Q Dr. Joyner, we touched earlier, in my mind very  
14 briefly, on what possible differences there might be between  
15 the ICS 721 and 820 hardware, as you put it. I wonder if  
16 you would explain in a little bit more detail just what the  
17 differences are between the 721 and 820 systems.

18 A (WITNESS JOYNER) Both are electronic analog  
19 control lines of controlled equipment, both supplied by the  
20 same vendor of controlled equipment. Both have basically  
21 the same capabilities in that those two lines of equipment  
22 both have integrators, function generators, summers, bias  
23 modules, tristable modules, bistable modules, velocity  
24 limiting modules. That kind of equipment is standard in the  
25 control industry.

1           You can look in the catalogue of Bailey Controls,  
2 Foxborough, Honeywell, the people who supply analog  
3 equipment and find that kind of module. The ICS is composed  
4 of these blocks of control equipment. The difference  
5 between the two systems is how the modules themselves, the  
6 single components are designed internally. That is 99  
7 percent of the difference in the two systems.

8           They are rack mounted in standard-size cabinets,  
9 about the same physical size, weight and look very similar.

10          Q       Based on the design of those two units, would you  
11 expect any differences in performance between the 721 and  
12 820?

13          A       (WITNESS JOYNER) Functional performance, no.

14          Q       No difference?

15          A       (WITNESS JOYNER) No.

16          Q       Would you expect any difference in failure rates,  
17 internal failure rates?

18          A       (WITNESS JOYNER) If equally maintained, I would  
19 expect little difference. I believe that there have been  
20 some failures, and the reliability study pointed that out,  
21 of specific 721 modules somewhat more failure prone than  
22 others. Let me see if I can find that table.

23                   (Pause.)

24                   Page 5-16 in the report, the ICS Reliability  
25 Report. It lists failure rates by type of module. You can



1 see with the exception of relays and some plus proportional,  
2 plus integral, modules have a very low failure rate. I  
3 might point out that as a statistical study of the  
4 reliability of these modules, it is probably not that valid  
5 in that the sample sizes are not really that big, and I  
6 would not want to base a scientific decision or engineering  
7 decision on reliability on these sample sizes.

8 Q I think that agrees with the Oak Ridge  
9 conclusions. They state that although the 820 appears to be  
10 more reliable, that there are insufficient data to conclude  
11 it is statistically significant; and you would agree with  
12 that?

13 A (WITNESS JOYNER) I agree that comparatively, to  
14 compare the 720 and 821 module reliability and to come up  
15 with a figure that would say 820 is 6.2 times more reliable  
16 than 721, that is not justified. We could probably draw the  
17 general conclusion that with the exception of a couple of  
18 modules, 721s are as reliable as 820s. I would be more  
19 prone to draw that conclusion.

20 I might add that as you could expect, failures  
21 were more concentrated at some plants than others. It is  
22 very heavily dependent on the kind of maintenance they  
23 receive on the equipment.

24 Q In the NRC meeting summary in response to question  
25 11 which appears on page 6, there are two terms mentioned

1 there that relate to failure rates.

2 A (WITNESS JOYNER) Let me find that again.

3 Q Question 11, page 6 of the NRC meeting summary. It  
4 is at the bottom of page 6.

5 (Discussion off the record.)

6 WITNESS JOYNER: I have one marked 6.

7 BY MR. SHOLLY: (Resuming)

8 Q I don't think the question itself is as  
9 significant as the two terms. What I wanted to do is  
10 understand what these two terms meant. They are burned-in  
11 failure rate and accelerated failure. What do those mean in  
12 the context of the discussion?

13 A (WITNESS JOYNER) Burned-in failure rate means the  
14 initial infant mortality that you would expect with  
15 electronic equipment. If it lasts a few months, it is  
16 likely to last quite a while.

17 Q Okay.

18 A (WITNESS JOYNER) And that is what that term means.

19 Q What about accelerated failure? That is used in  
20 the question.

21 A (WITNESS JOYNER) Normally when you look at  
22 lifetime failure rates you see that they are fairly large at  
23 the beginning of life, during the burn-in period. They then  
24 become relatively small and constant, and as you approach  
25 the end of the expected life of the equipment, you see that

1 the failure rate turns up and you have an accelerated  
2 failure rate.

3           We did not see that when we looked at the  
4 reliability, at the hardware history, hardware performance  
5 in the field.

6           Q     Do you interpret that to mean that the equipment  
7 has not reached the end of its expected lifetime or that the  
8 performance is somewhat better than expected?

9           A     (WITNESS JOYNER) I interpret it to mean that the  
10 equipment still has quite a long, useful life left. You  
11 would expect it to last 10 to 15 years, as an estimate. I  
12 don't intend to convey it is designed for a 20-year  
13 lifetime, but after that period of time you may see certain  
14 components begin to deteriorate, like capacitors or other  
15 equipment that ages, and you would see the failure rate  
16 increase. It would not be a catastrophic-type thing in that  
17 one day you walk in and everything fails, but a burn-out, a  
18 wear-out.

19           Q     I think perhaps the next question will be directed  
20 to Mr. Sadauskas and Mr. Broughton.

21                     The Restart Report references the training that  
22 the operators have received in the operator accelerated  
23 training program, and this is covered, as near as I can  
24 tell, on page 6-13, which I believe is Volume 1.

25                     I would note that under TMI Module 2 on page 6-13

1 of the Restart Report it indicates that the operators  
2 received four hours of training in the integrated control  
3 system. Two basic questions. Is that the extent of the  
4 operator's retraining since the accident on the ICS; and if  
5 it is not, could you explain what additional training  
6 related to that has taken place?

7       A       (WITNESS BROUGHTON) I will have to preface my  
8 remarks by the fact that I am not deeply involved in the  
9 training program, and there are certainly things which are  
10 taking place in terms of training that I am not familiar  
11 with. But I am familiar with some of the training which is  
12 conducted in addition to the accelerated retraining program,  
13 and that is some of the training conducted at the B&W  
14 simulator.

15               As part of the simulator training, some of the  
16 evolutions which were conducted in the simulator do involve  
17 training on the integrated control system. There are both  
18 some classroom training in which the basic operation of the  
19 system is reviewed, and there is training within the  
20 simulator on not only normal response of the integrated  
21 control system when it is functioning properly, but there is  
22 training on things like operating the system in hand versus  
23 automatic, either as a result of failures or tests or some  
24 evolutions in which it would be preferable to control in  
25 hand rather than automatic.

1 Q Do you know if there has been or is there any  
2 intent to include in that training the power failure modes  
3 that were discussed earlier today, the various types of  
4 power failures and what that does and what the procedures  
5 tell the operators to do? Was that been included or will it  
6 be?

7 A (WITNESS BROUGHTON) When the study that we are  
8 performing is completed and all the various power failures  
9 have been identified and effects on the plant and the  
10 desired operating procedures have been developed to deal  
11 with those events, then the normal practice of the plant  
12 staff would be to train on those procedures specifically,  
13 and that training in most cases includes the background  
14 information that an operator should know as to why the  
15 procedure says to do the things that it does.

16 In that way it would bring in more specific  
17 results of the studies that have been performed to develop  
18 the procedures.

19 MR. SHOLLY: Give me a moment. I want to make  
20 sure I have covered myself up to this point.

21 (Pause.)

22 BY MR. SHOLLY: (Resuming)

23 Q A few more things relating to the Oak Ridge review  
24 and B&W report.

25 We started briefly to get into the general

1 findings of the ORNL review and did not get very far because  
2 we got off on a tangent on why the study was done and what  
3 the source of the orders was.

4           The General Findings section of the Oak Ridge  
5 report, which is on pages 3 and 4, identifies a number of  
6 limitations on the PEW report. What I want to do is go  
7 through each of those and see if you agree with them or if  
8 you take issue with them or what your position is as far as  
9 these limitations as Oak Ridge sees them.

10           The second paragraph, which consists of one  
11 sentence, says "The significance of the ICS to safety (Item  
12 A) is not addressed."

13           Do you agree that that is the case or do you have  
14 some remarks to make on that?

15           A       (WITNESS JOYNER) No, I do not agree with that.

16           Q       What specifically in BAW-1564 would you say meets  
17 discussing the significance --

18           A       (WITNESS JOYNER) I am looking for the paragraph I  
19 would like to read which I think covers that. Page 2-1 in  
20 the report, second paragraph. "The overall conclusion of the  
21 FEMA is that the reactor core remains protected throughout  
22 any of the ICS failures studied." That is, I think, a  
23 safety statement. We looked for that event, were there  
24 failures that not to be the case, and we could not find any.

25           Q       When you say you looked for those failures, you

1 mean within the scope of how you defined what the ICS is in  
2 the report. I asked that because --

3 A (WITNESS JOYNER) Yes. The ICS as defined and as  
4 it exists. I am not trying to take issue, but ICS is a very  
5 definite system. It is not that we said, you know, this  
6 constitutes the ICS. That is not the case. We did not  
7 arbitrarily define it. It is well known to constitute the  
8 functions, this hardware, these inputs, these outputs, and  
9 we searched through that system for single failures that  
10 would cause the core not to be protected.

11 MR. JORDAN: I guess Mr. Sholly is kind of waiting  
12 for me to say something because I had picked up the  
13 microphone. I will make a comment that does not necessarily  
14 draw a conclusion but it might require a response from  
15 either Mr. Sholly or from Mr. Joyner.

16 I rather have a feeling that the Oak Ridge review  
17 is very broad in scope and is really, in a sense, critical  
18 of the idea of a failure modes and effects analysis that is  
19 limited to the ICS system. B&W has done a failure mode  
20 analysis of the ICS system. I believe that the ORNL review  
21 concludes that that is not a terribly significant  
22 accomplishment as regards overall safety; that the safety  
23 analysis of the type of a WASH-1400 is more productive; that  
24 a failure modes analysis of ICS does not tell you an awful  
25 lot about overall safety of the feedwater systems, the

1 interaction of the ICS with all the other systems and so on.

2           For that reason, therefore, Oak Ridge is critical  
3 in that they would have liked to have seen a much broader  
4 analysis, but I believe it is probably the position of B&W  
5 that that was not called for in a failure modes analysis for  
6 ICS.

7           Now, would you care to address my comment? Do you  
8 think I have a proper perspective or not? Does it need  
9 modifying? If it does, I urge both you and Mr. Sholly to  
10 advise me.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1           WITNESS JOYNER: Well, if you read the Oak Ridge  
2 report, it definitely tends to call for more work than what  
3 was done. There is a tendency on the part of R&D academic  
4 type people to always want to do more. I do not -- I will  
5 not agree that it did not accomplish something. I think it  
6 really did.

7           What we failed caused feedwater perturbations. It  
8 caused reactor trips. It gave us a good insight as to what  
9 failure is due to NSS. So it was very worthwhile.

10           The recommendations that came out of this report  
11 are valuable, and had we not done this piece of work we  
12 would not have gotten those recommendations, which have  
13 merit and have value.

14           We could always have done more. In fact, we could  
15 still be working now and not have any recommendations  
16 whatsoever.

17           I think Oak Ridge recognized that, although if you  
18 look on page 16 in their last chapter, they say: "The FMEA  
19 would have been of greater significance if it had been  
20 expanded to include other systems," and so on and so forth.  
21 But their last sentence: "It is not evident that redoing  
22 the analysis at this point to include this information would  
23 be worthwhile.

24           DR. JORDAN: That is what I gather their position  
25 is, that a FMEA analysis is not going to tell you all that

1 much about overall safety.

2           WITNESS JOYNER: It is not the end-all. But it  
3 does give you very useful early information on what you need  
4 to look at. And I think that is what the recommendations  
5 came out with. These are areas that we need to examine.  
6 Other areas of failures may be there, are not so important,  
7 and perhaps do not deserve the emphasis that these do.

8           CHAIRMAN SMITH: Is there anyplace in the Oak  
9 Ridge report standards against which the authors of the Oak  
10 Ridge report measure the failure modes and effects analysis  
11 by B&W, or does it boil down to just how they would have  
12 gone about it if they were doing it?

13           Are there any standards which are assigned in  
14 measuring the B&W report?

15           WITNESS JOYNER: Yes, sir. We agreed to perform  
16 the report along the guidelines established in IEEE Standard  
17 372.

18           DR. JORDAN: 352?

19           CHAIRMAN SMITH: 372.

20           WITNESS JOYNER: 352. I am sorry. And that  
21 outlines what should be done. That was one of our  
22 agreements, that we would use that document as a guiding  
23 source of what we did.

24           CHAIRMAN SMITH: When Oak Ridge measures you  
25 against that document, what do they conclude?

1 WITNESS JOYNER: Well, I do not know that they  
2 specifically said that, sir. They did make some general  
3 comments here.

4 Page 15, the first full paragraph, it appears,  
5 quote: "The manufacturer contends, and we agree, that:  
6 one, the system prevents or mitigates many more upsets than  
7 it creates; and, two, the system is generally superior to  
8 manual or fragmented control schemes."

9 CHAIRMAN SMITH: Is it your view they are talking  
10 about safety here, rather than reliability of the plant and  
11 efficiency? In Item No. 2?

12 WITNESS JOYNER: From an operability standpoint,  
13 from the standpoint of keeping the plant operating.

14 CHAIRMAN SMITH: Capacity factor.

15 WITNESS JOYNER: Making megawatts, performing its  
16 intended function. It is not a safety-grade system and  
17 really does not control the safety systems that are needed  
18 for the plant.

19 WITNESS BROUGHTON: I think that item also says  
20 that in fact this control system does prevent challenges to  
21 the protection system, in that it mitigates upsets.

22 CHAIRMAN SMITH: It avoids challenges.

23 WITNESS BROUGHTON: It avoids challenges to  
24 protective systems. And the conclusion, after looking at  
25 the field data, was that it prevents more of those

1 challenges to the protective systems, safety systems, than  
2 it actually creates by malfunctions which have occurred.

3 DR. JORDAN: Again, if you are speaking now of  
4 "protection system" meaning the scram system, I think is  
5 what we said this morning.

6 WITNESS BROUGHTON: That is correct. But in the  
7 mode of the ICS --

8 DR. JORDAN: The safety system -- I define the  
9 emergency feedwater system as part of the safety system.  
10 Then there would be no evidence one way or the other on  
11 that, as far as I know.

12 WITNESS BROUGHTON: No. But when the ICS is being  
13 called upon to operate to control the plant, the plant is at  
14 power. And the first safety system which it will challenge  
15 is the reactor protection system. It cannot challenge the  
16 others.

17 DR. JORDAN: Immediately thereafter it will be the  
18 system that has to take care of the afterheat.

19 WITNESS BROUGHTON: Only for some failures.

20 DR. JORDAN: Following a scram, some system has to  
21 take care of the afterheat.

22 WITNESS BROUGHTON: Yes. And the one which  
23 usually does that is the main feedwater system, controlled  
24 by the ICS.

25 DR. JORDAN: That is right, and it is controlled

1 by the ICS following a scram.

2 WITNESS BROUGHTON: Yes.

3 DR. JORDAN: So I guess the question is, does it  
4 prevent challenges to the emergency feedwater system -- does  
5 it do a better job than the operator would do?

6 WITNESS JOYNER: I think that is their conclusion  
7 in the paragraph, sir, that it is generally superior to  
8 manual, fragmented control schemes. That is how I read that  
9 statement.

10 DR. JORDAN: It depends on which safety system you  
11 are talking about, I think.

12 MR. SHOLLY: Dr. Jordan, there is one remark that  
13 is made in the discussion portion of the Oak Ridge report  
14 which, you know, in this case is directly relevant to one of  
15 the things that is stated in the testimony and on this  
16 particular issue.

17 On page 3 Dr. Joyner's testimony says: "The ICS  
18 has prevented more reactor trips than it has caused, and  
19 thus its net effect has been a reduction in the number of  
20 challenges to the reactor protection system."

21 On page 11 of the Oak Ridge report, the last  
22 paragraph above where it says "Power Supplies" concludes  
23 that: "The B&W analysis asserts that ICS actions have  
24 averted more trips than they have caused. Although this  
25 assertion is not pertinent and is probably true, the data

1 presented do not substantiate the assertion."

2           That to me seems to be somewhat in conflict with  
3 the testimony.

4           BY MR. SHOLLY: (Resuming)

5           Q       When you say the ICS has prevented more reactor  
6 trips than it has caused, is that your personal opinion or  
7 is that based upon some statistical study or operating  
8 history?

9           A       (WITNESS JOYNER) If you will turn to page 5-14 in  
10 the reliability study, Table 5-7.

11          Q       Page -- what page was that, again?

12          A       (WITNESS JOYNER) 5-14. That table describes  
13 runback actions at one particular plant over a five and a  
14 half-year period of operation. During that time there were  
15 a total of 37 reactor trips from all causes.

16          DR. JORDAN: 47?

17          WITNESS JOYNER: 37, sir.

18                 During that time there were 47 successful  
19 runbacks, although I will have to say that ten percent  
20 stepload increases and decreases are not really runbacks.  
21 But those are -- at least the first three really cannot be  
22 disputed, that a successful action of the control system did  
23 prevent a trip in that case, and that is 32 of those --  
24 turbine trip, load rejections.

25                 At that particular plant there had been a total of

1 14 turbine trip or load rejections and similar events as far  
2 as the NSS is concerned. In one case the turbine throttle  
3 valve slammed shut very rapidly. That is for the turbine  
4 trip.

5           For the load rejection, we disconnect the  
6 electrical load from the turbine. The turbine tends to  
7 overspeed. The speed governor on the turbine closes the  
8 throttle valves rapidly, and externally you cannot tell the  
9 difference in the transient, because the throttle valve will  
10 close as rapidly, almost, as it scrams.

11           14 times we've run the reactor back without  
12 tripping, but not challenging the safety system.

13           Feedpump trips, there had been 14 of those during  
14 that five and a half year period. The ICS successfully ran  
15 the plant back to a power level less than the capacity of  
16 one feedwater without a trip.

17           We had had four instances of dropped control  
18 rods. The effect of dropping a control rod is to rapidly  
19 reduce the power generated in the core. The ICS must then  
20 run the feedwater flow back, steam flow back, in a smooth  
21 fashion so that the plant does not trip.

22           And those successful runbacks shown in that table  
23 alone are sufficient to justify the statement that it  
24 prevented more trips than it caused, because we can only  
25 definitely say that out of 310 -- in 305 reactor years, six

1 trips have been caused by the ICS.

2           Now, in reality there may have been more, 20  
3 perhaps. But in this table alone, it shows its value as a  
4 system for preventing challenges to the protection systems.

5           BY MR. SHOLLY: (Resuming)

6           Q     Does that table include the experience for all the  
7 B&W plants?

8           A     (WITNESS JOYNER) No. That is one particular  
9 plant.

10          Q     Do you know which particular plant that is?

11          A     (WITNESS JOYNER) Yes.

12          Q     Which one?

13          A     (WITNESS JOYNER) SMUD.

14          Q     You did not examine the other plants operating?

15          A     (WITNESS JOYNER) Yes, we examined them, but we  
16 did not tally them up like this. We could have had nine  
17 tables. Some were better than others, obviously, and we  
18 would not put the worst one in there.

19                   But this is not atypical.

20           DR. LITTLE: Which plant did you say this was?

21           WITNESS JOYNER: SMUD, Sacramento Municipal  
22 Utility District.

23           BY MR. SHOLLY: (Resuming)

24          Q     Rancho Seco?

25          A     (WITNESS JOYNER) Rancho Seco, that is correct.



1 Q You mentioned that you did not put the worst one  
2 in. Do you have any idea what the worst plant --

3 A (WITNESS JOYNER) I really don't.

4 Q I don't care which plant it is. But in terms of  
5 whether it has caused more or prevented more?

6 A (WITNESS JOYNER) I would say in no case would it  
7 have caused more. The worst is certainly not TMI. TMI-1  
8 was one of the better plants and had a record of running  
9 back successfully on turbine trip loss of load.

10 MR. SHOLLY: Did you have anything else, Dr.  
11 Jordan? I did not mean to cut you off.

12 DR. JORDAN: No, no. Fine.

13 BY MR. SHOLLY: (Resuming)

14 Q Getting back to the general findings of the Oak  
15 Ridge report, on page 4, the first full paragraph, it states  
16 that, quote: "Transients initiated outside the control  
17 system, whether or not successfully mitigated by the ICS,  
18 are not addressed except in tabulations of operating  
19 experience."

20 Do you know where in the B&W report that  
21 calculation is located?

22 A (WITNESS JOYNER) Yes, yes, I do. If you will  
23 turn over to page -- I am not sure I know where every one of  
24 them is located.

25 But for example, on page 5-11, Table 5-2. Well,

1 really, start with Table 5-1, and we tabulated all the  
2 failures. And a failure here means a failure that caused  
3 reactor trip.

4           So we tabulated, beginning with 5-1, all the  
5 failures that occurred that caused reactor trip -- I'm  
6 sorry, all the reactor trips that occurred, and placed them  
7 into one of six categories, either a 1, a 2, B, C, D, or E  
8 type failure or event.

9           If you look over on page 5-18, Figure 5-1, you see  
10 a nice pie chart of those failures. So you can get some  
11 perspective on the relative magnitudes.

12           (Pause.)

13       Q       The next paragraph on page 4 states, quote:  
14 "Identification of interactions resulting in failures in  
15 safety or non-safety systems or operator actions is notably  
16 absent."

17           Have you any comment on that?

18           (Pause.)

19       A       (WITNESS JOYNER) I am not quite sure what  
20 interactions they would like us to define. We did not  
21 consider the effect of operator actions on the transients.  
22 It was not that kind of a study. And we did not do that.

23           As far as interactions resulting from failures in  
24 non-safety systems, we did look at that and we looked at  
25 failures of inputs to the ICS which would constitute

1 failures of the other systems. We also looked at -- or we  
2 looked at failures of outputs from the ICS which exercised  
3 the pumps, valves, in a fashion similar to the way they  
4 might be exercised if they failed by themselves, and looked  
5 at the effect upon the NSS of that failure.

6 (Pause.)

7 Q In summary, the ORNL concludes, which is the last  
8 paragraph above the ORNL review plan -- it says, quote: "In  
9 summary, the report deals only with a very limited scope of  
10 failures, essentially within the ICS cabinets. The only  
11 significant measure of response is whether a reactor trip  
12 would occur. Because of this limited scope, the results are  
13 necessarily of limited value."

14 A (WITNESS JOYNER) Where are you, Mr. Sholly?

15 Q It is the fourth full paragraph on page 4.

16 A (WITNESS JOYNER) I was thinking maybe we were  
17 toward the end of it. Okay.

18 Q It is the first two sentences of that paragraph.

19 A Okay, sir.

20 Q Now, I realize that this may -- your answer  
21 probably will be tempered by what you read the FMEA as  
22 having been done for and perhaps ORNL's larger scope in  
23 which they reviewed it. Do you agree, though, that in some  
24 senses that the report is of limited value in terms of what  
25 you know the ORNL review to be looking for?

1           A       (WITNESS JOYNER) Well, I can take that paragraph  
2 phrase by phrase, and we did go through it.

3                   The summary -- the first phrase there, the  
4 summary, "The report deals only with a very limited scope of  
5 failures, essentially within the ICS cabinets." That is not  
6 really true, in that we did assume the failure of every  
7 input to the ICS, both high and low.

8                   We also assumed the failure of the outputs from  
9 the ICS to the final control elements, the steam relief  
10 valves, the turbine throttle valves, the pumps, the  
11 feedwater valves, so -- and those failures could not have  
12 occurred from action other than the ICS action.

13                   So that is not really a straightforward statement  
14 of what we did. We did more than look at failures within  
15 the ICC cabinets. That was one of the three types of  
16 failures that we looked at.

17                   The next portion of that sentence, "The only  
18 significant measure of response is whether a reactor trip  
19 would occur." That is not really true. We categorized  
20 every failure as one of three types of failures: Categories  
21 1, 2, and 3.

22                   Category 2 were those failures that might  
23 reasonably cause a trip. Category 3 were those failures  
24 that might cause a trip, plus the possible need for some  
25 other type of action, operator intervention action. So that

1 is not true.

2 Now, because of this limited scope, the results  
3 are of necessarily limited value. I just don't agree with  
4 that. Certainly they are limited in the overall scope of  
5 what is a value and what is not a value. But it gives the  
6 impression that we did not learn anything of value, and we  
7 certainly did.

8 (Pause.)

9 Q Let me pursue one final thing here as far as the  
10 Oak Ridge report goes. Again, I am at somewhat of a loss as  
11 to bringing together the statements in the first five  
12 sections of the report and your conclusions.

13 Two vital things which again get to the scope of  
14 the study, how you would perceive it and how they would  
15 perceive it, and I would like to get your reaction to  
16 those. On page 6, it is the third full paragraph under  
17 "Scope of Analysis," quote:

18 "We believe that the usefulness of the B&W  
19 analysis is limited, because the ICS is bounded so  
20 narrowly. A control system, particularly one claimed as  
21 integrated, should include sensing, signal conditioning and  
22 actuating equipment, and perhaps power supplies -- if not  
23 primary power sources. The system being controlled includes  
24 a number of process loops that are highly interactive and  
25 which must often operate within rather narrow individual

1 constraints. The B&W analysis does not address these  
2 interactions."

3           A           Again, it seems to cast some doubt, in my mind at  
4 least, as to the usefulness of the study, at least at Oak  
5 Ridge views it.

6           Q           (WITNESS JOYNER) I hate -- well, I don't hate. I  
7 would like to refer you to paragraph 2 at the top of page  
8 16. They contradict themselves.

9           Q           Absolutely.

10          A           (WITNESS JOYNER) And I happen to know who wrote  
11 what. And you know, I happen to understand the problem.  
12 Here is a good statement, the top paragraph on page 16. I  
13 cannot say it nearly as well as they have already said it  
14 and written it down for us.

15          Q           I think I understand what your reaction is going  
16 to be to my other example. I don't particularly see much  
17 point in pursuing it at this point.

18          A           (WITNESS JOYNER) You know, not referring you back  
19 to 16, I do think that taking the second sentence, for  
20 example, I do believe a system should include the sensing  
21 lines, and we did include that. We looked at the input  
22 failures and evaluated their effect upon the plant. That  
23 statement is not true as it stands.

24                   (Pause.)

25          MR. SHOLLY: I believe that is all the questions I

1 have for these witnesses.

2 DR. LITTLE: Dr. Joyner, on page 5-14 of the B&W  
3 report, Table 5-9 on the 721 and 820 systems, do you have  
4 that?

5 WITNESS JOYNER: Yes, I am with you.

6 DR. LITTLE: I believe I understood you to say  
7 that maintenance was especially critical with the 721  
8 system. I would like to have you elaborate on why that  
9 would be the case moreso with the 721 than the 820?

10 WITNESS JOYNER: Well, I may have said that, and  
11 if I did, I have no reason to believe that it is more  
12 critical on the 721 than it is on the 820.

13 DR. LITTLE: Is it critical on both of them?

14 WITNESS JOYNER: Well, "critical" is a relative  
15 term. You know, you can perform no maintenance at all, in  
16 which case it probably is important. Then you have a  
17 regularly scheduled maintenance program.

18 Some plants have very fine scheduled ICS  
19 maintenance programs. Others do not. And I think that that  
20 may have a lot to do with the difference in failure rates,  
21 although we did not do enough data-gathering and analysis to  
22 really go into the effect of maintenance and that kind of  
23 thing. So I cannot make a definite statement.

24 I do know, for instance, that at TMI-1, as an  
25 example -- I happen to know the maintenance personnel there

1 have a regularly scheduled maintenance program. They have  
2 well qualified I&C technicians. Other plants don't have as  
3 good people and they do not have as good a record of ICS  
4 performance.

5 DR. LITTLE: In the analyses given in Section 5 of  
6 the B&W report, there are a number of plants listed which  
7 were studied. Do you know which ones fall into the category  
8 of having 721-type ICS systems?

9 WITNESS JOYNER: Oconee 1, 2, 3, and TMI-1 have  
10 721 systems.

11 DR. LITTLE: Those are the ones that account for  
12 the numbers in Table 1-9?

13 WITNESS JOYNER: 721? That is correct.

14 DR. LITTLE: Okay, thank you.

15 (Board conferring.)

16 WITNESS JOYNER: A lot of the difference, too, may  
17 be due to reporting procedures. When you -- for instance,  
18 it may not be convenient for an individual to write down  
19 that he tuned the module at one plant and it may be in  
20 another. You may have strict requirements for recordkeeping  
21 at one plant and not strict at another.

22 We really did not go into those aspects, and I  
23 think you have to before you can draw general conclusions  
24 about the relative merits and criticality of maintenance on  
25 one system versus another.



1 DR. LITTLE: I was wondering if you were going to  
2 go into the fact that the 820 is a newer system and maybe  
3 has more easily maintained circuitry than the other one. Is  
4 that the case or not? That is what I gathered?

5 WITNESS JOYNER: It is a newer system, and it  
6 certainly appears that it is easy to maintain. But I do not  
7 think that we can really draw that conclusion.

8 DR. LITTLE: TMI-2 must have an 820.

9 WITNESS JOYNER: That is correct.

10 DR. LITTLE: Okay.

11 CHAIRMAN SMITH: Mr. Adler?

12 MR. THEODORE ADLER: Thank you.

13 BY MR. THEODORE ADLER:

14 Q Mr. Joyner, Mr. Sholly asked you about the  
15 difference between single failure and multiple failure  
16 analyses. I do not really want to get back into that  
17 issue. But on the bottom of page 15 of the ORNL report,  
18 that first recommendation under Section 6-2 suggests that a  
19 fault tree analysis might be used rather than a functional  
20 block diagram.

21 Can you explain why you elected to use a  
22 functional block diagram?

23 A (WITNESS JOYNER) It made the analysis much more  
24 straightforward. And I would like to refer you to IEEE 532,  
25 which you don't have a copy of.

1 Q Yes, I do have a copy.

2 A (WITNESS JOYNER) I'm sorry, you do. On page 11,  
3 for example, the first paragraph, right-hand corner. And in  
4 this section they are discussing, for those of you who do  
5 not have it, the rules for a failure modes and analysis.

6 MR. BAXTER: Is this Standard 352?

7 WITNESS JOYNER: Yes.

8 The sentence says: "A functional diagram may be  
9 used in the FEMA to show the functional dependencies in the  
10 system, so that the effects of failure can be traced. Fault  
11 trees may also be used. These techniques are discussed  
12 later."

13 BY MR. THEODORE ADLER: (Resuming)

14 Q I was focusing on page 16 of IEEE 352.

15 A (WITNESS JOYNER) 16?. Okay.

16 Q On the right-hand column, the second paragraph of  
17 number 2 there in the middle of the page, where it starts,  
18 quote: "It is important to know the difference between the  
19 reliability of the block diagram and the fault tree diagram."

20 A (WITNESS JOYNER) Okay.

21 Q It says: "The use of fault trees stimulates the  
22 identification of possible failures and events, and a fault  
23 tree can represent all kinds of dependencies and common mode  
24 failures and events."

25 And then it says: "The reliability block diagram

1 corresponds closely to the system functional diagram."

2           Just read that paragraph and see if it implies  
3 that you ought to use the functional block diagram to  
4 determine how the system works, and that you should use a  
5 fault tree analysis to analyze what are the potential  
6 failures of the system?

7           A     (WITNESS JOYNER) I am not sure a functional --  
8 reliability block diagram --

9           Q     Perhaps --

10          A     (WITNESS JOYNER) I would have to read the whole  
11 thing in order to make sense out of it.

12          Q     The whole paragraph or the whole section?

13          A     (WITNESS JOYNER) I would have to sit down and  
14 spend 20 minutes or so. My bag is not reliability analysis  
15 and I do not have that in my head.

16          Q     Can you just respond -- let's see if this helps --  
17 to the last sentence of that paragraph, which reads, quote:  
18 "Therefore, the fault tree represents the system in terms of  
19 the events leading to failures, and the reliability block  
20 diagram describes the system in terms of the events leading  
21 to success."

22                   Can you comment at all on that sentence?

23          A     (WITNESS JOYNER) Out of context, I would be  
24 hard-pressed. I would be glad to take a few minutes and  
25 read the page.

1 Q Go ahead. That is fine.

2 (Witness reviewing document.)

3 A (WITNESS JOYNER) I read it. If you will repeat  
4 the question, I will attempt to answer it. I am not sure I  
5 can.

6 Q Perhaps this will help. I am not an expert on  
7 reliability analysis, but it seems that IEEE 352(1975) is  
8 establishing a preference for the use of fault tree analysis  
9 over the functional block diagrams in terms of analyzing  
10 what the potential failures of a system that you are  
11 studying are.

12 And now it may be that the scope of your analysis  
13 was sufficient, but I am interested in your rationale for  
14 choosing the functional block diagram over the fault tree  
15 analysis in light of that preference.

16 A (WITNESS JOYNER) The rationale for choosing the  
17 functional block diagram -- and I am still unclear on this,  
18 but I can tell you why we chose the functional block diagram  
19 -- is that we had that type of diagram available in computer  
20 simulations. We could block the system out into a  
21 functional diagram and then fail each of those components on  
22 the simulation and determine the effect of its failure.

23 The example -- and I am really not that familiar  
24 with performing reliability analyses such as this one. But  
25 the example here is primarily for safety systems which are

1 either go or no-go, trip-no trip. And we have systems that  
2 the magnitudes -- the time of the changes are very important.

3           So if we fail a block in the ICS, a function in  
4 the ICS, it is important how long that transient lasts, how  
5 rapidly pressures and temperatures change, and a lot of  
6 other things.

7           Q     As I understand your answer, your primary reason  
8 for using functional block was that you had readily  
9 available in your computers information that would  
10 facilitate that analysis?

11          A     (WITNESS JOYNER) That is primarily it.

12          Q     So when ORNL states that, quote, "The functional  
13 block FMEA approach may have been selected by some economic  
14 expedient and may not have been the optimum technique for  
15 deriving the information desired," you would agree with  
16 that?

17          A     (WITNESS JOYNER) No, no. I think what they are  
18 saying is that we should have used -- well, let me go back  
19 and find that.

20                They are not saying we should have used fault  
21 trees. They are saying -- they quibble, I believe, with the  
22 particular functional block diagram that we chose. And they  
23 would like a more detailed ICS description.

24          Q     Well, they say, "The functional block FMEA  
25 approach may have been selected." And then they say, "If

1 further pursuit of the failure consequences of the ICS is  
2 desired, we recommend a fault tree be developed."

3 I presume they are saying, had they done the  
4 analysis initially, they would have used a fault tree  
5 analysis rather than the functional block diagram?

6 A (WITNESS JOYNER) For that one particular event  
7 they are talking about, for loss of feedwater, only for that  
8 one. This is the way I read it.

9 CHAIRMAN SMITH: Even though they say here that  
10 the fault tree represents -- I mean, the block diagram  
11 describes a system in terms of events -- in terms of  
12 success, in doing that you necessarily have to identify the  
13 events leading to failure, don't you?

14 WITNESS JOYNER: I think so, yes, sir.

15 Of course, I read right to the bottom sentence in  
16 one, which is a fairly straightforward --

17 BY MR. THEODORE ADLER: (Resuming)

18 Q I'm sorry?

19 A (WITNESS JOYNER) It is a fairly straightforward  
20 sentence. It says: "further analysis of this type may not  
21 be economically justified." The punch line.

22 Q Can you also turn to page 9 of IEEE 352, and also  
23 to page 4-20 of the B&W 1564?

24 A (WITNESS JOYNER) Okay.

25 Q On page 4-20 you list the display tables or the

1 parameters described in your display tables. Comparing that  
2 with the suggested diagram in IEEE 352, I note that you have  
3 omitted two.

4           One is the failure mechanism, which is block  
5 number 4; and one is the method of failure detection, block  
6 number 6.

7           Could you explain to us why you elected not to  
8 include those in your analysis?

9           A       (WITNESS JOYNER) I would like to preface with the  
10 statement that says "typical." There is no requirement that  
11 any given column should or should not be there.

12           The failure mechanism I did not personally think  
13 was really important to what we were doing. We postulated  
14 that the signals could fail high or low, for whatever  
15 reason, and looked at the effect. Now, that high failure,  
16 for example, means that the signal goes to plus 10 volts in  
17 the ICS. That can happen by shorting a lead to a 10-volt  
18 signal.

19           Low failure can happen by shorting a lead to a  
20 minus 10-volt signal. So, given the failures that we  
21 assume, high or low, I thought it was kind of redundant to  
22 put it in there. Plus, I did not think it contributed very  
23 much.

24           The method of failure detection for any particular  
25 plant, that would be perhaps different, in that the displays

1 that the operator has, the annunciation that he has, is  
2 plant-specific.

3 Q Well, Mr. Sadauskas explained some of the displays  
4 for failures in the ICS system. Do you think it is  
5 important to analyze whether the operators have an adequate  
6 display of failure in the ICS system during a transient?

7 A (WITNESS JOYNER) That is reasonable.

8 Q So you feel that the individual -- the individual  
9 plant should do a specific analysis of that to supplement  
10 your FMEA?

11 A (WITNESS JOYNER) I do not think an individual  
12 analysis is called for. The recommendations state the  
13 failures that we feel are important. Now, when those  
14 failures are studied on a plant-specific basis the outcome  
15 perhaps would be instructions to the operator and operator  
16 training that would allow him to recognize that transient  
17 and mitigate that transient.

18 Q I just want to clarify your general response to  
19 some of Mr. Sholly's questions about the critique of the  
20 ORNL study. Is it your position that B&W is not going to do  
21 any further study or any further analysis in response to the  
22 ORNL study?

23 A (WITNESS JOYNER) I do not know how to answer that  
24 question. I read that Oak Ridge report a year ago -- 11  
25 months ago -- and I am sure that it has affected what we



1 have done in the past 11 months.

2           As far as repeating the FMEA including fault trees  
3 or expanding the scope, I do not think it is justified, and  
4 I certainly would not recommend that we do that.

5           Q     I am not referring just to a complete repeat of  
6 the FMEA. Do you feel there are any criticisms in the ORNL  
7 study that warrant any supplemental work, or do you think  
8 that the FMEA as first produced was adequate?

9           A     (WITNESS JOYNER) I think it is adequate. I agree  
10 with Section 6 in the report.

11          Q     Despite the apparent differences between the first  
12 five parts and Section 6?

13          A     (WITNESS JOYNER) Section 6 is the bottom line.

14          Q     I am interested in your characterization of the  
15 ICS system with respect to its safety significance. Now, it  
16 is obvious that your position is that it is not and should  
17 not be a safety-grade system.

18                But would you agree that one of the purposes of  
19 the ICS system is to reduce the number of challenges to the  
20 plant safety systems?

21          A     (WITNESS JOYNER) I do not think that is the  
22 purpose of it. That certainly is a design goal.

23                The purpose is to manipulate feedwater flow, steam  
24 flow, and reactor power.

25          Q     When you first described this morning the

1 operation of the ICS system, referring to your figure 1 in  
2 your testimony, you discussed the limiting conditions that  
3 might be imposed by the ICS system as a result of plant  
4 status, for example lack of one reactor coolant pump.

5           A       Are the limiting conditions that you referred to  
6 contained in the plant's technical specifications?

7           A       (WITNESS JOYNER) Yes.

8           Q       They are. So to that extent the ICS is useful in  
9 assuring that the plant does not exceed any of the technical  
10 specifications?

11          A       (WITNESS JOYNER) Some are contained in the tech  
12 specs and some are not.

13          Q       Okay.?

14          A       (WITNESS JOYNER) I would have to change my  
15 previous statement.

16          Q       Now, as I understand the operation of the ICS,  
17 during a transient it is necessary to isolate or to  
18 disengage the ICS from, certainly, the reactor protection  
19 system, and perhaps from some other engineered safety  
20 systems; is that correct?

21          A       (WITNESS JOYNER) I don't understand the term  
22 "disengage ICS from RPS."

23          Q       Well, for example, you want the control rods to  
24 become independent of ICS when they scram?

25          A       (WITNESS JOYNER) Yes.

1 Q And that, I presume, is a safety-grade process?

2 A (WITNESS JOYNER) That action is performed by the  
3 reactor protection system, which de-energizes the control  
4 rods and they drop into the reactor core.

5 Q Fine. Now, my question is whether the same is  
6 true for the relationship between the ICS and two other  
7 systems that are at least related to safety. One is the  
8 emergency feedwater system and the other is control of steam  
9 generator level.

10 A (WITNESS JOYNER) The ICS, as we went through it  
11 this morning, the TMI ICS does have responsibility for  
12 automatic control of the steam generator levels when aux  
13 feedwater is initiated. That responsibility can be assumed  
14 by the operator and is independent of the ICS.

15 Q So am I correct that you require a manual override  
16 in order to take the steam generator level off the ICS  
17 control?

18 A (WITNESS JOYNER) That is my understanding. These  
19 gentlemen may be able to add to that.

20 Q Well, perhaps I should address the question to Met  
21 Ed employees.

22 Do you feel that it is adequate to have a safety  
23 system which may be necessary during a transient such that  
24 first you have a control by a non-safety-grade system, and  
25 if you want to go off the safety-grade system you need to

1 have a manual override?

2           First, is that the status of the plant as you  
3 understand it?

4           A     (WITNESS BROUGHTON) I think the system we are  
5 discussing here is the emergency feedwater system.

6           Q     Well, we were discussing first -- well, both the  
7 steam generator level and the emergency feedwater system  
8 that Dr. Jordan raised earlier?

9           A     (WITNESS BROUGHTON) All right. The steam  
10 generator level can be controlled by the ICS operating on  
11 the main feedwater control system, using the main feedwater  
12 pumps. And there are new parts of that system which are  
13 safety-grade. In fact, that is the normal method of  
14 controlling steam generator level following a trip of the  
15 reactor, is to use the ICS and to use the main feedwater  
16 system.

17           In the event that the main feedwater system is not  
18 available, then the emergency feedwater system could supply  
19 water to the steam generators. There are several different  
20 modes of controlling flow to the steam generators when  
21 emergency feedwater is running.

22           The first and the normal mode would be the ICS  
23 controlling that level on automatic.

24           A second mode would be control through the ICS,  
25 but with the ICS in a hand mode, rather than on automatic.

1 The hand mode allows the operator in the control room to  
2 control the position of the regulating valve, and thus  
3 control the flow into the generator.

4 A third mode of controlling steam generator level  
5 with emergency feedwater would be with a new system which is  
6 being installed at the plant, which will allow the operator  
7 to manually control steam generator level independently of  
8 the ICS. And that particular mode is an override type mode,  
9 such that regardless of what the ICS is trying to do with  
10 feedwater flow, the operator will still be able to open or  
11 shut the valve as he desires.

12 There are even ways of controlling level beyond  
13 those, which would require control locally at the valve from  
14 outside the control room.

15 Q I believe we had testimony on that when we  
16 discussed the emergency feedwater system. So the conclusion  
17 is that you either control the level through the ICS or  
18 through operator action; is that correct?

19 A (WITNESS BROUGHTON) That is correct.

20 DR. JORDAN: I did not quite understand your  
21 answer there. ICS automatic control is possible, but the  
22 emergency feedwater system operator control, manual control  
23 of the ICS system, you said, is also another mode. And a  
24 third mode is one that you are planning to put in, you say,  
25 in which the operator controls -- has the independent

1 control of the feedwater system?

2           WITNESS BROUGHTON: That is correct. It would be  
3 very similar to the manual mode in the ICS or the mode that  
4 I term "hand" in the ICS, except that instead of using  
5 components that are part of the integrated control system,  
6 this new system will be completely separate from the ICS.  
7 It will use different components. It will be physically  
8 separate. It will have a different electrical power  
9 supply.

10           The controls will be located in the control room  
11 on the control panels, so they will be accessible to the  
12 normal operators; and by adjusting those controls, they will  
13 be able to move the feedwater regulating valves  
14 independently of what the ICS is trying to do to the  
15 valves.

16           DR. JORDAN: I guess I did hear you properly, and  
17 I guess I am a little surprised. I thought in the  
18 long-range there was going to be an automatic control  
19 completely outside of the ICS; isn't this correct?

20           WITNESS BROUGHTON: That is correct for the  
21 longer-term --

22           DR. JORDAN: What you are describing now is a  
23 short-range program.

24           WITNESS BROUGHTON: That is correct. This third  
25 mode of control, independent of the ICS, is a mode which

1 will be in place before the plant is restarted.

2 DR. JORDAN: That is what I was going to ask. I  
3 see.

4 WITNESS BROUGHTON: The difference between that  
5 mode and what will be available in the long term is in the  
6 long term that mode of control independent of the ICS will  
7 be automatic, first of all, so it will not require the  
8 operator; and secondly, it will be safety-grade, so that it  
9 can tolerate certain failures.

10 DR. JORDAN: Yes, okay. I understand.

11 Now, the question to Mr. Joyner: The failure  
12 modes and effects analysis, which mode did it consider? Did  
13 it consider the operator control or not?

14 WITNESS JOYNER: It considered the automatic  
15 control.

16 DR. JORDAN: Only the ICS automatic control?

17 WITNESS JOYNER: That is correct, sir.

18 DR. JORDAN: And that, I believe you said, could  
19 not lead to -- no single failure could lead to overfilling  
20 of the steam generator or running dry in both steam  
21 generators?

22 WITNESS JOYNER: That is correct, sir.

23 DR. JORDAN: All right. Go ahead. I may have  
24 other questions later on, but that is fine.

25 MR. THEODORE ADLER: That is precisely the point

1 that I was going to next.

2 BY MR. THEODORE ADLER: (Resuming)

3 Q I would like to refer back to your electrical  
4 supply to ICS/MNI system diagram. I have two reasons for  
5 going back here.

6 I believe that in response to Dr. Jordan's  
7 question you were going to the six feeders, and I think when  
8 we got to the aux feeder we got sidetracked and we never had  
9 a response to the next two, the auto and the fan. And so I  
10 do not think he got a full answer to his question.

11 But I also have one line of questions on the aux  
12 system. Is there any possibility of a single failure in the  
13 switch you referred to as "new remote-operated manual  
14 transfer switch"?

15 (Pause.)

16 A (WITNESS SADAUSKAS) There is a possibility. In  
17 my opinion, it is extremely remote.

18 Q In the event of that single failure, am I correct  
19 that all power to the ICS would be removed?

20 A (WITNESS SADAUSKAS) The event you are talking  
21 about would have to occur following a failure of the static  
22 auto transfer switch, which is before the manual switch.

23 Q I am sorry. You can explain the probability  
24 after, if you want. Can I just have a yes or no with  
25 respect to that question?



1 A (WITNESS SADAUSKAS) The question again, please?

2 Q The question is, if there were a single failure in  
3 the switch, would all power to the ICS be terminated?

4 A (WITNESS SADAUSKAS) The answer to that is not  
5 necessarily.

6 Q Okay. Can you explain that now?

7 A (WITNESS SADAUSKAS) If the switch is in the  
8 position that it is shown now and we are feeding the ICS  
9 system from the inverter, as is shown now, and some  
10 postulated failure occurred in the switch and the continuity  
11 was maintained in the circuit, there would be no failure to  
12 the ICS.

13 Q If it failed closed or in its standard position?

14 A (WITNESS SADAUSKAS) In the position it's in now,  
15 there is no reason to suspect that that could happen.

16 Q All right. So that is why you said the  
17 possibility was remote?

18 A (WITNESS SADAUSKAS) Yes, right.

19 Q Okay. In addition to that remote possibility,  
20 let's hypothesize a single failure in the static auto  
21 transfer switch, as occurred at Oconee. Then, as I  
22 understand your testimony, you would then need to switch  
23 manually to the new remote-operated transfer switch -- I am  
24 sorry, to the TPA circuit?

25 A (WITNESS SADAUSKAS) If on loss of power to the

1 ICS system, the automatic transfer switch failed to operate  
2 -- to transfer power to the regulated bus, the operator  
3 would receive an alarm in the control room. He would be  
4 required to operate the new remote-operated manual transfer  
5 switch manually from a new switch that is being installed on  
6 the main control console.

7 Q Right. I believe your testimony to Mr. Sholly was  
8 that that switch would take on the order of tens of minutes;  
9 is that correct?

10 A (WITNESS SADAUSKAS) No, that is not correct.

11 Q That is not? How long would it take?

12 A (WITNESS SADAUSKAS) A matter of minutes, perhaps.

13 Q Minutes. Can you describe in either of those two  
14 circumstances the potential for a single failure in the new  
15 remote box, or during those few minutes it would take to  
16 transfer can you explain the plant status, with particular  
17 focus on those functions that ICS controls?

18 A (WITNESS BROUGHTON) I would like to -- I will  
19 answer that question by indicating we have already discussed  
20 what would happen if we lose fan power, HEY, HEX, and aux.  
21 The remaining area to discuss is hand and auto, and it turns  
22 out that the difference in plant response between those two  
23 failures is very similar. I think if I cover hand, then we  
24 will have covered the effect of a total loss also.

25 If the plant is operating at power and there is an

1 extended loss of hand power, then the reactor could be  
2 expected to scram, to trip. There would be some feedwater  
3 control valves which would change position. Feedwater pump  
4 speed would probably change from the full-power condition,  
5 and the result would most likely be a mismatch between  
6 generated reactor power and the feedwater being sent in,  
7 probably too little feedwater and too much reactor power,  
8 resulting in a high pressure trip, high pressure scram of  
9 the reactor.

10           And after that, the ICS is not available to  
11 control feedwater, either main feedwater or auxiliary  
12 feedwater, if all this power has been lost. And the control  
13 then would be via the auxiliary feedwater system, using the  
14 new manual control available from the control room.

15           If there was another problem, like an overcooling  
16 problem, that could have occurred because of complications,  
17 it is possible that a safeguards actuation would occur, in  
18 which high pressure injection would be called upon.

19           Q       The new manual control emergency feedwater flow  
20 from the control room, is any action required before that  
21 system is activated? And if so, how long does it take?

22           A       (WITNESS BROUGHTON) In order for the operator to  
23 control the emergency feedwater using the new system  
24 separ. from the ICS, he merely has to activate the  
25 controller on the control panel and set in a signal which is

1 a signal to a valve.

2           And those actions can be taken right from the  
3 control room, and it would be within minutes, certainly,  
4 before control could be established by that means.

5       Q     So that the actual time where the operator would  
6 lose control of emergency feedwater flow to the valves would  
7 be relatively small?

8       A     (WITNESS BROUGHTON) Relatively small. And even  
9 for a trip of the reactor as the one I have described, it  
10 would -- there is enough inventory in the steam generators  
11 from operation at full power that several minutes remain  
12 between the time of the trip and when emergency feedwater  
13 would be required to prevent the steam generator inventory  
14 from depleting.

15       Q     Okay. Have you completed your explanation of all  
16 six feeders?

17       A     (WITNESS BROUGHTON) Yes. The auto feeder we  
18 briefly discussed earlier today. But the differences  
19 between loss of the auto feeder and the hand feeder are  
20 quite small.

21       Q     Can the turbine bypass valves be controlled  
22 independently of ICS?

23       A     (WITNESS BROUGHTON) The turbine bypass valves can  
24 be controlled in two modes from the control room. One mode  
25 is with the ICS on automatic and the second mode is with the

1 ICS in hand, which is similar to the hand mode for feedwater  
2 control.

3           There is not a third mode which would be totally  
4 independent of the ICS to control turbine bypass valves.

5           Q     Are there a minimum number of bypass valves that  
6 are required to be operable according to the technical  
7 specifications?

8           A     (WITNESS BROUGHTON) To my knowledge, there are  
9 not.

10          Q     There are not.

11                 Are there any transients that you have analyzed  
12 where it would be -- you may have answered this question.  
13 Are there any transients where it would be necessary to  
14 terminate ICS control of main feedwater?

15          A     (WITNESS BROUGHTON) There are some ICS failures  
16 which are analyzed in the B&W report which could cause an  
17 excessive feedwater flow, and if that were the case then  
18 there are several ways to terminate the feedwater flow, some  
19 of them by using the different mode of ICS control, some of  
20 them by shutting an isolation valve in series with the valve  
21 which might be providing too much flow.

22                 Those are the methods that come to mind to  
23 terminate flow. And flow termination would be required if  
24 excessive flow were maintained.

25          Q     So all of those methods of termination require

1 operator action?

2 A (WITNESS BROUGHTON) Yes, those would require  
3 operator action. Not all failures which produce excessive  
4 feedwater flow would require operator action to terminate.  
5 Some of those -- I can give you an example. There might be  
6 a failure within the ICS at power, for example, which caused  
7 excessive feedwater flow.

8 If that resulted in a trip of the reactor, there  
9 is now a different logic used to determine what proper  
10 feedwater flow is, and if that new logic being used did not  
11 have the defective component in it, then the ICS might  
12 correct the overfeeding by itself, simply because it had  
13 been shifted into a new mode of operation.

14 Q I presume that termination is included in the  
15 reactor trip procedures?

16 A (WITNESS BROUGHTON) I am not certain which  
17 procedures it is in. But my understanding of the knowledge  
18 of the operators with respect to feedwater and also turbine  
19 bypass valve problems are that they are knowledgeable of the  
20 potential for these problems and these are things that they  
21 would look for following a trip of the plant.

22 I am not that familiar with the procedure to say what  
23 specifically is there.

24 Q Are you comfortable with the reliance on operator  
25 action in a procedure that is required during the transient

1 to disengage the ICS system?

2 A (WITNESS BROUGHTON) In the case where we had to,  
3 as you say, disengage the ICS, which I believe you would be  
4 referring to, using the new method of controlling  
5 independent of ICS?

6 Q That is correct.

7 A (WITNESS BROUGHTON) That could result from a loss  
8 of feedwater or some other upset. First of all, our  
9 experience has been very good with the ICS continuing to  
10 control the plant properly after a trip. So we think that  
11 the chance of having to use this new system independent of  
12 the ICS is remote.

13 Secondly, there are quite a few failures which  
14 might occur, which can be corrected by shifting to the  
15 alternate mode of operation of the ICS. That is, going from  
16 automatic to hand.

17 Thirdly, the failures which are likely to occur  
18 are ones which would affect only one of the two generators.  
19 So we would still have adequate control in the operable  
20 generator.

21 And in addition, the operators do -- are very  
22 attendant to feedwater, the need for feedwater after trips,  
23 and would be monitoring both steam generators. And I think  
24 it is very reasonable to assume that if there was a  
25 malfunction, that operator action could be taken to control

1 it.

2 Q Would it be preferable to have the switch  
3 automatic and safety-grade?

4 A (WITNESS BROUGHTON) I think our commitment in the  
5 long-term to provide this type of system indicates that we  
6 think it is a desirable system to have in the plant. We do  
7 not think it is a mandatory system, but we feel the  
8 improvement in reliability and the need to rely less on the  
9 operator to intervene would be desirable.

10 Q Understand that I am not suggesting at all that  
11 the ICS be converted to a safety-grade system, but merely  
12 that for all cases where you switch from control by the ICS  
13 to a safety-grade system or a preferable, a more reliable  
14 control system, that that termination be accomplished by a  
15 safety-grade device or process.

16 A (WITNESS BROUGHTON) Well, when we have a  
17 safety-grade control system installed for emergency  
18 feedwater, that will be the only system which will control  
19 emergency feedwater. We will not use the ICS for normal  
20 mode, and then if there is an ICS failure shift in the  
21 emergency system. So when we do upgrade the system fully,  
22 it will always be separated from the ICS.

23 MR. THEODORE ADLER: I have no more questions.

24 CHAIRMAN SMITH: Mr. Cutchin?

25 MR. CUTCHIN: The staff has no questions of these



1 witnesses, Mr. Chairman.

2 MR. SHOLLY: Just one more question. It gets back  
3 to the tens of minutes question.

4 BY MR. SHOLLY: (Resuming)

5 Q As I have the question written down here, I asked  
6 how long it would take to switch the emergency safeguards  
7 buses if the first power source failed. And you indicated  
8 that that would take tens of minutes.

9 A (WITNESS SADAUSKAS) I think there is a  
10 misunderstanding as to how the answer was given. My  
11 interpretation of your question was a total loss of red  
12 channel.

13 Q In other words, both the static transfer and the  
14 newer mode? ?

15 A (WITNESS SADAUSKAS) Both the 120-volt vital bus  
16 from the inverter and the 120-volt regulated bus TRA. That  
17 is what I thought you were asking. If that's not what you  
18 meant, could you ask it again please?

19 Q I think I was after what Mr. Adler asked. How  
20 long does it take the operator to operate that remote switch  
21 to accomplish the changeover?

22 A (WITNESS SADAUSKAS) Based on that question, my  
23 answer is the same: A matter of minutes.

24 MR. BAXTER: The same as you just gave to Mr.  
25 Adler?

1 WITNESS SADAUSKAS: The same as I gave to Mr.  
2 Adler, not ten minutes like I gave you earlier.

3 BY MR. SHOLLY: (Resuming)

4 Q Is it a two-position switch, you just have to  
5 throw a switch? Or is there some kind of mechanism  
6 involved, once the operator throws the switch, that has to  
7 complete the function, and that is what takes the time?

8 A (WITNESS SADAUSKAS) A two-position switch.

9 BY MR. THEODORE ADLER: (Resuming)

10 Q Now I think I am confused. The switch that you  
11 are referring to in response to Mr. Sholly's question, is  
12 that to a power source that is not described in this  
13 diagram?

14 A (WITNESS SADAUSKAS) Yes.

15 MR. THEODORE ADLER: Okay.

16 CHAIRMAN SMITH: Do you have another question, Mr.  
17 Sholly?

18 MR. SHOLLY: No, sir.

19 CHAIRMAN SMITH: Mr. Baxter?

20 MR. BAXTER: I have no redirect.

21 CHAIRMAN SMITH: Any further questions of this  
22 panel?

23 (No response.)

24 CHAIRMAN SMITH: You are excused, gentlemen.

25 (Witnesses excused.)

1 MR. CUTCHIN: Could I have three minutes before we  
2 put the staff's witness on?

3 CHAIRMAN SMITH: Yes.

4 MR. CUTCHIN: Thank you.

5 CHAIRMAN SMITH: Mr. Sholly, did you offer your  
6 Exhibits 1 and 2 into evidence?

7 MR. SHOLLY: I have not yet. Not being totally  
8 familiar with the rules of evidence, I was not sure whether  
9 I could offer them into evidence without first having the  
10 staff's witness substantiate them.

11 In one case, Mr. Thatcher was the author.

12 CHAIRMAN SMITH: You are being quite careful. We  
13 pretty much have ignored that procedural requirement in the  
14 proceeding. You mean as to authenticity of the document?

15 MR. SHOLLY: Yes, sir.

16 CHAIRMAN SMITH: We have not required that. That  
17 would -- you are literally correct. That would come up in  
18 the form of an objection to the receipt.

19 MR. SHOLLY: I will wait until Mr. Cutchin  
20 returns.

21 CHAIRMAN SMITH: All right.

22 (Recess.)

23

24

25

1 MR. CUTCHIN: Mr. Chairman, I would like the  
2 record to reflect the staff passed out to the Board and the  
3 parties present copies of the documents that Mr.  
4 Tourtellotte referred to this morning as having been filed  
5 by mail yesterday. These are supplied merely as a  
6 courtesy. We also supplied an updated copy of Mr.  
7 Thatcher's professional qualifications.  
8 Whereupon,

9 DALE F. THATCHER,  
10 called as a witness by counsel for the Nuclear Regulatory  
11 Commission, having first been duly sworn by the Chairman,  
12 was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. CUTCHIN:

15 Q Mr. Thatcher, do you have before you a copy of the  
16 document with the caption of this proceeding and entitled  
17 "NRC Staff Testimony of Dale F. Thatcher Relative to the  
18 Integrated Control System Failure Mode and Effect Analysis  
19 (Sholly Contention 6-A)", consisting of seven pages.

20 A Yes, I have that document in front of me.

21 Q Was that document prepared by you or under your  
22 supervision?

23 A Yes, it was.

24 Q Do you have any corrections or modifications that  
25 you would like to make to this document?

1 A I have two corrections to be made on page 7.

2 MR. CUTCHIN: These have already been put in the  
3 report as copied, Mr. Chairman.

4 THE WITNESS: The corrections are in the last  
5 paragraph. I will read it the way I would like to have it  
6 changed. "In addition, requirements in the emergency  
7 feedwater design and procedures that will be in place at TMI  
8 I will provide a fully independent method to initiate and  
9 control emergency feedwater should the ICS fail."

10 BY MR. CUTCHIN: (Resuming)

11 Q Mr. Thatcher, do you also have before you a copy  
12 of the updated professional qualifications that you prepared  
13 and which I just supplied the Board and the parties present  
14 a copy of?

15 A Yes, I do.

16 Q Does this now accurately reflect your professional  
17 qualifications including the one change to reflect your  
18 current assignment?

19 A Yes, it does.

20 Q As corrected, do the documents -- I mean are these  
21 documents true and correct to the best of your knowledge and  
22 belief?

23 A Yes, they are.

24 Q Do you adopt these documents as your testimony in  
25 this proceeding?

1 A Yes, I do.

2 MR. CUTCHIN: Mr. Chairman, I request that the  
3 documents referred to be received into evidence and that  
4 they be bound into the transcript at this point as if read,  
5 along with the outline which will accompany them but as  
6 usual will not be in evidence.

7 CHAIRMAN SMITH: Without objection, they will be  
8 so received.

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

OUTLINE

This testimony of Dale F. Thatcher contains the NRC Staff's response to Snolly Contention 6(a).

The purpose of this testimony is to demonstrate that a failure mode and effects analysis of the instrumentation and control system, as was asserted by the contention to be necessary, has been performed.

Conclusions to be drawn from this testimony:

A failure mode and effects analysis (FMEA) of the integrated control system (ICS) for TMI-1 has been completed.

The ICS for TMI-1 as presently designed has a low failure rate and does not initiate a significant number of plant upsets.

Upsets initiated by anticipated ICS failures are adequately mitigated by plant safety systems.

Modifications that have been made in emergency feedwater system design and procedures for TMI-1 provide a fully independent method to initiate and control emergency feedwater should the ICS fail.

POOR ORIGINAL





Q 4. What is the purpose of your testimony?

A. The purpose of my testimony is to respond to Sholly 5a which states:

It is contended that the short term actions identified in the Commission's Order and Notice of Hearing dated 9 August 1979 are insufficient to provide the requisite reasonable assurance of operation without endangering public health and safety because these short term actions do not include the following items:

- a. Completion of a failure mode and effects analysis of the Integrated Control System.

Q 5. What is the ICS and what are its functions?

A. The ICS is the plant control system which has as its basic function the matching of generated megawatts with megawatt demand. The system philosophy is that control of the unit is achieved through feed-forward control from the unit load demand which in turn produces demands for parallel control of the turbine, reactor, and steam generators. By coordinating the flow of steam to the turbine and the rate of steam production, the ICS can match the generated megawatts to the megawatt demand.

The flow of steam to the turbine is controlled by the turbine throttle valves. The turbine header pressure is used as an index to determine whether the steam flow rate and the steam production are equal.

The rate of steam generation is controlled by varying the total amount of feedwater and reactor power and maintaining a proper ratio between the two so the proper steam conditions exist. The feedwater flow is controlled by the feedwater valves and pumps, and the reactor power is controlled by moving the control rods in the reactor.

POOR ORIGINAL

# POOR ORIGINAL

- 3 -

The ICS maintains constant average reactor coolant temperature between 15 and 100 percent rated power and constant steam pressure at all load conditions. Optimum unit performance is maintained by limiting steam pressure variations; by limiting the imbalance between the steam generator, turbine, and the reactor; and by limiting the total unit load demand on loss of capability of the steam generator feed system, the reactor, or the turbine generator. The control system provides limiting actions to ensure proper relationships between the generated power, turbine header pressure, feedwater flow, and reactor power.

The ICS was designed to be able to prevent a reactor trip for many anticipated plant upsets ranging from minor upsets, such as small load changes or small feedwater heating upsets, to major upsets, such as loss of one reactor coolant pump, loss of main feedwater pump, or turbine trip from 100 percent power.

Following a reactor trip, the ICS controls steam generator level at a minimum level setpoint with the startup feedwater valves to provide decay heat removal. Upon loss of both main feedwater pumps, this minimum level control is accomplished with the auxiliary feedwater valves. Should loss of all four reactor coolant pumps occur, the level is controlled at a higher level in the steam generator (i.e., 50 percent on the operating range indication) to help promote natural circulation. Following a reactor trip, the ICS also provides control of the steam pressure with the turbine bypass valves or the atmosphere dump valves (depending on the availability of the condenser and circulating water).

D. 6 What is a FMEA?

A. A failure mode and effects analysis is a systematic procedure for identifying the modes of failure of a system and for evaluating their consequences. A FMEA is considered (as stated in IEEE 352-1975, "IEEE Guide for General Principles of Reliability Analysis of Nuclear Power Generation Station Protective Systems") to be the first general step of a reliability analysis. It can potentially provide some early useful information and provide a basis for later studies and/or analyses.

Typically a FMEA has been utilized as a tool to help systematically evaluate plant protection systems (such as the reactor protection and engineered safety features actuation system) to determine if a single failure can prevent the system safety function. It is a regulatory requirement (as stated in General Design Criterion 21) that for plant protection systems no single failure shall prevent the protection function.

Plant control systems such as the integrated control system (ICS) have typically not been required to meet this single failure criterion. However, for any system, including a control system, a FMEA can be used to identify failure modes which could lead to undesirable consequences.

Q. 7 Has a FMEA of the TMI-1 ICS been completed?

A. B&W has performed an FMEA on the integrated control system (ICS) as part of its reliability analysis of the ICS. The other part of the reliability analysis is a review of the ICS's "Operating Experience". The FMEA and Operating Experience are documented in B&W Report BAW 1564, "Integrated Control System Reliability Analysis". This report has been adopted by the licensee as applicable to the TMI-1 facility. (Met Ed letter to NRC dated October 26, 1979).

Q. 8. What were the results of this study as reported by B&W?

A. The report concluded that the reactor core remains protected for events resulting from any of the ICS failures studied (FMEA) and that the ICS hardware failures (determined from operating experience) have not led to a significant number of reactor trips.

The B&W report recognized the desirability of improving the ICS and related systems in order to improve overall plant performance. Based on the analysis, B&W made recommendations which were to be evaluated by licensees on a plant specific basis. The recommendations highlighted areas in which B&W believed improvements could potentially contribute to improved overall operation of the plant. The majority of the recommendations related to systems/components which interface with the ICS, and were not specific in nature because of the design differences which exist at the different B&W plants.

POOR ORIGINAL

Q 9. What are the NRC staff's conclusions in this area and the bases for these conclusions?

A. Staff consultants from the Oak Ridge National Laboratory (ORNL) reviewed the B&W report for the NRC and reported their results in a Report Review, "Integrated Control System Reliability Analysis," transmitted to the Staff on January 21, 1980. ORNL concluded that, although the ICS and related control systems could be improved, the ICS itself has proven to have a low failure rate and it does not appear to precipitate a significant number of plant upsets. The examination of the failure statistics revealed that only a small number of ICS hardware malfunctions resulted in reactor trip (approximately 6 of 162). From this data, ORNL concluded that the ICS is failure tolerant to a significant degree.

ORNL agreed with the B&W conclusions regarding control system improvements, and in particular, ORNL highlighted the need for improvements with regard to the power supplies based on the past events that have resulted from NNI and/or ICS power supply failure. In addition, ORNL suggested areas for possible further study.

The staff concurs with the ORNL assessment of BAW-1564. In addition, the staff in a letter dated November 7, 1979, has requested that all licensees with B&W plants evaluate the B&W recommendations and report their follow up actions.

As reported in the staff's TMI-1 Restart SER (NUREG-0680) page 01-1, the licensee has responded to a number of the B&W recommendations.

We plan to review this information to establish the adequacy of the licensee's action. This activity is part of the NRC Action Plan (NUREG-0660, Task II.K.2).

POOR ORIGINAL

Q 10. Why is startup of the TMI-1 facility permissible prior to completion of all modifications and studies.

A. The basis for the Staff's recommendation to allow start prior to the completion of all modifications and/or studies is that, although there are areas which could potentially be improved, the present ICS has proven to have a low failure rate and does not initiate a significant number of plant upsets. In addition, ORNL has concluded that the analysis (BAW-1864) shows that anticipated failures of and within the ICS are adequately mitigated by the plant safety systems, and that many potential failures would be mitigated by cross checking features of the control system without challenging the plant safety systems.

In addition, requirements in the emergency feedwater system design and procedures that <sup>will be</sup> ~~are~~ in place at TMI-1 <sup>will</sup> provide a fully independent method to initiate and control emergency feedwater should the ICS fail.

(NUREG-0680, Page C1-11, Item 1b). The Staff believes that these measures provide reasonable assurance of no undue risk to the health and safety of the public.

DALE F. THATCHER  
PROFESSIONAL QUALIFICATIONS  
INSTRUMENTATION & CONTROL SYSTEMS BRANCH  
DIVISION OF SYSTEMS SAFETY

I am a Senior Reactor Engineer in the Instrumentation and Control Systems Branch, Division of Systems Integration, U. S. Nuclear Regulatory Commission.

From May to December 1979, I was assigned to the Bulletins and Orders Task Force as a technical reviewer in the area of instrumentation and control. Just prior to this assignment I was a member of the NRR team which aided in the Three Mile Island Recovery Operation.

In the ICSB, my primary responsibility is to perform technical reviews of the design, fabrication, and operation of instrumentation and control systems for nuclear power plants. This review encompasses evaluation of applicant's safety analysis reports, generic reports and other related information on the instrumentation and control designs.

I graduated from Lehigh University with a Bachelor of Science Degree in Electrical Engineering in June 1971.

From my graduation in June 1971 until my employment at the Commission, I was an Instrumentation Engineer with Gilbert Associates, Inc., an Architect-Engineering company located in Reading, Pennsylvania. My responsibilities included the design and evaluation of various instrumentation and control systems including primarily the areas of reactor protection systems and other safety systems for various domestic nuclear power plants.

I joined the Regulatory staff of the Atomic Energy Commission in March 1974 as a Reactor Engineer. Since then, I have participated in the review of instrumentation control and electrical systems of numerous nuclear power stations and standard plant designs. In addition, I have participated in the formulation of related standards and regulatory guides.

I am a member of the Institute of Electrical and Electronics Engineers (IEEE) and have participated in the development of IEEE Standard 379-1977, "IEEE Standard Application of the Single Failure Criterion to Nuclear Power Generating Station Class IE Systems" and other proposed standards.

1 CHAIRMAN SMITH: I noted a typo in the second  
2 version of the professional qualifications, the second to  
3 the last paragraph, second sentence. "Since then". It  
4 should be "since then" and not "since the". It is obvious.

5 THE WITNESS: Could you tell me where that was  
6 again so I can correct it?

7 CHAIRMAN SMITH: Second to the last paragraph,  
8 second version of your professional qualifications. The  
9 second sentence. "Since then" instead of "since the".

10 THE WITNESS: Thank you.

11 MR. CUTCHIN: Mr. Chairman. Mr. Thatcher is  
12 available for cross-examination.

13 CHAIRMAN SMITH: Mr. Sholly?

14 MR. SHOLLY: Can I move those two documents into  
15 evidence?

16 CHAIRMAN SMITH: Okay. Go ahead. Mr. Sholly is  
17 offering his exhibits for identification, 1 and 2, into  
18 evidence. While you were absent from the room he observed  
19 that they had not been authenticated by the proper witness  
20 and we said, well, we have not been bothering --

21 MR. CUTCHIN: I have no problem with their being  
22 received, Mr. Chairman.

23 MR. BAXTER: I will not raise an objection because  
24 in this case my witnesses have been able to address, I  
25 think, the major aspects of the report. My concern under



1 normal circumstances, so I do not get held in setting a  
2 precedent in the future would not be authenticity but  
3 whether you could cross-examine anyone about what the  
4 document says. In this case I guess we have all had trouble  
5 interpreting what they mean, but I think we have had enough  
6 discussion by at least the Licensee's witnesses that they  
7 can be received and I do not have any objection.

8 CHAIRMAN SMITH: All right. So Sholly Exhibits 1  
9 and 2 are received in evidence.

10 (The documents referred to,  
11 previously marked for identi-  
12 fication as Sholly Exhibit  
13 Nos. 1 and 2, were received  
14 in evidence.)

15 CHAIRMAN SMITH: Do you understand the evidentiary  
16 point that was made there, Mr. Sholly? The authenticity of  
17 the document -- of documents in this case have not risen to  
18 an issue. Mr. Baxter, except for the fact that the  
19 documents were well explored and the meanings evolved, would  
20 have objected having received them into evidence without an  
21 opportunity to examine the author as to their content, but  
22 not as to authenticity.

23 MR. SHOLLY: I believe I understand that.

24 CROSS EXAMINATION

25 BY MR. SHOLLY:

1 Q Mr. Thatcher, as received in evidence, Sholly  
2 Exhibit 1, the meeting summary, you did prepare that meeting  
3 summary, is that not correct?

4 A That is correct.

5 Q And you would be familiar with the meeting summary  
6 and you were in attendance at that meeting?

7 A Yes, I was.

8 Q Before I go into a number of questions on both the  
9 meeting summary and the Oak Ridge report, I want to try and  
10 establish exactly what you know about how the Oak Ridge  
11 report was prepared, because there have been some questions  
12 as to essentially the first five sections of the Oak Ridge  
13 report as being, perhaps, contradictory to the conclusions  
14 in the sixth section of the report.

15 Do you know who prepared what sections of the Oak  
16 Ridge report? In other words, which sections were prepared  
17 by Oak Ridge and which were prepared by SAI?

18 A No, I do not differentiate or I did not  
19 differentiate between who prepared what sections.

20 Q You do not know?

21 A I do not know. No.

22 Q I have to come back to that later.

23 Referring to Question 2 and its response on pages  
24 2 and 3 of the meeting summary, how did the ICS boundary as  
25 it was defined in the B&W report affect the FMEA as it was

1 done? In other words, what limitations would have been  
2 placed in the FMEA by the way the ICS boundary was defined  
3 in the B&W report?

4 A The limitations -- we have discussed a number of  
5 limitations. I think I agree with all those citations of  
6 those limitations. However, as far as an FMEA of the ICS,  
7 there was a bound that had to be placed to perform an FMEA  
8 and I agree with the choice that B&W made, that that was the  
9 logical choice.

10 Q Is it your view that the Oak Ridge report authors  
11 viewed that bounding as appropriate?

12 A No. I think they took issue with some of the  
13 problems created in defining that particular boundary.

14 Q How did the staff depend on the Oak Ridge review  
15 in terms of preparing its positions on the acceptability of  
16 the B&W report? Specifically, I am concerned about how you  
17 got to the staff position from the Oak Ridge position, which  
18 appears to be in conflict.

19 A Well, I do not think they are really in conflict,  
20 if you agree that the bottom line is section six of the Oak  
21 Ridge report. I think, in fact, you will note that I did  
22 cite some of the findings in my testimony.

23 Q You agree with the Licensee, then, that the  
24 section six of the Oak Ridge report is the bottom line in  
25 terms of deciding whether the B&W report is acceptable or

1 not?

2 A Yes, although we did consider some other comments  
3 made in the other sections.

4 Q For instance, could you give me some examples of  
5 how you considered some of those other comments?

6 A Well, I am trying to find an example.

7 Q Take your time.

8 A Well, I believe -- I think the question we were on  
9 there with number 2 regarding multiple failures, the staff  
10 has to make some decision as to whether we think that  
11 multiple failures are credible or not. In that particular  
12 case, the discussion of mid-scale failures and multiple  
13 failures, those two aspects manifest themselves in power  
14 supply failures which were addressed in the B&W report, not  
15 in the FMEA, but in the operating experience section, and  
16 so, given that information, we could define -- make a  
17 decision along those lines.

18 Q Let's move to the SER. Do you have a copy of the  
19 SER with you?

20 A NUREG-0680?

21 Q That is correct. The section dealing with the ICS  
22 failure mode and effects analysis begins with page D-1 and  
23 concludes on the next page. I would like to ask you a few  
24 questions about the SER.

25 First of all, did you prepare this section of the

1 SER?

2 A No, I did not.

3 Q Do you know who did?

4 A No, I do not.

5 Q Okay.

6 DR. JORDAN: This is a rather strange turn of  
7 events which I am completely puzzled out. Your witness on  
8 ICS failure mode and effect analysis was not involved in the  
9 SER and he does not know who was.

10 MR. CUTCHIN: That is not surprising to me, Dr.  
11 Jordan.

12 DR. JORDAN: All right.

13 (General laughter.)

14 MR. CUTCHIN: Mr. Thatcher was intimately involved  
15 in the failure modes and effects analysis work in that he  
16 was the technical coordinator for the Oak Ridge study and I  
17 am not sure that the SER here at this point has a great deal  
18 of substance and I think Mr. Thatcher's testimony is more  
19 substantive.

20 DR. JORDAN: I see. So if there are disagreements  
21 between what is in the SER and Mr. Thatcher's testimony you  
22 would say that you would rely on Mr. Thatcher's testimony.

23 MR. CUTCHIN: At this point in time I believe that  
24 is correct, because as I am reading here from the SER, we  
25 were indicating that there was further review under way and

1 that we would address is further in a supplement which, I  
2 presume, is yet to come.

3 DR. JORDAN: Okay. Go ahead, Mr. Sholly.

4 BY MR. SHOLLY: (Resuming)

5 Q On page D-1, the third paragraph, the third  
6 sentence reads "However, we have also concluded that as a  
7 result of failures in related systems, actions of the ICS  
8 can lead to major upsets." What related systems were being  
9 referred to there?

10 A As I said, I did not prepare this section, but I  
11 think I can -- I hate to conjecture. I can give you my  
12 knowledge of what could have been meant by that statement.

13 CHAIRMAN SMITH: Let's phrase the question so it  
14 will produce something more than conjecture. Are you aware  
15 of the failure -- failures in related systems as the term is  
16 used in that sentence?

17 THE WITNESS: Failures in related systems, as long  
18 as related systems refer to things such as the non-nuclear  
19 instrumentation, the power distribution system -- to name  
20 two. As long as the related systems means that, then,  
21 indeed, actions of the ICS based on those failures can lead  
22 to major upsets.

23 CHAIRMAN SMITH: So this sentence, as far as you  
24 know, is not referring to actual historical failures of  
25 related systems. It is postulated failures?

1 THE WITNESS: It may well be referring to  
2 historical failures.

3 CHAIRMAN SMITH: Are you, yourself, familiar with  
4 such failures?

5 THE WITNESS: Such historical failures?

6 CHAIRMAN SMITH: Yes.

7 THE WITNESS: Yes, I am.

8 BY MR. SHOLLY: (Resuming)

9 Q Could you give an example?

10 A An example of -- well, I guess crystal -- I heard  
11 the word Crystal River event. That could be an example.

12 Q Do you feel that the B&W report, the manner in  
13 which that report was done, could have predicted the Crystal  
14 River event?

15 A I think so, as long as you consider the operating  
16 experience, because we did -- it was pointed out in the  
17 operating experience section -- August I think is the date  
18 on the report -- August of '79. I think I have the right  
19 year. That power supplies were indeed failure -- one of the  
20 significant failure contributors.

21 Q What I am trying to get at is the failure mode and  
22 effects analysis portion -- the manner in which that was  
23 done. Is it capable of predicting a failure such as the  
24 Crystal River event? Granted, once it happens obviously you  
25 know about it and can take a look at it. But what I am

1 trying to get at is are there possibly other failures which  
2 have not occurred yet?

3 CHAIRMAN SMITH: I do not think you understood his  
4 answer, or at least the dates will have to be adjusted if  
5 his answer means what you thought it does. And the Crystal  
6 River event to which he is referring is February, 1980, and  
7 he has referred somewhere to August 1979 report.

8 MR. CUTCHIN: That is the BAW 1564, is that  
9 correct?

10 THE WITNESS: That is correct. And the date is  
11 August, 1979.

12 MR. SHOLLY: I understood that. I was going to  
13 get to that. Why --

14 THE WITNESS: Is there a question to me right  
15 now? I thought there was.

16 CHAIRMAN SMITH: No. No, there isn't. I fear I  
17 interrupted without cause, but I thought that you were  
18 suggesting that once the Crystal River transient occurred  
19 then it is incorporated in the history, and I thought you  
20 were suggesting a circular approach to it.

21 MR. SHOLLY: That is exactly what I was trying to  
22 get to. In other words, it seems to me that, based on a  
23 reading of the Oak Ridge report, that there were certain  
24 limitations placed on what the B&W FMEA could predict. I,  
25 first of all, would like to know whether the B&W failure



1 mode and effects analysis could have predicted the Crystal  
2 River event and, if not, then possibly are there other  
3 events which it could not have predicted?

4 CHAIRMAN SMITH: There is no question --

5 MR. SHOLLY: I will try phrase that in terms of a  
6 question.

7 BY MR. SHOLLY: (Resuming)

8 Q Do you feel that failure mode and effects analysis  
9 as done by B&W could have predicted the Crystal River event?

10 A Not as done by B&W in 1964. That is not to say  
11 that a failure mode and effects analysis could not predict  
12 Crystal River.

13 Q But the B&W FMEA as it was done could not have  
14 predicted Crystal River?

15 (Pause.)

16 A If I could ask what portion of the Crystal River  
17 event you consider significant. The problem I have is I  
18 know about the -- certain things that happened with the  
19 control systems and -- but I guess there is some concern  
20 that they pumped water on the floor. Is that your concern?

21 Q What I would be referring to is the manner in  
22 which the integrated control system was involved in that  
23 particular event. Could the --

24 A The -- okay.

25 Q Let's go through a series of questions. Maybe

1 this would be a more efficient way of doing it.

2 Do you know to what extent the integrated control  
3 system was involved in the Crystal River event?

4 A Pretty much so. I am sure if you get into very  
5 detailed questions I might not know the exact answers, but I  
6 am pretty familiar with the integrated control system's  
7 performance at Crystal River.

8 Q Okay. Now what -- what failures occurred in the  
9 integrated control system? Just generally.

10 A None that I know of other than -- no. None that I  
11 know of in the integrated control system itself. None that  
12 I know of.

13 Q Did the integrated control system's actions  
14 exacerbate that particular event?

15 The actions of the integrated control system  
16 caused what some people might consider exacerbation of the  
17 event. And that is to say that it indeed did start  
18 momentarily pulling control rods, for example.

19 Q Did the integrated control system also cause the  
20 PORV to open?

21 A No.

22 Q It did not. What caused the PORV to open?

23 A I think it was the power supply failure itself  
24 that caused the PORV to open.

25 Q The ICS played no role in that?

1           A     No. I do not believe the ICS played a role in  
2 that, in the opening of the PORV.

3           Q     It did not.

4           A     No. The opening of the PORV was due to the  
5 mechanism in the power supply failure -- the particular  
6 mechanism in which that power supply failed.

7           Q     You have testified that perhaps in some respects  
8 the integrated control system did exacerbate the Crystal  
9 River event. Is that sort of effect from the operation of  
10 the integrated control system capable of being predicted by  
11 the B&W failure modes and effects analysis?

12          A     Yes, I think it is. If you take the front-end  
13 failure that the power supply loss at Crystal River created  
14 and then follow it through the FMEA of the integrated  
15 control system, you could predict that the control rods  
16 would move out, et cetera.

17                   (Pause.)

18          Q     To your knowledge, within the operating history of  
19 B&W plants, are there instances, events involving the  
20 integrated control system, that have occurred which would  
21 not have been predicted by B&W's failure mode and effects  
22 analysis?

23          A     I think the failure mode and effects analysis that  
24 B&W did is an accurate reflection of what consequences occur  
25 given the failure modes postulated. That does not mean,

1 though, that that particular tool could predict all  
2 potential consequences. I don't know --

3 Q In terms of insuring public health and safety, do  
4 you think the failure mode and effects analysis by itself is  
5 enough to insure the public health and safety is protected  
6 from all events involving the integrated control system?

7 (Pause.)

8 A There is a lot more to protecting the health and  
9 safety of the public than looking at the integrated control  
10 system.

11 Q What --

12 A I thought I was following your question until you  
13 said with regard to the integrated control system. Maybe if  
14 you repeat it. I was anticipating and I should not have  
15 been, but the reactor protection system has to perform the  
16 -- has to protect the public health and safety. Engineered  
17 safety features have to operate to protect the public health  
18 and safety.

19 Q What I am concerned about is the usefulness of the  
20 failure mode and effects analysis as it was done to assure  
21 safety and that this is one of the criticisms of the Oak  
22 Ridge report. They stated that the significance of the ICS  
23 to safety is not addressed. Granted, the Licensee's witness  
24 took issue with that. Do you take issue with that? Do you  
25 feel that the BEW report addresses the safety significance

1 ofd the integrated control system?

2       A       I think it does address the safety significance of  
3 the integrated control system, but there are a number of  
4 things that you have to put in context when you look at that  
5 on the surface.

6               There is concern that -- there are concerns that  
7 the ICS could create a loss of feedwater event and also  
8 prevent the admission of auxilliary feedwater to the steam  
9 generators, but that concern, in and of itself, is being  
10 addressed separately from any FMEA and FMEA results.

11              CHAIRMAN SMITH: Of the ICS.

12              THE WITNESS: FMEA? ICS? Yes.

13              CHAIRMAN SMITH: I wondered if you had completed  
14 your statement. I was suggesting a completion to your  
15 statement.

16              THE WITNESS: I am sorry. I can make the  
17 statement again. I mean --

18              DR. JORDAN: I think it would be worthwhile to  
19 state it again. What you think the --

20              THE WITNESS: I was trying to make the point that  
21 the concerns regarding ICS control of main feedwater and  
22 also emergency feedwater were being addressed separately  
23 from the FMEA on the ICS. That that is a separate issue  
24 because, one, by virtue of the fact of the short-term orders  
25 which require some manual actions and we heard about that

1 from the witnesses from GTU, and in the longer term because  
2 of the recommendation that comes out of NUREG-0578, which  
3 requires a "safety grade auxilliary feedwater system". And  
4 I believe the Licensee -- both of those issues are addressed  
5 in the restart evaluation.

6           Now, I was going to give at least another example  
7 of how the ICS reliability study does address safety -- I am  
8 sorry, I don't remember your term, safety or health and  
9 safety of the public, and I was going to say that based on  
10 operating experience it was shown that the challenges  
11 created by that system itself are not really that great. So  
12 that says to me that the ICS does do its job, and it does  
13 not create -- does not create a large amount of challenges  
14 to the protection system in any analysis of an overall plant  
15 -- I want to say safety analysis with regard to health and  
16 safety of the public. That the concept of defense in depth  
17 is utilized by the staff. And the first line of defense as  
18 far as electrical instrumentation and control components  
19 goes is the plant control system. If that is a misbehavior  
20 -- misbehavior -- I don't know if that is a word -- the plant  
21 safety systems will be challenged frequently and any system  
22 that is challenged too frequently may, you know, fail. That  
23 is the second portion of defense in depth -- the protection  
24 system.

25           So that is another area where I think the

1 reliability study did show -- what was the word -- the  
2 safety significance of the ICS, or safety consequences. I  
3 am not sure what the wording was.

4 BY MR. SHOLLY: (Resuming)

5 Q Take a look at a couple of sections of the Oak  
6 Ridge report. Take a look on page 7, the second paragraph.  
7 In particular, the last sentence states, "It would not be  
8 impossible for peculiar equipment interactions or operating  
9 conditions to place the ICS at such a disadvantage that it  
10 would respond, although, as designed in an undesirable  
11 way." This is the sort of thing that I think all day has  
12 been raising questions -- I know in my mind -- as to how  
13 useful this failure mode and effects analysis is in terms of  
14 insuring safety.

15 In examining the Oak Ridge report, you stated  
16 before that you took some of the concerns that the Oak Ridge  
17 review made into consideration in preparing your testimony  
18 and arriving at your positions on the FMEA. Did you  
19 consider this particular point?

20 A Well, this particular point I do not consider to  
21 be an indictment of the ICS itself. I think this is a  
22 restatement of the discussion we had with regard to the  
23 Crystal River event. That, given wrong inputs, that the ICS  
24 may respond in undesirable ways -- for example, pulling  
25 control rods.

1 Q Okay. Given that, and that is the case, do you  
2 feel that the B&W failure mode and effects analysis  
3 adequately responds to that type of concern?

4 A I do not think the FMEA, in and of itself,  
5 adequately -- would adequately address that. But in  
6 conjunction with the operating experience and the  
7 conclusions drawn in section six of the Oak Ridge report,  
8 that those, you know, those type of concerns are addressed

9 Q Do you think you would have held the same opinion  
10 before the Crystal River event?

11 A Well, the Crystal River event was highlighted --  
12 to me it highlighted a separate set of concerns other than  
13 ICS. Previous to Crystal River -- and this was mentioned  
14 also -- the Oconee event, which occurred in November of  
15 1979, occurred -- in fact November, 1979, when this report  
16 was being prepared. John Anderson and myself went down to  
17 Oconee after that event occurred. Subsequent to that event  
18 the staff issued I&E Bulletin 79-27.

19 Now, given, you know -- to me that addressed a  
20 separate set of concerns other than the ICS itself.

21 Q What I am concerned about that I think is  
22 happening, and if, after listening to my explanation you  
23 think I am misperceiving things, please clarify it.

24 What seems to me has happened is failure mode and  
25 effects analysis has been done on what the Oak Ridge report



1 feels is a fairly narrow basis. There is some operating  
2 history which expands on that somewhat and the position is  
3 taken, well, this is adequate now. This addresses the  
4 failure mode and effects analysis requirement. The  
5 operating history gives us a pretty good picture of the  
6 reliability and we are pretty comfortable with that until  
7 event A comes along. That is incorporated in the operating  
8 history and now we are satisfied again until event B comes  
9 along and that is incorporated into history.

10           It seems to me that this is parallel with a class  
11 nine accident where a class nine accident is incredible.  
12 TMI 2 happens. Okay, all other ones are still incredible  
13 and we are back to go again. Am I misperceiving something  
14 there?

15           A     Well, I guess I can only speak to the area of  
16 instrumentation and control, you know, systems. And if your  
17 perception is that Oconee and Crystal River -- those events  
18 -- brought in some new concerns, they were not with the  
19 ICS. You know, operating experience is a good teacher. Do  
20 you know I do not know -- you know, I do not know how to  
21 indict the FMEA on the ICS as, you know, problems with --  
22 you know -- should have prevented the Oconee event or the  
23 Crystal River event.

24           Admittedly, you know -- you know, if power supply  
25 modifications could have been made, potentially they could

1 have been prevented. But you know that is only, you know, a  
2 guess.

3 Q Let's move on to another line of questioning. In  
4 your testimony, at page 7, you state that the present ICS  
5 has proven to have a low failure rate and does not initiate  
6 a significant number of plant upsets. Has the staff  
7 reviewed the operational history of the ICS 721 and ICS 820  
8 systems as presented in the Oak Ridge and the B&W reports?

9 A The only review of those systems was the review of  
10 the report BAW-1564.

11 Q You are familiar with the failure rates of those  
12 two systems?

13 A From the report.

14 Q Yes.

15 A Yes.

16 Q Does the staff take any position as to whether the  
17 721 system is more or less acceptable than the 820 system  
18 based on the historical failure rate? Or are both of them  
19 acceptable?

20 A Both of them are acceptable.

21 Q Both are acceptable?

22 A Maybe I should phrase that more -- the staff does  
23 not differentiate between one being more or less acceptable  
24 than the other one.

25 Q In other words, you do not feel there is any

1 significance to the differences in failure rate?

2       A       The failure rate tabulation is not a good  
3 statistical sample to base any conclusion like that on.

4       Q       Okay.

5               DR. LITTLE:  Would you approve a 721 system for a  
6 new plant design?

7               THE WITNESS:  Probably.  Yes.

8               DR. LITTLE:  All right.

9               BY MR. SHOLLY:  (Resuming)

10       Q       In the SER it is indicated that the Licensee has  
11 responded to a number of B&W recommendations on the ICS.  
12 Can you state whether or not Licensee has completed his  
13 response to those B&W recommendations?

14       A       No, I cannot.  I no longer have the responsibility  
15 for the review of those recommendations and the follow-up.

16       Q       You would not be familiar with any schedule, then,  
17 that might have been established for completing those  
18 responses?

19       A       I am familiar with -- I have discussions with some  
20 of the individuals that are responsible for follow-up in  
21 those areas.  And the last indication I had, I believe, was  
22 from something that was to be presented at the ACRS  
23 meeting.  I believe it was last Saturday.  And according to  
24 the information I have, the responses of all B&W licensees,  
25 including Metropolitan Edison, to the recommendations of the

1 B&W -- BAW 1564 -- will be pursued in the first half of 1981.

2           You know that is not official. I am not  
3 responsible for schedules. But that is, you know, my best  
4 answer to that question.

5           MR. SHOLLY: Give me just a moment. Mr. Chairman,  
6 perhaps the Board will appreciate this more than the other  
7 parties. I am having trouble sorting out from everything  
8 that has happened this morning what might have been covered  
9 by this Licensee's witness. It has become increasingly  
10 difficult to be productive.

11           CHAIRMAN SMITH: Would you like to break for this  
12 evening? That way you can go over your notes overnight and  
13 perhaps be more efficient in the morning.

14           MR. SHOLLY: I think so.

15           CHAIRMAN SMITH: Okay. Tomorrow morning we are  
16 going to have the report on the SER supplement. You are  
17 involved in that too, aren't you?

18           MR. SHOLLY: Yes.

19           CHAIRMAN SMITH: Anything further this evening?

20           (No response.)

21           CHAIRMAN SMITH: Let's adjourn until 9:00 a.m.  
22 tomorrow morning.

23           (Whereupon, at 5:52 p.m., the hearing was  
24 adjourned, to reconvene at 9:00 a.m. Wednesday, December 3,  
25 1980.)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

---

in the matter of: METROPOLITAN EDISON COMPANY (TMI UNIT 1)

Date of Proceeding: December 2, 1980


Docket Number: 50-289(Restart)

Place of Proceeding: Harrisburg, Pa.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

David G. Parker

Official Reporter (Typed)



(SIGNATURE OF REPORTER)