j	wb	2
	1	PROCEEDINGS
	2	(1:30 p.m.)
	3	MR. SHEWMON: This is an open meeting of the
	4	Advisory Committee on Reactor Safeguards, Subcommittee on
345	5	Generic Items.
554-2	6	I am Paul Shewmon, subcommittee chairman. The
1 (202)	7	other ACRS member present today is Chester Siess on my
20024	8	right.
4, D.C.	9	The purpose of this meeting is to compare the
OLDN	10	ACRS list of generic items with the NRC Staff's program on
VASHI	11	generic items, in order to ensure the ACRS list of generic
ING. V	12	items is receiving adequate attention. Methods to combine
BUILD	13	the lists on generic items will be explored, and a new
FERS	14	approach for dealing this generic items, given such a merger,
REPOR	15	will also be discussed.
S.W	16	This meeting is being conducted in accordance
EET.	17	with the provisions of the Federal Advisory Committee Act
H SI'H	18	and the Government in the Sunshine Act. Mr. Richard K. Major
11.005	19	is the designated federal employee.
	20	The rules for participation in today's meeting
	21	have been announced in part in the notice of this meeting
	22	previously published February 23 in the Federal Register.
	23	A transcript is being kept, and it is requested
	24	that each speaker identify himself or herself and speak
	25	with sufficient clarify and volume so he or she can readily
	100	

and a

j	wb	3
	1	be heard something I will try to do.
	2	We have not received either written statements or
	3	requescs for time to make oral statements.
	4	Do you have anything to add?
345	5	MR. SIESS: No.
) 554-2	6	MR. SHEWMON: Do you have this (indicating), Karl?
4 (202	7	Does it fit with what you have in mind?
. 2002	8	MR. KNEIL: Yes.
N, D.C	9	MR. SHEWMON: I don't know that I have any
INGTO	10	particular opening remarks. You are familiar with what we
WASH	11	are trying to do, and I think the main concern is to explore
DING.	12	the mechanics of this, and to try to set up a procedure
BUILI	13	where things do not fall in the crack.
TERS	14	So why don't you begin talking, then, on the
REPOI	15	areas of differences between the two lists, as you see them.
S.W	16	MR. KNEIL: Okay. I will make a suggestion that
REET,	17	we shift the agenda around just a little bit.
TH ST	18	MR. SHEWMON: Okay.
300 7	19	MR. SIESS: Rich, we don't have anything other
	20	than this to compare their priorities with our priorities?
	21	MR. MAJOR: I think that is the only thing we
	22	have that gave the priorities, but that is the cross-
	23	reference that we have done.
	24	MR. SIESS: There was a report. There was just a
	25	sheet with some priorities on it. It wasn't in a report, but

j	wb	4
	1	that is all right. We have priorities listed here? Is that
	2	right?
	3	MR. MAJOR: Right.
	4	MR. SIESS: That wasn't the last one, was it?
-2345	5	That was this seven
1 204	6	MR. MAJOR: Yes.
24 (202	7	MR. SIESS: That's the one I was thinking about.
200	8	Of course those were pre-TMI priorities. I am not sure our
N' D'O	9	priorities are the same, now.
NGIO	10	(Slide.)
WASH	11	MR. KNEIL: My name is Karl Kneil from the Generic
ING.	12	Issues Branch. Today we have here myself, Paul Norian,
FILOS	13	Newt Anderson, Tom Cox, and Harold Vandermolen from the
CH3 I	14	Safety Program Evaluation Branch. We are both in the
NOTAN	15	Division of Safety and Technology.
	16	We looked at the agenda that the subcommittee had
. 199	17	put together, and what I am suggesting is we put our
	18	presentation together I think that addresses most of the
	19	items in this agenda. What I would suggest is that you
	20	allow us to make our presentation, interrupting as you see
	21	fit, and then we could go through the rest of your agenda
	22	to regurgitate any items that you felt weren't sufficiently
	23	covered or addressed.
	24	MR. SHEWMON: Fine.
	25	MR. KNEIL: So that the agenda I have is, I will
	-	ALDERSON REPORTING COMPANY, INC.

jwb 1 speak essentially myself; then Paul Norian and Newt Anderson 2 will discuss what we have today, and how we are handling the 3 generic problem today; and Tom Cox and Harold Vandermolen 4 will discuss what our plans are for the future in terms of 5 how we are going to try to address the generic issue problem 000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 and handle it in the future. 7 (Slide.) 8 MR. SIESS: Karl, do you have a definition of a 9 "generic item"? 10 MR. KNEIL: A definition of a generic item? 11 MR. SIESS: Yes. 12 MR. KNEIL: No, we in't have one. 13 MR. SIESS: It seems to me that we are going to 14 have a problem if we don't know what we're talking about. 15 MR. KNEIL: It is one of the things I plan to 16 discuss a little bit on this third item on my talk on 17 general comparison -- ACRS generic items versus the Staff's 18 generic items. I think in connection with that --19 MR. SIESS: We don't have a definition of a 20 "generic item," either. 21 MR. SHEWMON: I was wondering if you were going 22 to talk about the rigor of ours. 23 MR. SIESS: We have a definition, but it is not a particularly helpful one. A "generic item" in the ACRS 20 is any item that has been mentioned in three letters. 25

ALDERSON REPORTING COMPANY, INC.

jw	<i>i</i> b	6
	1	M'. KNEIL: Yes; that's right.
	2	(Laughter.)
	3	MR. SIESS: Now when you get to the question of
	4	why it was mentioned in three letters, that was to make it
345	5	a generic item.
554-2	6	(Laughter.)
4 (202	7	MR. SIESS: So far, no help. Right?
2003	8	Basically, the idea of a generic items list was
N. D.C	9	that these were matters that were of concern that the
OTON	10	committee wanted to be considered on more than just the plant
WASHI	11	the letter was being written on.
DING.	12	Now the framework for this is that the committee
FIIOR	13	gave advice to the Commission, chiefly in the form of
ITERS	14	letters on cases.
REPOR	15	MR. KNEIL: Correct.
S.W	16	MR. SIESS: Now we no longer do that. The last
REET.	17	two years, we haven't had any cases, so we have been writing
LH ST	18	a lot of letters that are very generic.
300 7	19	MR. KNEIL: Right.
1	20	MR. SIESS: But at the time we developed this
1	21	system, we gave advice chiefly in the letters on cases. The
:	22	initial generic items were the Browns Ferry letter, the
:	23	asterisked areas. Do you remember that?
:	24	MR. KNEIL: Yes.
3	25	MR. SIESS: There were certain things mentioned

about Browns Ferry, and there was a footnote with an asterisk that said that these apply to all large power reactors. So the idea was, we wanted them to be generic and not just limited to Browns Ferry.

Now later there was a somewhat inverted use of them. They were items we wanted to be considered, but they did not necessarily place a limit on that particular case. In other words, we put it in the letter. We put it in the letter, say, for plant A. Then that could lead to a licensing condition on plant A, or something of that sort. That was not our intent. We wanted it to be considered as a generic item; but this was a mechanism for bringing it to the attention of the Commission, you see.

MR. KNEIL: Yes.

MR. SIESS: So that is the sort of -- the opposite of the other one, where we wanted it to be considered on that case, and generically. This was sort of to remove the stigma from that particular plant and say it was something we were willing to see considered generically. And when it was resolved, to go back and look at this plant and see to what extent it applied.

So our definition never involved the degree of safety implied, or its importance to safety. They were all assumed to be important to safety. They were identified as "generic" in the sense of several plants versus one plant.

ALDERSON REPORTING COMPANY, INC.

REF-MRTERS HUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 900 TTH STREET, S.W.

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

j	Wb	8
	1	And they were identified in terms of sort of
	2	subjects of interest, rather than as necessary, specific
	3	issues, which is one of the conflicts.
	4	MR. SESS: It was very specific.
345	5	MR. KNEIL: Somewhere, but others weren't. Others
554-2	6	were more subject-related.
(202)	7	MR. SHEWMON: There wasn't a great deal of
20024	8	uniformity.
4, D.C.	9	MR. KNEIL: Right.
NGTOP	10	MR. SIESS: And for many years, we didn't have
NASHI	11	explanations of it, which confused everybody including us.
ING, V	12	We just had a title.
BUILD	13	(Laughter.)
TERS	14	MR. KNEIL: On this slide, I have tried to indi-
REPOR	15	cate the functions of the two branches as they relate to
S.W	16	generic issues. The Generic Issues Branch of the Division
LEET.	17	of Safety Technology's really main fu-ction is to manage
H STH	18	the technical resolution of issues designated as Unresolved
300 71	19	Safety Issues, or "USI"s.
	20	We have many of the task managers in the Branch,
	21	but we still have some task managers outside the Branch.
	22	We are responsible for really resolving those issues, and
	23	managing the resolution of those issues.
	24	MR. SHEWMON: Karl, that is your job this year. It
	25	seems to me it wasn't much more than a year ago that
		ALDERSON REPORTING COMPANY, INC.

	wb	9
	1	Congrass ordained there would be GSIs, and before that USIs,
	2	and there was at that time still a list of these A-11 and
	3	A-12s.
	4	MR. KNEIL: Right.
2345	5	MR. SHEWMON: Were you responsible for coordinating
) 554	6	them at that time?
4 (202	7	MR. KNEIL: Yes. In the rest of these functions,
. 2002	8	that shows up.
N, D.C	9	MR. SHEWMON: Okay.
NGTO	10	MR. KNEIL: We are supposed to monitor the
WASHI	11	implementation of resolved USIs; and we are supposed to
DING.	12	coordinate and monitor technical resolution of the TMI
BUILI	13	Action Plan. And we are supposed to coordinate and monitor
CLERS	14	technical resolution of other generic issues and that is
REPOI	15	the item that you just mentioned.
S.W.	16	MR. SHEWMON: Okay.
REET.	17	MR. KNEIL: So in other words, we have got
LH SL	18	specific technical responsibility for the USIs; and we have
300 7	19	got sort of administrative and partial technical responsibility
	20	in all other areas.
	21	Now the Safety Program Evaluation Branch has
	22	many functions. Two of their functions that relate to
	23	generic issues are stated here: Develop a plan for
	24	resolution of generic safety issues; and develop a method
	25	for prioritization of safety issues to be included in the

ł

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 584-2345

above plan.

So let me talk a little bit now about how we are doing these things, or not doing these things. I would like to bring you up to speed on that.

(Slide.)

First I thought we would just present sort of a summary of the present generic items list where they exist, or where the really dominant ones exist, anyhow. We have the unresolved safety issues -- and I have given the references here.

These references give you either -- usually, a list, and a description of all the issues involved: NUREG 0510 was the original report. NUREG 0705 is the one you don't have yet; we are just polishing it off now. That is on the four new issues.

NUREG 0606 is the Aqua Book, which keeps a quarterly account of the progress schedules on the Unresolved Safety Issues.

Now we have the TMI Action Plan as a big list
of generic issues. It is address in those (indicating) two
reports, NUREG 0660 and NUREG 0737.

We have the Category A Generic Issues, again
with the appropriate references.

We have the Category B, C, and D, with the
appropriate reference; and we have the ACRS Generic Issues --

ALDERSON REPORTING COMPANY, INC.

j	wb	11
	1	and I didn't put down the last reference available for that;
	2	I should have.
	3	In my view, these are the main principal sources
	4	of generic issues that we have.
345	5	(Slide.)
) 554-2	6	At this point, I would like to make sort of a
4 (202	7	general comparison of the ACRS generic issues versus the
. 2002	8	Staff's generic issues.
N, D.C	9	MR. SHEWMON: Where did the Staff's Generic Issues
OTON	10	List come from?
WASHI	11	MR. KNEIL: Well, the original, the first ones we
DING.	12	had were really the A,B,C,D, issues, where there was a
FIIGH	13	which originated in a list of I think it evolved from a
CLERS	14	list of concerns and issues that concerned the Staff.
REPOI	15	Then we went out with some kind of an interroga-
S.W. ,	16	tion within the Staff to compile all the generic issues,
REET,	17	and to kind of prioritize them, and that was the first
TH ST	18	A,B,C,D, list.
300 7	19	MR. SIESS: I think you looked at our list, too,
	20	in that.
	21	MR. KNEIL: I think in the process we looked at
	22	your list, too.
	23	MR. SHEWMON: And this is 0372 was the first
	24	document, then? It is the lowest number on there. Was
	25	that the first time that this got formalized?
		ALDERSON REPORTING COMPANY, INC.

	jwb	12
	1	MR. KNEIL: Yes; that's correct.
	2	MR. SIESS: Is 0372 the Task Action Plan?
	3	MR. KNEIL: Yes. It doe include the Task Action
	4	Plan. They were updated in NUREG 0410.
2345	5	MR. ANDERSON: That's 0371.
924	6	MR. KNEIL: 0371? Did I get it wrong?
4 (202	7	MR. SIESS: That's close.
. 2002	8	(Laughter.)
N, D.C	9	MR. ANDERSON: That's close enough.
OLDNI	10	MR. KNEIL: 0471 is the B,C, and D. It is possible
WASH	11	I got it incorrect, but I thought I copied it from the
DING.	12	report.
I'IIIE	13	MR. SIESS: 0372 sounds right to me.
TERS	14	MR. MAJOR: It is 0371. 0371 is right.
REPOR	15	MR. KNEIL: Okay. I stand corrected.
S.W	16	MR. SHEWMON: Go ahead. Thank you.
REET,	17	MR. KNEIL: If you make the general comparison,
TH ST	18	the subject matter is very similar, and a cross-reference
300 7	19	to the Staff's list can be made for most of the ACRS Generic
	20	Items. We will get into a little more detail on this,
	21	later.
	22	New items could be added to the Staff List to
	23	address opecific ACRS items, as necessary. In other words,
	24	it is not a sacrosanct list. People keep adding to it all
	25	the time. So if it is necessary to accommodate your list to
		ALDERSON REPORTING COMPANY, INC.

jwb 1 add a few more to ours, that would be no problem. 2 This gets into the area, now, of what is the 3 definition? There appears to be a difference in the 4 perceived content of a generic item on the ACRS list versus 5 the Staff list. REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 In my view, the ACRS items tend to be subject-7 related, although some of them are specific issues. The 8 Staff items tend to be more issue-related. I think this 9 distinction is important, because it is hard to resolve a 10 "subject," but a specific "issue" can be resolved. 11 Our experience has shown that we need a focus on 12 an issue to obtain resources, both Staff and contract 13 assistance; to manage it effectively; and to demonstrate 14 that progress has been made. 15 So I think that there are legitimate generic areas 300 7734 STREET, S.W. 16

17

18

19

20

21

of concern to the ACRS that can't be expressed as an issue, but they shouldn't be called "generic issues." They should be addressed in a research program, or an exploratory research program; or there may be generic methods that need work on. That again I don't think is an issue. It is a methods development.

22 So I think what we are trying to do in the 23 generic issues now is to really focus on generic safety 24 issues, rather than just broad subjects. You want to be 25 able to define the issues, and if it takes -- you really

ALDERSON REPORTING COMPANY, INC.

1 can't define the issue; that means it takes an exploratory
2 program to define that issue. We don't want to put it on
3 the issues list until that is done.

MR. SIESS: I don't get your distinction between "subject" and "issue," unless you simply mean that the narrowness of the definition --

MR. KNEIL: Let me try to give you an example. Water hammer, I think, is an example. We've got an Unresolved Safety Issue on water hammer, and it is not moving very well. One of the reasons it is not moving very well, parts of it have been focused, and I think tentatively resolved, but the rest of it isn't focused. We don't have a good understanding of which water hammers are really the ones of concern.

MR. SIESS: That's the question. The ACRS question is, I think: Is water hammer something which should be of concern? That's the first issue. Now maybe that's the subject?

MR. KNEIL: Yes. I think it is a "subject."

20 MR. SIESS: But the fact that it might require 21 research to resolve it doesn't -- I mean, how it is resolved 22 I don't think should be at all a question of how it is 23 defined, whether isr research or technical assistance 24 programs, or someone on the Staff knows the answer. 25 MR. KNEIL: I agree that it is a legitimate area

ALDERSON REPORTING COMPANY, INC.

jwb

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

800 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

	UWD	15
	1	of concern, and the question is
	2	MR. SIESS: But that's on your list, incidentally.
	3	MR. KNEIL: I know it is.
	4	MR. SIESS: That is A-1.
345	5	MR. KNEIL: I know it is. There are those kinds
) 554.2	6	of issues on our list.
4 (203	7	MR. SIESS: Now take your A-2, asymmetric blowdown
. 2002	8	loads. Now that is clearly one that originated with the
N, D.C	9	Staff.
INGTO	10	MR. KNEIL: Well, it originated
WASH	11	MR. SIESS: It has taken quite awhile to define
DING.	12	that one; let's face it.
BUIL	13	MR. KNEIL: Yes, but 1 think it is more specific
RTERS	14	than "water hammer," because it was concerned with a fairly
REPOI	15	specific kind of sequence of happenings. And there was some
S.W. ,	16	conceptual idea of where the problem was that would result
REET.	17	from that a break of a primary system vessel nozzle, or
TH ST	18	near the nozzle, and the asymmetric loads that would result.
300 7	19	I think it was a specific issue, as compared to water
	20	hammer.
	21	MR. SIESS: Let's take the MARK I program.
	22	MR. KNEIL: All right.
	23	MR. SIESS: That ended up being fairly specific.
	24	but it took about two years to break that down into all the
	25	different forces that had to be considered in research. So
	1	

1.1

jwb 16 1 was that an "issue," or a "subject"? 2 MR. KNEIL: I think it was more of an "issue," 3 because it was initiated by the experiments run by GE on 4 MARK III, where they identified certain pool loads that 5 originated from the discharge that hadn't been properly REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 accounted for. So you're right. There had to be a certain 7 amount of exploratory work required to define what kinds of 8 loads were caused by various phenomena; but I still think 9 it is a little bit bigger issue. 10 MR. SHEWMON: If you look at the things that show 11 up on our list that don't on here, decommissioning of 12 reactors is one. Now that is a "subject." 13 MR. SIESS: That is a subject. 14 MR. SHEWMON: You wish things were moving faster, 15 but it is not an "issue." We all agree on that. 300 7TH STREET, S.W., 16 MR. SIESS: You see, I think part of the difference, 17 when Karl says an "issue," I think he puts the word 18 "licensing" before it in his mind. A "licensing issue." 19 And a "licensing issue" to the Staff is one they might have 20 to go before a Hearing Board with. 21 MR. KNEIL: Yes. 22 MR. SIESS: Now if you want to make that distinc-23 tion --24 MR. KNEIL: That is a safety issue. It is a 25 licensing issue because it is a safety issue.

1 MR. SIESS: There may be many safety issues that 2 may not yet be licensing issues; but a licensing issue is 3 one the lawyers say you'd better get an answer to this or 4 you're going to have trouble. 5 MR. KNEIL: Right. 300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 MR. SIESS: Now I think maybe that is part of your 7 thinking in that definition, that distinction between 8 "subject" and "issue." 9 MR. KNEIL: Yes. That's right. 10 MR. SIESS: To the degree you can define it, and 11 the degree with which it has already been defined, many 12 subjects can end up being "issues" with a little work on 13 defining them. 14 MR. KNEIL: Correct. Sometimes not so little, 15 though. Sometimes there's a hell of a lot of work involved 16 in defining an issue. 17 MR. SIESS: And sometimes your issues expand into 18 subjects. 19 MR. KNEIL: An issue can expand, that's correct, 20 from additional work on it. 21 MR. SIESS: I would rather see the distinction 22 made in the degree of definition of a narrowness, rather 23 than a couple of words like "subject" and "issue" which are 24 very subjective. 25 MR. KNEIL: Okay.

jwb

ALDERSON REPORTING COMPANY, INC.

)WD	2
	1	MR. SIESS: But I don't think those are
	2	characteristics that clearly delineate the two lists. I
	3	think you've got "subjects" on your list, and we've got
	4	"issues" on ours.
345	5	MR. KNEIL: Agreed.
0 354-2	6	AR. SHEWMON: But I think the point of, given a
4 (202	7	subject you'd like to stay interested in is a valid one
2002	8	MR. SIESS: Oh, yes.
N, D.C	9	MR. SHEWMON: Because my own frustrations as a
NGTO	10	relatively newcomer have been well, stress corrosion
NASEI	11	cracking of stainless steel. A hundred years from now we
ING.	12	can say whether it is resolved; now we just have procedures
11100	13	and it is an interesting subject.
CUT I	14	MR. SIESS: Right.
12-LON	15	MR. SHEWMON: Go ahead.
	16	(Slide.)
	17	MR. KNEIL: On this slide, I have tried to
	18	summarize the present Staff activities on generic issuec.
-	19	In other words, what are we doing now on generic issues?
	20	On the first one, "Unresolved Safety Issues,"
	21	resolution is actively being pursued by task managers in
	22	the GIB Branch, or outside using Staff and contractor
	23	assistance.
	24	This is the example of where I think we are
	25	working in a satisfactory way. We identify the issues; we

T2

44.4

	jwb	19 s
	1	plan for them; we work on resolution; we go out for public
	2	comment; and we change the licensing guidance and implement
	3	it on the plants.
	4	MR. SIESS: Now in implementation, that has been
2345	5	one of our problems, in that we reported issues as "resolved"
924-3	6	and the Reg Guide came out without really looking at the
14 (202	7	implementation.
2003	8	MR. KNEIL: Right.
N, D.C	9	MR. SIESS: Now on your Unresolved Safety Issues,
INGTO	10	how is the implementation resolved specifically, backfit?
WASH	11	MR. KNEIL: We try to address the backfit during
DING,	12	the resolution of the issue. In other words, the resolution
BUILI	13	of the issue addresses classes of plants with certain
RTERS	14	characteristics, and the fix should be accordingly. And
REPO	15	I think for the most part, the more successful backfits are
S.W	16	done where that is thought very clearly through during the
REET.	17	resolution process.
TH ST	18	MR. SIESS: And you no longer have an RRRC
300 7	19	Committee to review backfits?
	20	MR. KNEIL: That is correct; we don't. But we
	27	do have the SPEB, which have the same function. In other
	22	words, part of our review during the final resolution phase
	23	is to subject our draft resolutions to review by the Safety
	24	Program Evaluation Branch, which then looks at cost/benefit
	25	and other things about the resolution.

	JWD	20
	1	MR. SIESS: But, you see, the SPEB is at a quite
	2	different level than the RRRC was. RRRC was a policy-level
	3	decision-making group.
	4	MR. KNEIL: Right.
345	5	MR. SIESS: And the SPEB is not policy level.
5.1-2	6	MR. KNEIL: NO.
(202)	7	MR. SIESS: So is a review of these recommendations
20024	8	MR. KNEIL: Yes. We work with them, and then that
V, D.C.	9	goes up through the Director of Safety Technology, and on
NGTON	10	to the Director of NRR.
VASHI	11	It is also possible that the Committee the
ING. W	12	Committee of course is involved in commenting on resolution,
BUILD	13	the ACRS. So they get involved at that point, also.
LERS	14	MR. SIESS: On USI.
EPOR	15	MR. KNEIL: That's right.
W H	16	MR. SIESS: And that has been quite recent, I
EET, S	17	think. We are now officially involved in that?
H STR	18	MR. KNEIL: Yes. I think you have been involved
11 (10)	19	in just about every one we've done.
	20	MR. SHEWMON: Let me interrupt you again. I have
	21	got on my list of documents to be read, now, a couple of
	22	NUREGs which are resolutions of A items.
	23	MR. KNEIL: Okay.
	24	MR. SHEWMON: Once that is put out, there is not
	25	any formal way, or a requirement that the ACRS comment on

ינ	MD	21
	1	those, is there? Or is there?
	2	MR. SIESS: There are USIs.
	3	MR. KNEIL: There are two categories of reports.
	4	MR. SHEWMON: I'm pot asking about USIs, though.
2345	5	MR. KNEIL: There are several issues we put out a
1) 554-	6	final report on. I think in most of those cases we have
4 (202	7	been working with the Committee on it. So the Committee
3002	8	should not have been surprised by what we finally came up
N, D.(9	with.
INGTO	10	MR. SHEWMON: No, the subcommittee is not.
WASH	11	MR. KNEIL: In future cases we are going out for
DING.	12	comment, and we are going to finish our work, and publish
BUILI	13	a draft for comment.
CLERS	14	MR. SHEWMON: On any A issue?
KEPOI	15	MR. KNEIL: Yes, on any A USI.
S.W.	16	MR. SIESS: That is USI?
REEL,	17	MR. KNEIL: That is USI; right.
19 11	18	MR. SHEWMON: My comment was on A generic items.
1 000	19	MR. KNEIL: We are planning what to do there. And
	20	if you feel that you ought to be involved, it is something
	21	we would like to hear at this meeting.
:	22	MR. SHEWMON: No, I'm not saying that so much as
:	23	inquiring as to whether or how well it has been thought out.
	24	I think that is something the Committee has to get involved
:	25	in, too.
	1	

jwb 22 1 MR. SIESS: Yes, clearly. 2 MR. KNEIL: We've got a plan for that which will 3 be presented by Tom Cox, and I think the plan does include 4 an ACRS participation on resolution of generic issues. 5 MR. SIESS: Karl, if the ACRS is going to, let's ó say, consolidate its list with the Staff, then I think the 7 ACRS is going to want to relate to the Staff's list in much 8 the same way it did to its own. That is, it will want to 9 be able to add items to the list, or to propose items. 10 MR. KNEIL: Right. 11 MR. SIESS: And it wants to be able to review the 12 resolution, just like we did on our Generic Items List. The 13 Staff would come in every six months, at one time, and say 14 we think this is resolved for these reasons, and the Committee 15 would either agree or disagree. 16 So I think we would want to be involved in the 17 resolution of every item on your list, A through D. We talk 18 about As, because As are the ones you're working on --19 MR. KNEIL: We agree with that, and our plan does 20 involve just that. And a plan, which you will hear from 21 Tom Cox -- he'll show you where that is included in his 22 plan. 23 MR. SIESS: Now are all the TMI Action Plan iter # 24 considered generic items? 25 MR. KNEIL: Well, I consider them generic items.

REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

100 TTH STREET, S.W.

j	wb	2	23
	1	It is a separate list.	
	2	Going back to unresolved safety issues for just a	1
	3	minute	
	4	MR. SIESS: It's not prioritized, though.	
342	5	MR. KNEIL: Yes, they were prioritized, both by	
004-2	6	the Staff and by the Committee.	
(202)	7	MR. SIESS: But not versus the generic issues.	
2002	8	MR. KNEIL: No.	
, D.C.	9	MR. SIESS: And now you've got two lists, each	
10101	10	with its own priorities	
Unice	11	MR. KNEIL: Right.	
NG, W	12	MR. SIESS: and how do you negotiate those?	
	13	MR. KNEIL: I think for the moment we will just	
I CUT	14	have to proceed down the Action Plan and keep it separate,	
NO.13	15	not just for for show purposes I don't think we can	
	16	separate the Action Plan and mix it in with every other	
	17	issue, at this time. I think down the pike a little bit,	
	18	we can.	
	19	MR. NORIAN: Most of those dates are short-term	
	20	dates. By "short-term," I mean they are supposed to be	
	21	completed this year. So hopefully that will clear out of	
	22	this picture sometime soon.	
	23	MR. SIESS: I'm not going to hold my breath.	
	24	MR. KNEIL: I think we are well aware of the	
	25	statements we made with the way you see the Committee	

1 participation, and an opportunity to provide new issues, and 2 an opportunity to comment on the resolution of issues. We 3 have actually interjected a third point: An opportunity to 4 comment on the proposed plan for resolution. 5 MR. SIESS: Yes. Now I guess, too, you would have 300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 to include that we would want the opportunity to comment on 7 your new issues. That is, any issue --8 MR. KNEIL: Okay. We have done that in USIs. We 9 have done all those things with the USIs. 10 MR. SIESS: Sure. And those were at the top of 11 the list. Because if you just add an item that we have no 12 interest in, then when it comes to the resolution of it, 13 we should have no interest in it, and that puts two 14 categories in there. 15 MR. KNEIL: Yes. 16 MR. SIESS: I said "the opportunity" to comment. 17 MR. KNEIL: I understand, and we missed that one --18 although we did cover it under USIs. We both offered you an 19 opportunity to comment on the new cnes, and an opportunity to 20 suggest new ones. 21 MR. SIESS: There is a problem with, if you put 22 the USIs in too special a category, then the Committee gets 23 real itchy about what is in the USI list. 24 MR. KNEIL: I am not leaning on them so much as 25 being a special category; I am leaning on them because we

24

jwb

	jwb	25
	1	have had experience, and I want to use that experience and
	2	the benefit from that experience in developing our eventual
	3	plan.
	4	MR. SIESS: A good approach.
345	5	MR. KNEIL: Now the status is reported quarterly
654 2	6	in NUREG 0606, the Aqua Book. Now we have recognized the
1 (202	7	problem of implementation, also, in the Aqua Book. If you
2002	8	look at some of the more recent issues, we discuss implementa-
N, D.C	9	tion in the foreword; and we have added we have two
NGTO	10	summary tables in the front.
NASHI	11	The first summary table is the same as in the
UNG.	12	past, where it discusses essentially on the active projects
BUILL	13	where they are.
TERS	14	The second summary table, which is on USIs for
REPON	15	which technical resolution is complete. It gives the USI
S.W.	16	in the report, and the implementation status, and the
CEET,	17	implementation task manager in the Division of Licensing.
H SIL	18	MR. SIESS: You used the word "technical
1 000	19	resolution." That means you know what you ought to do
	20	MR. KNEIL: That's correct.
	21	MR. SIESS: You know how important it is, but the
	22	final action hasn't been taken. The rule requiring that
	23	hasn't been done; if the Reg Guide is required, that hasn't
	24	been done. Does it also mean that the implementation hasn't
	25	been settled? Or is that part of the technical resolution?

1 MR. KNEIL: I didn't understand. 2 MR. SIESS: When the technical issue has been 3 resolved, does that mean that the implementation has been 4 resolved. 'echnically? Do you know now whether it is to be 5 000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345 backfit or not? Do you want it backfit or not? 6 MR. KNEIL: Yes. In some cases we may not know 7 exactly the extent of backfit. That may be one of the 8 things that still has to be ironed out in the actual 9 backfitting implementation on the plant. But certainly it :0 is desirable that we have a good understanding of the extent 11 of backfit when we come to the technical resolution. 12 MR. SIESS: So "technical resolution," the other 13 side of the coin, is, what, administrative resolution? 14 Or policy change? 15 MR. KNEIL: Well, the other side of the coin is 16 implementation in licensing guidance, and on the plants. 17 That is how we distinguish implementation. You have to 18 implement it both into the licensing process in future 19 plants, and we have to backfit it to the extent that it is 20 required to be backfitted on operating plants. 21 MR. SIESS: So technical resolution versus 22 physical implementation? 23 MR. KNEIL: Right And implementation into the 24 licensing process. 25 MR. SIESS: Into the process.

ALDERSON REPORTING COMPANY, INC.

jwb

jwb 1 MR. KNEIL: We won't be doing that, but we will be 2 monitoring it, and presumably for USIs you will be able to 3 find that out by just going to this second table here, and 4 it will tell you what the status is of where we are. And if 5 900 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345 you need more detail, it will tell you who to go to. 6 Now the TMI Action Plan, some issues have been 7 resolved and are being implemented, and the resolution is 3 being pursued on many issues by assigned individuals using 9 Staff and contractor assistance. 10 Now the status is reported quarterly in the 11 Action Plan Tracking System. 12 MR. SIESS: What color is that? 13 MR. KNEIL: It's not a color; it is a computer 14 output. We do it quarterly, and it is put on a computer, so 15 it is much more flexible in that sense. It is updated 16 quarterly. Paul Norian is going to talk to us briefly about 17 that specifically, so it will give you a feel for how we 18 are trying to put a handle on those issues. 19 MR. SHEWMON: Does that mean, then, that anybody 20 who goes up to the Phillips Buildi, g and finds a terminal 21 can find out what that is, guarte ly? 22 MR. KNEIL: You should be able to find out easier 23 than that. We are issuing our -- or we are issuing at the 24 present, I guess quarterly, a compilation that should be 25 available in general. That (indicating) is an example of it.

ALDERSON REPORTING COMPANY, INC.

j	wb	28
	1	(Mr. Norian holds up a computer printout.)
	2	MR. KNEIL: Paul will give you just a little bit
	3	of a discussion on that.
	4	Now what are we doing now on other generic issues?
345	5	Other generic issues, we have had some activity on various
) 554-2	6	issues. A new compilation of other generic issues has been
4 (202	7	initiated.
. 2002	8	MR. SIESS: By "others," do you mean B,C,Ds?
N, D.C	9	MR. KNEIL: That's right. That's correct. The
INGTO	10	As that are not USIs, and the B,C,Ds, and any others. We
WASH	11	are devoloping a plan for handling generic issues.
DING.	12	MR. SIESS: The B,C,D priorities were set about
BUILI	13	three years ago.
KLERS	14	MR. KNEIL: Yes.
REPOI	15	MR. SIESS: Have those been reviewed? Or are they
S.W. ,	16	in the process?
REET,	17	MR. KNEIL: They will be reviewed as part of this
TH ST	18	process. That is part of our presentation.
300 7	19	MR. SIESS: I suspect a lot of those priorities
	20	have changed.
	21	MR. KNEIL: That is correct. There is a lot of
	22	duplication, I think, among issues. There are quite a few
	23	of the B,C,D issues that are not really safety issues. Some
	24	of them are environmental things like that. So that will
	25	be what we will do is reprocess this issue in accordance

jwb

1 with the plan we are developing. 2 So that completes my discussion. Let's see. The 3 next item was, I think Paul will tell you a little bit about 4 the Action Plan Tracking System, which is the kind of thing 5 000 7TH STREET, S.W., REPOR. ERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 we are developing to keep track of the generic issues. 6 MR. SIESS: I think we need a criterion that if 7 we have a generic issue and we haven't done anything about 8 it in five years, it can't be that important. 9 (Laughter.) 10 (Slide.) 11 MR. NORIAN: I only have one slide. The purpose 12 of this system is to come up with some means to keep track 13 of a list of items that has lots of subparts. 14 The key to this plan is that a lead reviewer is 15 assigned to each item in the plan. We are trying to come up 16 with a system to keep track of these items. We wanted to 17 have each person in charge of some part of the plan fill out 18 a form. 19 The form is attached to the handout. What we 20 are trying to do with this form is to get it all on one 21 page, so the person wouldn't think it was a burden to fill 22 it out, and do this from time to time in this way to keep 23 track of where we stood. 24 MR. SIESS: Excuse me. What Branch are you in, 25 Paul?

29

	jwb	30
	1	MR. NORIAN: I am with Karl Kneil's Branch.
2) 551-2345	2	MR. SIESS: The reviewers come from where?
	3	MR. KNEIL: All over.
	4	MR. NORIAN: Research, Standards
	5	MR. SIESS: Anywhere?
	6	MR. KNEIL: Most of them are in the NRR.
4 (202	7	MR. NORIAN: The purpose of this form is to tell
C. 2002	8	you why the work will be done. Sometimes just the title
N, D.C	9	won't tell you that. What the milestones are, what has been
NCTO	10	done so fac, what the status is. And the last point is:
WASHIP	11	We have some snags that have come up that perhaps more
DING.	12	people should know about.
BUILI	13	Each q arter, these forms are sent out to these
TERS	14	people. They are `led out. We get them back, and as
REPOR	15	Karl was saying we have them put out in this big listing,
S.W.	16	which is then sent out t each Branch.
CEET.	17	MR. SIESS: How my items in there?
H SIL	18	MR. NORIAN: There 'e 150 or so main items, and
IT ONE	19	some of them have got subgroups. We monitor all the
	20	subgroups here, too, and the total comes out to be around
	21	350 items, 366. We are saying that this is done each three
	22	or four months, and the next time this will be done will be
	23	May. It has been done twice, so far. May will be the third
	24	time.
	25	What we are trying to come up with here is a

package where someone can go to to find out what the status is of one item on the list. If what he wants to know is not in here, it gives him a contact and a telephone. You can call that person and ask him all you want to know, and hopefully he is the right contact.

MR. SIESS: Who uses that, besides us, maybe?

MR. NORIAN: It is used by the Chairman quite a bit to keep track of the Action Plan. This is done primarily for him. He goes through the list and has his questions. He met with the Staff a month ago, and all those items that showed some slip, he had the people there explain to him why we had that slip.

It is used by Harold Denton so he knows what the status is, and so on down the list. But the Chairman does look at this. This is his key means to find out what is going on.

This was all I had to say.

MR. SHEWMON: Okay. Thank you.

MR. SIESS: What is the last date for any item on there for completion? You said earlier, most of these were short-term?

MR. NORIAN: A good part of them. I went through
them some time ago, and a good part of them were supposed
to be completed the first of this year. But I think some
of the dates are listed only as "after '82." So they have

ALDERSON REPORTING COMPANY, INC.

4-2345

jwb

. 1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

300 71'H STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

- 1		
		been kind of put off with no fixed date. But I think most
	2	of them are in 0660, are scheduled to be completed this
	3	year.
	4	MR. ANDERSON: I am Newt Anderson, also with the
345	5	Generic Issues Branch, and I have two slides.
554-2	6	(Slide.)
1 (202)	7	First of all, we will look at how we implement, or
2002	8	how we manage the implementation of the resolution of USIs.
V, D.C.	9	Karl mentioned that it is our responsibility for the
NGTON	10	technical resolution, and also initiating the implementation.
NASHI	11	By "initiating," we take the necessary actions to get it
ING, V	12	started, and then follow through to see that the implementa-
BUILD	13	tion does take place.
FERS	14	We issue a NUREG Report which details technical
LEPOR	15	resolution, and in most instances is a pretty detailed
S.W	16	picture of what is required for the implementation. In some
EET, S	17	cases, the implementation starts before we really achieve
H STR	18	technical resolution and get our NUREG Report out.
TT 008	19	Okay, on the operating plants the Division of
	20	Licensing has their own
	21	MP SHEWMON: Let me stop you to just see what that
	22	means. BWR nozzle cracking A-10. The NUREG came out
	23	April 30, 1980. Now where on that schedule will this
	24	NUREG detailing resolution? Or is this NUREG do you have
	25	a chapter in this NUREG which spells it out, and that is what

jwb

ALDERSON REPORTING COMPANY, INC.

	jwb	33
	1	you mean by you issuing a NUREG?
	2	MR. ANDERSON: Yes. That's right. A-10 is a good
	3	example. I think A-10 does specify how the implementation
	4	will be handled.
345	5	MR. SHEWMON: And that is a NUREG you're talking
664-2	6	about?
4 (202	7	MR. ANDERSON: That is the NUREG we're talking
2003	8	about.
N. D.C	9	MR. KNEIL: Actually, I think the one you referred
NGTO	10	to for April 30th is the one out for comment. The final
WASHI	11	one came out in November.
NING,	12	MR. ANDERSON: Yes.
BUILI	13	MR. KNEIL: The implementation letter went out
TERS	14	after the November letter. We are in the process of
REPOR	15	implementing that, now.
S.W. ,	16	MR. SHEWMON: Okay, this is the November Aqua Book.
REET,	17	MR. KNEIL: That is not up-to-date. That is one
IN STI	18	of the ones we resolved.
300 71	19	MR. ANDERSON: We have a later version of the
	20	Aqua Book out now.
	21	The Division of Licensing maintains their own
	22	generic list. Their generic list is really a multi-plant
	23	action items that includes the implementation of USIs and
	24	other generic concerns, as well as other action items on
	25	operating plants that is the plight of more than one plant.

34
MR. SIESS: By "Action Items," do vou mean "Action
2 Plan Items," 0660 items?
MR. ANDERSON: Yes.
MR. SIESS: I just wondered what you meant by
"action items." Is it broader than that?
MR. ANDERSON: Yes, it is broader than the
generic issues. I can give you a copy of their latest list,
if you would like to see what is on it.
MR. SIESS: Yes; sure.
(Mr. Anderson hands document to Mr. Siess.)
MR. ANDERSON: The penciled marks I have on that
copy are the new ones that have gone on recently. You will
note that unfortunately they have numbered their list "A
through E," so they have an Item A-1, also.
MR. SHEWMON: Which isn't your item?
MR. ANDERSON: It is not our A-1; it is their A-1.
MR. SIESS: Are those their priorities on here?
MR. ANDERSON: Those are priorities, yes. They
are general categories of priorities. They just add the new
A items at the end of the list.
MR. SHEWMON: But A is higher priority than B?
MR. ANDERSON: That's what they tell me, yes.
MR. SIESS: And these numbers out here (indicating)
are the number of plants they have?
MR. ANDERSON: You: that's correct. They have an

Action item on each plant, for each item. So we are interfacing our system with theirs. On the operating plants, we inform them -- we so far have not done it formally, although we intend to proceed in that manner -- we informed them that this has been resolved and is ready for implementation. And of course they know this beforehand, and we get them in on the act as soon as we can. They will assign a project manager responsibility for coordinating the implementation. He follows it. He

technical reviewers to do the work. And he also provides us with status reports on the implementation that we need for our Aqua Book. MR. SIESS: Now these are SER-type items, aren't

writes the necessary task forms to contract with the

they? Are they where they've got a problem in writing an SER, essentially?

MR. ANDERSON: Most of those do show up in the SERs; that's correct. But not all of them, though. Okay? We have had a number of discussions with them about interfacing our system. We feel it is going to be a pretty smoothe operation, because they are pretty interested of course in getting the information for us. And we are very interested in seeing that they do proceed with the implementation.

ALDERSON REPORTING COMPANY, INC.

000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

jwb

1

2

3

4

5

6

7

8

9

14

15

16

17

18

19

20

21

22

23

24

25

Okay, as far as the Licensing requirements are concerned, that is the changes in the Standard Review Plans and Reg Guides. We also initiate those changes. We prepare a letter to the Licensing Guidance Branch, which is also in the Division of Safety Technology, detailing what Standard

Review Plan changes are necessary.

The Licensing Guidance Branch will then proceed with those changes. We also write to the Standards people detailing the changes, the necessary changes and regulatory guides, and if necessary requirements for rulemaking. And of course we coordinate closely with the Standards people as we near the point for technical resolution.

MR. SIESS: When you issue the NUREG detailing the resolution, it would have included in it the needed changes in the Standard Review Plan, Regulatory Guides, and Regulations?

MR. ANDERSON: That's right; although I don't think that's universally true.

MR. KNEIL: That is what we're shooting for. MR. SIESS: Okay.

21 MR. KNEIL: In some cases, we have achieved that 22 like A-36, heavy loads. We've got very specific recommenda-23 tions requiring Standard Review Plan exact language, even, 24 and Reg Guide.

MR. SIESS: And in some cases, those won't really

ALDERSON REPORTING COMPANY, INC.

000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

36

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20
jwb

1

2

3

4

5

6

7

8

9

10

11

12

REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

300 7TH STREET, S.W.,

25

gel until after they have been discussed some. You may not have them in there initially. They will develop as you go through the implementation.

MR. KNEIL: Well, we will try to do that before. We are trying to get that discussion in the fore-comment period. That is why we are going out for comment. In general, we will be going out for comment with all our NUREGS, and what we will try to get in the fore-comment period is this kind of discussion from industry, from the public where they feel there are inequities or impossibilities or difficulties. We will get those kinds of comments at that point.

13 MR. SIESS: I think this is excellent, because it gives us an excellent audit trail, if you want to say that, 14 15 so that five years from now somebody can remember why something was done. But suppose it wasn't done that way 16 17 for some existing thing you have, or one that you just don't really see the path that clearly until you have 18 discussed it more with licensing, or they have tried to 19 implement it. Would there be any record kept on -- a file 20 kept, for example, on the issue that would show all of 21 22 these things that were done subsequent to the NUREG, if somebody wanted to take an issue and follow it all the way 23 24 through to its complete implementation?

Are your files set up in such a way that that is

ALDERSON REPORTING COMPANY, INC.

jwb

1

2

all there?

	2	MR. KNEIL: Well, the responses to the implementa-
	3	tion letters do have are related to the generic issues.
	4	MR. SIESS: I mean, at a level of Reg Guide that
1345	5	you didn't anticipate a Reg Guide when you wrote a NUREG,
) 554-1	6	but that two years later it turned out that the Reg Guide
4 (202	7	was the best way to do it. Or maybe it turned out that you
. 2002	8	managed to get a change made in ASME Section 3, as a part
N, D.C	9	of the implementation of this resolution. Would that be
NGTO	10	documented somewhere why that change was made in Section 3,
WASHI	11	and that this was the result of this?
NING,	12	MR. KNEIL: I think it would, because if there
BUILL	13	was some kind of a change like that, I think it would
TERS	14	involve us again in the Generic Issues Branch, since we
REPOR	15	are responsible for those kinds of issues. We should get
S.W	16	an opportunity to participate further.
REET,	17	I would think that if they reopened the issue,
TH STI	18	essentially
300 7	19	MR. SIESS: This would be part of the resolution.
	20	Maybe at the time you didn't think it needed a change in
	21	ASME, but it turned out that was the best way to do it.
	22	MR. ANDERSON: Yes. There is some gap in the
	23	logic between the time we issue our report, and say it is
	24	technically resolved, until we actually get changes to the
	25	Reg Guide or the Standard Review Plan.

ALDERSON REPORTING COMPANY, INC.

1 MR. KNEIL: I think it is a very valid point. 2 MR. SIESS: I've been involved in writing codes 3 for years and, darn it, there are times when nobody remembers 4 why something was done. And it would be very important to 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 know why it was done, or to know what came up, and what was 6 done about it. It keeps you from making the same mistakes 7 over and over, or retraiting something you did for a good 8 reason. I mean, it is a little bit thinking like an 9 historian, but you might just think about that. 10 MR. KNEIL: Yes. 11 MR. ANDERSON: Okay, and as I think has been 12 mentioned before, the progress on implementation is reported, 13 is monitored and it is reported in the Aqua Book. We have 14 been attempting to provide more information in those tables. 15 We are going to try to continue to make that 000 7TH STREET, S.W. , 16 book as meaningful as we can. And of course all of the 17 completed USIs we will continue to list in the book, with 18 the status of implementation. 19 MR. SIESS: Now, you know, this is an excellent 20 procedure, and I could assume assume that if you ever get 21 around to addressing A items, the remaining A items or even 22 B items, unless you simply keep upgrading them, that they 23 would be treated in a similar fashion? Is that right? 24 MR. ANDERSON: I would think that we would track 25 it, as well.

jwb

ALDERSON REPORTING COMPANY, INC.

jwb 1 MR. KNEIL: I think the plan that we will be 2 presenting here does treat them in a similar fashion. As 3 that presentation is given, if you see any weaknesses in 4 that plan, we would like to know about them. 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 MR. SIESS: Okay. But now to go back to what Paul 6 said about the TMI Action Plan Items, are they being 7 documented and followed in the same way? 8 MR. NORIAN: Not in this kind of detail. 9 MR. SIESS: Is there a document like the first 10 one up there, whether it's a NUREG or not 1 don't care, but 11 is there something that says this is the technical resolution? 12 MR. NORIAN: I don't believe it is that formal. 13 Some of them may have that, but I am not sure. 14 MR. SIESS: They must have a technical resolution, 15 and eventually they get embodied in the SRP Reg Guides, or 300 7TH STREET, S.W. 16 regulations, don't they? And I wouldn't think they would 17 get embodied in the Regulations, or in the Licensing 18 process, which is what the Licensing -- without some sort of 19 documented resolution.

20 MR. NORIAN: When it gets to the point that they 21 have to make a change at the plant, then a letter goes out 22 like a NUREG 0737.

23 MR. SIESS: That is generic. When we get down 24 to -- you know, I'm just looking to see the changes in 25 licensing requirements, and Acticn Plan items end up in

ALDERSON REPORTING COMPANY, INC.

jwb

1

ŝ

changes.

	2	MR. ANDERSON: I suppose the closest thing to the
	3	statement on NUREG 0578, for instance, that document details
	4	what the requirements are for short-term lessons learned
2345	5	for instar e, and then they were implemented on the plant
\$) 554	6	based on the requirements stated in that NUREG.
24 (20)	7	MR. SIESS: But your NUREG, your Item one up there,
C. 200	8	isn't just saying what the requirements are. It is the
N, D.(9	technical resolution. It is saying, this is the problem.
NGM	10	This is what we think needs to be done to solve the problem.
WASH	11	Right?
DING.	12	MR. KNEIL: Right.
BUIL	13	MR. SIESS: And why.
RTERS	14	MR. KNEIL: Right. It provides a detailed
REPO	15	reasoning that led up to the requirements.
S.W	16	MR. SIESS: Yes, and the justification, if you
REET	17	wish, the technical justification for it. That is one
ITH ST	18	reason you send it out for comment; you get a review of it.
300	19	Right?
	20	MR. KNEIL: Right.
	21	MR. SIESS: As well as the people who don't want
	22	to do it have all the reasons why they don't want to.
	23	MR. NORIAN: You know, certain parts of the Action
	24	Plan said such things as "change the Reg Guide." That was
	25	the item in the Action Plan. Or, "write a new rule." Or,

ALDERSON REPORTING COMPANY, INC.

1 "write a paper for the Commission to decide what they want 2 to do. And that was the end product of that item in the 3 Action Plan. 4 So each item there does not go through all these 5 000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 steps. Of course some of them said, you know, "retrain the 6 operators." 7 MR. SIESS: It has gone through some of these 8 steps. There have been changes in licensing requirements as 9 a result of TMI Action Plan Items. And those have been 10 carried out by the Division of Licensing, by Office of 11 Standards Development, you know, whoever is responsible for 12 changing the licensing requirements. 13 But I was really wondering about the technical 14 documentation. Now some of that is in 0660. It discusses 15 it and says why you need something. 16 MR. KNEIL: I don't think there is a consistent 17 way of presenting the resolution of each Action Plan Item. 13 MR. NORIAN: I think that's correct. 19 MR. SIESS: Yes. Well, that is peripheral, because 20 right now we are worried about the Generic Items List. 21 MR. ANDERSON: If the Generic Issues Branch had 22 done it, obviously it would have been much better. 23 (Laughter.) 24 25

jwb

MR. SIESS: We have handled the generic items not much differently through this subcommittee, so we will

	jwb	43
	1	forget about it.
.C. 20024 (202) 50+2345	2	MR. ANDERSON: Okay. You asked us to compare the
	3	lists, and while we've done a lot of looking at the list,
	4	we have not done much to match that closely.
	5	So we did go through and put together some
	6	comparison.
	7	(Slide.)
	8	I can't swear that all of these numbers are
N, D.C	9	correct, but I think they are pretty close. Okay, these
NGTO	10	are the basic list that we're using for a comparison is
WASHI	11	our A,B,C,D list. Currently there are 141 issues on it.
DING, 1	12	Some are being worked on; some aren't. Some of the may be
BUILI	13	completed and fully implemented, although they are still
CLEHS	14	carried on that list.
REPOI	15	Okay, of these 141 issues, there are 48 As,
S.W.	16	73 Bs, 17 Cs, and 3 Ds.
GEET.	17	On the A issues, 29 of them are USIs. Some of
H SIL	18	the USIs embody more than one A issue like A-3, -4, and
3000 11	19	-5 are one issue. Six of them are TMI Action Lian Items
	20	which we are still carrying on that list.
	21	MR. SIESS: Which were on the list before the
	22	TMI Action Plan.
	23	MR ANDERSON: That's correct.
	24	Twenty-five of the A items cover either in total,
	25	or are related to one or more of the ACRS issues. Of the

	jwb	44					
	1	73 Bs, 10 are USIs or related to USIs; 9 TMI Action Plan;					
	2	25 cover, or are related to ACRS.					
-2345	3	Of the 17 C issues, 3 USIs, and 4 ACRS; no TMI					
	4	Action Plans.					
	5	And all three of our D issues cover ACRS issues.					
2) 554-	6	MR. SHEWMON: Let me come back. You have As, we					
24 (20)	7	have As, NRR has As, but the "As" you are referring to here					
.C. 2002	8	are the ACRS As?					
ON, D.	9	MR. ANDERSON: No. These are the Staff's list					
WASHINGTO	10	of A,B,C,D items. This is NUREG 0737.					
	11	MR. SIESS: We've got priorities A,B, and C, on					
DING.	12	our own unresolved issues. We had a D in, but none of them					
BUIL	13	got a D, I think.					
RTERS	14	MR. SHEWMON: Okay, so these are your As?					
2PO	15	MR. SIESS: That is their list.					
S.W.	16	MR. ANDERSON: This would be one value of					
REET	17	combining the list.					
ITH S	18	MR. SIESS: You say all the lists compare					
300	19	M SHEWMON: Partial comparison.					
	20	MR. ANDERSON: Well					
	21	MR. SHEWMON: Okay, so the first time where you					
	22	say anything about the ACRS list is that 25 cover or are					
	23	related to one or more ACRS items?					
	24	MR. SIESS: If I add that up, I get 57 ACRS items					
	25	there.					

	jwb	45
	1	MR. ANDERSON: Out of 48.
	2	MR. SIESS: Out of and how many do we have?
	3	MR. ANDERSON: We have 77 issues.
	4	MR. SIESS: So there are 27 of our issues?
345	5	MR. ANDERSON: Some of the issues on the Staff's
554-2	6	list, there are three ACRS items which are related to it.
4 (202	7	MR. SIESS: Okay. But all of our items are on your
. 2002	8	list?
N, D.C	9	MR. ANDERSON: No.
NGTO	10	MR. KNEIL: No.
NASHI	11	MR. ANDERSON: There are 28 of your items that
ING, I	12	are not on the Staff list.
BUILD	13	MR. SIESS: Of our unresolved items?
TERS	14	MR. KNEIL: No. Eleven. Eleven of your unresolved
REPOR	15	items.
S.W.	16	MR. ANDERSON: And some of those unresolved items
IEET,	17	MR. SIESS: Rich, how many unresolved items do
HIS H	18	we have in Report 7?
300 11	19	MR. MAJOR: Twenty-some.
	20	MR. SIESS: Unresolved?
	21	MR. MAJOR: Twenty-some unresolved.
	22	MR. SIESS: And 52 that are resolved?
	23	MR. SHEWMON: We're too contentious a group.
	24	MR. SIESS: No, that's right. We had 52 in the
	25	"resolved" list, and we went up to a total of 77. So you
		이 방법은 것은 것은 것은 것은 것은 것은 것은 것이 같아요. 것은 것을 하는 것을 하는 것을 수 있다. 것은 것을 하는 것은 것을 하는 것은 것을 하는 것은 것을 하는 것을 수 있다. 것은 것을 하는 것은 것을 하는 것을 수 있다. 것은 것을 하는 것은 것을 수 있다. 것은 것을 하는 것은 것을 수 있다. 것은 것을 것을 수 있다. 것은 것을 하는 것은 것을 수 있다. 것은 것을 것을 하는 것은 것을 것을 것을 것을 것을 것을 것을 수 있다. 것은 것을

iwh

ť	dvi	46
	1	have included all of our lists.
	2	MR. ANDERSON: That's correct.
	3	MR. SIESS: We had only 25 unresolved items. Okay.
	4	MR. ANDERSON: I am using the Staff's list
345	5	as a basis for comparison.
564-2	6	MR. SIESS: That's all right.
4 (202)	7	MR. ANDERSON: Just to give you some idea of how
2003	8	they compared.
N, D.C	9	MR. SIESS: But it is appropriate that you got all
NGTO	10	of our unresolved items on your list.
NASHI	11	MR. ANDERSON: Well, I don't believe that I can
ING.	12	say that.
BUILD	13	MR. SIESS: Well, they've got to be, because we
TERS	14	only had 77 total, and you say there are 77 ACRS items, and
REPOR	15	that includes what we call "resolved," and that is
S.W. , 1	16	appropriate, because our definition of "resolved" meant
LEET,	17	that there was a Reg Guide, but the implementation really
HI STE	18	hadn't been looked at. So we have reopened that, in a way,
300 71	19	to say: Let's look at the implementation of the resolved
	20	item. So it is appropriate that you have everything listed
	21	there.
	22	MR. ANDERSON: On the 11 where you have indicated
	23	"further reviews," some of those items were previously
	24	resolved that one of the committees wanted to reoper or
	25	look at further.

	awc	47
	1	MR. SIESS: Yes. And the "no action required" is
	2	our statement of no action required?
	3	MR. ANDERSON: That is your statement.
	4	MR. SIESS: Yes. This is from some of that stuff
2345	5	we sent out.
2) 554	6	MR. ANDERSON: That concludes my presentation.
14 (202	7	MR. SIESS: Paul, I did a correlation a couple of
005	8	years ago on the priorities that we had assigned, and you
N, D.G	9	had assigned, your A,B,C,Ds, and our A,B,C,Ds. And as I
INGTO	10	recall, at that time, I made just a little matrix, A,B,C,D,
WASH	11	it was symmetrical about the diagonal. In other words,
DING,	12	there were about one-half of the items where we agreed on
FIINB	13	priorities, and about half where we didn't.
TERS	14	MR. ANDERSON: Yes.
REPOH	15	MR. SIESS: But your priorities, I'm sure, if you
S.W	16	tried to assign priorities now, they would be different.
REET.	17	MR. ANDERSON: Yes. That is obviously true. Some
TH ST	18	of the NRC issues are USIs, now.
300 7	19	MR. SIESS: So I think we really have to start
	20	over on priorities, as far as
• 3	21	MR. ANDERSON: Yes. That's the next subject.
- 4	22	MR. SIESS: We can go through Rich's list. I
	23	don't think we have done that, have we, to see what the
	24	correlations were, and to do it? Do we only have the
	25	priorities on certain items? The unresolved items are the

e

-4		14	5
-	- 14		C 3
			~
- 2			

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

only	/ ones	we	had?

MR. MAJOR: Yes.

MR. SHEWMON: Go ahead.

MR. COX: My name is Tom Cox. I am in the Safety Program Evaluation Branch, which is in the Division of Safety Technology.

What I am here to describe today is really a plan for the future. I don't mean to imply in any way that we are doing this now -- although certainly there are parts of it that we wish we were able to be doing already -- but we have put together tentatively a plan for how we think the overall management of the safety issues ought to be conducted.

This is still a working item right now within NRR. In fact, it is within the Division of Safety Technology. It has been exercised and discussed among several of the managers, including our Division Manager, Dr. Murley, who has been in on discussions on this. We think this plan has some promise, but there is some work to be done on it, and there are many details to be worked out yet. But we are glad for the opportunity to talk to you about it, and hope for your comments.

I think it will address some of the questions that have come up already today.

(Slide.)

1 Now to try to come to grips with some terminology 2 early on, some problems that have come up earlier today. 3 You will notice it is called a "Plan for the Resolution of 4 Safety Issues," both "resolution" and "safety" are key words 5 here, in that we are trying to move to the idea, and in fact 6 actually working out issues such that resolution will mean 7 both the specification of a technical resolution, or at least 8 an objective resolution, and a detailed plan for getting that 9 resolution implemented. 10

49

In fact, we are trying to more effectively address the responsibility to really make sure the Applicants or Licensees have in fact implemented what has become a Licensing requirement.

So "resolution" in the broadest sense in the title of this plan means both getting a resolution, and seeing that it is implemented.

17 "Safety issues" means pretty much just that. The 18 plan I am talking about here is mainly geared to handle 19 issues that are really posed in a pro and con sense, or 20 something that earlier to ay has been called a "subject," has really been distilled into an issue that involves a 21 certain identified risk reduction, or potential for risk 23 reduction in a plant.

Those are the kinds of things that are mainly
keyed to in this plan as it stands here today.

ALDERSON REPORTING COMPANY, INC.

jwb

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

11

12

13

14

15

Well, what were the objectives? We started out trying to develop a systematic method for managing development of safety issues, which come up from all sources.

We are going to work on new issues that are surfaced as concerns. Many of these are from the ACRS, and we want to implement the requirements that result from that. Sometimes we are really talking about implementing no requirements. Such as there are quite a few RRRC decisions on the book that were labeled at the time "Category 2," which means a case-by-case implementation. When it comes up, there have been sporadic efforts to try to get into the applications that are still on the books, and implement those requirements. But it hasn't been terribly effective yet.

Of course we have new requirements to implement, too. You know what those are. Primarily they are coming out of TMI, and represented by these various NUREGS that the other men have described to you already.

So we are not just talking about newly identified concerns and issues that aren't really developed yet; but in fact we have some requirements around that may benefit from a controlled, managed, overall process of looking at the requirements, and actively managing how they are implemented.

24 Another objective was -- and this is called out 25 separately as a distinct objective, because it is so key to

ALDERSON REPORTING COMPANY, INC.

REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 300 7TH STREET S.W.,

15

16

17

18

19

20

21

22

23

jwb

1

2

3

4

5

6

7

8

9

the successful operation of what we are trying to do here -a systematic, overall method of managing issues development and implementation prioritization.

We feel this is a key element in this successful program, simply because there are so many issues even now that there is simply no way to responsibly allocate resources, but to prioritize. And we expect this prioritization method, which we will get into pretty soon today, to both support decisions on resource allocation, and to help in a quantitative value impact assessment.

The process itself will lend to overall stabilizing a complete licensing process through these several items listed here. If we can get a systematic method going for controlling development and implementation, it will help us make backfit decisions for new and old requirements. We will be able to develop standardized generic solutions, and we want especially to get industrY involved to help us specify, or help develop those solutions.

We can establish controlled implementation -"trackaple," if you will, controlled implementation that is,
first of all, set up in order by the priorities we will
assign. Secondly, through the documentation that will come
out of a more formal process.

24 We will be able to manage the order in which 25 things are implemented, and the effort that the industry

ALDERSON REPORTING COMPANY, INC.

00 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

puts into it. It will help us define and document the decision criteria in a more formalized, systematic process. As you know, it is relatively obvious that that should result in documented decisions that are easily recalled, regained, even up to years later, so that they can be reviewed.

Lastly, if we can do all of the above, we will obviously g eatly improve the public perception of what goes on at the Agency, and how we control what has come to be known as "ratcheting" over the last few years. That is just a survey of what we were shooting for here.

MR. SHEWMON: You and the Generic Issues Branch issues, or the USI Branch, the Generic Issues Branch, are both in the same Division? Is that right?

MR. COX: That is right.

MR. SHEWMON: You are talking about things that sound rather similar to what we have been hearing about for the last hour or two.

MR. COX: Right.

MR. SHEWMON: Would you tell me what part of the universe you are talking about, now, as distinct from what Karl was talking about?

23 MR. COX: I am talking about time future. Our
 24 charter currently is to plan for a systematized process
 25 to be put in place over some period of time, from starting

ALDERSON REPORTING COMPANY, INC.

1 now, that will take over a large amount of what has been set 2 up now in individual actions. You know, you see an Aqua 3 Book that has taken care of an Action Plan. There are other 4 ways of tracking USIs. 5 There are -- let's see. Well, in some cases, there 6 aren't formalized ways yet of managing what we call "generic 7 issues" that aren't USIS. We are trying to put together a 8 process that will gather all of the new issues development 9 up into one workflow process, s. that it can be accounted 10

53

for, so that all of the items can be accounted for, and they can all be worked on in relative order of importance one to another, and that is where the prioritization comes in.

We have a number of separate programs now. The total process should be combined in the future.

MR. KNEIL: That is basically it. We've got a number of separate programs, now, and we want really one ideal program that incorporates all the features that are deemed to be desirable.

MR. SHEWMON: So you will have a bigger APTS that covers all of them?

MR. COX: That's one way of looking at it. What we thought yesterday was, you see the Aqua Book there. As those items are completed, the Aqua Book could ultimately become a "super" Aqua Book, which had all generic items in it, rather than just those for the Action Plan.

ALDERSON REPORTING COMPANY, INC.

jwb

D.C. 20024 (202) 554-2345

00 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON

11

12

13

14

15

16

17

5	wb	54	
	1	MR. SHEWMON: Okay. Thank you.	
	2	MR. COX: All right. Now I would like to go	
	3	through some of the steps involved in what we now, to date,	
	4	see in this process.	
2345	5	(Slide.)	
. +9e ()	6	First, to give you an overview of it, primarily	
4 (202	7	again we are looking at, first of all, identifying all the	
2. 2002	8	issues. In the past hour-and-a half, you have seen	
N, D.C	9	different lists, and we have discussed different places	
INGTO	10	where these issues come from. They have been around for a	
WASH	11	long time. We have new concerns. That line (indicating) car	1
DING.	12	mean brand-new items that maybe come up today, or yesterday,	
BUIL	13	or tomorrow, in the future.	
RTERS	14	We have current issues that perhaps would be	
REPOI	15	represented by the 0372 NUREG, or the 0410 NUREG, where you	
S.W. ,	16	see the Staff's issues in Categories A,B,C,D. Those are	
REET.	17	not all unresolved safety issues, USIs, but nevertheless	
TH ST	18	they are current issues which we are not working on all of.	
300 7	19	Then the last group dould by called "approved	
	20	requirements." Those are things that are already on the	
	21	books which have not been implemented yet, perhaps, and	
	22	i	
	23	among them all the RRRC decisions; other approved	
	24	requirements would be 0737 coming out of the TMI Program;	
	25	and of course all of the Action Plan.	

Now those have some prioritization done on them already, but we are now talking about for the future, and perhaps a different way of prioritizing with a little more quantitative aspect to the whole prioritization list.

The key element here, again, is prioritizing. You see the very next step after identifying all the issues is prioritizing. What this means is, literally, a master priority list based on risk reduction that is a potential risk reduction that we can identify using probabilistic techniques, in part, and we consider the cost, the cost both to industry and the NRC of achieving this potential risk reduction.

Now that is a scheme which is worth a discussion all by itself, and Harold Vandermolen will tell you about that after I finish this.

Once that master priority list is achieved, and it can have many issues on it as we can manage to put on it, the ultimate would be to have every issue on that list in some ranking order. It might include as many as, I think at this time we have about 150 to 180 total issues, if you include all the issues that we know of.

Then that list could be used to justify resource allocations within NRR or the Agency, and to actually line up the amount of work we would spend in any one budget cycle, and on what issues we're going to spend it. But it could be

ALDERSON REPORTING COMPANY, INC.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

21

step.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

used as a tool.

So we are not saying here it would be the exclusive tool, but it would extainly be a powerful tool. Having that master list -- and it is a living list that could be changed as requirements are developed more precisely, as costs are evaluated more precisely -- that list would be used to govern a lot of our activities. Let's say that we have the list of activities, and whatever portion of that list we have chosen to work We would then go, or those issues, those items would on. then go into the development step which involves essentially, for the very sophisticated, complicated, large-scope items, it would involve Task Action Plans, several or a lot of people working on them. For the very simple issues that have a clearcut solution, there would be very little effort. But that step would be done. That is a technical resolution

Our posit ons are developed, and implementation plans are developed on a relatively specific basis. Classes 20 of plants, groups of plants would be set out as grou . that are going to get specific technical resolutions.

22 During that phase, quite a bit of interaction 23 would take place with the various peer review groups like 24 the ACRS, like various industry groups, other parts of the 25 Agency, wherever the technical expertise was to resolve that

ALDERSON REPORTING COMPANY, INC.

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

issue, that would be used.

2

As a result of that effort, the formal changed documents would be prepared. These are your SRP changes, standard tech spec changes, regulatory guides, those things that actually govern licensing reviews.

When those documents are prepared, they will be issued for public comment, and ACRS comment, much in the way that we now handle SRP revisions. And after comment and consideration of the comments, and incorporation of the comments resulting in changes in the formal documents, the requirements would ultimately get issued, and the Division of Licensing would manage the implementation on individual dockets.

Following that, there would be actual implementation audit conducted by perhaps NRR, and I&E, and to varying degrees participation to ensure that plants really were getting these changes in place as necessary, and applications that weren't plants yet, that the applications would be getting these requirements into their docketed licensing material.

Now that is perhaps a little too long on that one. (Slide.)

Let's look at the first -- Well, let me quickly
review the steps in the process. Let me just go through
them again to make sure: Identification, first, the

ALDERSON REPORTING COMPANY, INC.

collection of all the issues; prioritizing, which would be a continuing activity and which could have feedback into various other steps of the process; a development phase where the actual technical resolutions are worked out, along with implementation plans; then the formal documentation; and out for public and ACRS comment. It comes back in. The comments are incorporated, and the formal requirements, if that were the product, if that were the review, would then be issued by the Division of Safety Technology in the various licensing documents.

Then it would go to the Division of Licensing, and the Division of Licensing would prioritize the requirements for implementation on plants.

Now this prioritization at this stage is not that different from the earlier prioritization, except that that Division is dealing with actual plants, operating plants as well as license applications, and it could well be that there would be some reasons for changing the implementation order from an original prioritization list simply because of plant-related considerations like shutdown periods, or whatever.

So they would have some option to slightly change
the priority of implementation. Now when that implementation priority list is decided upon, then they would issue
the requirements to the licensees and applicants.

ALDERSON REPORTING COMPANY, INC.

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

j	wb	59
	1	Following that, the actual implementation would
	2	be verified.
	3	MR. SHEWMON: This is a process to do what?
	4	MR. COX: To control, to manage the resolution of
345	5	new issues.
554-2	6	MR. SHEWMON: New issues, only?
(202)	7	MR. COX: Generic safety issues.
20024	8	MR. SHEWMON: New issues, only?
V, D.C.	9	MR. COX: No. Strike "new" and write "generic
NGTO	10	safety issues."
NASHI	11	(Slide.)
ING.	12	Now to get into just a little bit about what we
BUILD	13	mean by "identification," the first step in the process,
TERS	14	all the sources and the requirements or the issues would
REPOR	15	come into the Division of Safety Technology with descrip-
S.W	16	tions of what those issues were.
EET,	17	Now to some, obviously starting today, there are
H STH	18	many issues that are already written up. We have 0410 and
300 71	19	0372. We have Task Action Plans on many issues. But for a
	20	new issue, we would need some descriptive writeup as to
	21	what the issue was.
	22	The Division of Safety Technology would receive
	23	that and collect them all, and screen them. And what we
	24	are screening them for is to make sure that there's enough
	25	information there to do a prioritization. That is the

1 information you see there as Item 3 that we would be 2 looking for, and that we would need, and that we would 3 want to the degree possible for initiating organization to 4 give us regarding a new issue: observed operating data, 5 potential event sequences, the risk reduction value. 6 We generally would do that in series released 7 per plant year -- year, or reactor year -- because again 8 we have identified a specific risk reduction that could 9 possibly be achieved. 10 We would be looking for recommended technical 11 solutions, if there are any at that stage. The originators 12 recommendations, if any, organizations that might participate 13 in the resolution. And of course any estimated industry 14 and NRC resources to affect the fix. 15 MR. SIESS: Before you leave that, it seems to 16 me you are asking the person who raised the question to 17 provide the answers. 18 MR. COX: All we are indicating here is that is

jwb

REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

300 7TH STREET, S.W.

19

20

what "to the degree possible" means. If there were very little of that available --

21 MR. SIESS: So that requires some kind of a 22 significant assessment that a lot of people, including the 23 ACRS, if we could go through that process, we would make a 24 recommendation to the Commission, not the generic items 25 list. A "generic tem" is an item that somebody has

ALDERSON REPORTING COMPANY, INC.

identified as being of concern. They don't necessarily know how much concern it is until somebody has made the risk analysis, and it may turn out to be of no concern at all.

But if I could carry an item that far, I could make the decision as to whether it ought to be done.

MR. COX: Well, at this point, we don't know how this compares to any of the other items that are coming in.

MR. SIESS: That may be. And on observed operating data, I can think of a lot of things that have been on our lists that did not really result from operating data, because the list started back at Browns Ferry, and we did not have all that much operating experience.

Now, sure, we're getting a lot of them out of Operations, but a lot of them are coming out of a certain amount of "what if'ing" that is going on.

So I say that, to the degree possible, and "as appropriate," might be helpful there. But it seems to me you are asking for an awful lot, because to get all that much, what do you have to do?

MR. COX: That is what we will see in the next few slides. We want it to be as comprehensive as possible in asking questions, so we would not be accused --

MR. SIESS: You want a good question, I can see
that. But it seems to me like you're going a little bit
beyond that and what the answer, too.

ALDERSON REPORTING COMPANY, INC.

REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 300 7TH STREET, S.W.

61

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

MR. KNEIL: We want a good question. We do want a good question.

HR. SIESS: I think that is important, and I am sitting here listening because I think that is one of ACRS's problems. We haven't always defined our questions as well as we should. The committee has been told that if we don't do this, and submit generic items for you to include, we're going to have to do a better job of defining them.

MR. KNEIL: I think, as I indicated before, I think there are legitimate areas of interest where you can't ask good questions. But I think they ought to be directed elsewhere. In other words, directed to Research, or --

MR. SIESS: But I don't know that these things should not go through the Licensing Staff before it goes to Research. I'm not sure that they ought to -- Well, we are always making suggestions to Research, as you well know, but if you are going to have a Generic Items Branch type thing, that is one place within the Commission where all of these items of generic, or potential generic concern, or generic potential concern -- I don't care where you put the "potential" -- comes together.

Now the disposition of them? Do you send them to Research for a solution? Do you send them to the contractor for the solution? Do you go somewhere else for a solution?

ALDERSON REPORTING COMPANY, INC.

REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 100 TTH STREET, S.W. .

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

jwb 63 1 Maybe you just go to the Commission for a solution. Maybe 2 that is all that is required is a policy decision. 3 It seems to me that you don't want people bypassing 4 you, necessarily, simply because they have a question. 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 MR. COX: That's right. Maybe I could give you 6 an example of how this might work. 7 MR. SIESS: Because I haven't found that Research 8 is so darned profficient in asking questions, either. That 9 should be part of their job. 10 MR. KNEIL: The suggestion you just made certainly 11 has merit. I hadn't really thought of it that way, that 12 we should be making the recommendations. Perhaps we should 13 be, that the Division of Safety Technology should be making 14 the recommendations regarding the disposition of a subject, 15 if it cannot be expressed as an issue that we can handle. 300 7TH STREET, S.W. 16 MR. SIESS: Well, some of your issues are going to 17 be solved by Research, too. They are going to call for 18 Research. 19 MR. KNEIL: Yes. Certainly they will be making 20 contributions; that's right. I just think you can ask 21 Research, because I know, like you said, you do as Research 22 as a way out for you. 23 MR. SIESS: You can ask Research, too. You are 24 officially a user office. We're not even officially a user 25 office.

3	WD	64
	1	MR. COX: May I move on?
24 (202) 554-2345	2	MR. SIESS: Yes.
	3	(Slide.)
	4	I would just like to give you the scope of one
	5	of our difficulties. Here are most of the places from
	6	which we can get issues, concerns, whatever the term would
	7	be, potential sources of requirements. That is not too good
. 2002	8	a term in the title there, because the requirements would be
N, D.C	9	the end product of work done on materials submitted by these
OT DNI	10	various sources.
WASHI	11	You can see and I'm not so sure I should read
DING,	12	them all I'm sorry. Do you all have, or you should have
FIIINH	13	copies of every one of these slides in front of you.
FLERS	14	MR. SHEWMON: Yes.
REPOI	15	MR. SIESS: We have them.
S.W. ,	16	MR. CCX: You can go through them pretty well.
REET.	17	Some of the lesser known ones, perhaps, might be the newer
TH ST	18	IREP and NREP activities, which we fully expect are going
300 7	19	to yield some proposed new issues to look at; NRR generic
	20	letters
	21	MR. SIESS: What is an "NRR generic letter"?
	22	MR. COX: That would be a letter out of the
	23	Director's office on a generic matter.
	24	MR. SIESS: Have they written any of those?
	25	MR. COX: In fact, I think you mentioned one
		ALDERSON REPORTING COMPANY, INC.

1 earlier, the asymmetric loads on vessels was one that came 2 out with just that kind of a letter. I think that largely 3 now has been superceded, or more often you will see that kind 4 of thing come out in number six, 10 CFR 30.54 letter, put 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 out by the Division of Licensing; I&E bulletins; I&E 6 transfer of responsibility; transfer of lead responsibility; 7 SER confirmatory analysis; issues raised by participants 8 in Category 4 items. You may remember some of those as 9 something that didn't quite make it into RRRC, but it was 10 approved by the Director as being important enough to be 11 considered. 12 (Slide.) 13 We have some more Regulatory Guides, backfitting 14 of previously approved Guide. That would fall under the 15 category of the RRRCs. 300 7TH STREET, S.W. . 16 MR. SIESS: How did the Reg Guides get in there? 17 That is an end product. 18 MR. COX: That's right. We are not allowed to use 19 the word "requirement," though. 20 MR. SHEWMON: Are you referring to asking more 21 questions than there are answers? 22 MR. SIESS: They're not supposed to. An SRP 23 would be, SRP revisions mean they have to be implemented 24 in Licensing. I see what you mean. These are Licensing 25 requirements that DL has to worry about.

jwb

ALDERSON REPORTING COMPANY, INC.

	jwb	66
	1	MR. COX: Or a proposed revision under today's
	2	operating principles; proposed revision might come to DST.
	3	MR. SIESS: You mean a proposed Regulatory Guide?
	4	MR. COX: That's right. Yes, I see your distinction
2345	5	there. That's true.
2) 554	6	MR. SIESS: And a proposed SRP revision has to
24 (20)	7	be evaluated, essentially.
0. 200	8	MR. COX: That's correct.
N, D.	9	MR. SIESS: Okay.
NGTO	10	(Slide.)
WASH	11	MR. COX: So I have here these sources that might
DING.	12	yield requirements.
BUIL	13	Okay, now after getting the requirements
KLERS	14	reasonably defined so we can go into this step, we now want
REPOI	15	to try to prioritize them. We want to order them so that
5.W.	16	we can make some recommendation on how much effort should
REET.	17	be expended on what issues.
IH SI	18	We want to develop a preliminary estimate
1 0002	19	MR. SIESS: A lot of those things I'm still
	20	bothered by some of those things in your list. If there is
	21	a proposed new Regulatory Guide, presumably all the work
	22	has been done on it. I don't see what you've got left to
	23	do on it.
	24	MR. COX: Let me say that that list is really
	25	reflecting how things are today; that that is where we've
		비행하는 것에서 잘 잘 잘 잘 들었다. 그는 것이 아이들은 것이 가지 않는 것이 가지 않는 것이 같이 하는 것이 않는 것이 없다. 같이 없는 것이 않는 것이 없는 것이 없다. 않는 것이 없는 것이 않는 것이 없는 것이 않는 것이 않는 것이 없는 것이 않는 것 않 않는 것이 않이 않는 것이 않 않 않다. 않는 것이 않는 것이 않이 않는 않는 것이 않는 것이 않이 않이 않는 것이 않이 않이 않

	1.04	
	1	gotten the requirements. The point I think I'm trying to
	2	get across there is
	3	MR. SIESS: The proposed Regulatory Guide is a
VASHINGTON, D.C. 20024 (202) 554-2345	4	new requirement. That is the final product.
	5	MR. COX: That's right.
	6	MR. SIESS: And I don't see how it belongs in a
	7	list with the AEOD's recommendation, which has no force and
	8	effect whatever until somebody does something about it.
	9	MR. COX: We are only indicating
	10	MR. SIESS: There is nothing to be done on a new
	11	Regulatory Guide.
ING! A	12	MR. COX: We wouldn't for the future.
MILLO	13	MR. SIESS: Okay. Go ahead.
ENS	14	MR. SHEWMON: You have in the past, but you're
ELUM	15	only talking about the future.
W R	16	MR. COX: We're talking about a process.
6 .133	17	MR SIESS: That is why I am suspicious. That's
Wie I	18	all right. Go ahead.
	19	MR. COX: What we are saying is, all those sources
•	20	were not centralized. They did not go through one point,
	21	as we hope to do in the future, to run all proposed new
	22	issues or requirements, proposed requirements, before there
	23	is technical work done on them, we want to collect the
	24	questions in the Division of Safety Technology, and enter
	25	this process with them.
	-	

jwb

1 MR. SIESS: So you are prioritizing the Staff's 2 effort, either you or one of your people, and a proposed 3 Regulatory Guide or an SRP change doesn't require any more 4 Staff effort. Those things just don't belong in here. The 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 work has already been done. 6 Now if it is a requested Regulatory Juide, and 7 somebody has got to decide whether OSD works on it or not, 8 that is something else. But that is not --9 MR. COX: I would be willing to concede that a 10 proposed Regulatory Guide would not be the form in which we 11 would receive material into this process in the future. 12 MR. SIESS: And you still are prioritizing NRR's 13 activity, or the whole Commission activity. 14 MR. COX: Wherever work is necessary to come up 15 with a technical solution. 300 7TH STREET, S.W., 16 MR. SIESS: All right. Somebody in DST, I think 17 that is where a lot of them originate, or the DSI, thinks 18 they ought to be, or in Licensing thinks they need a Regula-19 tory Guide on Licensing protection for nuclear power plants, 20 now they kick that over to Standards, and Standards sees it 21 as a man-year's work. 22 Is it the idea that this group will try to

23 prioritize that effort?

24

25

jwb

MR. KNEIL: Yes.

MR. COX: But in the future, I don't think it would

68

1 necessarily work that way. We would hope that the organiza-2 tion in which the reviewer first gets that idea would deliver 3 that as a concern, or as an issue to the DST, rather than 4 going to Standards first. 5 200 7TH STREET, S.W., REPORTERS JUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 What you described is the way it has happened now 6 or in the past. 7 MR. SIESS: Well, I am thinking of a very specific 8 case where DST did think they needed a Reg Guide, and they 9 asked Standards to do something on it, and it got out of 10 hand. But what I am saying is, this will require a certain 11 amount of work in DST to decide whether they need it, and 12 then it is going to require work in Standards to develop it. 13 Now Standards may have all the time in the world 14 to do something, or DST not, or vice versa. The prioritiza-15 tion might have to take into account who is going to do it, 16 and what their workload is. 17 MR. KNEIL: Well, the prioritization is being 18 designed so we can decide what resources, if resources 19 should be applied. 20 MR. SIESS: No matter where? 21 MR. KNEIL: Right. 22 MR. SIESS: Including Research? 23 MR. KNEIL: Right. 24 MR. COX: Strictly a safety benefit versus cost 25 type thing.

jwb

ALDERSON REPORTING COMPANY, INC.

jwb 70 1 MR. SIESS: So you can take all of the requests 2 you can send to Research, and prioritize them in advance 3 couldn't you? You can give them A, B, C, and D priorities. 4 so Research could allocate their funds as they might get them. 5 300 7fH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 MR. KNEIL: Within the limited scope of issues, 6 yes. 7 MR. SIESS: Yes, but presumably the research that 8 is being done is on an issue, isn't? 9 MR. KNEIL: On an issue, or related to one, yes. 10 MR. SIESS: So I hope we are not --11 MR. COX: Or at least a concern. 12 MR. SIESS: That is supposed to be the way it is. 13 We spend a lot of money over there in Research. I hope we 14 are spending it on issues. 15 MR. SHEWMON: Karl, the item this comes up on in 16 your list is "resolution of generic safety issues," and this 17 is so general and so broad, I am having trouble seeing where 18 it is going to come in to help us write a letter tomorrow. 19 Could we say: That's nice. When you get farther 20 down the road a year from now, we will hear from you again? 21 Or where does it tie back in? 22 MR. KNEIL: Our presentation is in two parts. 23 What are we doing now, so that you gain a better understanding 24 and confidence that we're in reasonable condition now. And 25 the other is: Where are we going?

1 We are giving you that so that you can have the 2 opportunity to comment, and also that you will feel confident 3 that in the future the system we are setting up is something 4 you will be able to operate with effectively. 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 555 2345 MR. SIESS: Yes. 5 MR. SHEWMON: Well, I am not sure you are doing 7 that right now. Because it seems to me you're talking --8 you know, it reminds me of one of these diagrams the 9 metallurgist sets up, and metallurgy is in the middle of the 10 graph, and everything else is appended to it. And what you 11 said is: All issues generated anyplace will filter through 12 this tube, and that is one man's perception, and that may 13 be a good way to set up an organization. 14 But our only concern is how we would be able to 15 put additional items on the list, it seems to me. And if 300 7TH STREET, S.W. 16 there are other things here. I guess I would like a little 17 enlightenment as to how they tie into what the subcommittee's 18 particular job is today. 19 MR. SIESS: I think Karl --20 MR. KNEIL: You are high on the list, the ACRS 21 concerns is high on this input list. I think we are trying 22 to go into a little bit too much detail at this point, and 23 maybe we could just speed it up a little bit. 24 MR. SIESS: Yes. I think it is enough for us to 25 know that you're working on a system to handle it. But I

ALDERSON REPORTING COMPANY, INC.

1.1

jwb

	WD	72
	1	think what we need to work out is how we are going to
	2	resolve disagreements with the Staff on priorities on our
	3	items.
	4	MR. KNEIL: Right. That is a matter of concern
345	5	to us.
554-2	6	MR. SIESS: Do you see what I mean?
1 (202)	7	MR. COX: Do you want to move right to the
2002	8	discussion on prioritization, which of course is in the
N. D.C.	9	future?
NGIO	10	MR. KNEIL: Why don't you go through what you
WASLA	11	have quickly, and maybe Dr. Shewmon
INC'	12	MR. SIESS: You've got the last item there that
BUILL	13	is of some interest. You would inform us of the priority
CH EHS	14	of any issue we propose.
NELON	15	MR. COX: And of course the one right before that,
	16	it says: A master list is published priodically. You can
Inda I	17	have it constantly. It is a public document. Any organiza-
0	18	tion can petition for a change in the order of things.
-	19	If you don't see an issue on there, if you don't
	20	believe it is of high enough priority
	21	MR. SIESS: But, you see, what I am trying to keep
	22	in mind, the ACRS is unique in relation to this, because if
	23	this were set up, it could apply by policy to everybody in
	24	the Commission, but not to the ACRS. In other words, if the
	25	ACRS thought something was Priority A, and everybody else in
		AL DERSON REPORTING COMPANY INC
jwb 1 the Commission thought it was C, we still are independent to 2 the extent that we can write a separate letter, or prepare 3 a separate list and say: This is an A. 4 MR. COX: True. 5 MR. SIESS: Not that it will do any good, 6 necessarily, but this has been one of the problems in the 7 past. We have had generic items, and nothing was being 8 done about them, and we kept fussing about it, and all we 9 can do is fuss. But we can make our own list. And what we 10 are trying to do here is get away from making our own list, 11 and at least feel that we've got a fair amount of confidence 12 that we will end up about as well off in terms of getting 13 something done, having it on your list, as having it on our 14 lisc. 15

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (292) 554-2345

16

17

18

19

20

21

22

This is the kind of thing the committee has got to be convinced of. Now the fact that we think it is an A, and that you think it is a B, isn't the important thing. If we think that it is more likely to get something done about it being on your list with all your procedures for getting something done, we might end up being happy to have it on your list as a B, since the procedure behind it that isn't behind our A.

23 MR. KNEIL: I think when we get through with 24 developing this, it will be obvious to you where we're 25 prioritized it. It will be obvious to you whether that

ALDERSON REPORTING COMPANY, INC.

-	DWD	74
	1	prioritization means that it is being worked on or not. So
	2	that you will have better information than you have had in
	3	the past regarding what the status of an item is that you
C. 20024 (202) 554-2345	4	are interested in.
	5	MR. SIESS: Let me interrupt for just a minute,
	6	can I, Paul?
	7	MR. SHEWMON: Yes.
	8	MR. SIESS: I don't think the prioritization is
N, U.C	9	going to be a big hangup, and I don't want to overemphasize
NGIO	10	ic. I went through the list on the 28 resolution-pending
NASHI	11	items from the ACRS list, and those are the only ones we
ING.	12	had put priorities on.
PUID	13	We had A,B,Cs. We didn't have a D. We had a
CN13 I	14	D, but we didn't use it. And I compared that list with
UD Jan	15	your priorities on the same items. Of those 25 items, I
	16	guess they were, there were only six instances in which
-	17	your priority is lower than ours.
	18	Two of those, you had a B where we had an A.
-	19	One you had a C where we had an A. And one you had a D
	20	where we had an A. And I don't think we would argue too
	21	much about any of those, because one of the Bs and Cs were
	22	in subdivisions, or common mode failure things. You had
	23	four items listed as As, and two as Bs, and one as a C, but
	24	we had just lumped "common mode failure" as an A.
	25	So there wasn't as much disagreement as I remember

300 7TH SPEEET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

14

21

25

1	from a previous list. And on the other ones, you either
2	agreed with our priority, or you had a higher one than we
3	did.
4	So I don't think it is going to be a big deal.
5	We are not that far off, and we are never going to be that
6	far off. And if we get that far ofi occasionally, we will
7	sit around and argue about it.
8	So I don't want to make too much of it, but this
9	is one of the things that I think we've got to sell to the
10	Committee. We haven't been far off.
11	MR. ANDERSON: I think one of the major points to
12	be made in prioritizing all of the issues is that the Staff
13	will have a good handle on where we should be spending our

will have a good handle on where we should be spending our resources.

15 It appears from the look that we've taken already 16 on a lot of the generic activities, that people are 17 continuing to work on activities that obviously are low 18 priority. You know, we don't have any way of saying you 19 shouldn't be working on this one if you're going to work on 20 this issue.

If we can free up the manpower --

MR. SHEWMON: We can do it by writing a letter to
Congress saying they should.

24 MR. SIESS: That's on the research.

MR. SHEWMON: Go ahead. I appreciate your feeling.

ALDERSON REPORTING COMPANY, INC.

jwb 1 MR. ANDERSON: That situation exists. If we could 2 free up the manpower working on low-priority items, we could 3 spend more time on the one you're interested in, and the 4 ones we are interested in as a higher priority, 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 MR. COX: Maybe I should ask what it is you would 6 like to see at this point. 7 MR. SIESS: Why don't you just flip through them 8 fast. 9 (Slide.) 10 MR. COX: This is the step where that list would 11 be created. 12 MR. SIESS: You are going to use guesstimates in 13 establishing this list of priorities? 14 MR. COX: That's right, and the ACRS would be 15 informed of how this list is going together, and of how 309 7TH STREET, S.W. 16 your recommendations would be on that list -- at least as 17 we first create it. 18 (Slide.) 19 There are two other things about that last step. 20 We would notify the Boards if something came up, a very 21 high priority. And we of course would enter in this 22 tracking system that gives access to the status. Here we 23 would have everything in the tracking system, even those 24 items which perhaps were not going to be worked on by 25 virtue of their low priority.

ALDERSON REPORTING COMPANY, INC.

77
So there would be accountability established at
this point.
(Slide.)
MR. SIESS: And again, I would suggest that if
something doesn't get worked on in a certain length of time,
somebody ought to look at the priorities.
MR. SHEWMON: The Sunshine bill, or something?
MR. SIESS: Sunset, actually.
MR. SHEWMON: Yes, sunset. Thank you.
(Laughter.)
MR. COX: A few more comments on the development
stage which we would go into next. That would be those
issues that were selected by the NRR Director on that list
to be worked on which would individually go into the
respective development phases.
The only thing I am pointing out here is that of
a list of 150 items, we might only be working in one year
on the top I hesitate to even mention a number but some
number. Each issue would be assigned a task manager,
depending of course on the extent of the work necessary to
be done on it.
But there would be accountability through a
person for that issue. The plan would be written to solicit
ACRS comment before getting NRR Director final approval on
the Task Action Plan.

STREE CONTENTS

	jwb	78
	1	The key element here is we would get industry
345	2	involved at this stage.
	3	MR. SIESS: That is very important.
	4	MR. COX: Again, through owners' groups, AIF, EPRI,
	5	NSAC, what have you. They would be involved in the
) 554-2	6	development of solutions and implementation plans.
4 (202	7	We would continue to do a check on the prioritiza-
. 2002	8	tion index that was developed for this issue, as more
N, D.C	9	information became available and we saw that either for a
INCTO	10	certain technical solution you wouldn't get as much risk
WASH	11	reductions, or the cost of things changed.
DING,	12	MR. SIESS: How many levels of priority would you
BUIL	13	assign? Do you have a ranking order list, or an A,B,C,D
HTERS	14	type list?
XEPO	15	MR. COX: What you will see today is a numerical
S.W.	16	index that will give a number for each issue.
HEEL	17	MR. SIESS: The rank ordering?
LI H SI	18	MR. COX: A rank ordering for each, relative to
300	19	the other.
	20	MR. SIESS: Except that there has to be some
	21	difference in number that isn't significant, so that you
	22	could group them.
	23	MR. COX: That's right. You will see the ranges
	25	involved and how they run. So just to make that point, then,
		the DST would be in here monitoring the efforts of all the
		ALDERSON REPORTING COMPANY, INC.

	1	task managers on a periodic basis to ensure that the industry				
	2	hears one voice from the NRC, not always 40 or 50 different				
	3	voices clamoring for different actions.				
	4	(Slide.)				
345	5	Ckay, as the development phase draws to a very				
) 554-2	6	specific result, we would then document this material that				
4 (202	7	is developed with the formal changes I mentioned earlier.				
2002	8	The final proposed revisions to the Licensing				
N, D.C	9	documents would be based on the best of the alternatives				
NGTO	10	developed in the development phase. Reiterating again, the				
WASHI	11	completely developed implementation plan is important.				
DNIC	12	MR. SIESS: Leave that up just a minute. Looking				
BUILI	13 at the rulemaking parts, since we're now involved in the					
CTERS	14	rulemaking process at a level that we're not quite sure				
REPOR	15	what it is, how many safety-related rules do you think would				
S.W. ,	16	not be the result of this process?				
REET.	17	What I'm getting at is				
TH STI	18	MR. COX: Did you say "would not be the result"?				
300 7	19	MR. KNEIL: Safety-related rules.				
	20	MR. SIESS: Yes.				
	21	MR. KNEIL: A minimum number.				
	22	MR. SIESS: What I'm thinking, if we're involved				
	23	in rulemaking, if we were involved in this sort of thing				
	24	when it came to rulemaking, our background would be				
	25	complete, because we have asked to be kept informed of rules				

74

iwh

]**	80						
	as they were being developed so we could have some input						
	2 into them, and not just be hit with a rule when it is out						
	for comment when the Commission wants our opinion on it.						
	And of course we're not interested in all rules; we're only						
949	interested in safety-related rules, and not all rules are.						
-+00 (Some are procedural, and some are environmental. Sc this						
4 (202	would be helpful in that respect to get some involvement						
2002	here.						
N. D.C.	MR. KNEIL: That is certainly the way you partici-						
1(pated in ATWS, for instance. We documented our resolutions,						
1	and you all have been involved.						
12	MR. SIESS: Oh, no question.						
1:	MR. COX: With this process, they could have been						
14	following the development						
1	MR. SIESS: A lot of the rules we've been following						
10	like fire protection, qualification qualification not so						
17	much.						
18	(Slide.)						
19	MR. COX: Once the documents are formulated, they						
20	are put out on the street in the manner that is done today.						
21	We anticipate that if this process were working properly,						
23	the industry comments at this point should not be very many,						
23	since they have been involved in the development at this						
24	point.						
25	(Slide.)						

inh

1 With the formal approval by the Director of NRR, 2 we would issue -- in this case, our Licensing Guidance Brauch 3 would be issuing new or modified documents. These 4 documents would then formally be transmitted by our 5 000 7174 STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 Division, DST, to the Division of Licensing. 6 (Slide.) 7 As I mentioned earlier, the Division of Licensing 8 now could affect the order of implementation somewhat, 9 although we would expect it would follow quite closely this 10 master prioritization master list that says, or that lists 11 these issues. 12 MR. SIESS: Somewhere where it says an example of 13 that, the Committee got pretty upset about the way the 14 implementation was carried out on the reactor coolant pump 15 trip on BWRs, which it was pretty obvious from the beginning 16 was a pretty good partial ATWS fix. You know, four years 17 later there were still BWRs that hadn't put in the trip. 18 This could be followed in this sort of thing much 19 more closely. 20 MR. COX: One of the key thir 's about this process 21 is it is very visible. All issues' progress are very 22 visible. 23 MR. SIESS: Which it wasn't on that. 24 (Slide.) 25 MR. KNEIL: Using this kind of process, we've found

ALDERSON REPORTING COMPANY, INC.

81

jwb

1 that one of the issues that we implemented on the plant was 2 not implemented, when we went in to check on it to fill in 3 the forms, so to speak, and it turned out it wasn't. So 4 we reinitiated implementation. So it does do that. 5 MR. COX: After DL decides what their implementa-6 tion priorities should look like, and they go out with 7 requirements by letters to individual dockets, projects, 8 and manage the implementation. 9 MR. SIESS: On a plant that has a license, the 10 implementation is the responsibility of DL, not I&E, isn't 11 They issue the confirmatory order, and amend the it? 12 license? Is that right? 13 MR. COX: That's right. 14 MR. SIESS: And then when it is implemented, they 15 get back a sworn statement from the licensee that it was 16 implemented? Right? 17 MR. KNEIL: Right, except we've been leaning on 18 IsE in that direction, to avoid additional work in Licensing 19 by saying that I&E will inspect to see if they have 20 implemented it. 21 MR. SIESS: Okay. 22 MR. KNEIL: Thatis a tool that is being used 23 more frequently. 24 MR. SIESS: They've got a resident inspector. I 25 don't see why it should be a problem anymore.

ALDERSON REPORTING COMPANY, INC.

jwb

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 564-2345

	jwb	83							
	1	MR. KNEIL: That is Harora Senton's favorite tool							
2345	2	to avoid additional work by the NRR Staff.							
	3	(Slide.)							
	4	MR. COX: This addresses that, to some degree. We							
	5	had thought that we would find in the future that we would							
) 554-	6	have NRR participating with $I_{\alpha}E$ at some level of auditing.							
24 (202	7	That may or may not take place.							
. 2002	8	MR. SIESS: When a resident inspector does that							
N, D.C	9	as a matter of routine, it should be that is what the							
INGTO	10	resident inspector is for. He is not there just to satisfy							
WASHI	11	the Congress, it seems to me; it is just so obvious. You've							
DING,	12	got two of them on some plants.							
BUILI	13	MR. COX: The point we would make here is, the							
TERS	14	audit will be selective. We won't be auditing or verifying							
REPOI	15	every single requirement on every single plant.							
S.W	16	MR. SIESS: Why not? By "audit"							
REET,	17	MR. SHEWMON: He means another group going out to							
TH ST	18	see whether the inspector has done his job.							
300 7	19	(Laughter.)							
	20	MR. COX: That is the end of what I have.							
	21	Are there any questions?							
	22	MR. SIESS: Not now.							
	23	MR. SHEWMON: Any more questions, do you mean?							
	24	(No response.)							
	25	MR. SHEWMON: Why don't we take a break before you							

j	wb	84		
	1	come on up. I think no meeting should run as long as this		
	2	has without a break.		
	2	(Brief recess.)		
	4	MR. SHEWMON: Okay. Go ahead.		
345	5	MR. VANDERMOLEN: My name is Harold Vandermolen,		
554-2	6	with the Safety Programs Evaluation Branch. I am going to		
1 (202)	7	finish up for us today, I hope, and talk a little bit about		
20024	8	prioritization we've been leading up to for quite a while		
N, D.C.	9	here.		
NGTO	10	I want to thank you for your many questions. I		
VASHI	11	know most of my introductory remarks can now be shortened.		
ING, 1	12	I do want to say one thing to make it very clear. We are		
BUILD	13	talking about a tentative prioritization system. This is		
TERS	14	something we are "trying," and we do not have an informal		
REPOR	15	use. We are not wedded to it. We are not engaged to it,		
S.W. 1	16	either. We may be flirting with it a little bit, but the		
UEET.	17	point is that this is very much a period where comments,		
H STF	18	suggestions, and particularly constructive ones, can easily		
300 71	19	be incorporated. So please feel free to do so, either		
	20	during this particular subcommittee meeting, or any time		
	21	within the next few months.		
	22	I am feeling a little hypnotized by the slide		
	23	projector, so I would like to wax a little bit theoretical		
	24	here. We looked at some of the older prioritization schemes,		

25

ALDERSON REPORTING COMPANY, INC.

the A,B,C,D, and some of the others. We have had point

systems in the past. These systems have tried to do a pretty 1 2 tough job. You have got the problem of trying to balance 3 safety issues, not issues past, but the agency has to go 4 down the issues that are not directly related to safety and 5 it is not an easy decision to make. 6 We have also tried to, in the past, get an idea 7 of what safety issues, what safety-related jobs we had to 8 get done that were the most important. Traditionally, the 9 way to do this is to get everybody together and argue about 10 it until you get some kind of concensus, the committee 11 approach. This is the sort of thing that usually results 12 with the A,B,C,D sort of priorities. We have broad groups. 13 We thought we would try something a little bit different. We started out by saying: Well, let's come up 14 15 with a new system, and let's make it rational.

(Laughter.)

jwb

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

16

17

18

19

20

MR. VANDERMOLEN: Now "rational," I like the word "rational." Even government bureaucrats like to think of themselves as "rational." Other people have different ideas on what is rational.

We decided we wanted a system prioritizing that would be as objective as we could make it, and to try and keep subjective judgmental things to a minimum. You can't get rid of all of them; I think we all agree on that. We wanted it to be reproducible. That is, we would like

ALDERSON REPORTING COMPANY, INC.

1 to be able to get one task to prioritize, another to work 2 on a separate task, have them come up with something, and 3 have them be compatible. That's what we mean by 4 "reproducible." 5 We also would like it to be defensible. Now there 300 77H STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345 6 is nothing like having a good reason for what you are doing 7 to make it defensible. Now this is all very much easier 8 said than done. 9 What we came up with is not something we intend 10 ever to be locked into. That is, we do produce ordered 11 lists with this system. We think of these as a guideline. 12 I want to make that clear. It is a guideline. These things 13 can be negotiable. There are uncertainties involved, and 14 we will get into that a little bit more later. 15 We also don't intend this -- well, we don't intend 16 this to be a method of making absolute decisions. We don't 17 want to say that because something comes up at the bottom of 18 our priority list, that it is necessarily something that is 19 not worth doing. 20 What it means is that this is a relative list. 21 There are other things that are still more worth doing. 22 Well, now let's get into the theoretical part a 23 little bit when we get into specifics. What are we doing 24 with prioritizing, anyway, to make an ordered list like this? 25 Well, if you have got an ordered list, somewhere

ALDERSON REPORTING COMPANY, INC.

jwb

down that list you're going to draw a line. That's where you run out of resources. The stuff down below that line is not going to get done, at least not the year. You don't necessarily forget about it, but there is that effect.

Now we thought a minute, and sort of put ourselves in the role of a factory manager. If you had a bunch of jobs that you wanted to get done, and you were a factory manager, each job was going to take you a certain amount of resources, and it was going to make you a certain amount of profit, you would do the one with the biggest profit, first. That is, you would take the profit, divide it by the dollar cost, and that is the one you would do first. When you ran out of time, you would have gotten the most done you could. You would have maximized your profit.

Well, everybody in this room knows that NRC is not a profit-making institution. We thought we would try and say: Let's figure out the safety benefit for each one of these jobs we're talking about to estimate what resources we need, and do the same sort of thing.

Our guiding statement is: We're going to try and expend our resources in a manner that would maximize the safety benefit to the public. That is an important statement. But it is really, seriously, what we are trying to do with this, and we think we can make it work. It will not be just a theoretical-sounding statement.

ALDERSON REPORTING COMPANY, INC.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

Well, how do you define "benefit"? This was very difficult, and it is where you get into a lot of subjective judgments.

We thought: Well, if we were going to be very technical, very scientific about it, we would try and figure out the number of deaths involved, the number of injuries, the environmental burden, the economic burden, all that sort of thing. And obviously this can't be done. There are just too many of these issues to handle. You can't do them fast enough if you're going to do that good a job.

We thought awhile and we decided that we would try defining safety benefit as it is related to the amount of radioactivity that might be released from the plant. We just measured it in curies released. Now you could do this pretty easily if you're talking about something in an offgas system where you've got a routine release and you worry about curies per year. Curies per year are the basic parameter.

19 Most issues don't involve things like that.
20 You're talking about an event of some kind. So we thought
21 we would start using risk assessment, and see if we could
22 get something that would work for prioritization.

At this point, I think we can get down into a
little more specifics. I hope everybody is unhypnotized
from slides, but maybe hypnotized by the sound of my voice.

ALDERSON REPORTING COMPANY, INC.

REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

300 TTH STREET, S.W.,

16

17

18

jwb

1

2

3

jwb

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

Ter 2 Terrug d TeM fert	Let	s de	fine	a	few	term
-------------------------	-----	------	------	---	-----	------

(Slide.)

Now if we've got some event at issue here, what is the safety benefit of fixing it? We've got a problem with what is the safety-benefit of fixing it.

We thought we could do it in terms of curies per year with a weighting factor. We defined something we called the "weighted safety benefit." You can think of an event frequency. Statisticians don't always like this term. What I mean by it is: If you've got a radioactivity-releasing event, you ought to be able to estimate how many times this is going to happen per reactor year, at least in theory. It is related to, and often for most cases is identical numerically to the probability per year, some things happening more often. Certain trips happen about 10 times per year. They don't have a probability of 10.

There is a little bit different mathematical definition, but you can think of it as probability. "Curies released" is clearly not too difficult -- in principle, not too difficult to estimate. The factor of 1.2 is there just to give more weight to a more severe event.

MR. SIESS: Risk aversion.

23 MR. VANDERMOLEN: Yes, risk aversion. That is all
24 it is. We define our priority score by taking this
25 aggregate, then, and dividing it by the total cost. That is,

	1	we took what is up above, multiplying it by the number of
	2	reactors, and dividing it by the total cost.
	3	Can everyone see this?
	4	MR. SHEWMON: Yes.
345	5	MR. VANDERMOLEN: We did put our costs, and the
554-2	6	costs of the licensee on the bottom. We did this because
(202)	7	not "because," we were primarily concerned with a licensee's
20024	8	financial condition. We were mostly thinking ratepayers and
I, D.C.	9	taxpayers are the same thing. Since then, of course we have
NGTON	10	had a change of Administration in the White House, and we
ASHD	11	are getting Presidential directives that are speaking more
ING, W	12	strongly in terms of cost/benefit ratios. This is really the
BUILD	13	reciprocal of that benefit/cost.
LERS	14	So it is somewhat fortituous that it came out
LEPOR	15	that way, but we really do believe that this is the correct
. W.	16	ratio to use. Most times, the licensee cost is down.
EET.	17	Surprisingly, there are many cases where the NRC cost does
H STR	18	come in and play a significant role.
TT 006	19	We express this in very simple units, curies of
	20	1.2 per million reactor years per hour. We also define
	21	something called "management socre," which is the same
	22	thing culy we just see where we are spending our appropria-
	23	tion. Our primary prioritization on this line (indicating),
	24	this SCP quantity, which is the total cost.
	25	MP. SHEWMON: These releases, curies released, are

ALDERSON PEPORTING COMPANY, INC.

jwb

j	wb	91
	1	offsite?
	2	MR. VANDERMOLEN: Yes. They are very primitive.
	3	Now the biggest question was whether this thing would really
	4	work.
2345	5	MR. SIESS: It is a delta, so that reduces the
2) 554-	6	uncertainties to some extent.
24 (202	7	MR. VANDERMOLEN: Yes.
0. 2002	8	MR. SIESS: Before you leave that, let me ask you
N, D.(9	a couple of questions.
INGTO	10	MR. VANDERMOLEN: Sure.
WASH	11	MR. SIESS: The risk aversion factor is a very
DING.	12	important factor. If you get that too high, you know, you
BUIL	13	really skew things. And how did you select the "1.2"? I
KLEKS	14	am trying to remember what the figure was that we
REPO	15	recommended. Was it 1.2?
S.W	16	MR. KNEIL: Yes.
REET.	17	MR. VANDERMOLEN: In all honesty
TH ST	18	MR. SIESS: I hope you didn't take it from there.
300 7	19	MR. VANDERMOLEN: We used the Committee's factor.
	20	We liked it. We tried it out a few times, and we liked it.
	21	MR. SIESS: That's the real test.
	22	MR. VANDERMOLEN: That's the real test.
	23	MR. SIESS: Now you know, you go through, and
	24	after you get a say this comes out, and you get a score,
	25	and it is prioritized somewhere, and somebody does it, there

1 is always the chance that what you come out with after you 2 look at this concern, that the solution isn't what you 3 thought it was going to be, so the number of curies released 4 isn't what you thought it would be. The delta on the B. And 5 there is always one possibility that there will be no change. 300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345 6 MR. VANDERMOLEN: That's true. 7 MR. SIESS: There was no licensee cost, no safety 8 benefit, but there was an NRC cost. 9 MR. VANDERMOLEN: That's true, also. 10 MR. SIESS: So somewhere in your prioritization 11 you've got to weight the probability that this will be 12 successful, that this will --13 MR. VANDERMOLEN: Well, we do this. 14 MR. SIESS: Have you got that later on somewhere? 15 MR. VANDERMOLEN: Well, maybe I'd better mention it 16 now. Again, we don't pretend that every issue is going to 17 fit neatly into this. We think the sort of things we have 18 been seeing coming in our workload lately, we can handle 19 about 90 percent of the things in this scheme. 20 As for the all-reach of the indeterminate, well 21 the NRC cost is never zero. You don't ever get zero to 22 zerc. 23 MR. SIESS: Now the time element enters only in 24 the NRC cost? 25 MR. VANDERMOLEN: Yes.

jwb

ALDERSON REPORTING COMPANY, INC.

jwb	93						
1	MR. SIESS: But it really doesn't, because of its						
2	man-years. Sometimes you can put 10 men on it do it on one						
3	year, or one man on it and do it in 10 years. Now if you						
4	knew where it was going to come out, that nine-year						
5	difference could be reflected in that safety benefit; that it						
6	would be 10 years before you got the safety benefits. Over						
7 7	the next 30 years there would be more benefit than if you						
8	made it now.						
9	So how do you factor in the fact that here is a						
10	job I could do quickly, and it would benefit a lot of people						
11	over a lot of years, rather than doing the same things						
12	slower?						
13	MR. VANDERMOLEN: We haven't factored it in. That						
14	is, if I am understanding your question correctly, we are						
15	talking about you are talking about plant lifetime.						
16	Because if I do it right now, the plant has 30 years to run						
17	and you're getting more benefit?						
18	MR. SIESS: Yes.						
19	MR. VANDERMOLEN: We haven't done it. We have						
20	just done it as a time density.						
21	MR. SIESS: Assuming we're going to have 300						
22	plants for the next 300 years, then of course it doesn't						
23	make any difference.						
24	MR. VANDERMOLEN: I think you will see it in a						
25	few minutes.						

	1	MR. SIESS: Okay. Go ahead.
	2	MR. VANDERMOLEN: This is still pretty crude, and
	3	quite honestly speaking to a question you had of one of the
	4	speakers earlier. You can't start out knowing all of these
345	5	parameters exactly, or even very exactly. What we found
554-2	6	in practice is that even at a very early stage of the game,
1 (202)	7	we can come up with some estimate great uncertainty, but
2002	8	some estimate on these parameters.
N, D.C.	9	(Slide.)
NGTO	10	Well, let me be sure I haven't missed any of the
NASHI	11	cautions that I was going to give you. Oh, one thing I
ING. V	12	did forget to mention.
BUILD	13	(Slide.)
TERS	14	The cost here, this is forward-looking costs.
REPOR	15	That is, if you were to put some huge issue like ATWS on
S.W. 1	16	this, and you had a 75 percent completion, the cost you
GEET.	17	would put in is the cost to get the thing from its current
ITS H	18	point to completion. You wouldn't put in the money you had
300 71	19	spent in the past. You are worried about the money in the
	20	future.
	21	MR. SIESS: Now there is nothing here on industry
	22	cost? Is that right?
	23	MR. VANDERHOLEN: Uh, yes there is. Licensee
	24	cost is in there.
	25	MR. SIESS: It is down at the bottom?

jwb

ALDERSON REPORTING COMPANY, INC.

-		
		MR. SHEWMON: It is their management.
N. D.C. 20024 (202) 554-2345	2	MR. VANDERMOLEN: We did a prior cut on this one.
	3	We want this to be a guideline. We want other information
	4	available. But we primarily calculated this one (indicating).
	5	What we are trying to get with this system is an
	6	ordered list that can be subdivided into three or four groups
	7	if you want. We found that we do get a continuous spectrum
	8	that is sort of artificial for grates, and things.
	9	(Slide.)
NGTO	10	This is sort of an example of a trial run of the
NASHI	11	system. It is just an ordered list.
ING, 1	12	MR. SIESS: Now when I look at that, your item
BUILL	13	"Davis Besse, Auxiliary Feedwater Pump," would that be for
TERS	14	just one reactor?
KEPOR	15	MR. VANDERMOLEN: That particular one is. When
S.W. , 1	16	we did this, we just happened to come across that at the
TEET	17	moment.
TH ST	18	MR. SIESS: And a one-reactor item would rank that
11 00E	19	high?
	20	MR. VANDERMOLEN: It does.
	21	MR. SIESS: Because it is divided by the licensee
	22	cost?
	23	MR. VANDERMOLEN: Yes, it is.
	24	MR. SIESS: And for 20 reactors, it might not
	25	change its position because the benefits would go up by a

95

inh

	WD	
	1	factor of 20, and the denominator would go up almost by that
	2	depending on how much NRC cost is?
	. 3	MR. VANDERMOLEN: Yes. We did think about this
345	4	quite a bit, too. And one reason we did is we thought: Well,
	5	we have generic issues
664-2	6	MR. SIESS: That's why you have management, that
4 (202	7	SM in there?
. 2002	8	MR. VANDERMOLEN: Yes, exactly. We want people
N, D.C	9	to know why this comes out the way it does.
01.97D	10	MR. SIESS: That would rank it wouldn't rank
WASH	11	nearly as high on SM, would it?
'BNIC	12	MR. VANDERMOLEN: No, I don't believe it would.
BUILI	13	I am going to show you a table that has those numbers in
TERS	14	that in just a moment.
REPOI	15	MR. SIESS: Okay. I see where you got it now.
S.N	16	MR. VANDERMOLEN: I would like to throw this up,
REET,	17	because when I throw numbers up, right away there seems to
TH ST	18	be psychological factors that enter in. Dr. Kerr, one of
300 7	19	your fellow committee members, likes to say that when you
	20	send something through a computer, everybody believes it.
	21	MR. SIESS: Except for the guy that did it.
	22	(Laughter.)
	23	MR. VANDERMOLEN: Yes. I'm often the guy. I am
	24	in that position, myself. So I have calculated some of
	25	chese, and I find that even with a hand calculation you put
	1000	

06

40.00

1 a number down, and people tend to put a little bit too much 2 emphasis cn it. 3 MR. SIESS: The real test of your quantified 4 procedure is, when you get through somebody comes and looks 5 300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 at it and says, "Well, that looks reasonable." 6 MR. VANDERMOLEN: That is true. And in fact, that 7 is the next thing we're going to do. 8 MR. SIESS: In spite of the fact that you don't 9 want it to be subjective, that is the test that you apply to 10 it. 11 MR. VANDERMOLEN: That is the test. I guess our 12 underlying philosophy is, we have to agree and admit that 13 there is always some subjectivity, and try and be as 14 objective as we can. 15 MR. SIESS: Since credibility is usually subjective, 16 except for those people who believe computers. 17 (Laughter.) 18 (Slide.) 19 MR. SHEWMON: Now "high," "low," and "medium" on 20 that last one was SP, your priorities for it? 21 MR. VANDERMOLEN: Yes. 22 MR. SHEWMON: Okay. 23 MR. VANDERMOLEN: Let's take a look at something 24 a little more quantitative. Unfortunately, this projector 25 doesn't seem to be large enough to show everything.

ALDERSON REPORTING COMPANY, INC.

jwb

1 When we did this, all of this sounds nice, and we 2 wanted to try and see if it would work. We just picked some 3 issues that happened to be coming through the SPEB, and for other purposes we had other things we wanted to do to them 4 5 and we thought we would try and prioritize them. 000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 What I would like you to notice is this element 6 7 right here (indicating). This is the priority score that 8 we factored, that we mentioned earlier, in a range over six 9 orders of magnitude. 10 MR. SIESS: That suggests very strongly to me that 11 your priority number ought to be the exponent. 12 MR. VANDERMOLEN: We actually considered this. 13 In fact, we have had a lot of line thinking of putting up a 14 number that was devined similarly, two decimals, or something 15 of that nature. 16 MR. SIESS: I mean, your last column has sort of 17 slide off, but when I look at that in relation to that score, 18 you see --19 MR. VANDERMOLEN: It is true. 20 MR. SIESS: The exponent is the only thing that is 21 important there. 22 MR. VANDERMOLEN: I find that when you leave them 23 as exponents, people are a little bit more aware that the 24 differences here (indicating) are considerably bigger than 25 the differences here (indicating). If it were longer, they

jwb

ALDERSON REPORTING COMPANY, INC.

1 wouldn't notice. 2 MR. SIESS: You group them by exponent. 3 MR. VANDERMOLEN: We also calculated those two 4 columns in the area of range. These are an estimate -- a 5 somewhat futuristic one, but given bad data, you come up 300 7TH STREET, S.W., 36FPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 with bad areas of uncertainties. 7 MR. SIESS: What dominates that? The event 8 frequency? 9 MR. VANDERMOLEN: It varies. In some cases it is 10 the cost that dominates. In any of them, if you're doing 11 better than a factor of 5, you're doing very well indeed. 12 MR. SIESS: Yes. 13 MR. VANDERMOLEN: I can't really say that any one 14 of them would necessarily dominate, but sometimes they do 15 have the cost, and sometimes we do have a reasonable handle 16 on the probability. 17 Now the reason we want to put on ranges is not 18 only so that people will know there's a big uncertainty in 19 priority scores, but this is intended to help someone use 20 this as a guideline to exercise a little pit of judgment. 21 That is, these two issues overlap (indicating) very 22 much so. No one would be excited if we decided to switch 23 the two. That is, if there de cother reasons, judgmental 24 reasons. This method (the ly cannot distinguish 25 between those two issues, and it is perfectly legitimate to

ALDERSON REPORTING COMPANY, INC.

jwb

	1	use some more subjective factors there.
	2	MR. SIESS: What does "effectiveness of fix" mean?
	3	MR. VANDERMOLEN: It means, if that parameter were
	4	100 percent, the delta would be all. You would fix everything.
Ma	5	That is, you would either completely prevent the event, send
2-+00	6	its frequency to zero, or completely mitigate it and make
(202)	7	sure it never released any activity. It is there because
50024	8	we recognize that we can't always fix all of the problems.
. D.C.	9	MR. SIESS: That is for a particular event?
NOLDI	10	MR. VANDERMOLEN: Yes.
ASHIN	11	MR. SIESS: The release from that event could be
NC. W	12	dropped to zero if it were 100 percent?
OITD	13	MR. VANDERMOLEN: If it was 100 percent.
ERS B	14	MR. SIESS: Or a sequence of events.
INUT	15	MR. VANDERMOLEN: We're a little bit more
H	16	sophisticated in how we calculated this.
6	12	MR. SIESS: I can see that, now.
31110	18	MR. VANDERMOLEN: That is, we do try to sum up
	19	contributions from the various PPR WASH-1400 release
8	20	categories. So it is not guite that primitive, but it is
	21	just to give an idea. There is a wide uncertainty in any
	22	of these parameters
	23	The reason for having the other parameters here
	24	is that we want you to know what is going on . No want poople
	25	is that we want you to know what is going on, we want people
		to see why something might be very high in priority. It is

jwb

ALDERSON REPORTING COMPANY, INC.

1 possible with this, because we've got a cost in the 2 denominator. If the cost were achieved -- which doesn't 3 happen too often -- but if the cost were very cheap, you 4 would promote this (...icating) a lot. 5 We think that is legitimate, because we want to 6 get the job done. But rather, we would like to get some 7 contributions for getting some small jobs to completion, 8 rather than spending all our resources on one weak one that 9 we never finish. 10 But we do want to provide this information so that 11 we can see what is going on. This is a guideline. 12 Well, your questions, again, have used up a little 13 bit of my talk, so I am going to skip ahead. There was a .14 big point I wanted to mention, which is: That with these 15 numbers, in addition to knowing how this works, we can make 16 intelligent use of the whole scheme. 17 What we like about it most, I guess, is that we 18 have been able to put out these numbers in something like 19 one man-day of effort per issue. And we do get a spread of 20 this magnitude. 21 MR. SIESS: Now for your risk analysis, you know, 22 the event frequency thing, I assume you use, what, WASH-1400? 23 Or IREP/NREP data? Or what? 24 MR. VANDERMOLEN: Anything we can get our hands

jwb

WASHINGTON, D.C. 20024 (202) 554-2345

00 7TH STREET, S.W., REPORTERS BUILDING,

25

on.

ALDERSON REPORTING COMPANY, INC.

	1	MR. SIESS: You could do it in one day, because
	2	you had
	3	MR. VANDERMOLEN: Yes, that's the whole point. We
	4	have this background available to us. Some of these things
140	5	we actually use plant experience. We actually had some
7 100	6	lata on that.
(202)	7	You have other things, if you're talking about
12002	8	events that are associated with anticipated transients, EPRI
	9	has collected some data on how often they happen. We use
NOID	10	anything we can, and that about lists our resources.
UILION	11	MR. SIESS: You've got to have more than that,
M 'DN	12	because BWR fuel reloading by itself does not lead to curie
	13	release. Several other things have to happen, and you have
	14	to know what their frequency or probabilities are.
INOLE	15	MR. VANDERMCLEN: Yes. To the accuracy we can use
	16	for the scheme. Now if these issues all came within a factor
	17	of 10, this wouldn't work. It is only the fact that they
	18	are spread su much that makes the whole thing work. And
	19	that is affectively the extent of the system as we now have
5	20	that is effectively the extent of the system as no new have
	21	MD SIRSS. Is suries per dollar? Curies of 1.2
	22	MR. SIESS: IS curies par dollars?
	23	per reactor year per million dollars:
	24	MR. VANDERMOLEN: Yes.
	25	MR. SIESS: So a score of 3 x 10 ? Gee, that's
		a lot of curies, isn't it. Well, that's reactors, too.
		ALDERSON REPORTING COMPANY, INC.

103 jwb 1 MR. VANDERMOLEN: That's a lot of reactors, and 2 it is an issue that can lead to very serious consequences. 3 MR. SHEWMON: Now this gets you entirely in the 4 air dumps, or a fuel melt. 5 REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 MR. SIESS: To get curies released? 6 MR. VANDERMOLEN: Yes. 7 MR. SHEWMON: So by your initial setup, you have 8 neglected anything that sort of relates to TMI-2, because 9 all that does is make the utility go bankrupt and it doesn't 10 hurt hardly anybody? Is that --11 MR. VANDERMOLEN: No, we've got a core melt. We 12 have estimates on how much the release is going to happen. 13 MR. SIESS: For the core melt. But TMI-2 wasn't 14 a core melt. 15 MR. SHEWMON: My point is, if you don't have a 300 TTH STREET, S.W. 16 core melt, it doesn't read on your scale. We're sort of 17 back into classes of accidents 1 through 8. Anything that 18 influences those doesn't come on scale. 19 MR. VANDERMOLEN: This (indicating) does lead to 20 a core melt; this (indicating); this (indicating); I guess 21 this (indicating) one does. And some of the others do not. 22 MR. SHEWMON: And you can get curies released 23 without --24 MR. SIESS: Well, there were a faw thousand -- how 25 many curies out at TMI?

	wb	104
	1	MR. VANDERMOLEN: That, I couldn't tell you.
. 20024 (202) 554-2345	2	MR. COX: 15?
	3	MR. SIESS: I've forgotten. It was only a couple
	4	of curies of iodine, but there were several thousand
	5	MR. SHEWMON: You get that release from what? Do
	6	you know, or do you remember?
	7	MR. VANDERMOLEN: If you misled the fuel and don't
	8	detect it, you will be running on in-core detectors. You
N, D.C	9	will be driving fuel obviously up to what you thought were
NGTO	10	its limits, if you didn't know what you had in the core
MESH	11	when you had the overdrive. Well, you can release activities
DING.	12	in two ways.
BUILL	13	You can either, on a steady-state basis, where you
CHERS	14	have something closer to DNB than you thought, and you keep
REPOR	15	it there for a matter of months, and you may get a direct
3.W.	16	failure instead of steady-state operation.
(FE1,	17	You can also have a transient during this period
11911	18	with the core closer to the limits than you've analyzed.
11 000	19	MR. SHEWMON: But in both cases, this would not
	20	be a core melt. This would be substantial fuel failure.
	21	MR. VANDERMOLEN: being released.
	22	MR. SIESS: That is what is going to give people a
	23	problem. Your curie-release criterion, you see that is
	24	where you see deaths and morbidities drop. But a million
	25	curies of krypton and a million curies of iodine are just,

jwb

	1	you know.
	2	Now all of your core melt accidents, this is a
	3	good basis for comparing them. They are going to have
	4	roughly the same kind of off-site effect. But if you get
145	5	down in there to where you had a TMI-type accident, where
554-2	6	I forget whether there was a million curies of krypton, or
(202)	7	a thousand curies of krypton, xenon, and about 4 of iodine,
30024	8	that was weighted wrong. But it may come out right anyway.
, D.C.	9	MR. VANDERMOLEN: It seems to come out right,
NOTON	10	anyway.
AIHSA	11	MR. SIESS: I want to look at which of these are
ING. W	12	core-melt accidents, and which ones are letting iodine out,
OILD	13	and leaving out the present iodine arguments
FIG	14	MR. SHEWMON: Iodine doesn't hardly ever come out.
EPOR	15	(Laughter.)
W H	16	MR. VANDERMOLEN: If you have any specific places
EEL.	17	where we can go to put in a weighting factor for that, we
H SUK	18	will be happy to consider it.
	19	MR. SIESS: Well, there's no way to do it. To
	20	do that, you put in a weighting factor for that and then
	21	you're doing your evaluating in terms of off-site effects,
	22	if not off-site releases, which is a much more complicated
	23	thing, and you have to worry about evacuation, population
	24	density, et cetera.
	25	MR. VANDERMOLEN: Admittedly.

ALDERSON REPORTING COMPANY, INC.

1 MR. SIESS: You could take care of the population 2 by integrating, or averaging the site population, index-type 3 things, you know, which is some measure of population 4 density and certain distances. But it is not too easy. 5 But as I said, this wouldn't bother me if these were all 6 core melts. Then I would have a relative measure, because 1 I would think that most of the differences were not in the 8 amount of the release, because that would be about the same. 9 All the core melts are going to dump the same number of 10 curies out, eventually. 11

jwb

300 TTH STREET, S.W., REPOLLERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

12

13

14

15

16

17

So the number of cost of reactors, and risk reduction, needs to be considered, or frequency reduction. And those are sort of the dominant things there. So I think that just the curies when you go from core melt to other accidents should have a jump in it somewhere. And as you started down the list, all your core melts are at the top anyway.

18 MR. VANDERMOLEN: Well, that's hardly surgrising. 19 Well, the best statement that you can make about the system 20 is that it seems to work thus far. We're not beyond 21 refining it, yet, but we think it can work, and we would 22 much rather have -- resolve differences on this sort of 23 basis where we talk about weighting, or even talking about 24 whether we have estimated some of the parameters incorrectly 25 than just to say: Well, Mister so-and-so thinks this one is

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 important; Mr. So-and-so thinks, and take them both. 2 MR. SIESS: That brings out very clearly the point 3 that Karl was making earlier in distinguishing between 4 subjects and issues. You can only do this on issues. 5 MR. VANDERMOLEN: That's correct. 6 MR. SIESS: You have to have a very specific issue 7 that you factor these things into, and I see your point when 8 I get down to this. 9 I go back and look at the Research to Improve 10 Safety Report, 0248, was it, 0438, where they prioritized 11 the things that they should do research on to improve 12 safety. That was done subjectively. It was about 30 or 40 13 items. They had panels of experts who made judgments. They 14 considered the number of reactors, some of the same kinds 15 of factors, the potential risk reduction on purely a 16 judgmental basis and came up with a list of five items as 17 the top list. 18 The ACRS looked at them and said: Hey, that 19 looks great. There was an ACRS input, too. You can't do 20 that. Those were subjects. 21 MR. VANDERMOLEN: This won't apply to them. 22 MR. SIESS: And I don't know that anybody can 23 look at one of these subjectively, whether you gave that 24 same list to a couple of dozen people, whether they could 25 arrive at an ordering or not.

ALDERSON REPORTING COMPANY, INC.

jwb 108 1 MR. VANDERMOLEN: We are still trying this out, 2 and we are in fact giving it to several people to see -- well 3 one of the things is in the background of our minds to see 4 if they can come up with something consistent. 5 MR. SIESS: I think everybody would put your 300 7TH STREET, S.W., REPORTERS BUILDENG, WASHINGTON, D.C. 20024 (202) 554-2345 6 number one near the top. 7 MR. VANDERMOLEN: That's true. 8 MR. SIESS. Number two, I don't think anybody would 9 put it number two on a judgmental basis, because I just 10 don't see how they can get there. And nobody would have 11 the slightest feel for how to put that Davis Besse in a 12 single plant on in the list without a series of numbers 13 across. 14 MR. SHEWMON: Okay? 15 MR. SIESS: That is fascinating, though. 16 MR. SHEWMON: Thank you very much. 17 MR. SIESS: What do you do about the things that 18 somebody says: Gee, I can do this in two months. Let's do 19 it, even though it is way down at the bottom. There is 20 always that tendency to do the quick ones, the easy ones 21 first. 22 MR. VANDERMOLEN: If he can do it in two months 23 and you really believe that estimate, I don't think it would 24 be at the bottom of the list. I think -- oh, I see what you 25 mean. He may be able to finish the NRC work in two months.
iwb 1 MR. SIESS: You know, this is a quick, easy one. 2 We can reach a decision on this one, do a little work and 3 have a decision on it. 4 MR. VANDERMOLEN: There may be that tendency, it 5 is true, that with that list you would not promote it and 000 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 you get a very high --7 MR. SIESS: If it didn't cost anybody anything, 8 of course it would come up high on the list. If it only 9 cost NRC. But if it cost the applicants very much --10 MR. VANDERMOLEN: That's right. And when you are 11 resolving the issue, he may be able to solve it for NRC's 12 purposes, but a safety problem is not resolved reahly until 13 you get the hardware changed, or whatever, in the plant. 14 And that may take a lot longer than it took him to do what 15 he thought was important. 16 MR. SIESS: How do you address him, then? I can 17 visualize something that comes out number 40 on your SP 18 list, and number one on the SM list. It would be one I 19 talked about the pretty good possibility for risk reduction 20 involving 40 or 50 reactors. It would only require two or 21 three man-months of work. That would be way up on your SM 22 list; right? 23 MR. VANDERMOLEN: Yes, it would. 24 MR. SIESS: Because there is nothing in the 25 denominator but the three man-months. So what is the SM list

5	wb	110
	1	doing for management? It is going to encourage them to do
	2	these quick-and-easy ones.
	3	MR. VANDERMOLEN: Well, I am personally not at
	4	all convinced that there are that many quick-and-easy ones.
1345	5	They never really seem to work out that way.
) 554-1	6	(Laughter.)
\$ (202	7	MR. VANDERMOLEN: But somewhere you've got to take
2002	8	this list, add it up, and you're going to come up, to the
N, D.C	9	extent of our appropriations, somewhere. There is going to
INGTO	10	be a line across here. And if you are going to promote
WASH	11	something out of sequence here, something else is going to
,DNIG,	12	get bumped, and we're going to have to balance there, and
BUILI	13	that is going to be written into this decision.
TERS	14	I personally think, my own personal opinion, not
REPOR	15	NRC policy, my personal cpinion is that if you were to run
S.W	16	into that situation, you might want, on the basis of this
REET,	17	management score, to shift up to the top of the range of
TH ST	18	the
300 71	19	MR. SIESS: You could jimmy it up.
	20	MR. VANDERMOLEN: But I don't think that is
	21	necessarily valid.
	22	MR. SIESS: Where do the USI items come out with
	23	this system? Are these all USI items? No, they're not.
	24	MR. VANDERMOLEN: No, they are not.
	25	MR. KNEIL: Number three would be part of the
	1.	

	jwb	111
	1	station blackout.
	2	MR. SIESS: I'm just wondering if you took some
	3	of your items and did the calculation, whether the top ones
	4	would be USI items.
343	5	MR. VANDERMOLEN: We're going to try you caught
564-2	6	us a little bit early in this game.
4 (202	7	MR. KNEIL: I know some of them would.
. 2002	8	MR. SIESS: I'm not saying that would be a good
N, D.C	9	test of it, because I don't think the USI items were picked
OLDNI	10	on this criteria at all. And I won't say what I think they
WASH	11	were picked on.
DING.	'2	MR. KNEIL: A recent one that was picked, A-44,
BUILI	13	of course number three is part of A-44. So that I think
RTERS	14	there is a good agreement there.
REPOI	15	MR. SIESS: I can't believe or I'm not sure
S.W. ,	16	what you've got in these little "generator reliabilities,"
REET.	17	but my concerns about that cover more than 22 plants. It
TH ST	18	covers like about 70.
300 7	19	MR. VANDERMOLEN: This particular one, we were
	20	talking about PWRs.
	21	MR. SIESS: Well, there are more than 22 PWRs.
	22	I think you're looking at other aspects of reliability than
	23	the gross one I'm looking at.
	24	MR. KNEIL: PWR air dump scram is related to ATWS.
	25	MR. VANDERMOLEN: Yes, it is.

1	JWD	
	1	MR. KNEIL: So the top three, the top two out of
	2	three are USIS. That's not too bad.
	3	MR. SIESS: I can't believe that second column of
	4	numbers, though. I don't think NRC can do anything for
2345	5	\$40,000.
1 554	6	(Laughter.)
14 (202	7	MR. SHEWMON: It depends on what the accountant
. 2002	8	tells them.
N, D.C	9	Are we ready to tighten things up? It is an
INGTO	10	interesting table, but at this point I would be interested
WASH	11	in we have been going over what things haven't been
DING.	12	covered today.
BUILI	13	One of the things that comes up on some of the
TERS	14	things I brought were eight items which came out of the
REPOI	15	last subcommittee meeting on this, about what we thought
EFT, S.W., REPOR	16	wasn't getting as much priority, or some member of the
REET.	17	committee thought it * ould.
TH ST	18	I don't think it is anything more quantitative
300 7	19	than that. Would you tell me again what you see as a
	20	schedule for re-examining the priority, for example, of
	21	decommissioning of reactors?
	22	While you're looking at that, there are studies
	23	that have come out on it. Nothing is being done very much
	24	on getting out regulations on it that I know of, probably
	25	because the priority is not seen as too high. If we took

ALDERSC MREPORTING COMPANY, INC.

)	WD	113
	1	that as an item, then you have that listed as one of your
	2	items, or not at all? Or does it have low priority? Do you
	3	know?
	4	MR. MAJOR: I have that listed. I'm not sure.
34.0	5	MR. KNEIL: It is one of the A,B,C,D items.
554-2	6	MR. ANDERSON: Yes. And that particular issue is
(202)	7	MR. SIESS: It's a Research; it's not a Licensing
20024	8	item. That's the thing. What is our number on that,
v, D.C.	9	Rich?
NGTON	10	MR. SHEWMON: Seventy-two. Staff, B; ACRS, B.
VASHII	11	MR. SIESS: It's not a licensing issue.
ING, V	12	MR. ANDERSON: I don't have any information on
BUILD	13	that. We have sent inquiries out to the various technical
rers 1	14	divisions requesting an updated status on all of the
LEPOR	15	generic issues, and I have them on a number of them, but
8.W H	16	that particular one I haven't received a reply yet. We
EET, S	17	have seen a number of NUREGs coming through recently on
H STR	18	decommissioning and decontamination, so I think there have
300 TT	19	been several.
	20	MR. SHEWMON: Now decontamination of reactors
	21	is another and I am going up my list from the bottom. I
	22	guess that is certainly something which you will have more
	23	experience with through TMI-2, to what extent we come out
	24	with regulations on it.
	25	MR. SIESS: Dresden.

jwb 114 MR. SHEWMON: Well, Dresden, yes. The advisability 1 of seismic scram. 2 MR. SIESS: They've got it as a "D," and we've got 3 it as something else, and it is being pursued actively by 4 Research, and I don't consider it an item. They've got it るの WASHINGTON, D.C. 20024 (202) 554-2345 a "D," and we've got it a "C." Now that is not that much 6 7 difference. It is on the list. MR. MAJOR: I think there is a Research program 8 9 on that, some sort of a report looking at two-thirds of 10 scram. 11 MR. SIESS: Yes. They are working on it. I don't REPORTERS BUILDING. see any problem with it. That is on our list as a "C," and 12 13 theirs as a "D." 14 MR. SHEWMON: Random multiple failures. They call 15 it an "A," they call it an "A," and somebody is unhappy. 00 7TH STREET, S.W., 16 MR. SIESS: A nonrandom multiple failure is our 17 Item 58, and they have got about six items that they say 18 relate to that. Four of them are As, and one of them is a 19 B, and one of them is a C. And that just has to be clarified 20 as to whether -- we started out with a general one, and then 21 we broke it down into an A, B, and C scram system, which 22 was number one on your list up there, clearly an A. Current 23 sources and AC and DC sources, and actually the Staff has 24 got ATWS, off-site power system, diesel reliability, power 25 supply station blackout. The only thing they disagreed on,

	JWD	- 115
	١	was they have "diesel reliability" as a B; and we had it
	2	lumped in as an A. It gets to by a pretty good A on that
	3	list, you know.
	4	MR. VANDERMOLEN: Yes, sir.
-2345	5	MR. SIESS: And the nonrandom multiple failures
2) 554	6	that nobody could find, other than the specific ones, is a
24 (20)	7	C on the Staff list.
200	8	MR. KNEIL: That is definitely a part of A-44,
N, D.(9	so it has been upgraded.
DIDNI	10	MR. SIESS: That part of station blackout is
WASH	11	A-44?
DING.	12	MR. KNEIL: There is a specific task in there that
BUILI	13	addresses diesel reliability.
RTERS	14	MR. SIESS: So there is not that much disagreement.
REPO	15	Would about the 28 items that aren't on your list? Those
S.W	16	were all our so-called "resolved items," weren't they?
REET,	17	MR. ANDERSON: Well, the items from your list
H STI	18	that I couldn't see anything on our list that matched them
300 71	19	was four
	20	MR. SIESS: That's a resolved item.
	21	MR. ANDERSON: Item No. 11.
	22	MR. SIESS: Anything under 52 is resolved.
	23	MR. SHEWMON: At least on one day in December we
	24	thought it was.
	25	MR. SIESS: It is unresolved in the sense that we

1	haven't looked at the implementation, but the system I don't
2	think that's a problem.
3	MR. ANDERSON: How about Item No. 56?
4	MR. MAJOR: That is something
5	MR. SIESS: That was one
6	MR. SHEWMON: I'm not sure that was an
7	instrumentation problem at Three Mile Island, but then maybe
3	it was.
9	MR. SIESS: And that didn't have I know the
10	history of that item. That is Dade's item. His concern
11	there was always not the Three Mile Island type of thing,
12	but fuel failure propagation. You remember what they put
13	into Fermi I after the first meltdown. They had something
14	that told them immediately they had one channel overheating,
15	and they could shut it down before it spread. You know, the
16	thermocouple stuff.
17	MR. ANDERSON: I wasn't able to find any Staff
18	generic activity that corresponded to that.
19	MR. SIESS. I suspect we have to look at that one,
20	but if we're going to have in-core thermocouples coming out
21	now from the Action Plan, that is a step in this direction.
22	The thermocouples that are being called for now are not just
23	part of the test. I think that's part of it. That is one.
24	There is another one that I think Rich had listed
	1 2 3 4 5 6 7 3 9 10 11 12 13 14 15 16 17 18 19 20 21 20 21 22 23 24

as being 65, I guess.

25

jwb

	jwb	117
	1	MR. ANDERSON: I have 65, too.
	2	MR. SIESS: I wouldn't worry about that one, Paul,
	3	SEP.
	4	MR. SHEWMON: 65 didn't make your list?
2345	5	MR. SIESS: That again is a policy type thing,
9 224	6	rather than a licensing issue. That is the 10-year review,
14 (202	7	and the SEP is of course a step in that direction.
C. 2002	8	This one I think the Committee has to reclarify and
N, D.(9	restate. The original idea was that the Applicant would be
DINGTO	10	asked at the end of 10 years to evaluate his operating
WASH	11	experience, et cetera, et cetera, and recommend what he
DING.	12	might have done differently, and what he would have done to
BUIL	13	improve things.
Ka ERS	14	It was really an evaluation of operating experience.
REPO	15	And there has been a lot done, now, for continuing evaluation
. S.W.	16	of operating experience. So I think the Committee needs to
TREET	17	reconsider that one and try to frame it, maybe, closer to
SHL	18	an issue, or at least indicate the issues that might come
300	19	out of it. That is what I would think on that.
	20	MR. MAJOR: The Bingham Amendment is covered in
	21	that, too, isn't it?
	22	MR. ANDERSON: I had one other one. No. 68. That
	23	is stress corresion cracking in BWR piping. I don't think
	24	we have an issue that relates to that.
	25	MR. SIESS: I think there are some issues that
	2.5.5 To	

j	wb	118
	1	might relate to it.
	2	MR. SHEWMON: I'm sorry? Say that again? No. 68
	3	is boiler, and you said
	4	MR. ANDERSON: Yes, BWR.
345	5	MR. SHEWMON: You have put out it was A-42.
) 554-2	6	MR. ANDERSON: Okay. No wonder I couldn't find it
4 (202	7	on that. Okay, I missed that one. I was looking for
2002	8	something different than A-42.
N, D.C	9	MR. SHEWMON: And I guess that, to me, is a
NGIO	10	question of the Committee's problems of when is something
WASHI	11	resolved, because you've got a good plan. It is being
ING.	12	implemented, and by our rules since two people just sort of
PIIN	13	don't believe that we will ever resolve stress corrosion
CHI EIIO	14	cracking, but I don't believe that doesn't mean that we
Intan	15	shouldn't do something with it; that it shouldn't be an issue
	16	that we should try to resolve and work on.
	17	MR. SIESS: Paul?
	18	MR. SIESS: Yes.
	19	MR. SIESS: Based on what I have heard today, I
	20	think things are in pretty good shape. I think there are
	21	two questions as far as the ACRS is concerned.
	22	One is, what items are on the list. That is, our
	23	item versus your items.
	24	Second, what priorities they are.
	25	Now there are a couple of items that aren't on

your list because they don't fit too well, and I think the mechanism exists for putting them on the list if they can be defined properly.

There are a couple of items where the priorities are a little out of sync, but the mechanism exists for reviewing those. You will be reviewing your priorities, and we can review ours, too. Maybe we will like yours better than ours; and maybe we will like yours, when you get through, better than ours and the mechanism exists for that.

10 So I think that things are in pretty good shape 11 for the Committee to say: Dkay, we are going to drop our 12 list. We will look through our items and see if there are 13 any that are completely missing, and see what we can do 14 about proposing them to you in a form that you can use. And 15 as you continue to work on priorities, we will follow that 16 issue and have you feed it back to us so we can set it. 17 Because nothing has to be done immediately. These ar all 18 generic. They are all longer term issues where we want to 19 get organized and get on them.

So I would think that we have got a good case to
go to the Committee with, to tell them we are impressed by
what the Staff is doing to set this up systematically. There
is a mechanism for our input, and there will be a mechanism
for our continuing participation in the adding to the list,
reviewing priorities, and reviewing implementation.

ALDERSON REPORTING COMPANY, INC.

00 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

119

jwb

1

2

3

4

5

6

7

8

9

1	wb	120
	1	MR. KNEIL: I think you ought to include that in
	2	your letter, how you want to participate.
	3	MR. SIESS: That is up to the Committee to decide
	4	how. I would think they would want to participate pretty
2345	5	much through this committee.
) 554-2	6	MR. KNEIL: Yes.
4 (202	7	MR. SIESS: Sort of like what we do on Reg Guides
2002	8	in another committee. We've got a committee that reviews
N, D.C	9	all Reg Guides. We have to settle things. You know, you're
NGTO	10	talking about sending things out for comment. Now on Reg
WASH	11	Guides, we usually look at them before they go out for
DING.	12	comment, and then again after the comments.
BUILI	13	Sometimes we say, "Oh, just go ahead and send it
202	14	out and we'll review it after we've seen what everybody elso
REPOR	15	says," but those are just mechanics.
3.W.	16	MR. SHEWMON: Let me come back to what we do.
1991)	17	Apparently we are down for all of 15 minutes tomorrow, so
	18	we aren't
-	19	MR. MAJOR: For Saturday. Late Saturday.
	20	MR. SIESS: We don't have a proposed letter to
	21	write for this meeting?
	22	MR. MAJOR: I don't think we have time to write
	23	a letter for this meeting.
	24	MR. SHEWMON: So do we want to have them come down
	25	for the April meeting? Or do we want to try and draft a
	100	

jwb

1

letter and let it go? Or what?

2 MR. SIESS: I think at some point it would be 3 nice for the Committee to hear some of this. I think the 4 priority stuff maybe you will want to wait until you've 5 played with it a little more. I don't think it is urgent, 300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345 6 and I would say we ought to try to draft a letter for this 7 meeting, if it is possible, and let them look at it, and we 8 can finish it up next month. But I don't think the 9 Committee has to hear this, if the subcommittee says: Look, 10 we think that the Staff is really into this, and the 11 procedures are there, and they will produce these results, 12 or more than we've gotten in the past. 13 Now we may have to write a letter to the 14 Commissioners telling them why we're not going to have a 15 generic items paragraph in our case letters. We are writing 16 two case letters this month. We may have to make a decision 17 on that. But that's our problem. 18 I am not thinking of the Commission so much as 19 the Boards, but --20 MR. SHEWMON: All right, is that all we have for 21 them today, then? Good. 22 (Whereupon, at 4:32 p.m., the meeting was 23 adjourned.) 24 25

ALDERSON REPORTING COMPANY, INC.

121

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS - Subc on Generic ITEMS Date of Proceeding: March 11, 198) Docket Number: .DC . Place of Procee .ng: UQS hinston

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

JANE W. Beach

Official Reporter (Typed)

ial Reporter (Signature)

ACRS SUBCOMMITTEE COMMITTEE MFETING ON GENERIC IT_MS

- 1. -FUNCT'ONS OF GENERIC ISSUES BRANCH (GIB) AND SAFETY PROGRAM EVALUATION BRANCH (SPEB) OF THE DIVISION OF SAFETY TECHNOLOGY
 - PRESENT GENERIC ITEMS LIST
 - -GENERAL COMPARISON ACRS GENERIC ITEMS VS STAFF GENERIC ITEMS
 - -PRESENT STAFF ACTIVITY ON GENERIC ISSUES

KARL KNIEL

2. ACTION PLAN TRACKING SYSTEM (APTS)

PAUL NORIAN

3. - MATCH-UP BETWEEN ACRS GENERIC ITEMS LIST AND STAFF LIST - IMPLEMENTATION OF USI RESOLUTION ON OPERATING PLANTS

NEWT ANDERSON

- 4. PLAN FOR RESOLUTION OF GENERIC SAFETY ISSUES TOM COX
- 5. PROPOSED METHOD FOR PRIORITIZATION OF GENERIC ISSUES HAROLD VANDERMOLEN

GENERIC ISSUES BRANCH / DIVISION OF SAFETY TECHNOLOGY

- 1. MANAGE TECHNICAL RESOLUTION OF ISSUES DESIGNATED AS UNRESOLVED SAFETY ISSUES (USIS)
- 2. MONITOR IMPLEMENTATION OF RESOLVED USIS
- 3. COORDINATE AND MONITOR TECHNICAL RESOLUTION OF TMI ACTION PLAN
- 4. COORDINATE AND MONITOR TECHNICAL RESOLUTION OF OTHER GENERIC ISSUES

SAFETY PROGRAM EVALUATION BRANCH DIVISION OF SAFETY TECHNOLOGY

1. DEVELOP A PLAN FOR RESOLUTION OF GENERIC SAFFTY ISSUES

2. DEVELOP A METHOD FOR PRIORTIZATION OF SAFETY ISSUES TO BE INCLUDED IN THE ABOVE PLAN

PRESENT GENERIC ITEMS LIST

1. UNRESOLVED SAFETY ISSUES

2. TMI ACTION PLAN

3. CATEGORY A GENERIC ISSUES

4. CATEGORY B, C, AND D

5. ACRS GENERIC ISSUES

REFERENCES NUREG 0510, NUREG 0705 NUREG 0606, (AQUA BOOK) NUREG 0660, NUREG 0737 NUREG 0372, NUREG 0410 NUREG 0471 GENERAL COMPARISON ACRS GENERIC ISSUES VS STAFF GENERIC ISSUES

1. SUBJECT MATTER IS VERY SIMILAR - CROSS REFERENCES TO STAFF LIST CAN BE MADE FOR MOST ACRS GENERIC ITEMS -NEW ITEMS COULD BE ADDED TO STAFF LIST TO ADDRESS SPECIFIC ACRS ITEMS IF NECESSARY 2. THERE APPEARS TO BE A DIFFERENCE IN THE PERCEIVED CONTENT OF A GENERIC ITEM ON THE ACRS LIST VS THE STAFF LIST - ACRS ITEMS TEND TO BE SUBJECT RELATED -STAFF ITEMS TRY TO BE MORE ISSUE RELATED THIS DISTINCTION IS IMPORTANT BECAUSE: SUBJECTS CAN'T BE RESOLVED SPECIFIC ISSUES CAN BE RESOLVED 3. EXPERIENCE HAS SHOWN THAT WE NEED A FOCUSED ISSUE - TO OBTAIN RESOURCES BOTH STAFF AND CONTRACT ASSISTANCE - TO MANAGE EFFECTIVELY

- TO P ONSTRATE PROGRESS HAS BEEN MADE

PRESENT STAFF ACTIVITY ON GENERIC ISSUES

1. UNRESOLVED SAFETY ISSUES

- RESOLUTION ACTIVELY BEING PURSUED BY TASK MANAGERS IN GIB USING STAFF AND CONTRACTOR ASSISTANCE
- -STATUS REPORTED QUARTERLY IN NUREG-0606 (AQUA BOOK)
- -STATUS ON IMPLEMENTATION FOR RESOLVED ISSUES REPORTED IN SEPARATE TABLE IN NUREG-0606
- 2. TMI ACTION PLAN
 - -SOME ISSUES HAVE BEEN RESOLVED AND ARE BEING IMPLEMENTED
 - -RESOLUTION BEING PURSUED ON MANY ISSUES BY ASSIGNED INDIVIDUALS USING STAFF AND CONTRACTOR ASSISTANCE
 - STATUS REPORTED QUARTERLY IN THE ACTION PLAN TRACKING SYSTEM (APTS)
- 3. OTHER GENERIC ISSUES
 - SOME ACTIVITY ON VARIOUS ISSUES
 - -New COMPILATION OF OTHER GENERIC ISSUES HAS BEEN INITIATED
 - -PLAN FOR HANDLING AND RESOLUTION OF GENERIC SAFETY Issues Is Being Developed

ACTION PLAN TRACKING SYSTEM (APTS)

- A LEAD REVIEWER IS ASSIGNED FOR EACH ITEM IN TMI ACTION PLAN - NUREG-0660.
- O LEAD REVIEWER FILLS OUT ONE PAGE STATUS FORM FOR APTS SUMMARY.
 - O PURPOSE
 - O MILESTONES
 - O ACCOMPLISHMENTS
 - O STATUS
 - O ISSUES
- o Forms reviewed in division and sent to Office of Management and Program Analysis (OMPA) for APTS PREPARATION AND DISTRIBUTION.
- O APTS STATUS UPDATED EACH 3 4 MONTHS -- NEXT SCHEDULED FOR MAY.
- O APTS PROVIDES A CONVENIENT SUMMARY FOR ALL ITEMS PLUS A CONTACT IF ADDITIONAL INFORMATION IS NEEDED.

TMI 2 TACS NUMBER 2 TACS NUMBER 2 TACS NUMER 2 TACS NUMBER 2 TACS NUMER	I I I
TMI 2. TAGE NUMBER ACTION PLAN SUMMARY 3. REVISION 3. REVISION 300. 0 0 ATE 3. REVISION 3. REVISION 300. 0 0 ATE 300. 0 3. REVISION 300. 0 0 ATE 1 3. RESPONSIBILITY 300. 0 INDIVIDUAL PHONE NUMBER 2. OTHERS INVOLVED BRANCH 1 2 2 OTHERS INVOLVED BRANCH BRANCH 1 B	AY YR
ACTION PLAN SUMMARY	AY YR
A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TITLE A TI	
INITIATION DATE	
S. PURPOSE AND SCOPE	
B. RESPONSIBILITY IMPIVIDUAL PHONE NUMBER ORGANIZATION (Dimbon, branch)	
B. RESPONSIBILITY INDIVIDUAL PHONE NUMBER ORGANIZATION (Divebon, branch) OTHERS INVOLVED OTHERS INVOLVED BRANCH	
7. OTHERS INVOLVED MDIVIDUAL BRANCH B. ORIGINAL SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET INITIATION DATE SIGNIFICANT SCHEDULE INITIATION DATE	
OTHERS INVOLVED BRANCH BRAN	
B. ORIGINAL SCHEDULE INITIATION DATE OURRENT SCHEDULE OURRENT SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET	
B. ORIGINAL SCHEDULE INITIATION DATE 9. CURRENT SCHEDULE INITIATION DATE OURRENT SCHEDULE INITIATION DATE OURRENT SCHEDULE OU	
B. ORIGINAL SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET 9. OURRENT SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET	
B. ORIGINAL SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET 9 GURRENT SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET	
INITIATION DATE SIGNIFICANT MILESTONES COMPLET	ION DATE
9 GURRENT SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET	
9 OURRENT SCHEDULE INITIATION DAVE SIGNIFICANT MILESTONES COMPLET	
9 CURRENT SCHEDULE INITIATION DATE SIGNIFICANT MILESTONES COMPLET	
9 OURRENT SCHEDULE INITIATION DAVE SIGNIFICANT MILESTONES COMPLET	
INITIATION DATE	TION DATE
10. MAJG# ACCOMPLISHMENTS (List mejor accomplishments to date, including date accomplished)	
11. CURRENT STATUS ILINNI TO 15. HOIDU	in the second
Alternative and a second and a se	
12 ISSUES ON PROBLEMS (LIMITID SO NOW)	

IMPLEMENTATION OF USI RESOLUTION

- O GIB ISSUES NUREG DETAILING RESOLUTION
- O IMPLEMENTATION ON OPERATING PLANTS
 - O GIB INFORMS DL OF IMPLEMENTATION REQUIREMENTS
 - O DL ASSIGNS PM TO COORDINATE IMPLEMENTATION
 - O DL PM PROVIDES STATUS REPORTS FOR ACHA BOOK
- O CHANGES IN LICENSING REQUIREMENTS
 - O GIB WRITES LETTER TO LICENSING GUIDANCE DETAILING SRP CHANGES
 - O GIB WRITES LETTER TO STANDARDS DEVELOPMENT DETAILING REGULATORY GUIDE CHANGES AND/OR REQUIREMENTS FOR RULEMAKING
- O PROGRESS IS MONITORED AND REPORTED IN AQUA BOOK UNTIL IMPLEMENTATION IS COMPLETE
- O ALL COMPLETE USIS ARE LISTED IN AQUA BOOK

Anderson

HOW THE LISTS COMPARE

O ABCD LIST HAS 141 ISSUES 00000 4837730 ABCD O OF THE 48 A ISSUES 0 29 - USIS 0 6 - TMI ACTION PLAN ITEMS 0 25 - Cover or are related to one or more ACRS issues O OF THE 73 B ISSUES 0 10 - USIS OR RELATED TO USIS 0 9 - TMI ACTION PLAN ITEMS 0 25 - COVER OR RELATED TO ACRS ISSUES O OF THE 17 C ISSUES 0 3 - USI OR RELATED TO USI 0 4 - COVER OR ARE RELATED TO ACRS ISSUES O OF THE 3 D ISSUES 0 3 - COVER OR ARE RELATED TO ACRS O 28 OF 77 ACRS ITEMS NOT ON STAFF LIST 0 17 - LISTED AS "NO ACTION REQUIRED" 0 11 - INDICATE FURTHER REVIEW

PLAN FOR RESOLUTION OF SAFETY ISSUES

OBJECTIVES

- ESTABLISH A SYSTEMATIC METHOD FOR MANAGING DEVELOPMENT OF SAFETY ISSUES
 - A. DEVELOP NEW ISSUES, IMPLEMENT REQUIREMENTS THAT RESULT
 - B. IMPLEMENT OLD REQUIREMENTS (RRRC)
 - C. IMPLEMENT NEW REQUIREMENTS (0737, ETC.)
- 2. ESTABLISH PRIORITIZATION METHOD
 - A. SUPPORT DECISIONS ON RESOURCE ALLOCATION
 - B. QUANTITATIVE VALUE/IMPACT ASSESSMENTS
- 3. STABILIZE LICENSING PROCESS
 - A. HELP MAKE BACKFIT DECISION FOR NEW AND OLD REQUIREMENTS
 - B. DEVELOP STANDARDIZED, GENERIC SOLUTIONS WITH INDUSTRY INVOLVEMENT
 - C. ESTABLISH CONTROLLED IMPLEMENTATION
 - D. DEFINE AND DOCUMENT DECISION CRITERIA
 - E. IMPROVE PUBLIC PERCEPTION OF PROCESS



STEPS IN THE PROCESS

- 1. IDENTIFICATION
- 2. PRIORITIZATION A CONTINUING ACTIVITY THROUGHOUT THE PROCESS
- 3. DEVELOPMENT
- 4. DOCUMENTATION
- 5. PUBLIC AND ACRS COMMENT
- 6. ISSUE REQUIREMENT (SRP, GUIDE, TECH. SPEC)
- 7. PRIORITIZE IMPLEMENTATION
- 8. ISSUE REQUIREMENT TO LICENSEES/APPLICANTS
- 9. VERIFY IMPLEMENTATION BY AUDIT

IDENTIFICATION

- 1. SOURCES OF REQUIREMENTS OR ISSUES
- 2. DST WILL RECEIVE
- 3. ORIGINATING ORGANIZATION SHOULD PROVIDE, TO DEGREE POSSIBLE:
 - . OBSERVED OPERATING DATA
 - . POTENTIAL EVENT SEQUENCES
 - . RISK REDUCTION VALUE, CI RELEASED/PLANT YEAR
 - . RECOMMENDED TECHNICAL SOLUTIONS
 - . RECOMMENDED ORGANIZATIONS THAT SHOULD PARTICIPATE
 - . ESTIMATED INDUSTRY AND NRC RESOURCES TO EFFECT FIX

POTENTIAL SOURCES OF REQUIREMENTS

- 1. REGULATIONS
- 2. TMI ACTION PLAN NUREG-0737 PLUS REMAINING NUREG-0560
- 3. ACRS CONCERNS
- 4. AEOD CONCERNS
- 5. LICENSING AND APPEAL BOARD DECISIONS
- 6. 10 CFR 50.54 LETTERS TO OPERATING PLANTS
- 7. IREP
- 8. NREP
- 9. NRR GENERIC LETTERS
- 10. ORDERS
- 11. I&E BULLETINS
- 12. I&E TRANSFER OF LEAD RESPONSIBILITY
- 13. SER CONFIRMATORY ANALYSIS
- 14. ISSUES RAISED BY PARTICIPANTS IN HEARINGS
- 15. NRR CATEGORY IV ITEMS

- 16. NEW REG. GUIDES
- 17. BACKFITTING OF PREVIOUSLY APPROVED REGULATORY GUIDES
- 18. SRP REVISIONS
- 19. NUREG REPORTS
- 20. RESEARCH RESULTS
- 21. STANDARD TECH. SPECS.

PRIORITIZATION

- 1. DEVELOP PRELIMINARY ESTIMATE OF PRIORITIZATION INDEX
- 2. PLACE ON MASTER PRIORITY LIST IN ACCORDANCE WITH RANKING <u>RELATIVE</u> TO ALL OTHER ISSUES
- 3. REPORT RELATIVE PRIORITY TO DIRL TOR. NRR
- 4. NRR DIRECTOR DECIDES ON RESOURCE ALLOCATION
- 5. METHOD IS INDEPENDENT OF CURRENT, PENDING WORK ON ABSOLUTE RISK GOALS -IS STRICTLY <u>RELATIVE</u> RANKING
- 6. IS USEFUL TOOL, BUT NOT THE EXCLUSIVE DETERMINANT IN JUSTIFYING RESOURCE ALLOCATIONS
- 7. MASTER LIST PUBLISHED PERIODICALLY ANY ORGANIZATION MAY PETITION FOR CHANGE
- 8. ACRS INFORMED BY LETTER REGARDING PRIORITY LEVEL OF ANY ISSUE THEY PROPOSE

- 9. ASLB NOTIFICATION IF WARRANTED AT THIS STAGE
- 10. EACH ISSUE ENTERED IN TRACKING SYSTEM THAT PROVIDES CENTRALIZED ACCESS TO STATUS OF FURTHER DEVELOPMENT

DEVELOPMENT

- 1. EACH ISSUE ASSIGNED A TASK MANAGER
- 2. TASK ACTION PLAN WRITTEN, ACRS COMMENT SOLICITED AND CONSIDERED PRIOR TO NER DIRECTOR FINAL APPROVAL
- 3. INDUSTRY PARTICIPATION SOLICITED TO DEVELOP TECHNICAL SOLUTIONS, COSTS, AND IMPLEMENTATION PLANS
- 4. MAINTAIN CONTINUING CHECK ON PRIORITIZATION INDEX
- 5. DST MONITORS, COORDINATES EFFORTS OF TASK MANAGERS TO ASSURE SYSTEMATIZED, PRIORITIZED INTERACTION WITH INDUSTRY GROUPS

DOCUMENTATION

- 1. PREPARE FORMAL PROPOSED CHANGES TO SRP, REGULATORY GUIDES, TECH. SPECS. OR REGULATIONS
- 2. DOCUMENTS BASED ON MOST COST-BENEFICIAL ALTERNATIVES DEVELOPED
- 3. PROPOSED CHANGES MUST INCLUDE COMPLETELY DEVELOPED IMPLEMENTATION PLAN ON PLANT-BY-PLANT BASIS
- 4. ISSUE MAY BE REMANDED TO RULEMAKING AT THIS TIME. OPTIONAL INTERIM REQUIRE-MENT MAY BE PROPOSED

PUBLIC AND ACRS COMMENT

- 1. FORMAL DOCUMENTS ISSUED FOR COMMENT
- 2. INDUSTRY COMMENTS SHOULD BE MINIMAL AT THIS TIME IF ACTIVE PARTICIPATION WAS OBTAINED IN DEVELOPING PROPOSED CHANGE
- 3. INCORPORATE COMMENTS
- 4. OBTAIN REQUIRED STAFF MANAGEMENT APPROVALS

ISSUE NEW LICENSING REQUIREMENT

- 1. NEW OR MODIFIED SRP, TECH. SPECS., GUIDES, REGULATIONS ARE ISSUED TO ALL PARTIES
- 2. DST FC3MALLY TRANSFERS REQUIREMENTS TO DL FOR IMPLEMENTATION

PRIORITIZE IMPLEMENTATION

.

1. ORDER OF IMPLEMENTATION NOMINALLY BASED ON MASTER PRIORITIZATION INDEX

2. DL MAY ADJUST ORDER FOR GOOD CAUSE
ISSUE REQUIREMENT TO LICENSEFS/APPLICANTS

- 1. DL ISSUES REQUIREMENTS BY LETTER TO INDIVIDUAL PROJECTS
- 2. D. MANAGES IMPLEMENTATION ON INDIVIDUAL PROJECTS
- DL MANAGES STATUS REPORTING SYSTEM ON IMPLEMENTATION PROGRESS 3.

VERIFY IMPLEMENTATION BY AUDIT

- 1. NRR AND IE PARTICIPATE IN AUDIT
- 2. AUDIT IS SELECTIVE ON BOTH NUMBER OF PLANTS AND NUMBER OF REQUIREMENTS AUDITED
- 3. AUDIT INVOLVES BOTH RECORD CHECKS AND ON SITE VERIFICATION OF AS-BUILT CONDITION

WEIGHTED SAFETY BENEFIT B:

B = CHANGE IN [(EVENT FREQUENCY) X (CURIES RELEASED)^{1.2}] B = \triangle [FR^{1.2}] PRACTICAL UNITS: CURIES^{1.2}/REACTOR-YEAR

PRIORITY SCORE Sp:

 $S_{P} = \underline{AGGREGATE WEIGHTED SAFETY BENEFIT}$ TOTAL COST

 $S_{p} = (NO. REACTORS) \times CHANGE IN [(EVENT FREQUENCY) (CURIES RELEASED)^{1.2}]$ (NRC COST) + (NO. REACTORS) (LICENSEE COST)

 $S_{P} = N_{\Delta} [FR^{1.2}]$ PRACTICAL UNITS: $C_{1}^{1.2}/R-Y/MILLION$ \$

MANAGEMENT SCORE SM:

 $S_{M} = AGGREGATE WEIGHTED SAFETY BENEFIT$ NRC COST

 $S_{M} = N \Delta [ER^{1.2}]$ PRACTICAL UNITS: C1^{1.2}/Y/DOLLAR

Vandermolen

BWR SCRAM AIR DUMP PWR RCP SEAL LEAKAGE PWR DIESEL GENERATOR RELIABILITY

P'GH

DAVIS-BESSE AUX. FEED PUMP BORON DILUTION WHILE S/D MEDIUM

BWR FUEL MISLOADING PWR RTD TIME RESPONSE S-G TUBE RUPTURE DETECTORS

LOW

	NUMBER Reactors	NRC Cost (Thousands)	COST PER LICENSEE (THOUSANDS)	WEIGHTED SAFETY BENEFIT	EFFECTIVENESS OF FIX	MGT SCORE	PRIORITY SCORE	RANGE
BWR SCRAM								
ATK DUMP	19	80	2100	5.4 x 10°	982	1 x 10 ⁵	3 x 10 ^b	$2 \times 10^5 \cdot 3 \times 10^7$
PWR RCP								
SEAL LEAKAGE	43	93	500	1.1×10^{6}	90%	5×10^2	2×10^{6}	$6 \times 10^5 \cdot 1 \times 10^7$
PWR DIESEL								
GENERATOR RELIABILITY	22	266	1100	4.2 x 10 ⁵	50%	3×10^1	7 x 10 ⁵	$2 \times 10^5 \cdot 3 \times 10^6$
DAVIS-BESSE								
DIESEL-DRIVEN AUX. FEED	1	40	2000	1.1 × 10 ⁵	957	3×10^{0}	6×10^{4}	$1 \times 10^4 \cdot 2 \times 10^5$
BORON DILUTION	43	73	200	6.5×10^2	80%	4 x 10 ⁻¹	3×10^3	$1 \times 10^2 - 8 \times 10^4$
BWR FUEL MISLOADING	24	89	0.3	1.7 x 10 ⁻¹	208	5 x 10 ⁻⁵	3×10^2	$4 \times 10^{1} \cdot 2 \times 10^{3}$
						tini.		
PWR RTD TIME RESPONSE	1.7	20	1	7.0. 10-1			1	
THE RESIDINGE	45	29	26	5.0 x 10 1	95%	4 x 10 ⁻⁴	1 x 10	$6 \times 10^{-1} \cdot 2 \times 10^{2}$
STEAM GENERATOR								
TUBE RUPTURE DETECTORS	43	150	600	1.4×10^{0}	55%	4 x 10 ⁻⁴	2×10^{0}	$6 \times 10^{-1} \cdot 8 \times 10^{0}$