

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 - - -

4 PUBLIC MEETING

5 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
6 SUBCOMMITTEE ON ELECTRIC POWER SYSTEMS

7 - - -

8 Nuclear Regulatory Commission
9 Room 1046
10 1717 H Street, N.W.
11 Washington, D.C.

12 Friday, January 23, 1981

13 The subcommittee met, pursuant to notice, at 8:40 a.m.

14 BEFORE:

15 W. KERR, Presiding

16 J. C. EBERSOLE

17 WILLIAM M. MATHIS

18 JEREMIAH J. RAY

19 E. EPLER, ACRS Consultant

20 W. LIPINSKI, ACRS Consultant

21 ALSO PRESENT:

22 RICHARD P. SAVIO, ACRS Staff

23 - - -
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

P R O C E E D I N G S

1
2 MR. KERR: The meeting will come to order.

3 This is a meeting of the Advisory Committee on Reactor
4 Safeguards, specifically, the Subcommittee on Electrical Power
5 Systems - and a few other things, it seems to me.

6 My name is William Kerr, I am subcommittee chairman.
7 Other ACRS members present, or who will be present today, are
8 Mr. Ebersole, Mr. Mathis, and Mr. Ray. Our consultants present
9 are Mr. Epler - who will be along presently - and Mr. Lipinski.

10 The meeting is the first in what we expect to be a series
11 of meetings which is going to review the interaction of control
12 and safety systems.

13 This meeting is being conducted in accordance with
14 Provisions of the Federal Advisory Committee Act and the Sunshine
15 Act. Richard Savio is the designated Federal employee. The
16 rules for participation in the meeting have been announced as
17 part of notice of the meeting published in the Federal Register
18 on January 6, 1981.

19 A transcript of the meeting is being kept and will be
20 available within five working days. We request that each speaker
21 identify himself and use a microphone. We have received no
22 written comments or requests for time to make oral statements from
23 members of the public. We will proceed with the meeting.

24 I should call your attention to some correspondence
25 that forms background for this meeting, copies of which you may

1 have, the most recent being a letter from Mr. Ahearne, Chairman
2 of the Nuclear Regulatory Commission, addressed to Mr. Placet(?)
3 and dated December 12, 1980, with which Mr. Ahearne encloses
4 copies of two letters from Congressman Udall.

5 One of these letters with which we will be concerned
6 primarily in today's meeting refers to a previous exchange of
7 correspondence between Congressman Udall and the Commission in
8 comments as follows, this is in regard to instrument and control
9 system failures that could initiate or exacerbate reactor accidents.

10 "Your letter of November 17 and attachment thereto go a long way
11 towards answering the questions I originally raised concerning
12 this matter on February 7. I believe, however, that it is
13 important that the Commission take further steps to provide
14 assurance that judgments made over the years concerning the
15 seriousness of this issue have not been re-affirmed without a
16 careful re-examination of the foundations of such judgments.

17 "I am requesting, therefore, that the Commission ask
18 the ACRS to review the staff's rationale on which its recent
19 judgments relating to control system failures are founded, and
20 that the ACRS report its findings to the Commission at an early
21 date.

22 "As a specific part of the review I would hope that
23 consideration be given to the specific concerns in this matter
24 that have been expressed by staff which may not concur with the
25 'senior staff' referred to you in your letter of November 17.

1 "I would appreciate also that a report on progress in
2 this area be presented when the Commission testifies early next
3 year at the Interior Committee hearings on proposed legislation
4 to authorize appropriations for the NRC for fiscal years 1982 and
5 1983."

6 There is another letter that deals with the ATLAS(?)
7 issue, but this particular subcommittee, at least initially, will
8 not look at that in detail, so I will not read that letter.

9 Mr. Ahearne's letter asks that the ACRS review these
10 two questions, and that the committee provide a status report for
11 Commission use in the congressional authorization hearings.

12 What I propose to do in this subcommittee meeting today
13 is to get some initial comment from the NRC staff and to get
14 comments from members of the subcommittee and the consultants as
15 to an appropriate approach to this task.

16 One of the tasks that the committee has, of course, is
17 to provide this early response to the Commission. To that end,
18 I have prepared a draft letter which I would propose, after review
19 by the subcommittee, to present to the committee, and to perhaps
20 make it a part of the committee letter to Mr. Ahearne. I would
21 want the subcommittee and the consultants to look at that draft
22 later on and provide appropriate input.

23 But the purpose of today's meeting, from my point of
24 view, is to solicit comments and suggestions from each of you so as
25 to try to outline an approach to answering this request that we

1 have from the chairman of the Commission and from Mr. Udall.

2 At this point I would solicit any additional comments
3 from members of the subcommittee, if you want to make any at this
4 point, or questions. Mr. Ebersole?

5 MR. EBERSOLE: We were just talking a while ago. I
6 think there are two courses of action here. One that has been
7 recommended is that we study the dynamics of control systems in
8 great detail and, I understand, very thoroughly indeed, the
9 potential for control system reviewing or imposing on whatever
10 parameters they control unsafe rates and aptitudes of control,
11 a massive task to undertake.

12 I think what happened in the industry really has been
13 that the parameters to be controlled by control systems have been
14 in many cases not recognized as having a safety context. I will
15 just pick one of these, for example, that is the secondary site
16 level which, I think, we all know and have lots of papers to study
17 about. We now know it to be a substantial safety issue.

18 It has been many years since we have tried to get the
19 industry to put hard controls, overriding safety controls, on
20 such things as boiler overfill, excessive main feedline flow, main
21 feedwater flow. We know of the B&W analysis that there is a
22 substantial accident potential here, I understand from the thermo-
23 shock aspects of this, coupled with potential for loss of main
24 steam lines. That is probably the issue that is keeping Great
25 Britain from building American reactors, the thermoshock potential

1 on the vessel; the combined potential for losing the secondary
2 circuits by virtue of overloading the main steamline on B&W plants.

3 I think an alternative approach to what Mr. Basdekas, I
4 think wants, which is intensive study which I certainly recommend
5 if we can do it, of the control systems essentially to carefully
6 identify the potential range and rates of the parameters of interest
7 in uncontrolled systems and, where necessary, superimpose safety
8 systems to cope with those ranges in rates as appropriate. I
9 think that is an alternative approach.

10 We now know from experience that it was control systems,
11 in fact, that were causing us trouble, the duct and vent valves
12 and in this case a misapplication or maldesign of float switches.
13 That is another case of a somewhat different character.

14 But I think that is a possible alternative, is to look
15 at the limits of rate and aptitude of all system parameters to
16 safety and, where appropriate, where we have not yet done so,
17 apply safety controls fully "church in character" as Mr. Epler
18 would say, capable of coping with those rates and aptitudes that
19 might be imposed on those parameters by the safety control system.

20 That is all I have to say.

21 MR. KERR: Thank you, Mr. Ebersole. Mr. Mathis?

22 MR. MATHIS: I don't have any particular comments at
23 this time, Bill.

24 MR. KERR: Mr. Ray?

25 MR. RAY: No comments, but I have a question. Will we

1 hear in this presentation as scheduled by the staff what steps
2 have been taken by them in the interim, in view of these incidents
3 that have occurred in operating plants?

4 MR. KERR: I don't know the answer to that. I did not
5 give the staff very specific instructions about the presentation.
6 So, I don't know. But this, I would assume, is the first of
7 several meetings and what I hope that we will do as a result of
8 today's meeting is to be able to give the staff a better idea of
9 what we would like to hear from them.

10 So, if you don't hear something that you would like to
11 hear, I think today's meeting will form at least a place from
12 which requests can come.

13 Mr. Epler, do you have any comments?

14 MR. EPLER: I think we could have answered this letter
15 35 years ago very simply by saying, we recognized at that time
16 that you cannot fix all the things that can happen to control
17 systems. It is an endless job. You have to review everything in
18 the plant down to the nearest one-tenth of an inch to identify
19 the safety problems. Having identified the problems, we are
20 putting in protection systems to make sure we cope with them. We
21 will separate the safety system from all nonsafety systems as best
22 as we can - not perfectly, of course - and make sure that we
23 optimize each for its intended purpose - optimize the control
24 system to control, if that is its function; optimize the protection
25 system to protect. That is the best we can do.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

1 Now, we can spend the rest of our lives nitpicking
2 pieces of this, but it won't get us very far.

3 MR. KERR: I hope we have a record of that because we
4 could use that as one draft of a letter.

5 (Laughter.)

6 MR. KERR: Mr. Lipinski?

7 MR. LIPINSKI: I have to disagree with Mr. Epler. Part
8 of it is right.

9 MR. KERR: That would be the first time anyone ever
10 disagreed with Mr. Epler.

11 (Laughter.)

12 MR. LIPINSKI: Our experience, starting with TMI and
13 several incidents following that, there are certain design principles
14 that have been disregarded in the design of control systems, and
15 in control I will classify the automatic systems as well as the
16 manual systems.

17 I would agree that we have to look at the rates at
18 which the variables change, what their magnitudes are. But if you
19 do this one variable at a time you may get a conservative analysis.

20 MR. EPLER: I didn't say that.

21 MR. LIPINSKI: OK. I am going to add, you then have
22 to look at the modes in which the control systems can fail. I
23 would not just look at the outputs from the controllers but where
24 they share common power supplies, mainly where an integrated
25 controller loses his input information because his sensors went

1 out. It opens up the power operated relief valves; the control
2 cuts out and cuts off feedwater. Everything went in the wrong
3 direction, three variables simultaneously, and then blacks out the
4 panel for the operator so he can't tell where the plant is at.

5 So that somewhere we need some design guides in terms
6 of how many failures are acceptable in terms of the control system
7 failure.

8 MR. KERR: Mr. Ebersole?

9 MR. EBERSOLE: I want to extend your observation and
10 say something else. There is an analogy between our control
11 problem here and many service systems, one of which we were
12 talking about yesterday.

13 I would like to extend the scope of the control system
14 right out into the service system and say that it is my view that
15 the service systems, I will call them in the nonsafety context
16 of the plant, like DC power, or like service water, or AC power,
17 should be kept isolated and taken in the control context or
18 service context.

19 We then park to one side of the redundant safety grade
20 systems which will mitigate malfunctions of those systems. A
21 case in point is the two-channel DC system. When you lose one
22 side of that, you lose the control functions that go with it. You
23 lose the mitigating functions that go with it. You have no
24 redundancy to meet the current events.

25 It has not been a generic, thorough policy of NRC to

1 identify in totality the service function of a plant, park it to
2 one side and then clearly separate the overriding safety functions
3 on another side of a wall. Ultimately, I think, we must come to
4 that.

5 That takes one working train. It takes two trains to
6 back up its malfunctions wherever you go, without having them
7 meet somewhere in the middle.

8 MR. LIPINSKI: I would like to add to my earlier
9 comments. Based on these experiences, the NRC has certain
10 remedies in process right now to solve some of the problems that
11 have occurred. I do not want to imply that nothing is being done.
12 We have learned from these experiences.

13 MR. EPLER: It is being whittled at.

14 MR. LIPINSKI: It is being whittled at. But the question
15 is, do we have a systematic approach to the total problem.

16 MR. EPLER: Just for the record, I want to point out
17 that Walt Lipinski and I don't disagree a bit. He said in a
18 great many words what I said when I said, identify the problem.
19 You have to identify the problem in order to build an effective
20 system. Sure, you have to look at what you can do, but you
21 don't try to fix them.

22 MR. KERR: I think the comments that we have heard are
23 perhaps illustrative of ours and Mr. Udall's problem. I am not
24 sure whether we want to answer Mr. Udall's letter or, maybe,
25 answer another letter that he should have written and did not. We

1 will have to give it some thought. But this is probably enough
2 and I think these comments are relevant to the problem.

3 What we eventually have to do as a committee is to try
4 to pick out from the accumulated wisdom that part that should be
5 used in responding to the letter, I guess.

6 We have with us this morning representatives from the
7 NRC. In our discussions with them we did not ask that they make
8 a detailed, formal presentation, but rather that they make what-
9 ever presentation they felt would be helpful to us generally, if
10 they want to make one and be available to make contributions to
11 the general discussion.

12 I am told that Mr. Faust Rosa who was recently
13 appointed branch chief - an exalted position - for instrumentation
14 and control has with him his capable assistants. I am going to
15 ask Mr. Rosa to begin the discussion and give us some input from
16 the NRC staff.

17 Incidentally, if you want to sit around the table or
18 there, whatever, this is going to be a fairly informal meeting,
19 and whatever geographical and oral presentation you want to make
20 will be appropriate, Mr. Rosa.

21 MR. ROSA: Thank you, Dr. Kerr, and ladies and
22 gentlemen. This is Faust Rosa.

23 Within NRR, I guess, it is accurate to say that the
24 responsibility for this issue has been assigned to the
25 Instrumentation and Control Systems Branch. Within that branch,

1 it was assigned to Dr. Ernie Rossi, a senior member; and he is
2 going to make the presentation. He is going to be supported as
3 deemed necessary by Dr. Morris here, Bill Morris and other members
4 of the staff who have elected to come down here and be in attendance.

5 Therefore, without further ado, Ernie Rossi will start
6 his presentation.

7 MR. ROSSI: I do not have any slides this morning. What
8 I would like to do is to summarize the status of the NRC control
9 system reviews, the way we have done those reviews in the past.

10 I would like to try to tell you where we have drawn
11 the line in limiting our reviews. The discussion of control
12 system failures can be divided into the following considerations.

13 MR. KERR: Excuse me, Dr. Rossi. You have copies of
14 the correspondence that has led to this discussion, I take it?

15 MR. ROSSI: Yes, I do.

16 MR. KERR: Are your remarks, if I can try to separate
17 them, aimed at what you deem to be an appropriate answer to these
18 letters, or are you sort of talking to the general topic of how
19 you have up to now treated the review of control systems?

20 MR. ROSSI: I think my comments are directed towards a
21 summary of how we have treated control systems. At the end I am
22 going to summarize the actions that are currently under way that
23 address the problem.

24 So, really, what I am trying to do is to help everyone
25 better to find the problem and also to tell you what actions are

1 under way at the current time, and what actions are planned to
2 address the problem.

3 MR. KERR: Thank you.

4 MR. RAY: Question?

5 MR. KERR: Yes.

6 MR. RAY: Those actions that are under way are attuned
7 to the incidents that have developed in the plants in recent months?

8 MR. ROSSI: They certainly arise out of those in some
9 cases. In some cases they arise it is just a re-emphasis of
10 things that were, in my opinion, already under way within the
11 NRC.

12 The discussion of control system failures I have
13 divided into three considerations:

14 The effects of control system failures on anticipated
15 operational occurrences.

16 The effects of control system failures on accidents.

17 The effects of control system failure on operator
18 actions.

19 The operator actions would be considered with the plant
20 at shutdown, during plant heatup or cooldown, following plant
21 trips, or following the actuation of engineered safeguard systems.
22 The control system failures might include those which deprive the
23 operator of required information for manually controlling plant
24 conditions, failures which provide confusing or incorrect
25 information to the operator, or failures which may initiate or

1 compound the transients.

2 First, let's consider the effects of control system
3 failures on anticipated operational occurrences.

4 The NRC staff reviews have been performed on currently
5 licensed plants with the goal of ensuring that control system
6 failures will not prevent automatic or manual initiation and
7 operation of any safety system equipment required to trip the plant
8 or to maintain the plant in a safe shutdown condition following
9 any anticipated operational occurrence or accident.

10 The approach has been to either provide independence
11 between safety and non-safety systems or to require isolating
12 devices such as isolation amplifiers between safety and non-safety
13 systems such that failures of non-safety system equipment cannot
14 propagate through the isolating devices to impair the operation
15 of the safety system equipment.

16 In addition, a specific set of "anticipated operational
17 occurrences" have been analysed to demonstrate that plant trip
18 and/or safety system equipment actuation occurs on a time scale
19 such that no core damage results.

20 In these analyses, conservative initial plant conditions,
21 core physics parameters, and instrumentation setpoints have been
22 assumed. Conservative core parameters, that is heat fluxes,
23 temperatures, pressures and reactor flows which could result in
24 core damage have also been assumed.

25 Where active control system operation would mitigate the

1 consequences of the transient, in general no credit is taken for
2 the control system operation. No penalties are taken in the analy-
3 ses for incorrect control system actions caused by control system
4 equipment failure.

5 The operator is assumed to not intervene with actions
6 which would mitigate the consequences of the transient for at least
7 the first few minutes - typically at least ten minutes. No
8 penalties are taken in the analyses for incorrect manual operator
9 actions.

10 Now, in the case of control systems this means that the
11 loss of forced reactor flow, for example, is analyzed assuming
12 that the reactivity control systems either operate properly or do
13 not operate at all, whichever is the worst case.

14 A loss of forced reactor flow occurring simultaneously
15 with an inadvertent rod withdrawal is not considered. Now, among
16 the specific set of "anticipated operational occurrences" that are
17 analyzed are occurrences resulting from both mechanistic and non-
18 mechanistic control system failures. We would like to leave the
19 emphasis being on the nonmechanistic failures.

20 The conservative analyses performed and the "anticipated
21 operational occurrences" chosen for analyses are intended to
22 demonstrate that no core damage occurs for a wide range of bounding
23 events which might occur on a frequency of once or more during
24 the life of a plant, even though specific events might not follow
25 the same conservative assumptions that have been made in the

1 analyses.

2 Now I will summarize the possible problem areas in the
3 approach. This also summarizes, I think, where we delimited the
4 approach that we take with control systems.

5 No systematic evaluation of control system designs has
6 been performed to determine whether single failure induced
7 multiple control system actions could result in a transient such
8 that core limits established for the anticipated operational
9 occurrences are exceeded.

10 MR. KERR: Excuse me, what was that, something initiated
11 multiple something or other?

12 MR. ROSSI: Yes. That is, no multiple control system
13 failures that might be initiated from a single cause, such as a
14 power supply. Now, we have not systematically gone and looked
15 for every one.

16 MR. KERR: I just wanted to understand what you say.
17 I am just trying to get the statement. I was not even able to
18 piece together the statement. Would you read it again, please?

19 MR. ROSSI: Sure. No systematic evaluation of control
20 system designs has been performed to determine whether single
21 failure induced multiple control system actions could result in a
22 transient --

23 MR. KERR: Single failure induced multiple --

24 MR. ROSSI: Actions.

25 MR. KERR: Tell me what a single failure induced

1 multiple action is.

2 MR. ROSSI: OK, let me give you an example. As a matter
3 of fact, I believe this is an example that would not exist
4 anywhere, but I just indicated to you that we did not analyze
5 the loss of reactor coolant system flow simultaneously, assuming
6 a rod withdrawal accident.

7 Now, if there were a single failure some place that
8 could cause those two things to occur at the same time, that would
9 be a mechanistic single failure that would lead, perhaps, to
10 multiple control actions, the multiple actions being withdrawing
11 the control rods inadvertently at the same time that you for some
12 reason reduce the reactor coolant system flow inadvertently.

13 I am saying that we have not systematically gone
14 through the control systems to look for all of those cases.

15 MR. KERR: Where a single failure in the control system --

16 MR. ROSSI: Causes multiple actions.

17 MR. KERR: Now, do you look for some single failures
18 that cause single actions?

19 MR. ROSSI: Well, that gets to the question of whether
20 our analyses are mechanistic or not mechanistic. We have things
21 like a rod withdrawal accident that is analyzed, and we have
22 another accident, a separate one, that is analyzed, which is the
23 loss of reactor coolant system flow.

24 Now, In general we do not try to identify all of the
25 things that could cause those. So, you analyze those as severe

1 control system malfunctions where we don't go back and try to
2 identify all the specific things that might cause it, but then
3 we use very conservative analyses in analyzing each of those
4 individually.

5 MR. KERR: So a short answer to my question, it might
6 be sometimes.

7 MR. ROSSI: I think that is fair.

8 MR. LIPINSKI: Mr. Chairman?

9 MR. KERR: Yes, sir.

10 MR. LIPINSKI: The speaker may correct me, but I
11 believe we have this presentation as an attachment to a memorandum
12 dated December 4, 1980 from Benwood Ross.

13 MR. KERR: Are you reading from that?

14 MR. ROSSI: To a large extent I am. I do not intend
15 to go through all of that.

16 MR. KERR: Well, there may be members of the sub-
17 committee or consultants who can't read.

18 (Laughter.)

19 MR. ROSSI: I have also made some changes to that. What
20 I intend to do is not to go exactly through it. I think you have
21 found that already, perhaps.

22 MR. RAY: Question. In these instances where you have
23 a single reaction, do you then make a systematic study?

24 MR. ROSSI: I'm not sure I understand.

25 MR. RAY: Well, you said no system study is made, or no

1 systematic study is made in the incidents that cause multiple
2 control responses. Do I read you right on that?

3 MR. ROSSI: We have not done a systematic study to
4 identify all the multiple responses that might be caused by one
5 single event or failure; that's correct.

6 MR. RAY: Well, in the event of a single control response
7 to an incident, do you make a study of a whole control system?
8 Is that a systematic study, or is it a study of the isolated
9 hardware?

10 MR. ROSSI: Let me go back to the rod withdrawal
11 accident again. We analyzed inadvertent reactivity insertion
12 from control rod withdrawal. Now, in analyzing that, the
13 assumptions that go into that accident analysis would look at the
14 control system sufficiently to ensure that the reactivity
15 insertion rate which is used in that analysis balanced anything
16 that the control system could realistically do in single failures.

17 MR. RAY: So that any perturbations beyond would be
18 recognized as a result of that type of study.

19 MR. ROSSI: But only in that reactivity insertion, we
20 would not go back and systematically look to see if, for example,
21 a relief valve might open at the same time; that we would not do.

22 MR. RAY: But if the perturbation that you are con-
23 cerned with could influence something else in a logical sense.

24 MR. ROSSI: Oh, yes, right. In general, if other
25 control systems by doing the thing that they are supposed to do,

1 would do something bad, that would be taken into account. If the
2 other control systems by doing the thing that they are supposed
3 to do would mitigate the consequences of the transient, then in
4 general the assumption would be that those control systems are
5 essentially manual so that they don't act to mitigate.

6 But what we don't do is go and look for other failures
7 of other control systems that might cause wrong control actions
8 because of additional equipment failures.

9 MR. RAY: But actuation that leads to an independent
10 event, not related to the one you are concerned with.

11 MR. ROSSI: Yes, although we still have probably
12 not systematically tried to look for single failures that might
13 cause a multitude of control actions.

14 We have a lot of reasons to believe that they don't
15 exist in very many places, but we have found some from time to
16 time.

17 MR. MATHIS: May I ask a question? How can you say that
18 when you use common power supplies, such as DC power supplies, or
19 a multiplicity of control stations the common failure of which
20 involves the failure of that control system, which was one branch
21 of its mitigating function and possibly other control systems?

22 MR. ROSSI: That only becomes a problem if the power
23 supply failure causes an inadvertent control system action. Now,
24 if a power supply failure were to cause the rods to be inadvertently
25 withdrawn or cause valves to initiate transients, then that would

1 be a problem.

2 MR. EBERSOLE: Do you analyze those common power supply
3 failures to control and safety systems which come from the same
4 source?

5 MR. ROSSI: I would say that we have analyzed the
6 commonality to make sure that something like that would not cause
7 a transient, and at the same time to feed the protection for
8 that transient.

9 MR. EBERSOLE: Like Crystal River?

10 MR. ROSSI: Crystal River, that was a multitude of
11 control system failures. I do not know that it defeated any
12 trip actions at the same time. But I am not that familiar with it.

13 MR. EBERSOLE: When you said "trip actions" you lost
14 me because tripping a reactor is vastly simpler compared to
15 the follow-on actions that must be done after the tripping
16 function.

17 To this extent I think that the follow-on action which
18 is persistence of the removal function and in particular those
19 aspects of secondary circuit design have been given pret. such
20 short shrift in the control and safety analysis area.

21 MR. ROSSI: Well, I would have to say that certainly
22 systematic reviews of the control systems and what even power
23 supply losses might do to the control system, in a systematic
24 way I would say that that has not been systematically done.

25 MR. EBERSOLE: Thank you.

1 MR. ROSSI: But we have addressed problems that we find
2 in our reviews or problems that occur from incidents, we try to
3 look beyond those and address the issues. But we have not done
4 the systematic kind of review that we would do, for example, for a
5 safety system.

6 MR. EPLER: Question. I am not sure of the ground rules
7 here. When you say a "control system" do you mean specifically
8 the systems for dynamic control, or do you mean all non-safety
9 systems?

10 MR. ROSSI: I am using "control systems" here to really
11 mean the instrumentation and control systems that are non-safety
12 systems.

13 MR. EPLER: Just the instrumentation.

14 MR. ROSSI: Just the instrumentation.

15 MR. EPLER: Well, this is rather narrow in scope.

16 MR. ROSSI: It is somewhat, yes. It does not include
17 a lot of mechanical equipment.

18 MR. EPLER: It does not include the roof falling in,
19 for example.

20 MR. ROSSI: Beg your pardon?

21 MR. EPLER: It does not include the roof falling in.

22 MR. ROSSI: That's correct, that is a good example. If
23 you have a nonseismically qualified building I would not include
24 the building.

25 MR. EPLER: It would give you a lot of failures. So, we

1 are restricted to those instrument failures that could cause a
2 dynamic control system to produce undesirable action.

3 MR. ROSSI: Right.

4 MR. KERR: Please proceed, Mr. Rossi.

5 MR. ROSSI: OK. It should be emphasized that the
6 primary issue is not whether reactor trip or safety system
7 equipment action would be defeated, but whether trip or equipment
8 action would occur in time to maintain the core design limits
9 appropriate for "anticipated operational occurrences" and, perhaps
10 more importantly, whether control system failures might confuse the
11 operator such that he takes improper actions which worsen the
12 transient consequences.

13 We believe that systematic reviews of safety systems
14 have been performed with the goal of ensuring that control system
15 failures - either single or multiple - will not defeat trip or
16 safety system action.

17 Now, what we mean there is that where we use isolation
18 amplifiers that we put a lot of effort into making sure that
19 regardless of how many things go wrong after the isolation
20 amplifier, and how it goes wrong, that that will not keep the
21 safety system from either tripping the plant or actuating safety
22 system equipment that might be needed during an "anticipated
23 operational occurrence" or accident.

24 MR. RAY: In the analysis that you just mentioned, do
25 you consider the level of the load on a reactor as having any

1 influence on that interaction?

2 MR. ROSSI: The level of the load?

3 MR. RAY: For instance, a hundred percent of load on
4 the reactor.

5 MR. KERR: The power level of the reactor, I think.

6 MR. ROSSI: Yes, we look at a multitude of power levels.
7 For example, going back again to the rod withdrawal accident,
8 the rod withdrawal accident is looked at, at power levels all the
9 way from way down in source range, the lowest that you could ever
10 get to in terms of the initial neutron level, all the way up to
11 the maximum power level that the plant could ever operate at.

12 In addition, we look at the reactivity insertion rates.
13 We don't just look at the maximum possible rate. We look at a
14 whole range of rates from, you know, minimal insertion rate all
15 the way up to the maximum possible that could occur. So, we try
16 to bracket that analysis in both power levels that we look at, by
17 looking at a wide range; and also in the reactivity insertion
18 rates.

19 MR. RAY: To make sure I understand your response, you
20 consider this range of power levels in a reactor in your
21 investigation of the integrity of the isolation between the
22 control system and the protection system.

23 MR. ROSSI: Right.

24 MR. RAY: And make sure that that integrity is not
25 different, if you will, or deteriorated as a function of the power

1 level in the reactor.

2 MR. ROSSI: That is correct, yes.

3 MR. KERR: Would you go back and read for me what you
4 said the issue was because before you emphasized that the issue
5 is something or other.

6 MR. ROSSI: I think I didn't really say what the issue
7 was - maybe I did. I said that it should be emphasized the
8 primary issue is not whether reactor trip or safety system
9 equipment action would be defeated, but whether trip or equipment
10 action would occur in trying to maintain core design limits
11 appropriate for anticipated operational occurrences and, perhaps
12 more importantly, whether control system failures might confuse
13 the operator such that he takes improper actions which worsen the
14 transient consequences.

15 MR. KERR: Now, to what issue are you referring when
16 you say this is a primary issue?

17 MR. ROSSI: Well, I am saying that we feel that we have
18 done a lot of review to make sure that control system failures
19 won't keep the plant from tripping or keep you from actuating
20 safety system equipment.

21 We have not done systematic reviews to make sure that
22 control system failures can't cause a multitude of control system
23 actions which might cause transients to go in a less conservative
24 way than analyzed, such that you violate, perhaps, the limits that
25 you have set for anticipated operational occurrences.

1 So, you would always trip and you would always actuate
2 safety system equipment, in my judgment. What you might have a
3 problem with is that the times might be a little different than
4 what has been analyzed in the safety analyses reports.

5 MR. KERR: I could reword that, then, to read that the
6 basis for the staff's approach to the review is, the foundation
7 for your review is based on --

8 MR. ROSSI: The separation of safety systems and
9 protection systems from control systems.

10 MR. KERR: OK, I think I understand.

11 MR. EBERSOLE: By and large your emphasis has been on
12 core protection, of course, for many years; that has been one
13 of the principal emphases.

14 Are you now having a look, as a mechanical engineer
15 must be, at the implications of secondary system couplings, the
16 potential for permanent mechanical damage of gross character,
17 leading in the long term to core damage of a very severe type?

18 I can use as a model for this the secondary transients
19 that I referred to earlier.

20 MR. ROSSI: You are concerned about thermotransients on
21 a vessel, that type of thing?

22 MR. EBERSOLE: Right, reflecting eventually on the core,
23 but not immediately.

24 MR. ROSSI: I am not terribly familiar with those, but
25 they are done. Accident analyses are done where you identify

1 cooldown rates which occur in the reactor coolant system, and
2 then those are taken back and looked at in terms of the stresses
3 on key components.

4 MR. EBERSOLE: Well, it is a case in point at this
5 point in time. I think there is only beginning consideration of
6 the potential for loss of level control in secondary circuits.

7 MR. ROSSI: For filling, for overfilling.

8 MR. EBERSOLE: Yes, correct.

9 MR. ROSSI: I think that is probably true on your over-
10 filling or not having enough flow. I think that has been
11 systematically addressed in fairly much detail. I think that you
12 are right, that there are areas that could be addressed in more
13 detail on excessive flows of feedwater.

14 MR. EBERSOLE: When I said, by the way, a while ago
15 "range" I meant into the range.

16 MR. ROSSI: I understand. I am sure there is no
17 question in the accident analyses that some ranges have been looked
18 at in more detail, for some accidents, than perhaps others.

19 On the feedwater flow, I think the stress has been in
20 the past on making sure that you have enough feedwater flow, and
21 there may have been some areas that deserve more attention on
22 problems you might get into with too much.

23 MR. EBERSOLE: Right.

24 MR. LIPINSKI: I would like to back up to your statement
25 on separation of protection and control. It is a desired feature,

1 but if I recall you do not require it because there are designs
2 now for protection channels on instrumentation assured with the
3 control channels.

4 MR. ROSSI: Yes, but that is done through what are
5 called isolation amplifiers where any failure on the non-safety
6 system side cannot propagate back through the isolation amplifier
7 into the safety system to defeat the safety system.

8 MR. LIPINSKI: That takes care of the electrical signals
9 but in terms of the shared information a channel failure, not
10 giving you availability of that protection channel, could lead to
11 a control system failure in the direction that gives you a
12 challenge.

13 MR. ROSSI: That issue has also received considerable
14 emphasis in the past. That is a case where, for example, a
15 detector that supplies the signal for both the control system and
16 the protection system fails. By that detector failing it causes
17 a control system malfunction that leads to an accident. It also
18 defeats one protection system channel.

19 The criteria is - and it is a well-understood criteria -
20 that the remaining protection system channels, assuming that the
21 detector that is common has defeated one protection system channel,
22 that the remaining channels still have to meet the single failure
23 criterion. That is certainly a criterion in IEEE 279.

24 Considerable effort has gone into that issue over the
25 years.

1 MR. EBERSOLE: In deriving your signal from the parameter
2 of interest at its source, does your area of interest extent right
3 on down into where you tap the primary process to include
4 verification of the fact that you don't manifold center lines, or
5 impulse lines, or hitters?

6 I have seen control systems in which virtually all
7 parameters of interest have been tapped out of a common manifold.
8 All you had to do was knock off the manifold and go completely
9 blind.

10 MR. ROSSI: Well, they should have been done, and I think
11 the criteria covers that. I would not be familiar enough with
12 all the reviews to be able to say that they systematically have been
13 looked at in every case. But in my opinion the criteria for that
14 comes under the same thing we were talking about, that if you
15 have a single failure that affects both the protection system and
16 the control system, the protection system that remains after that
17 failure is supposed to still be able to meet another random
18 failure and protect you.

19 MR. EBERSOLE: But does your domain include actual
20 tapping of the primary process by whatever mechanical means you
21 use to do that?

22 MR. ROSSI: I believe it does, yes.

23 MR. EBERSOLE: I am afraid you might just stop at the --

24 MR. ROSSI: I don't think that is the case, but I could
25 not personally verify it.

1 MR. ROSA: I think that we can state with assurance
2 that it does. The criteria will take us all the way down to the
3 sensor.

4 MR. EBERSOLE: You said the sensor. I want to go beyond.

5 MR. ROSA: Even beyond. You are talking about a common
6 manifold.

7 MR. EBERSOLE: Or impulse line.

8 MR. ROSA: Or impulse line. I can say right now, yes,
9 the criteria will take us all the way.

10 MR. EBERSOLE: There are lots of old plants in place.

11 MR. ROSA: There may be some old plants in place where
12 there is common manifolding.

13 MR. EBERSOLE: We knock off a manifold, we are in big
14 trouble. It is a small line, it is easy to break. It introduces
15 compounded effects.

16 MR. ROSA: It is, of course, a problem. The extent of
17 the problem I don't know. I believe when those old designs were
18 reviewed and approved, this common manifolding was considered, was
19 recognized and considered, and was approved on what was then an
20 acceptable basis. Since then, the criteria have been revised to
21 be more stringent.

22 MR. EBERSOLE: Let me tell you what that basis was,
23 it was that a small leak is not important.

24 MR. ROSA: I believe that is right.

25 MR. EBERSOLE: That is not valid.

1 MR. ROSSI: I think in the original protection, or at
2 least in the more recent protection systems - I can't say the
3 original ones - but I think that has been addressed in the designs
4 where they share tasks; that is what I believe.

5 But I would be unable to personally verify that there
6 has been a systematic study to look for all of them. But I believe
7 the criteria certainly addresses it and any time I looked at a
8 problem like that, I would consider that, I personally.

9 MR. EBERSOLE: That's today.

10 MR. KERR: Is your question aimed at whether the criteria
11 are appropriate, or whether they are being applied appropriately?
12 I am not sure.

13 MR. EBERSOLE: The criteria we have today may well
14 cover this, but we may have lots of plants in place --

15 MR. KERR: Your question is, have existing criteria
16 been applied to all plants.

17 MR. EBERSOLE: Yes.

18 MR. ROSSI: And in a systematic way.

19 MR. EBERSOLE: Right.

20 MR. ROSSI: With a systematic review.

21 MR. KERR: You can answer that question with at least
22 99 percent certainty.

23 MR. EBERSOLE: No. Right?

24 MR. KERR: Yes.

25 MR. EBERSOLE: Well, I think that is a hanging hazard

1 that should be investigated.

2 MR. LIPINSKI: Let me add to that, IEEE 297 covers all
3 the electrical systems.

4 MR. EBERSOLE: Only.

5 MR. LIPINSKI: Only. At one time there was to be an
6 equivalent standard from the mechanical people which was never
7 produced.

8 MR. EBERSOLE: Right.

9 MR. LIPINSKI: To make sure that the totality of
10 protection from all the mechanical components and electrical
11 components existed.

12 MR. KERR: Those mechanical engineers had better get on
13 the ball.

14 MR. EBERSOLE: Therefore, there is a window through
15 which all sorts of safety problems can occur.

16 MR. LIPINSKI: That's correct.

17 MR. EPLER: Mr. Chairman, I think this discussion should
18 take into account not only what has just been said, but take into
19 account the fact that IEEE 279 tends to legalize designs wherein
20 control and protection instrumentation is shared by invoking the
21 single failure criteria. It does not recognize, as Jesse has said,
22 manifolding or common mode failures. It assumes that the failures
23 will always be single failures.

24 Now, this was opposed rather vigorously at the time the
25 standard was written, but has not succeeded in getting it out

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 because it was kept in to legalize some existing design.

2 I would have to say that we do recognize common mode
3 failures. You will have blinding of all sensors and this causes
4 the accident and protection failure to occur at the same time,
5 which is entirely undesirable. But, we are living with it.

6 MR. KERR: Thank you, Mr. Epler. Mr. Rossi?

7 MR. ROSSI: If single failure or single event induced
8 multiple control system action, such as I discussed previously,
9 do indeed exist. We believe that the experience with operating
10 plants indicates that these kinds of incidents that might result
11 in transients that are more severe than currently analyzed as
12 anticipated operational occurrences, have a low probability.

13 What I am saying is that we do not have evidence from
14 the operating plant experience that would indicate that we are
15 seeing real failures of plants that are causing anticipated
16 operational occurrences that go beyond what we have analyzed as
17 anticipated operational occurrences.

18 MR. KERR: Excuse me, let me make sure I understand your
19 last statement. You are saying in effect that you don't think
20 you missed many important things because if you had, they would
21 have shown up in operating experience by now.

22 MR. ROSSI: That is basically what I am saying.

23 MR. KERR: OK.

24 MR. ROSSI: Many plants have trips that are based upon
25 a combination of primary system parameters, such as power,

1 temperature, pressure, such that any steady state combination
2 which would result in exceeding core limits for anticipated
3 operational occurrences would yield a trip.

4 Control system failures affecting any or all of those
5 parameters used in this type of trip are thus, at least to some
6 extent, addressed.

7 However, simultaneous control system failures that could
8 conceivably result in a faster transient with a time response such
9 that the core limits for anticipated operational occurrences might
10 be exceeded.

11 However, it is likely that the core limits would be
12 exceeded by only small amounts and for only a short period of
13 time. This is likely the case even if a plant does not have a
14 trip based upon a combination of parameters affecting core limits.

15 Now, we have a lot of plants that have trip set points
16 where you trip at a power level in a core that is a function of
17 the reactor coolant system pressure and the reactor coolant
18 system temperature. Those trips would be set up so that when
19 you got to any steady state condition on that trip line, that the
20 core limits would still be maintained.

21 Then, to use those trip limits in the particular
22 analyses that are done, and you show that for those particular
23 analyses the time responses are adequate to make sure that you stay
24 within the specified core limits.

25 Now, where the limit is drawn is that we don't look for

1 a multitude of control system actions were it might cause the
2 transient to proceed at a faster rate because you have many things
3 now going wrong. Where the transient might proceed at a faster
4 rate than what has been analyzed, we have not looked for those.
5 Is that clear?

6 We have many plants and not all of them have these kinds
7 of trips. Many plants have trips where the power level trip is
8 a function of pressure and temperature. You set those trips up
9 and you look at specific, for example, rod withdrawal accidents
10 and you do this range of rod withdrawal accidents and a range of
11 power levels to show the time responses are adequate to keep you
12 within the specified core limits.

13 Now, where we draw the line is again, we don't go back
14 and see a rod withdrawal accident, a loss of flow, a pressurized
15 relief valve all opening at the same time and try to prove that
16 for that worst case the transient proceeds at a rate where the
17 core limits are still maintained.

18 MR. EBERSOLE: A while ago you mentioned over power
19 transient, and you expressed the desire that the pumps not stop.

20 MR. ROSSI: Well, what I indicated was that the
21 analysis was done with the assumption that they do not.

22 MR. EBERSOLE: Well, let me follow it up a little bit.
23 When you have a reactor trip most designs require that you
24 execute a turbo trip. That is a cessation of power flow to the
25 main coolant pumps which must be restored or transported to some

1 other source. A transfer that may be missed and in fact is
2 sometimes denied as impossible - you know, the off-site power
3 failure coincident with that turbine trip, an instantaneous
4 cascade.

5 Do you permit a core design that can suffer damage
6 when in fact you suffer an over-power transient due to rod with-
7 drawal and you do trip the pumps at the same time?

8 MR. ROSSI: If we knew that the pumps were conse-
9 quentially being tripped as a result of the reactor trip on a
10 time scale where, you know, you could lose flow at the worst
11 point in the transient, we would not permit that.

12 MR. EBERSOLE: Do you permit transfer to a presumably
13 available other source and then allow the design to proceed?

14 MR. ROSSI: I am not sure I can answer that question
15 as to whether that would have ever been permitted.

16 MR. EBERSOLE: I know of one design, I believe it is
17 Westinghouse, that demands that you don't order transfer but
18 follow up on the turbine to, presumably, prevent core damage, by
19 running the risk of failing to order transfer.

20 MR. ROSSI: There is a delay in there on that transfer,
21 I believe, on some plants in order, certainly, to strengthen
22 the assumptions that have been made so that you don't have to go
23 back and try to argue that when the flow loss is occurring with
24 respect to the trip.

25 But I would like to point out that when you trip that

1 the rods go in at a fairly rapid speed, and that turns that
2 transient around very rapidly. So, you have to have the loss of
3 flow during a very narrow time window there in order to exceed
4 the limits for the anticipated operational occurrences, and then
5 you come back.

6 I mean, it would have to be within that very narrow
7 window.

8 MR. EBERSOLE: Well, that is where it would be, in fact.

9 MR. ROSSI: Not necessarily because it takes some time
10 to trip the reactor, you trip the turbine. There are seconds
11 involved in there, in general and you are talking about a pretty
12 narrow time window.

13 MR. EBERSOLE: Well, you do permit designs that
14 require continuity of power flow to the cooling pumps in order to
15 mitigate, to prevent core damage; do you not? Relying not
16 totally on flywheel action.

17 MR. ROSSI: I think that is correct, yes. I can't
18 speak to that question with a lot of confidence that I know the
19 answer to it.

20 MR. ROSA: If I might interject, I don't know for
21 certain, but I believe that all accident analyses assume loss
22 of off-site power simultaneously with the accident, that is true.

23 MR. ROSSI: That is for the accident, that is correct.

24 MR. ROSA: That means that the main coolant pumps, or
25 course, are tripped at the same time. Now, as far as transients

1 are concerned, I would expect that if you had an over-power
2 transient which caused the trip, its analysis would also assume
3 that the off-site power was lost.

4 MR. ROSSI: But it does not assume that the flow is
5 lost at the time, the key point in the rod withdrawal.

6 MR. KERR: Let me suggest that this is a level of
7 detail that is certainly important to accident analysis. We
8 want specific information, so we should ask the staff for answers.

9 But I think it is perhaps a little more detail than
10 we need for the specific question with which we are dealing.
11 It is a very important question, certainly, for a specific accident
12 analysis. Mr. Rossi?

13 MR. ROSSI: I would like to say one more thing on that
14 question, and that is that the attempt is when we do accident
15 analyses that you do include all of the consequential things
16 that occur from the accident; that is the intent.

17 Your question, I think, may involve the degree to which
18 it has been systematically verified that that has been done.

19 Now, let's consider the effects of control system
20 failures on accidents.

21 MR. KERR: Mr. Rossi, it sounds to me like this is a
22 transition point, and if it is, I am going to declare a ten-minute
23 break. Is it?

24 MR. ROSSI: Yes, this is a good spot.

25 MR. KERR: All right, I will declare a ten-minute break.

1 (Whereupon, at 9:35 a.m. a short recess was taken.)

2 MR. KERR: May we reconvene, please. Mr. Rossi, you have
3 a small but dedicated audience. Please, continue.

4 MR. ROSSI: You want me to start now?

5 MR. KERR: Yes.

6 MR. ROSSI: I talked about the way control systems are
7 dealt with for the anticipated operational occurrences, and where
8 we have drawn the line, and what we have looked at.

9 Now, why we consider the effects of control system
10 failures on accidents or limiting faults.

11 It has been noted at this point several times, NRC
12 staff reviews have been performed on currently licensed plants
13 with the goal of ensuring that control system failures - either
14 single or multiple failures - will not prevent automatic or manual
15 initiation and operation of any safety system equipment required
16 to trip the plant or maintain the plant in a safe shutdown condition
17 following any anticipated operational occurrence or accident.

18 In addition, a specific set of "accidents" has been
19 analyzed to demonstrate that plant trip and/or safety system
20 equipment actuation occurs with sufficient capability and on a
21 time scale such that the potential consequences to the health and
22 safety of the public are within the acceptable limits for that
23 accident.

24 As with the anticipated operational occurrences, con-
25 servative assumptions are used in those analyses. The conservative

1 analyses performed and the accidents chosen for analyses are
2 intended to demonstrate that the potential consequences to the
3 health and safety of the public are within acceptable limits for
4 a wide range of postulated events, even though specific actual
5 events might not follow the same assumptions made in the analyses.

6 Again, this comes back to the fact that we pick
7 particular accidents to look at which we feel are the most severe
8 that would ever occur, and that is intended not to try to
9 predict how an accident might really occur, but be a limit that
10 we can analyze which will bound anything that might occur, even
11 though the things that might really occur would follow a somewhat
12 different sequence.

13 Now, I will summarize the possible problem areas.

14 MR. RAY: Question. These accidents that you refer
15 to are postulated. Do you ever examine those in the light of
16 an actual occurrence subsequent to your reviews to ensure that
17 you have in truth found that you have experienced a situation
18 that exceeds the limits that you had?

19 MR. ROSSI: Yes. Any time there is an event at a
20 plant, those are reported to the NRC, and one of the things that
21 is done in looking at the event is to look and see if the event
22 means that the accident analysis is not valid. That is a con-
23 tinual thing that is done.

24 We have presumably a fairly significant amount of
25 effort that looks at the licensee event reports and relates those

1 to what we are really doing within the NRC in terms of the reviews
2 and the analyses.

3 In the area of accidents, systematic evaluations of
4 control system designs have not been performed to determine whether
5 postulated accidents could cause control system failures resulting
6 in control actions which would make the accident consequences
7 more severe than presently analyzed.

8 Licensees were, however, in late 1979 requested to
9 review the possibility of consequential control system failures
10 which might exacerbate the effects of high energy line breaks
11 and to adopt corrective action where needed to assure that the
12 postulated events would be adequately mitigated.

13 Now, I intend to talk about that a little bit more
14 when I try to summarize the things that have been done recently
15 and the things that are under way which are related to this
16 issue on control systems.

17 MR. EBERSOLE: Comment. I find it fascinating that
18 we have a topic here, high energy line breaks, which ignored
19 the more likely possibilities that these manifolded systems could
20 be lost, as well as having high energy line breaks.

21 It seems to me that those should have been examined
22 coincidentally and if they haven't, that should be done now.

23 MR. KERR: That is not a question, that is a comment.
24 Please continue.

25 MR. ROSSI: Accidents could conceivably cause control

1 system failures by creating a harsh environment in the area of
2 the control equipment, or by physically damaging the control
3 equipment. Also, by the mechanism that you pointed out, if you
4 have manifold systems feeding detectors, an accident involving
5 the manifold.

6 Also, control equipment damage and an accident could
7 presumably have a common cause through some event such as a fire.
8 It is again emphasized that the primary issue is not whether the
9 trip or safety system action would be defeated by induced control
10 system failures, but whether the control system failures would
11 cause the accident to proceed in a manner potentially more
12 severe than currently analyzed, and whether control system
13 failures might confuse the operator such that he takes improper
14 actions which worsen the accident.

15 This is very similar to the discussion which we had on
16 anticipated operational occurrences.

17 Again, our reviews have looked carefully at control
18 system failures that might in some way prevent a trip or prevent
19 safety system actuation, and we have tried to eliminate all of
20 those kinds of situations in a systematic way.

21 We have not been as systematic in looking at conse-
22 quential control system failures which might simply make the accident
23 proceed at a faster rate or in a way where the analysis is not
24 conservative.

25 MR. EBERSOLE: A case in point. Would you be the party

1 that would analyze the design of the control rod drive, supply and
2 exhaust lines in BWRs to confirm in fact that a major LOCA(?) will
3 not pinch out the flows of the discharge pipe and so prevent the
4 insertion of the rods to the point it will go sub-critical when
5 it is reflooded with cold, clean water?

6 MR. ROSSI: Faust, maybe you can answer that, I don't
7 know.

8 MR. KERR: Well, you would know whether you would
9 be the one to review it, or not, which is what he asked.

10 MR. EBERSOLE: If you are not, who would?

11 MR. ROSA: Would you repeat the question?

12 MR. EBERSOLE: Faust, you know the control rod drives
13 on many BWRs are segregated into quadrants wherein the tubes for
14 supply and exhaust are located in the quadrants of the reactor
15 and in fact they control quadrants.

16 These lines permeate the primary coolant precisely
17 in the areas where you would expect immense mechanical damage as
18 the result of a LOCA, that damage extending to closure of the
19 discharge tubes, or pinch-off, or certain effects to the extent
20 you could not insert rods subsequent to the LOCA.

21 When you have a BWR LOCA you do not flood, reflood,
22 with borated fluid, unfortunately, you would reflood with cold,
23 clean water, and you would never go sub-critical if a few of these
24 rods stayed out.

25 That mechanical impact on control safety systems

1 unfortunately is so intertwined between mechanical engineers and
2 safety analysts. that is has just simply been laying there for a
3 long time and there has never been any conclusive settlement of
4 the argument as to whether this could occur.

5 MR. KERR: Let me make sure, what is the question?

6 MR. ROSSI: That is really a safety system question.

7 MR. KERR: Are you asking whether this is reviewed at
8 all, or whether this particular branch reviews it?

9 MR. EBERSOLE: How is it reviewed? Has it been
10 reviewed, is it concluded?

11 MR. KERR: OK, the question is, has that issue been
12 reviewed.

13 MR. ROSA: As far as I know, it has not.

14 MR. KERR: Thank you.

15 MR. ROSSI: Accidents or limiting faults are the most
16 severe events analyzed for a nuclear power plant. As such, they
17 in many cases would proceed on a time scale such that it is
18 unlikely that control system malfunctions could significantly
19 decrease the margin to core damage limits at the time of reactor
20 trip or increase the amount of residual heat from those assumed in
21 current analyses.

22 A trip is likely to occur before any control action can
23 appreciably change any of the variables affecting either margin to
24 core damage limits, or residual heat.

25 Finally, I would like to briefly consider the effects of

1 control system failures on operator actions. Again, we have looked
2 at the equipment that is required to maintain the plant in a safe
3 shutdown condition.

4 MR. KERR: Mr. Rossi, I apologize for interrupting, but
5 it seems to me the statement you have just made appears on page 7
6 of Mr. Ross' memorandum.

7 MR. ROSSI: It is, yes.

8 MR. KERR: I note that Dr. Hanauer's comment in the
9 memorandum of December 13 says - and I read from his comment -
10 "No analysis I know of substantiates the discussion on the
11 middle of page 7."

12 MR. ROSSI: There is no question that what is said on
13 the middle of page 7 is an engineering judgment-type of statement
14 that the big accidents proceed at a rate such that it is unlikely
15 that control system malfunctions that might occur would
16 appreciably affect the sequence, the rate of change of parameters
17 during the accident.

18 We have not done analyses to verify that, that is correct.
19 I agree with Mr. Hanauer's comment. I would hope that the
20 wording in here, what I said, did not imply that we had done an
21 analysis.

22 MR. KERR: It seems to me that indeed Mr. Hanauer goes
23 on to say, "Not all severe accidents have in the past, a small-break
24 LOCA is an example."

25 I personally think, and now I may be reading between

1 his lines, that he is doing a little more than saying that there
2 has not been any discussion that substantiates the discussion of
3 this statement. I think he is saying he disagrees with it.

4 MR. ROSSI: There are certainly cases where consequential
5 control system failures caused by the environment that might be
6 created by the accident could be a problem. Another example is
7 this high energy break thing that we were talking about before.
8 I did not want to indicate that in all cases this was correct.

9 MR. KERR: Thank you.

10 MR. ROSSI: I am trying to give some flavor of what
11 were the biggest things, the worst things that might happen. It
12 is improbable that you are going to have significant effects. I
13 am not trying to say that we have done analyses that show it
14 can't occur because that is not the case.

15 In addition, recent emphasis on the availability of post-
16 accident instrumentation will result in the initiation of
17 additional NRC staff reviews to ensure that control system failures
18 will not deprive the operator of information required to maintain
19 the plant in a safe shutdown condition after any anticipated
20 operational occurrence or accident.

21 Systematic evaluations of control system designs have
22 not been performed to determine whether single failures, or single
23 failure/event induced multiple control system failures could
24 result in confusing or incorrect operator information, or in a
25 transient not bounded by current analyses with the plant at shut-

1 down during plant heatup or cooldown, following plant trips, or
2 following actuation of engineered safeguard systems.

3 Single failures or events which might conceivably induce
4 multiple control system failures could presumably include events
5 such as loss of power supply, fire, or earthquake.

6 Now, the consensus judgment of the NRC staff is that the
7 risk associated with control system failures is not sufficient to
8 require immediate corrective actions. However, to provide added
9 assurance that the current licensing practices which I have
10 described here this morning are adequate, the following actions
11 are under way:

12 The Commissioners, as I am sure you know, have now
13 approved the "Safety Implications of Control Systems" as an
14 Unresolved Safety Issue.

15 B&W has completed a failure modes and effects analysis
16 and review of operating experience for their Integrated Control
17 System and reported the results in a report entitled, "Integrated
18 Control System Reliability Analysis."

19 Consultants from the Oak Ridge National Laboratory have
20 reviewed the B&W report and concluded that although the ICS and
21 related control systems could be improved, the ICS itself has
22 proven to have a low failure rate and does not appear to
23 precipitate a significant number of plant upsets.

24 Failure statistics revealed that only approximately six
25 of 162 hardware malfunctions resulted in reactor trip. Oak Ridge

1 further concluded that the B&W analysis shows that anticipated
2 failures of and within the ICS are adequately mitigated by the plant
3 safety systems and that many potential failures would be mitigated
4 by cross-checking features within the control system without even
5 challenging the plant safety systems.

6 Oak Ridge agreed with B&W conclusions regarding control
7 system improvements which could be made to improve overall plant
8 performance. Licensees with B&W plants have been requested to
9 evaluate the B&W recommendations and to report their follow-up
10 actions. The licensee responses are currently being reviewed.

11 In September of 1979, all licensees were asked to review
12 the possibility of consequential control system failures which
13 could exacerbate the effects of high energy line breaks and to
14 identify appropriate actions where needed to assure that the
15 postulated events would be adequately mitigated.

16 The review was requested as a result of postulated
17 scenarios involving consequential control system failures identified
18 by Westinghouse and submitted to the NRC by Public Service Electric
19 and Gas. All Licensees responded to the request and the responses
20 were screened.

21 On the basis of the review, no specific event leading to
22 unacceptable consequences was identified and, in general, control
23 equipment locations were such that consequential failures would be
24 unlikely. Some licensees, however, did make changes to operating
25 procedures to include the possibility of control failures. In-

1 depth, systematic reviews were not made by the NRC staff, but
2 considerable reliance was placed on the reviews of the licensees
3 made as a result of our requests to them.

4 A bulletin has been issued and a supplement prepared for
5 issue to licensees requesting actions to ensure the adequacy of
6 plant procedures for accomplishing shutdown upon loss of power to
7 any electrical bus supplying power for instrument and controls.

8 Licensees have been specifically asked to address changes
9 of state of plant equipment and automatic control system actions
10 resulting from loss of instrument bus power. Some licensees have
11 taken corrective action, including hardware changes and revised
12 procedures to assure that single failures of power supplies will
13 not simultaneously cause transients and failure of instrumentation
14 required to mitigate these transients. That, I think, addresses
15 one of the specific concerns you brought up this morning.

16 The Office of Standards Development is coordinating
17 efforts with the IEEE to establish design criteria for systems
18 that are important to safety which are not covered by, and do not
19 need to meet all of the rigorous standards for safety grade
20 equipment but nevertheless are sufficiently important to safety
21 to perhaps be included in the NRC review process.

22 Emphasis on the availability of post-accident instrumen-
23 tation and the preparation of Regulatory Guide 1.97, "Instrumentation
24 for Light-Water-Cooled Nuclear Power Plants to Assess Plant and
25 Environs Conditions During and Following an Accident" will result

1 in the initiation of additional NRC staff reviews to ensure
2 that control system failures cannot deprive the operator of
3 information required to maintain the plant in a safe shut-down
4 condition after any anticipated operational occurrence or after
5 any accident.

6 Indian Point 3 has been asked to do a Systems Interaction
7 Study in which control system problems will be one aspect. The
8 contractor for this study is Ebasco, and a commitment has been made
9 to receive a plant for the study by mid February.

10 Standard Review Plan Section 7.7 calls for staff reviews
11 to assure that failures of control systems will not impair the
12 capability of the protection system in any significant manner or
13 cause plant conditions more severe than those for which the plant
14 safety systems are designed.

15 The staff has pursued these reviews primarily to ensure
16 that electrical interconnections between protection systems and
17 control systems are implemented such that failures in control
18 system equipment cannot impair the operation of protection system
19 equipment.

20 Recently, the Instrumentation and Control Systems Branch
21 has drafted for internal comments questions that might be asked
22 during the review of license applications to further address the
23 content of Section 7.7. The licensees would be required to
24 evaluate the effects of single failures and single failure or
25 event-induced multiple failures on the indication, manual control,

1 and automatic control for key plant parameters and equipment.

2 The responses to the questions, along with the actions
3 discussed above, will provide additional insight in establishing a
4 more systematic methodology for assessing the impact of control
5 system failures on plant safety.

6 That brings to conclusion the prepared presentation that
7 I had to make this morning.

8 MR. KERR: Thank you, Mr. Rossi.

9 Are there questions? Nobody has a question? On your
10 presentation, Mr. Rossi, I have some questions.

11 In your presentation you gave us some idea of a staff
12 philosophy about this review. I wanted to ask if you feel there
13 has been any significant change in this philosophy, say, over the
14 past couple of years. As I listened, I could not tell if there
15 had been. It seems to me one could have said about what you said
16 two or three years ago.

17 MR. ROSSI: I think it is a fair statement to say that
18 there has not been a significant change in philosophy. I think
19 that events over the last two years, however, have led us to look
20 into the areas I summarized there at the end in more detail to
21 try to review whether there is a need for a change in philosophy.
22 That has been the primary effect of the events in the last two
23 years, to kind of instigate additional probing into areas which
24 would tell us whether what we are doing is the right thing.

25 MR. KERR: One of the statements you made, for example,

1 was that you had some kind of an incident and there were no serious
2 undiscovered control system problems because if there were they
3 would have been uncovered in operating experience by now.

4 MR. ROSSI: That was mainly directed, that comment, at
5 the anticipated operational occurrences because the probability of
6 an accident would be so low that I don't think we could depend on
7 operating experience for that.

8 MR. KERR: Well, anticipated operational occurrences can
9 develop into accidents. I am thinking of one where it seems to me
10 it did. It seems to me you could have made the statement with
11 almost the same number of reactor years experience for TMI II.

12 Now, I don't know whether TMI II has changed your
13 attitude towards the possible seriousness of interactions, or the
14 seriousness of nonreliability of control systems or not. It seems
15 to me there has been some impact on some people's thinking.

16 MR. ROSSI: Well, I would say that TMI II and the action
17 plan that was developed as a result of it, has kind of re-
18 emphasized a lot of things that were going on. Like in the area
19 of systems interaction, for example, I think there has been and
20 will be additional emphasis there; and perhaps looking at whether
21 there ought to be additional things that are now non-safety grade
22 brought somehow into the licensing process.

23 I think Three Mile Island may have put a greater
24 emphasis on that, too. So, I would see Three Mile Island primarily
25 as just having strengthened the emphasis on some of the things that

1 were already being considered. It may have changed some priorities
2 somewhat, too.

3 MR. KERR: Mr. Ebersole?

4 MR. EBERSOLE: I believe I heard you say that some
5 operators and applicants have elected, not particularly under
6 pressure from NRC, to change those regimens where a power supply
7 failure coincidentally affected control and safety systems.

8 What bothers me a little bit is that they had to elect
9 to do that of their own accord. That there evidently was no
10 pressure on the part of NRC to have to, in the first place.

11 MR. ROSA: I don't think it is fair to say that they
12 elected to do that without any pressure from the NRC. I think
13 every time an incident occurs and we can mechanistically identify
14 a case like this, that not only the applicant involved or the
15 licensee involved, but also the other licensees are notified and
16 urged to review and make appropriate corrections.

17 MR. EBERSOLE: Well, what led me into it Faust, was
18 the impression that some of these have done it, implying that
19 others have not bothered to do so.

20 MR. ROSSI: Well, we are still in the process of
21 reviewing responses.

22 MR. EBERSOLE: That is in process now.

23 MR. ROSSI: That is under way now.

24 MR. EBERSOLE: So, we are at some point in-between.

25 MR. ROSSI: Yes. Most of these actions that I

1 summarized here at the end are open to some degree - I would say
2 every case.

3 MR. EBERSOLE: Is there a closure time on this sort of
4 thing, is it "dribbling" along?

5 MR. KERR: Please, say it is not "dribbling" along.

6 (Laughter.)

7 MR. ROSA: No, it is not "dribbling" along. I was going
8 to say that every significant incident of this type is covered
9 by at least a bulletin which specifies a due date for the response
10 and resolution.

11 MR. EBERSOLE: Thank you.

12 MR. KERR: I think I understand what you are driving at.
13 But let me say that I am delighted that some people chose to make
14 safety improvements voluntarily.

15 MR. EBERSOLE: Right.

16 MR. KERR: I would hope that not all safety improvements
17 would have to be under NRC demand.

18 MR. EBERSOLE: I would second that.

19 MR. KERR: With all due respect to NRC, they can't make
20 reactors safe by themselves.

21 MR. EBERSOLE: Correct, I will agree to that.

22 MR. KERR: Mr. Basedekas, I know you had some concerns
23 in this area that has been written about and spoken about in
24 other forums. I want to ask you at this point, are there any
25 comments you would like to make?

1 MR. BASEDEKAS: I just want to briefly comment on some
2 of the statements made this morning.

3 I do know you have some of the documents in which I have
4 discussed our concern before. I will not repeat what is there.
5 However, I will beg you to read them, if you have not already. I
6 gather that at least in your files here you have hopefully copies
7 of the letters to Dr. Ahearne, one to Mr. Udall, one to Tom Merley.

8 Let me start by saying that I agree with Steve Hanauer's
9 comments, generally speaking, the letter that you mentioned
10 earlier, Mr. Chairman.

11 One of the things that I talked to Steve about was
12 the statement of Mr. Parker where he states that it is true that
13 the direction of a power plant will reduce the reduction of
14 consequences, but not in probability. I think one should attempt
15 to focus on what was in his mind, anyway.

16 What probability he has in his mind on failures of
17 control systems that may shake the sequence, not necessarily
18 the probability of a sequence, one that may be completed in some
19 unsafe point. The theory is, given a set initiator and considering
20 the progression was set in sequence from a one-hundred percent
21 power level versus a progression from, let us say, something like
22 65 percent power level, then the end result, the end state of the
23 plant in one case may be unsafe while the other might survive.
24 That is a point that he consistently made.

25 I think another point you made yourself as you went

1 along. As you know, control systems are qualified, and if the
2 roof falls down, then we are in trouble. So, the effort to develop
3 criteria for design installation of control systems is very
4 important. So is the effort that is presently under way by the
5 IEEE working group to classify safety systems.

6 Notably, you might be interested that it is specifically
7 decided to exclude control systems. Now, you take it from there.

8 Another point I wanted to make was that licensee event
9 reports are part of the requirements by the utilities and do not
10 include control system failures unless this has resulted in some
11 sort of a challenge to the safety system, like safety checks. So,
12 the data varies to date, it is not complete, I believe, and
13 important requirements reflect that.

14 I believe that the discussion to some degree this
15 morning reflected the long-held philosophical approach to this
16 problem by the staff which has been centered around what has
17 been referred to as events of occurrences which are more benign
18 events, which they by definition are. I think it might have been
19 either explicit or implicit and to that respect it should be
20 tempered with the understanding that, as you pointed out, --

21 Another point I want to make is something that is
22 obvious, but it is prudent at some times to repeat it, and that is
23 that control systems by themselves don't mean anything unless one
24 includes the dynamic processes.

25 I think the statement made by Mr. Rossi that in the

1 judgment of the staff, that the risk as perceived by the staff
2 that may be attributed to control system failures and other issues
3 as to non-safety conditions do not warrant immediate action. That
4 is something that I disagree with, and I have made that clear for
5 some time.

6 With respect to the performance by B&W, the analysis,
7 certainly, it was a step - I thought then and I still do - a
8 step in the right direction. But it is only one step, and a
9 rather short step. Not only did it stop there with respect to the
10 B&W effort, but also, I believe, it was not extended to include
11 the other vendors that may have the same problems. There may be
12 different problems as far as design, their plant scope, but I
13 think the same problems do exist for all the plants.

14 I hope this effort, hopefully at least in my mind, is
15 intended to prevent accidents and not having to deal on a crisis
16 basis where we have then to explain after it happens. That this
17 is something we will try to improve on.

18 Also, with respect to the purpose of this question,
19 I believe the control system centrally is important, but it has to
20 be looked at in the context of how the plant dynamics will affect
21 the progression of an accident sequence and hence the possibility
22 that it may affect the probability of accident sequences even if
23 the viability of the system is high in its electrical or mechanical
24 sense.

25 To put it another way by an example, assume, for

1 instance there is a design deficiency, an inherent design problem
 2 with the control system, that will have a tendency, by design,
 3 to drive the plant to a condition that will be less safe. It
 4 makes the probability that it will perform in an undesired
 5 function more likely. This has to be addressed, as I said, with
 6 design criteria.

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

10:25
Riley
fls

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

arl
Tape 1

1 While I notice the candid remark in response to your
2 question, Mr. Chairman, there has been no change in philosophy.
3 I was hopeful that it was in the process of taking place, and
4 I still do hope it is.

5 I think the statement the Staff has made that we are
6 still sticking to the old way of thinking, of approaching
7 this problem, has changed somewhat. At least, that has been
8 my perception.

9 I hope I misunderstood their comment.

10 I think the perception in some quarters -- and that
11 includes some quarters in this agency and certain of the
12 industry and this government -- it appears that the TMI-2
13 accident has served as what you may describe as a proof test
14 that the system worked. Nobody was killed.

15 I think this is a very dangerous position to take
16 and base, you know, whatever future actions we may have to take
17 on this type of interpretation of what the TMI-2 accident
18 really means.

19 Here specific rumors abounded, and were stated to
20 Congress that, you know, what we have to worry about? The
21 system worked. I think this is unfortunate, and I hope it can
22 change when people like you will find it prudent and appropriate
23 to speak their minds a little more openly than we have in the
24 past.

25 I think the comments that were made early, as you

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 correctly pointed to, Mr. Ebersole, were out of the reactivity
2 control systems and the inferences that you make about those
3 statements should not be extended to include the control systems
4 and how failures of those systems will be reflected on the
5 primary.

6 And I think another example for which perhaps you
7 might find it appropriate to request a special briefing from
8 the Research Office will be consideration of the fact that a
9 failure or perhaps multiple failures, depending on the particular
10 design of a PWR on the secondary side of the main feedwater,
11 in particular, control system may result in large main feedwater
12 flow after -- for something like 10 or 15 minutes. This, in
13 conjunction with other things, such as the ECCS on the primary
14 side and not turning that off, may result in rapid and
15 substantial loss of the primary, with the likelihood that the
16 pressure vessel will fail.

17 MR. KERR: I should emphasize that we do not plan
18 to finish this discussion today, and I would prefer, if possible,
19 to sort of put emphasis on detailed questions at later meetings.
20 And thank you for those comments.

21 Let me ask the Staff, if I can -- and, incidentally,
22 some of the questions that are raised today I won't necessarily
23 expect an answer to today, but I think it is important that we
24 begin exploring some of these questions.

25 How do you interpret Mr. Udall's question? I mean you

1 have had to deal with it longer than we have, so you must have
2 come to some local interpretation.

3 I cannot tell for certain whether he is saying -- if
4 you don't try to read between the lines, the letter seems to
5 say, "Tell us how the Staff reached the conclusion they
6 reached."

7 Now I cannot quite believe that is all he is saying,
8 but maybe it is. I rather assume that he is saying, "Go over
9 the information available to you and to the Staff and see if
10 you were to reach the same conclusion." That is sort of my
11 interpretation of his question.

12 Are you willing to comment on how you view his
13 question? Because I think the attitude that one takes toward
14 this question has some influence on how we explore this, and in
15 a very simplified way, it determines whether I put emphasis on
16 trying to crawl inside the minds of the NRC Staff which I am
17 sure I am not capable of doing. Or whether we put emphasis on
18 trying to make certain that we understand the information and
19 philosophy on which you based your decision, and then trying to
20 decide whether we agree with it.

21 Do you understand the question? It's a hazy question,
22 because I am a bit puzzled myself as to the question being
23 raised.

24 MR. ROSA: As I said earlier -- well, at the beginning
25 of this session, I am relatively new in this area. Speaking for

ar4

1 myself, therefore, with a somewhat limited detailed background,
2 I would agree with your interpretation of the question.

3 Now, having said that, I am going to ask Ernie Rossi
4 here to say -- to express his opinion on that, since he has
5 been involved in this since it has been assigned to ISC.

6 MR. ROSSI: Well, I would assume that what Mr. Udall
7 would like to know is whether you feel that there is some
8 immediate problem that would necessitate a change in priorities
9 that we have given to this particular area from what they are now;
10 whether there is any problem that is of a nature that would
11 require some sort of action on operating plants in the short time-
12 scale; and in addition, as to whether we have defined the problem,
13 and are approaching the problem in the correct manner.

14 Those are the issues that I would assume that he
15 would want your advice on.

16 MR. KERR: Well, that is, I think, my own interpreta-
17 tion of what I think he means.

18 Now, let me see if I understand what the Staff has
19 done, because it seems to me that it has done a number of things
20 since TMI-2, even though it may not have changed its basic
21 philosophy.

22 One of the more significant actions, it seems to me,
23 is a designation of control system reliability as an unresolved
24 safety issue.

25 It is my understanding that that is now formally an

1 unresolved safety issue. That's correct, is it not, from the
2 publications I have seen?

3 Karl, we probably ought to get a mike if we can.
4 Because these words are being recorded.

5 MR. KNIEL: My name is Karl Kniel and I am Chief of
6 the Generic Issues Branch, and the answer to the question is yes.
7 The Commission approved safety indications of control systems
8 as an unresolved safety issue, in the memo from the Secretariat.

9 MR. KERR: The title given to it is --

10 MR. KNIEL: The title that we have given to it and
11 we have adopted is "Safety Implications of the Control System."
12 I think that title appropriately envelops --

13 MR. KERR: I'm not trying to disagree with the title.
14 I just want to make sure that I have it correct, because one of
15 the things we are going to have to do is write an early response,
16 and I want to use the right words.

17 MR. KNIEL: "Safety Implications of the Control
18 Systems."

19 We did get a memo from the Secretariat where the
20 Commission has agreed that that should be an unresolved safety
21 issue.

22 MR. KERR: Now as I understand it, having designated
23 something as an unresolved safety issue gives it some sort of
24 priority? I'm not sure I know what, but it does put it very
25 near the head of some list, in terms of resource allocation, in

1 terms of scheduling, these kinds of things.

2 Can you give me some insight into generally what
3 this implies?

4 MR. KNIEL: Yes, sir. Organizationally it puts
5 the management of the resolution of this now in the Generic
6 Issues Branch, where the other unresolved safety issues are
7 managed. In terms of priority, the Director of NRR has listed
8 unresolved safety issues third in priority; after problems with
9 operating plants and after near-term OLS, comes unresolved
10 safety issues.

11 So it has a fairly good standing in terms of priority
12 of effort.

13 MR. KERR: Since this is now an unresolved safety
14 issue and it has gone into the generic items, what was the
15 terminology? Branch?

16 MR. KNIEL: Generic Issues Branch.

17 MR. KERR: Generic Issues Branch. What happens to it
18 then?

19 MR. KNIEL: Well, we will be appointing a task manager
20 and we will be writing an action plan.

21 MR. KERR: When will you be appointing a manager?

22 MR. KNIEL: We are in the process of doing that right
23 now.

24 MR. KERR: So by next week, this time next week,
25 there will be a task manager, probably? I'm not trying to tie

1 you down to something.

2 MR. KNIEL: A week or two or something like that, yeah.

3 MR. KERR: So, for example, by the February meeting,
4 if we should write a letter and want to say that, we could
5 probably say that a task manager had been appointed?

6 MR. KNIEL: Yes, I think you probably could.

7 MR. KERR: Okay.

8 MR. LIPINSKI: Mr. Chairman, with that title, there
9 is a paragraph of description that goes as to how you view the
10 problem.

11 MR. KERR: I beg your pardon?

12 MR. LIPINSKI: He only gave us a single title for
13 the generic issue, but there's usually a paragraph of description
14 that goes with each one of those titles.

15 MR. KNIEL: That's correct. We have provided a
16 paragraph of the description.

17 MR. KERR: We unquestionably have that somewhere,
18 Walt. I just want to know how to find it.

19 MR. LIPINSKI: At this point I was interested in seeing
20 how they view this as a generic issue, as to what the problem is.

21 MR. KERR: Do you have that description, or does
22 someone have it?

23 MR. KNIEL: Yes, I have it. We did discuss this in
24 our memo to the Commission that we issued, I think, in
25 September. I don't happen to have that memo with us.

1 MR. KERR: We read all those very carefully, but
2 don't memorize them.

3 MR. KNIEL: We did write a one-paragraph summary of
4 this issue for the annual report, the NRC annual report, and I
5 can read that to you.

6 MR. KERR: Please.

7 MR. KNIEL: "Safety Implications of Control Systems,"
8 and we have designated them as Task A-47.

9 "This issue concerns the potential for
10 accidents or transients being made more severe
11 as a result of control system failures or mal-
12 functions.

13 "These failures or malfunctions may occur
14 independently or as a result of the accident or
15 transient under consideration and would be in
16 addition to any control system failure that may
17 have initiated the event. Although it is generally
18 believed that control system failures are not likely
19 to result in loss of safety functions which could
20 lead to serious events or result in conditions that
21 safety systems are not able to cope with, in-depth
22 studies have not been performed to support this
23 belief. The potential for an accident that would
24 affect a particular control system -- and the
25 effects of the control system failures -- will

1 differ from plant to plant. Therefore, it is not
2 likely that it will be possible to develop generic
3 answers to these concerns, but rather plant-specific
4 reviews will be required. The purpose of this
5 Unresolved Safety Issue is to define generic
6 criteria that may be used for plant-specific
7 reviews. A specific subtask of this issue will
8 be to study the steam generator overfill transient
9 in PWRs and the reactor overfill transient in BWRs
10 to determine and define the need for preventive
11 and/or mitigating design measures to accommodate
12 this transient."

13 You may be aware -- I think there has been some
14 reference to the overfill transient here today. There has been
15 a lot of discussion on this particular transient. I think it
16 is representative of a control system failure that we have not
17 rigorously looked at, that could have potential consequences,
18 and because of the specific discussions that we have had with
19 the Commission, and with Carl Michaelson's group, we agreed
20 that it should be specifically called out in this task as some-
21 thing we should address.

22 MR. KERR: Okay.

23 MR. LIPINSKI: Mr. Chairman, would it be possible to
24 get a copy of that and study it?

25 MR. KERR: I can say unequivocally that it would be

1 possible.

2 MR. LIPINSKI: Thank you.

3 MR. EBERSOLE: (Inaudible.)

4 MR. KNIEL: The overflow transient will specifically
5 be a subtask in the way we see it, the way we are going to plan
6 it, and we would attempt to generate a resolution of the sub-
7 task on a more rapid timescale than our handling of the entire
8 problem.

9 MR. EBERSOLE: When would that be?

10 MR. KNIEL: We have got to sit down, we have got to
11 write an action plan, and the action plan includes what are
12 we going to do, including what are we going to do on this
13 particular -- how are we going to study it. And after we
14 decide what we are going to do and what resources we have to
15 do in terms of people and money, then we will write a schedule.
16 When we have that schedule, we will know when it is going to
17 complete.

18 MR. EBERSOLE: It sounds kind of ponderous to me.
19 Hasn't there been an awful lot of work done already on this
20 matter?

21 MR. BASDEKAS: Some.

22 MR. KNIEL: The work that has been done, has been
23 done in terms of --

24 MR. KERR: Excuse me. For my own understanding,
25 are you talking about the overflow problem?

1 MR. EBERSOLE: The overflow problem particularly.

2 MR. KNIEL: Well, I don't have a specific schedule.

3 I think enough work has been done so that we can see our
4 way to a more rapid resolution of this particular issue within
5 this unresolved safety issue, and we will specifically detail a
6 schedule for resolution of this particular issue, irrespective
7 of the total issue. But I do not have a schedule for that today.

8 MR. EBERSOLE: Thank you.

9 MR. KERR: Mr. Ray, I think you had your hand up.

10 MR. RAY: I had a question similar to Jesse's, but
11 it was to the implications of the control systems. I wondered
12 how its priority will rank with respect to other unresolved
13 issues that are already on deck.

14 MR. KNIEL: When you say "unresolved safety issues,"
15 if you are comparing it to unresolved issues, I am sorry --
16 you used the word "unresolved issues." I used the word
17 "unresolved safety issue" in a very specific sense.

18 These are the issues that the Commission has
19 deliberately designated as issues of major importance for which
20 we feel that there would probably be some fix required for
21 operating plants in the long term, either procedural or hardware
22 or some such kind of change.

23 There is a specific definition -- I don't have the
24 definition with me -- of unresolved safety issue, but the
25 unresolved safety issues have the highest priority in terms of

1 generic issues, I think.

2 MR. KERR: My impression was, Mr. Ray was asking if
3 you line up all the unresolved safety issues, where in the chain
4 would this be? At the head of the list or the bottom of the
5 list, or somewhere in the middle?

6 MR. RAY: That's right.

7 MR. KNIEL: If that is your question, we never have
8 prioritized the unresolved safety issues. We give them
9 about equal priority.

10 MR. RAY: But this is in that class?

11 MR. KNIEL: This is in that class. As I indicated
12 earlier, the Commission has -- we have had a long dialogue with
13 the Commission, with which the ACRS has participated. The
14 ACRS happened to suggest this issue, and suggested certain
15 features of it that we agreed with the ACRS that it should be
16 an unresolved safety issue, and the Commission agreed, and it now
17 is.

18 MR. KERR: Did that respond to your question, Jerry?

19 MR. RAY: It does, but it doesn't make me feel any
20 happier about it.

21 MR. KERR: We cannot promise to make committee
22 members happy at this meeting.

23 (Laughter.)

24 MR. KNIEL: There's no priority within the unresolved
25 safety issue group. We had 17. We have added four. We have

1 resolved quite a few of them, five or six of them now.

2 MR. RAY: Well, what determines what the date for
3 action will be when you set up a schedule and so on? Is it
4 that there are others already waiting in line for tickets and
5 therefore they get preference?

6 MR. KNIEL: No.

7 MR. RAY: Well, is there a relative judgment at that
8 time as to the relative importance of this issue as compared with
9 others, so that you will put people on this one earlier than
10 others?

11 MR. KNIEL: Most of the issues are in different areas.
12 They don't compete with each other. They may compete with
13 resources of the Staff in other areas, and I have indicated to
14 you what the priority is there. The priority is operating
15 plants, near-term operating license, and then unresolved safety
16 issues, but they tend not to compete with each other. So I
17 don't see a problem there.

18 MR. RAY: Well, might I interpret what you say? I
19 get the impression from this statement what you are saying is
20 you could very well work on this in parallel with working on
21 other unresolved safety issues.

22 MR. KNIEL: That's absolutely correct.

23 MR. RAY: Therefore, just because it's coming aboard
24 now, it's not going to suffer from the viewpoint of preference?

25 MR. KNIEL: That's correct.

arl4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. EBERSOLE: Mr. Chairman, it occurs to me to
2 identify an issue as an unresolved safety issue may put it in a
3 parking lane where it ought not to be. It ought to be subject
4 to more vigorous --

5 MR. KERR: I remind you that this was done at the
6 suggestion of the august body called the Advisory Committee on
7 Reactor Safeguards.

8 MR. EBERSOLE: I wonder, however, if they realize
9 that the end result of that might have been to put it in a
10 parking lane?

11 MR. KERR: I'm sure they wouldn't have done it, if
12 they had realized that.

13 MR. EBERSOLE: Is it in fact --

14 MR. KERR: If Mr. Kniel can be believed -- I have no
15 reason to disbelieve him yet -- this has high priority. It
16 gets a task manager, resource allocation, and even in spite of
17 your remarks to this as being a ponderous process, he's getting
18 underway.

19 MR. EBERSOLE: I heard all that, but I didn't hear
20 anything material in it anywhere.

21 MR. BASDEKAS: Mr. Chairman?

22 MR. KERR: Yes, sir.

23 MR. BASDEKAS: I believe I should say something along
24 this line that would indicate that the attention paid by the
25 staff is increasing in tangible ways, and I think as part of

ar15

1 this additional attention, the Research Office will be undertaking
2 a task in conjunction or perhaps in addition to what at this
3 time at least --

4 MR. KERR: You mean we're going to get the Research
5 Office mixed up in this, too?

6 MR. BASDEKAS: Yes, we are.

7 MR. KERR: Oh, god.

8 (Laughter.)

9 Go ahead. If I may be facetious..

10 MR. BASDEKAS: That's all right. Well, this same
11 august body you referred to earlier suggested that we undertake
12 such problem, so we are just proceeding on that directive, so
13 to speak.

14 MR. KERR: Thank you.

15 Are there other questions? Mr. Lipinski?

16 MR. LIPINSKI: We have discussed what the NRC has
17 done, but right after the TMI accident, I had provided informa-
18 tion to the ACRS on the Canadian licensing procedures, because
19 I had been exposed to them just prior to the accident. They
20 take a more conservative approach, or they did at the time, with
21 respect to the review of control systems, and Mr. Fraley
22 evidently tried to get additional information, and somehow
23 they are in some state of limbo where they have not issued
24 their position as final gospel.

25 Consequently --

1 MR. KERR: The problem, Walt, is they don't have
2 enough lawyers. The last time I talked to them, they had a
3 staff of 70 engineers and only one and a half lawyers.

4 MR. LIPINSKI: I suspect the Germans may be more
5 conservative, based on some information I have, but on control
6 systems I have no specific information. I just wondered if the
7 Staff had been looking at what happens with the control system
8 reviews by other licensing agencies in other countries.

9 MR. KERR: Is that a question?

10 MR. LIPINSKI: Yes, it's a question for the Staff.

11 MR. ROSA: I can't answer that.

12 MR. KERR: But you could maybe find out for us, so
13 that we could get some information on that at a subsequent
14 meeting?

15 MR. ROSA: Yes, I can.

16 MR. LIPINSKI: Okay.

17 MR. KERR: Are there other questions from members
18 of the subcommittee?

19 Mr. Kniel, if I chose to read between the lines of
20 that explication of the unresolved safety issue, I could
21 interpret it to mean that the Staff believes that the position
22 it has taken, which is one of not looking very carefully -- not
23 looking at detail -- don't let me use the word "carefully" --
24 not looking at the detail of the control system performance
25 is the right one, and that this investigation is going to

1 demonstrate that indeed it is the right approach.

2 Now I would have hoped, and indeed I still hope, that
3 in the course of its investigation, the Staff would maintain an
4 open mind and at least there might be some probability at the
5 end of the study that a different approach could be recommended.

6 That's not a question. You can comment.

7 MR. KNIEL: The objective of making an unresolved
8 safety issue is to take -- to start a fresh new look at the
9 whole new problem without any preconceived --

10 MR. KERR: If you read that paragraph, I'm not sure
11 that comes through, but maybe it's just my interpretation of
12 English, which is not always good.

13 MR. KNIEL: I think part of your introductory comments
14 -- the way I look at it, I think in many cases we have taken a
15 detailed look. What we have not done, as the word has been used
16 here fairly frequently this morning, is a systematic and
17 rigorous --

18 MR. KERR: I'm accept systematic and rigorous.

19 MR. KNIEL: That s what we would like to do. The
20 main reason I am down here this morning, with Paul Norian, who
21 is the section leader of the branch, is to get some of the
22 thinking of the subcommittee on how they view the problem, so
23 that we can appropriately write an action plan that will cover
24 the major features of the problem as viewed by those who have
25 studied it.

1 MR. KERR: Now is there -- are you able to predict
2 at this point with whatever uncertainty is necessary, when this
3 action plan may come into existence?

4 I mean, for example, as the subcommittee chairman, I
5 am predicting that it might take us six months to complete this
6 review for Mr. Udall. The six months is sort of arbitrary,
7 but is it likely that there will exist an action plan in final
8 form at the end of that period? Or is it likely to exist two
9 weeks from now, or what?

10 MR. KNIEL: I would like to have some kind of an
11 action plan ready in about three months, but it may not have
12 had the collegial review that it might take.

13 MR. KERR: What about the draft that starts the process?
14 How soon is that likely to exist? I ask this for a very
15 practical reason. I can't tell in that paragraph what you are
16 going to do, and I may not be able to tell after I see the
17 action plan, but I ought to have a better idea. It's fairly
18 crucial to our comments to know how the Staff plans to go about
19 this.

20 MR. KNIEL: I think it's going to take us three
21 months to generate an action plan that you could get some
22 real substance out of. We may have a draft at some time before
23 that, and I would hope that after you read the action plan that
24 you would then understand what it is we propose to do.

25 Certainly we would like to discuss our proposed

1 action plan with the subcommittee.

2 MR. KERR: Mr. Ebersole?

3 MR. EBERSOLE: While you are generating the general
4 action plan, is there any reason that you shouldn't take a
5 few particular topics that appear to be of immediate interest,
6 and also work on them?

7 MR. KNIEL: Yeah, we have already designated that
8 one. Everybody has recognized, including the Commission --

9 MR. EBERSOLE: (Inaudible.)

10 MR. ROSSI: My understanding is that the Westinghouse
11 plants have equipment installed in their control and protection
12 system that shuts off the feedwater, and that they have looked
13 rather extensively at the excessive feedwater transient.

14 MR. KERR: I would prefer that we not carry out that
15 investigation here this morning. I am not saying that to down-
16 grade the importance of the issue; I think it obviously is
17 important.

18 What we ought to do is get you and Mr. Ebersole in a
19 closet. In about 15 minutes we probably could solve the problem.

20 MR. LIPINSKI: Mr. Chairman, having looked at the
21 paragraph on Task A-47, this addresses the consequences of these
22 failures, but there is no reference to the frequency, and I think
23 that is an important ingredient as to -- and this relates --

24 MR. KERR: I would hope this is not the Task Action
25 Plan.

1 MR. LIPINSKI: Well, the reliability of the control
2 system is directly related to the failure --

3 MR. KERR: It was apparent to me, as I listened, that
4 nothing in here was said about reliability, and I was somewhat
5 disappointed, but the action plan, of course, may be more
6 complete.

7 It seems to me that one almost has to address the
8 question of reliability at some point. Having addressed it,
9 one may say, you know, forget it. But I don't see how one
10 could ignore it.

11 MR. LIPINSKI: I don't think you can, because it's
12 the challenger in terms of the failures as they occurred to
13 cause these consequences.

14 MR. KERR: I'm going to declare a 10-minute break,
15 and when we come back, we will continue this discussion.

16 (Recess.)

17 MR. KERR: May we reconvene?

18 Let me talk briefly about this draft letter that
19 some of you have before you. This I put together for your
20 persual as something that after your suggestions are incorporated
21 could go to the Committee. I would guess at its February meeting
22 the Committee will write a preliminary letter to Mr. Ahearne
23 because I think the schedule for hearings is such that probably
24 if the Committee is to write a letter, it has to be done in
25 February, and would form sort of a progress report on what the

1 Committee is doing in response to Mr. Udall's letter.

2 I don't propose to read this to you, but let me
3 highlight those things that I think it says.

4 First, in paragraph one, I am estimating a six-month
5 schedule, without being entirely clear about when one starts
6 counting time. But I think that is probably about a minimum.

7 And then in the second paragraph -- and I will read
8 that -- we note in this letter I envision would go to Mr.
9 Ahearne, but that protocol will have to be decided by the
10 full Committee.

11 "We note in Congressman Udall's letter of
12 December 4, 1980 that reference is made" -- and
13 I quote from the letter -- "'to the Staff's
14 rationale on which its recent judgments relating
15 to control system failures are founded.' We
16 interpret this to refer to, A, the Staff's
17 recent designation" -- and here I find I have
18 the wrong wording. I had called it control
19 system reliability, and the correct nomenclature
20 -- where are my notes -- is safety implications
21 of control systems. -- ". . .the Staff's
22 recent designation of safety implications of
23 control systems as an unresolved safety issue;
24 B, its consequent commitment to deal with this
25 issue on a priority basis; C, its decision not

1 to modify the control systems, to derate, or to
2 close down plants currently operating until
3 further operation is developed."

4 This is simply my elaboration of what I think he
5 means by the Staff's recent judgments. These, I guess, are a
6 result of the judgments rather than the judgment.

7 Then there are a number of paragraphs in which I have
8 pulled from previous ACRS letters some of the comments we made
9 on this general issue, and finally in the last paragraph:

10 "We expect in the course of the next several
11 months to review this issue of control system
12 reliability in some detail and to report to you
13 our conclusions and recommendations."

14 Now you notice in my draft I had sort of put emphasis
15 on reliability rather than safety implications. Again --
16 well, I have probably said enough.

17 Do you have any initial comments on this wording or
18 this approach?

19 MR. LIPINSKI: I have a comment on this part, on its
20 decision not to modify the control systems. I would like to go
21 back to classification of control systems in terms of manual
22 and automatic systems. There are problems with the manual
23 control systems that we encountered on Rancho Seco, Crystal
24 River, where the panels went blank, and I would like to get the
25 Staff's response as to whether the inclusion of the safety

ar23

1 parameter display panel solves the problems that were encountered
2 in some of these earlier incidents, and what the status of its
3 safety parameter display panel is right now in terms of the
4 licensing process.

5 MR. KERR: Do you understand the question?

6 MR. ROSA: I believe I do, and I can't answer it. I
7 believe that it's the province of the Human Factors Engineering
8 Group, and I don't believe they are represented here today.

9 MR. KERR: Well, do you know enough about it to know
10 whether the existence of a safety parameter display panel is
11 now required for operation of plants? I guess the answer is no,
12 but --

13 (Staff conferring.)

14 MR. MATHIS: Bill, I think -- I am not familiar with
15 the details of the action plan, but I think this has to be in
16 place at some time in the near future. I don't remember a date.

17 MR. MORRIS: I may not be able to tell you the date,
18 but I believe NUREG 696, the NUREG that establishes the SPDS,
19 the offsite operations center, the data link, will cover this
20 issue and what will be required. SPDS will be required, but I
21 don't know the date.

22 I would say that would be the reference.

23 MR. KERR: I think you have a good point. I think
24 what Dick and I need to do is to find out what the status of that
25 is, and it may deserve some additional calling out in Part C.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

ar24

1 I think it's a good point. Mr. Ebersole?

2 MR. EBERSOLE: I wonder if it would be appropriate
3 to note that there may be control systems in place now which
4 unknowingly are controlling safety functions that have never
5 been given recognition as doing so, and we are waiting for them
6 to malperform to reveal the fact that they are in fact
7 controlling safety functions, and they have simply been working.

8 The case in point is the level control.

9 MR. KERR: Are you referring to something we should
10 put in this letter?

11 MR. EBERSOLE: Uh-huh.

12 MR. KERR: In what part of it?

13 MR. EBERSOLE: There may be in the matter of upgrading
14 reliability or improving the control system, if we find in fact
15 the control systems have been serving in a safety capacity, and
16 we never did know that.

17 MR. KERR: What I had assumed we would say in this
18 letter -- and that is, of course, subject to the subcommittee
19 and the Committee -- is in effect we think we understand the
20 issue you are raising. Here are comments that ACRS has made in
21 the past on the issue. We expect to begin a set of meetings
22 which we will probably complete in about six months.

23 Now whether we should go further is sort of a matter
24 of subcommittee recommendation or final Committee decision.

25 For example, it may be that we should say something

1 about derating which has been one recommendation. That's
2 another thing that might go into the draft that we either do or
3 do not think derating of operating plants is desirable.

4 MR. EBERSOLE: The thought I was thinking about was
5 we may find it not at all appropriate to upgrade the reliability
6 control system. That's a commercial consideration. We might
7 find, in fact, that what is now a control system really should
8 have attached to it safety system overrides.

9 MR. KERR: My question really is, do we want to put
10 that in this letter, or do we want to make certain that we
11 explore that issue as we go along? Because we may want to comment
12 on it later. What do you think?

13 MR. EBERSOLE: Well, the thing with this letter, I
14 think -- here and there I thought it was -- it was limited to
15 upgrading or improving control systems, not to identifying the
16 significance of their control; but doing something other than
17 that.

18 MR. KERR: Well, I interpreted Mr. Udall to be raising
19 that question about whether control systems have been looked at
20 in enough detail and whether the right decision has been made.
21 And, of course, there are a number of implications. Control
22 systems alone, or as they interact with safety systems. A number
23 of issues.

24 MR. EBERSOLE: Okay, you want to leave it general. I
25 have no objection.

1 MR. RAY: It should be general.

2 MR. KERR: That would be my recommendation at that
3 point, but this is the subcommittee --

4 MR. EPLER: Can I make a comment?

5 MR. KERR: Yes, sir.

6 MR. EPLER: This may be a little longer than you
7 would like, but I feel compelled to point out that this is not a
8 new problem, and let me discuss two ends of the spectrum.

9 One problem has been with β for many years, and
10 has received a great deal of attention. That is interaction
11 between the reactivity control system and the protection system.

12 Now, many years ago, it was realized that no matter
13 how hard we tried, we could not protect against any control
14 system failure or, that is, failure to perform, or limited
15 performance, let us say. And I'll give you an example.

16 In the first reactor that was built after the war,
17 it was necessary to withdraw rods to increase reactivity by
18 40 percent ΔK over K , which was just about twice that of
19 the modern BWR. That was a lot of reactivity. The modern BWR
20 gets rods out at about 10 hours. This reactor got the rods out
21 in 5 minutes. This was a high performance system, the like of
22 which has never been seen since.

23 Now it had limitations. We realized that we would
24 have to limit the performance of the control system to make sure
25 that the capability of the protection system would not be

1 exceeded, but that is not enough. There is the reactivity
2 anomaly, something that happens that we cannot control. We
3 can control the speed of the rod drives, but if some rod were
4 to somehow, for example -- and this is one example -- pull a rod
5 out of the core gradually and the control system would compensate
6 for this, and then suddenly turn it loose and go, flop, back in
7 at an uncontrolled rate, you have had a situation that cannot
8 be controlled. Some idiot might put in a rubber bag in the core
9 and connect it to an airline, blow it up till it breaks, and
10 you've got it.

11 Now we don't think this is going to happen, but we
12 have to say we can't handle it if it does. That's a limitation
13 we just have to say there's nothing we can do about it, and we
14 hope the containment works.

15 Now, that's one end of the spectrum.

16 Now, the other end of the spectrum, we have had a
17 great deal of discussion of separation of control and protection,
18 and we have handled this exhaustively in the reactivity control
19 level, but we don't have a separate system for protection in the
20 heat removal area. We are using general purpose plant systems.
21 You cannot talk about separation of something you haven't got.

22 Now this is a bit of an embarrassment, but I just
23 learned yesterday from Gordon Edison that he is indeed working
24 on the criteria and design of a dedicated system for heat
25 removal that will permit us to have separation between plant and

1 general purpose systems or nonsafety systems and a dedicated
2 protection system.

3 He has two questions, I discover:

4 One question is, he is not sure how he can apply
5 this is backfitting. And that requires considerable work.

6 The other question is most interesting. He doesn't
7 know how he is going to sell it to anybody. And Mr. Udall, let
8 me assure you that we are working on this problem and we will
9 fix it, we hope, but we will not be required to review all of
10 these nonsafety systems so intensively, because we think we will
11 be able to have in some time a system of protection that will
12 take care of these problems.

13 MR. KERR: Now are you suggesting that something
14 like this should go in a letter?

15 MR. EPLER: At some point I would hope so.

16 MR. KERR: This letter?

17 MR. EPLER: I'm not recommending it, just calling it
18 to your attention.

19 MR. KERR: Mr. Lipinski?

20 MR. LIPINSKI: I don't think the dedicated heat
21 removal solves all problems, because you can still have core
22 damage, and then remove the heat after the fact. But I would
23 like to return to Mr. Ebersole's earlier thought on modification
24 of systems that were not given the importance that they deserved,
25 and namely the one is the pressurizer heater control.

1 MR. KERR: What I would like to do, if I can, is
2 discuss the draft of this letter and finish with that.

3 MR. LIPINSKI: Again it relates to its decision not
4 to modify control systems in Part C, because I think a bulletin
5 and order went out, stating that the pressurizer heater controls
6 had to be modified and a bank of heaters has to be in the diesel
7 emergency power, because there was no requirement, and at one
8 point --

9 MR. KERR: You're saying we should call attention to
10 the fact that some modifications have been made?

11 MR. LIPINSKI: I would like to get the Staff's comment
12 on that, as to whether that was amended or changed to a control
13 system.

14 MR. ROSA: That was one of the lessons learned which
15 the Power Systems Branch has been applying and has already been
16 applied to operating plants.

17 MR. KERR: So we need to put in some "such-ases" and
18 that would be a "such-as."

19 MR. LIPINSKI: That would be one, that an already-
20 amended control has taken place -- control change.

21 MR. EBERSOLE: I might mention that that is a
22 classical case where you can fix the control system for that
23 sort of thing and still not look at the driving functions or
24 the reliability of the ultimate process and find you have fixed
25 the control system. But the receptor for that control impulse

1 is not going to work.

2 MR. LIPINSKI: We haven't fixed it from a reliability
3 standpoint, because we see the need for power, but there is not
4 a specification that says it's got to be single failure proof,
5 because the controller that's calling this is not a safety-
6 grade controller as to what the reliability of that total system
7 is.

8 MR. EBERSOLE: For instance, if you fixed and then
9 added reliable parts to pressurizer heaters, you would find that
10 the in situ installation of those are not environmentally
11 qualified, anyway.

12 MR. ROSA: May I clarify that the Lessons Learned
13 only required the capability to connect the pressurizer heaters'
14 one bank and their controls to the safety busses.

15 MR. EBERSOLE: It did not require they work?

16 MR. ROSA: It did not require the heaters or their
17 controls to be safety-grade.

18 MR. KERR: What is the status of control of the PORVs
19 now? Does it have to be safety-grade or is it non-safety-grade?
20 I will accept that "I don't know," provided we can find out.

21 I am talking now about the control of the PORV.

22 MR. ROSA: I don't believe the controls are now
23 safety-grade.

24 MR. EBERSOLE: No, they are not.

25 MR. ROSA: They are now connected to a safety-grade

ar31

1 power supply.

2 MR. EBERSOLE: Okay. But the controls themselves --
3 for that matter, neither are the PORVs themselves.

4 MR. ROSA: And the PORVs also are connected to a
5 safety-grade power supply. There has to be a separate power
6 supply from the block valve.

7 MR. EBERSOLE: In a way this tends to mislead
8 people. When you say I have got this great high quality system
9 connected to a lousy device which doesn't work, anyway.

10 MR. ROSA: If you will read the Staff's testimony
11 on the Three Mile Island 1 restart hearing, you will find that
12 there is justification for not making it safety-grade.

13 MR. KERR: These are all very important issues, but
14 I want to talk about this letter, if I can.

15 Are there other suggestions you have for what should
16 go in a very preliminary letter?

17 MR. MATHIS: Well, Bill, just one comment specific
18 on the letter. On Item C, which we were just discussing, where
19 you talk about modified control systems or derate, that really
20 applies to Browns Ferry 3 incident, doesn't it? This basically --

21 MR. KERR: Mr. Basdekas has recommended derating
22 all operating power plants until the control systems are fixed.

23 MR. BASDEKAS: As well as other --

24 MR. KERR: Now the Staff has decided that it does not
25 want to recommend derating. That's the reason I put that in

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 there. We may again take it out, put it in, whatever. It's
2 also possible that the Committee would want -- I mean since
3 Mr. Udall's letter refers to opinions of senior staff that
4 disagree with the consensus, I assume that's one of the things
5 to which he is referring, and so I thought it was appropriate
6 to comment that that was one of the things he was referring to.

7 Now does the subcommittee or do the consultants think
8 that the full Committee ought to comment in this letter on
9 whether it thinks immediate derating is or is not appropriate?

10 MR. RAY: I think it's an appropriate comment. I
11 think it should be in there.

12 MR. EPLER: Appropriate or inappropriate?

13 MR. RAY: No, appropriate. Because it was said in
14 Ahearne's letter, with which he was not satisfied.

15 MR. KERR: Any other comments?

16 MR. EBERSOLE: Well, derating is an expensive way to
17 enlist industry's assistance in this problem. That's the main
18 thing, I think. It may be too expensive.

19 MR. KERR: Industry assistance is not all that is
20 required, just because the Staff doesn't have a position, either,
21 at this point, and industry wouldn't know what to do.

22 MR. EBERSOLE: Well, I think industry would find
23 they have initiative.

24 MR. KERR: They cannot change things and get approval
25 for them without Staff approval.

1 MR. RAY: Industry is not going to volunteer
2 deration of their equipment.

3 MR. KERR: No, but Jesse says if you derate, then
4 industry will do something, and that's a very good idea,
5 provided industry knows what to do.

6 MR. EBERSOLE: Industry claims they know what to do.
7 You hear endlessly that we shouldn't be -- what's that
8 great word we have? -- prescriptive.

9 MR. KERR: Jesse, I'm sorry, but industry has to have
10 approval of the NRC to do almost anything.

11 MR. EPLER: Mr. Chairman, could I support your
12 position with this comment?

13 In the ATWS matter, which we have had with us for
14 quite a long time, you have pointed out that we mustn't
15 rush precipitously into changes, because we might make situations
16 worse.

17 Now if we blackmail the industry into doing something
18 by shutting these reactors half down, we will be doing something
19 precipitously, and I think it would be not in the direction of
20 increasing safety. So I would say let' do these things
21 deliberately.

22 MR. EBERSOLE: I think that's right.

23 MR. RAY: I support Ep here, and I also have a thought
24 that if we were to take punitive action, if you will, and force
25 a deration of plants that are operating today, what are we

1 chastising them for? They haven't been told to make any changes
2 in their designs for control systems and so on. So if we imply
3 that because certain things haven't been done, you have got to
4 derate to 60 percent --

5 MR. KERR: Yes, but there is another issue which we
6 haven't discussed, and it seems to me it has to enter into this,
7 and that is even though they don't know what to do and we don't
8 know what to do, if we think that this issue is a serious safety
9 issue, and that safety could be enhanced significantly by
10 derating, then I think we ought to recommend derating.

11 MR. RAY: That is something else, though. I am
12 addressing Jesse's thought that deration might be a good
13 motivating influence on them to make changes.

14 MR. KERR: Okay. Good point.

15 MR. RAY: I think the tone of this letter and its
16 contents serves the purpose very well. I just have a thought
17 -- its'a small point -- I have some small editorials, but you
18 can take them without discussing them here and taking the time
19 to do it.

20 But at the top of page 2, where we refer to an
21 intention of one of the subcommittees of ACRS to pursue the
22 cascading chain of failures and control subject, if any action
23 has been taken in this respect on this item, I think it would
24 be well to record it.

25 MR. KERR: I do, too. That is something I need to

1 investigate. I think the subcommittee has perhaps discussed it,
2 but that is a good point, Jerry.

3 Would you make a note of that, Dick?

4 Anything else?

5 Okay, I think I detect a consensus that at least
6 the subcommittee would not recommend derating at this point,
7 and I will include this consensus in my report.

8 MR. RAY: I certainly express that point very
9 definitely.

10 MR. EBERSOLE: I would also say this doesn't mean
11 this can be handled on a relaxed basis, and that derating implies
12 we can go on forever like we have on ATWS in fixing this matter.

13 MR. KERR: Do you think the six-month schedule is too
14 short?

15 MR. EBERSOLE: That sounds fair to me.

16 MR. KERR: Okay.

17 MR. RAY: Well, I would just like to add a little bit
18 of pressure to this thought. I am not recommending derating. If
19 you were to recommend derating, Mr. Udall would have more
20 problems among the Congressmen in the states that were affected
21 than he has with these letters from the Commission, and I don't
22 think you would be helping him a damn bit.

23 MR. BASDEKAS: Mr. Chairman, can I talk on a little
24 point here?

25 MR. KERR: If it's a little point.

1 MR. BASDEKAS: I think we should advise the Congress
2 on technical matters, not political views.

3 MR. KERR: Mr. Gilinsky has also commented on things
4 that this Committee could comment on. I have found in the past
5 that this Committee feels free to comment on almost anything
6 it wants to comment on.

7 MR. RAY: I agree with this last thought, Bill, and
8 that is my --

9 MR. KERR: That doesn't mean it should.

10 MR. RAY: That is my intention, and if isn't
11 appreciated or others feel to the contrary, I would be willing
12 to --

13 MR. BASDEKAS: I am speaking for myself, but I
14 believe that technical matters should be --

15 MR. KERR: I would say safety matters, and that's not
16 really quite the same thing, I think.

17 MR. LIPINSKI: After TMI, B&W was asked to do a
18 failure modes-and-effects safety analysis for their control
19 systems, but none of the other vendors were ever asked to do an
20 equivalent exercise, and this would not be the responsibility
21 of the Staff, but it would be the responsibility of the vendor
22 to provide what he thinks the failure modes-and-effects analysis
23 amounts to, and that immediately signals problem areas.

24 MR. KERR: Are you suggesting that we put something
25 about this in the letter, or --

1 MR. LIPINSKI: I am projecting it as a thought right
2 now, because we have looked at this Task Action Plan --

3 MR. KERR: No, I'm trying to --

4 MR. LIPINSKI: I want to give my thought openly, and
5 then the ACRS can consider how they want to handle the thought.
6 But we already know what B&W's shortcomings are, based on their
7 failure modes-and-effects analysis, but we don't know the others'.

8 MR. KERR: My question is, do you think in this letter
9 we ought to suggest that the Staff require a failure modes-and-
10 effects analysis of all vendors?

11 MR. LIPINSKI: Yes, this would be my proposal, because
12 this work can be done on a rather short-term time basis while
13 the Staff is gearing up on some of the other aspects of the
14 control systems interactions. Because this is simply a tabular
15 presentation of, as you say, -- run to the limit and have the
16 thing go full speed, full value, and then like a PORV sticks
17 open or something like this, what are the consequences. If
18 there is a power supply somewhere in someone else's system, and
19 it goes out, it takes off in four or five different directions,
20 and the wrong direction --

21 MR. KERR: I will report your recommendation to the
22 Committee. I don't think, personally, that should go in this
23 letter.

24 MR. LIPINSKI: It could go through a different path,
25 but --

1 MR. KERR: I will report that as a recommendation.

2 Are there other comments on this letter?

3 And keep in mind that this is really a very drafty
4 draft. It's something that will go to the Committee. The
5 Committee may want to address both the ATWS issue and the
6 control system issue in one letter, and probably will. So I
7 think this is just -- okay. I think there have been a good many
8 helpful suggestions here, and Dick and I will try to modify the
9 draft accordingly and give it to the Committee.

10 MR. EBERSOLE: Bill, there is a theme in this draft
11 that I would like to ask you to think about from time to time
12 here. I see it refers to reliability assessments and so forth.
13 Isn't what we are really after not reliability assessments? It's
14 what is their potential for creating safety problems. Reliability
15 assessments to me means how frequently they are going to create
16 some kind of a problem.

17 MR. KERR: Well, Jesse, I had thought that the issue
18 was the Staff's conclusion that one did not need to make a
19 reliability assessment of the control system.

20 MR. EBERSOLE: One needs to make an assessment of
21 its ultimate competence to cause trouble.

22 MR. KERR: I am not suggesting this letter is going to
23 solve all the problems that exist. It may not solve any. My
24 understanding was that the issue about which Mr. Udall was
25 concerned was the current position of the Staff which he

1 interpreted to be one of not looking at the overall performance
2 in detail with rigor and detail, and the reliability of control
3 systems.

4 Now I may be misinterpreting this, because the letter
5 is what was the terminology of the Lewis Committee used on
6 WASH 1400?

7 MR. EBERSOLE: Well, except for the standpoint of
8 calling it an undesired trip --

9 MR. KERR: What would you suggest?

10 MR. EBERSOLE: I would say they are referring from
11 time to time to reliability systems, we refer to the range of
12 influence that these systems have on safety problems.

13 MR. KERR: Okay. That's a good suggestion. Make a
14 note of that, Dick, and I'll see how -- because the reliability
15 may be too narrow.

16 Other suggestions?

17 MR. KNIEL: Dr. Kerr, you refer in your letter to the
18 August 12th letter, which is the one that the Committee provided
19 in response to unresolved safety issues, and also there is a
20 discussion on page 2, lines 43 and 45, about the ACRS wants a
21 broad study which reevaluates the systematic way.

22 I think the letter should show that both the Staff
23 and the Commission have reacted to that August 12th letter,
24 and the reaction to that is that designation of unresolved safety
25 issue, and that designation will initiate such a --

1 MR. KERR: I think you are right, and I think that is
2 implicit in the letter, but it needs to be made explicit. You
3 have a good point.

4 Do you have that, Dick?

5 Other comments?

6 Okay, then, let me go to perhaps some additional
7 questions that I have, at least, and that may suggest some to
8 you.

9 The first question I wanted to raise is, can somebody
10 from the Staff give me some background on how it is that one
11 decides which systems are safety systems and which systems are
12 controlled, or which systems are not safety systems?

13 MR. ROSA: Safety systems are those designated as
14 being required to prevent or mitigate accidents. This includes
15 safety injection systems, safe shutdown systems, also containment
16 isolation, and all of their directly-supporting systems.

17 MR. KERR: I understand the designation, but in terms
18 of a particular system, how do you decide that it fits in that
19 category?

20 For example, it is certainly conceivable to me that
21 a control system might cause an accident if it were left free to
22 range. Now how does one decide that a control system doesn't
23 cause or mitigate accidents, because control systems can mitigate
24 the effects of accidents?

25 Indeed, that statement was made earlier, but you don't

1 take any credit for it.

2 MR. ROSA: We looked at the accident analyses and
3 the analyses associated with anticipated transients, and all
4 systems that are taken credit for to mitigate these events are
5 considered safety systems.

6 MR. KERR: You have introduced a new word into the
7 discussion, and that is the word "taken credit for." Your
8 earlier comment was that any system that could mitigate the
9 effect of an accident was considered a safety system. Now you
10 have said any accident or any system for which credit is taken,
11 and whether you take credit or not depends on whether it is a
12 safety system. So you have sort of a circle logic here which
13 says that if you take credit for it, it's a safety system; and
14 if it is not a safety system, you don't take credit for it.

15 MR. ROSSI: I think what is done is that you look
16 at the equipment and at the instrumentation that is required to
17 function in order to stay within the specified limits for
18 either the anticipated operational occurrence or the particular
19 accident that you are looking at. And if that equipment is
20 required to stay within the limits for that accident or anticipated
21 operation, then it's a safety system.

22 MR. KERR: Required by whom or what?

23 MR. ROSSI: You do the analyses and show what is
24 required in order to stay within the limits for the particular
25 thing you are after.

1 MR. KERR: But a requirement can be a very arbitrary
2 thing. You can just pick out systems and say, "I require these
3 to function and I don't require these to function."

4 MR. ROSSI: Let's say I pick a certain set of systems
5 and I say these are going to be my safety systems. So now I
6 draw a box around those systems and say these are the safety
7 systems.

8 I then go and do a set of accident analyses which
9 cover both anticipated operational occurrences and the postulated
10 limiting events, and I do these analyses, and I assume that only
11 the safety systems work, and I assume that the control systems
12 do not work to mitigate the consequences.

13 MR. KERR: The choice is arbitrary. You pick out
14 some systems and you say, "We are going to call these safety
15 systems," and other systems, you say, "We aren't going to call
16 these safety systems."

17 MR. ROSSI: Then you go test them, though. You do
18 these analyses to make sure you have picked the right ones.

19 MR. KERR: Right or wrong, it seems to me, doesn't
20 enter here. The choice is one that you make.

21 For example, is there any reason why you couldn't say
22 a control system could mitigate an accident?

23 MR. ROSSI: Yeah, you could do it, but then once you
24 say that mitigates the accident and it is required for a
25 particular accident, then you have to come back and design the

1 control system to --

2 MR. KERR: I agree, you would. It would then become a
3 safety system, but the choice, it seems to me, is somewhat
4 arbitrary.

5 MR. ROSSI: But I would claim there is an iterative
6 procedure that you make a choice of what you think are the right
7 safety systems.

8 You then go into analyses to test whether that is the
9 right choice, and then if you find --

10 MR. KERR: How do you determine whether it was the
11 right choice or not? That is the root of my question.

12 MR. ROSSI: You determine that by going through the
13 analyses and only using the operation of those systems that you
14 call safety systems to mitigate the consequence of each accident
15 that you analyze, and you show that you can --

16 MR. KERR: But you see, by definition you have said
17 at other points that safety systems have to be designed to
18 mitigate the accidents, so you have defined them as capable of
19 mitigating the accidents to begin with. I mean ECCS, for
20 example, the criterion -- what is it, 35? It says ECCS must be
21 a system that will in effect take care of LOCAs.

22 Now, by definition, that's what it does.

23 MR. ROSSI: That's right. And then you have to
24 demonstrate that it does it. And if you find out in your
25 analyses that --

1 MR. KERR: Well, you never really demonstrate. You
2 demonstrate that it does with some probability. But, of course,
3 that's left out of --

4 MR. ROSSI: For the certain set of accidents.

5 MR. KERR: And you don't necessarily demonstrate, for
6 example, that other added systems might not do it better or
7 improve things.

8 I'm not trying to be critical.

9 MR. ROSSI: That is very true. You don't demonstrate
10 that. Right.

11 MR. KERR: It seems to me, as I think about it, that
12 to a considerable extent the designation of the system as safety
13 or nonsafety is somewhat arbitrary. Arbitrary to me doesn't mean
14 immoral or bad. It just means arbitrary.

15 MR. ROSSI: It's arbitrary with a test that it's
16 correct, I think.

17 MR. KERR: Yeah, but the test always has to work,
18 because the safety system is imperfect unless it does the job
19 it is designed for.

20 MR. ROSSI: That's right. So if it doesn't work, then
21 you come back and include more things in it, or you change the
22 capability or whatever. And then I think that what you start out
23 with is ideally you want to find the simplest ways to protect the
24 plant that you can find. So what you want to do is to find a
25 few simple things that you can do and make sure that the plant is

1 protected, and then you concentrate your effort on making sure
2 that you do those few simple things well. That's ideal, I think.

3 MR. KERR: I would not personally claim that the
4 systems used to protect plants are simple.

5 MR. ROSSI: No, I wouldn't, either, but I think you
6 would try to find the simplest ways to do it.

7 MR. KERR: What is it, Okum's razor, that
8 physicists refer to, that says given two explanations, the
9 simplest is the best? And that may be true in control systems
10 as well, I don't know, or safety systems. But it seems to me,
11 again, it is somewhat arbitrary.

12 Mr. Lipinski?

13 MR. LIPINSKI: The statement was made earlier that
14 you have systems and designate them. I would like to say that
15 process actually takes place in the reverse direction. Chapter
16 15 requires certain accidents to be analyzed, and when you do
17 the analyses -- say you get an overpressure transient, you
18 then say, well, I am seeing a pressure rise. How do I keep the
19 pressure within the prescribed bounds? You then define a
20 system that maintains the pressure within limits, and if it is
21 required to keep that vessel from rupturing, it gets a designa-
22 tion of a safety system. You have to analyze --

23 MR. KERR: But, Walt, in the process, you ignore any
24 contribution from the control system.

25 MR. LIPINSKI: That's right. On these accident cases,

1 you are looking for major deviations, rod withdrawal, the power
2 is going up.

3 MR. KERR: I am simply saying I could think of a world
4 in which one could call the control system safety-grade, and
5 one could then look at its contributions to mitigating accidents,
6 and I don't see anything that would violate the present philosophy
7 other than the Staff happens historically not to have designated
8 control systems as safety grade.

9 MR. LIPINSKI: There is now an economic consideration.
10 They can be safety grade, but then you are going to follow the
11 single failure criteria, because that's what follows.

12 MR. KERR: I'm talking about how one chooses between
13 safety systems and control systems as safety-grade or not, and I
14 don't see a clear guideline other than a choice. I mean one
15 makes a choice and goes in there.

16 MR. LIPINSKI: In doing accident analyses, you
17 require certain systems, double pipe break for the safety injec-
18 tion systems. You're told to analyze that event. Prevent core
19 temperatures and --

20 MR. KERR: Of course you do now, but suppose we started
21 this process out and we decided that control systems ought to be
22 safety grade, too. Then we might well look at the contributions
23 that control systems made to mitigating the accident.

24 MR. LIPINSKI: If you do an accident analysis and say
25 it's required to mitigate the accident, and you are calling it a

1 control system, then it ends up being a safety system with the
2 same label.

3 MR. KERR: That's my point. Had we started out making
4 control systems safety grade, we might have them mitigating
5 accidents.

6 MR. LIPINSKI: Okay. But there is another class of
7 systems that are used to operate the plant around nominal
8 operating points, and those are your control systems. They are
9 not required for bounding accidents.

10 MR. KERR: I don't know what nominal operating points
11 means. Let's take the ATWS issue, for example. We have
12 discovered, in exploring the ATWS issue, that the so-called
13 safety systems, scram system, was being used as part of normal
14 operation, because there were certain anticipated transients,
15 and to me, that means something you expect to be able to have to
16 control that required scram to occur. Otherwise, the plant got
17 in trouble.

18 Now I would say in this situation, what we used to
19 talk about as a safety system is really part of the control system,
20 because it is being used to control the plant around nominal
21 parameters.

22 MR. LIPINSKI: There was earlier reactors where you
23 had two separate sets of rods, and they were designated control
24 rods and safety rods. As the cores got bigger, there was not
25 enough room for separate classification of rods, so the rod

ar48

1 systems had dual functions. They now control as well as the
2 safety function for fast reinsertion of negative reactivity, and
3 it's only that part of the system that gets classified as safety
4 grade.

5 The ability to position these rods to maintain power
6 is not safety. That's a control function.

7 MR. KERR: My point is, it seems to me this designa-
8 tion is pretty arbitrary.

9 MR. LIPINSKI: I see a defined boundary.

10 MR. KERR: You and Epler helped develop this, and
11 you understand it and agree with it, and I think it's a good --
12 when I say this system is arbitrary, I don't mean it's bad. I
13 just mean that could have taken --

14 MR. EPLER: Please. There are three. You're trying
15 to make it into two. There is a system for control that is
16 not required to be redundant, not required to be tested, not
17 required to be anything except just to perform.

18 Now we have many of those systems. You can call them
19 control or nonsafety.

20 Now we have another system that's very important. It
21 is required to be redundant, it's required to be tested, and
22 tested in such a way as not to impair its performance during
23 the conduct of a test, not to be used for any other purpose, and
24 a lot of good things. Those are called protections.

25 Now we have a third system which is in between. We

1 call it safety-grade. It's neither control nor does it adhere
2 to the principles that apply to protection. It's simply
3 general purpose plant systems that are beefed up to make them
4 work a little better.

5 Now it isn't arbitrary. This is the way the plants
6 have grown, so let's not talk about safety and control alone.
7 Let's talk about three kinds of systems.

8 MR. KERR: That doesn't make them any less arbitrary,
9 but I'm willing to talk about three if you want to increase
10 the arbitrariness.

11 MR. EPLER: That's the way life is.

12 MR. KERR: I guess what I'm trying to look for is
13 some rationale that says control system -- I would assume, for
14 example, that one might look at the ability of a system to
15 cause accidents, and if one looks at the contribution to
16 transients, I am not sure but what the control systems are
17 likely to cause more transients than, say, engineered safety
18 features. And on that basis, I could argue that maybe control
19 systems ought to be reliable.

20 MR. EBERSOLE: What do you call engineered safety
21 features, Bill?

22 MR. KERR: Well, in a general way -- I'm not going to
23 try to take into account everything -- but I would say the
24 control of the ECCS system is an engineered safety feature.
25 It's designed to withstand reliability greater than control systems

1 are. It seems to me I could make an argument that would say
2 control systems in the long run are likely to contribute more
3 risks than malfunctions of the ECCS systems. I'm not sure I
4 could prove that, but I'll bet I could make a pretty good argument,
5 and therefore control systems ought to have higher reliability
6 than they now have, or at least there ought to be some
7 reliability standards.

8 You could have -- and, indeed, I think the Canadians
9 do, they did several years ago -- some standards of reliability
10 for what we call control systems and have different standards
11 of reliability for safety systems. That seems to me a logical
12 approach. It's not the only one.

13 MR. EBERSOLE: Are we talking in a compartmentalized
14 or general context?

15 MR. KERR: I don't know the answer to that until I
16 know what you mean.

17 MR. EBERSOLE: Do you call the service water system
18 a safety system?

19 MR. KERR: It depends on what the service water system
20 is doing.

21 MR. EBERSOLE: It moves heat out of the plant, and it's
22 the only way to move it out.

23 MR. KERR: Is moving heat out of the plant necessary
24 in a given situation?

25 MR. EBERSOLE: Yes.

ar51

1 MR. KERR: Then I would want to know what one meant
2 by safety system, because these definitions are pretty stylized.
3 For example, the control system of a nuclear power plant is
4 designed to control the system in such a way that it moves heat
5 out of the plant.

6 MR. EBERSOLE: The control system is never going to
7 move heat out of the plant.

8 MR. KERR: It controls the plant so that heat is
9 moved out of the plant. That's the objective of it.

10 MR. EBERSOLE: But the safety system embodies, as a
11 matter of fact, the final action --

12 MR. KERR: But why does one wait until one gets to
13 the final action? It seems to me a plant is safer if it never
14 gets into trouble than if you wait until it gets into trouble
15 and have an absolutely safe system to get it out of trouble.

16 MR. EBERSOLE: That's what it does. It keeps it out
17 of trouble.

18 MR. KERR: And, therefore, it seems to me that on the
19 logic that the control system, above all, ought to be reliable.
20 It ought to be the most reliable thing in the plant.

21 MR. EPLER: Mr. Chairman, we do indeed have a control
22 system that has been made reliable, and we have a patent on it.
23 It consists of three channels, each with its own instrumentation,
24 three operating in parallel. They are velocity servos, so if
25 velocity is added, one motor will turn in this direction,

1 one turn in that direction, and one sit in the middle like
2 Lucky Pierre, and we'd look at it and say it can't fail, there
3 is no way it can fail. But we know it will. After years of
4 operation, indeed, it did fail. It failed like this:

5 Since it was infallible, and there were three channels,
6 it is possible to do maintenance on line, so the battery -- there
7 is a battery for each of these three servos -- the battery was
8 being maintained. When the maintenance was finished, it was
9 desired to connect and reconnect the third channel which is
10 being maintained, and a technician was dispatched to go and be
11 sure that the battery was not reapplied without instrumentation
12 information. Otherwise, the thing would blow its brains and
13 go crazy. We wanted it go on smoothly and under control.

14 So the technician went to disconnect No. 3. He went
15 to the back of the board and counted off one, two, three, and
16 disconnected it. That was the wrong one. He should have gone
17 to the foot of the board and counted off one, two, three.

18 So now we've got an excursion. That's the way it
19 fails. Now I don't think you go very far by making control
20 systems infallible. You can wear yourself out, but you don't
21 really get very far down the road. We've been down that road.

22 MR. KERR: The word I used was "reliable," not
23 infallible.

24 MR. EPLER: It has to perform, and it has to perform
25 reliably. There is a limit to what we can do.

1 MR. KERR: Ep, I am not implying -- in fact, to me, there
2 would be some logic in counting and calling both the control
3 system and what is now called the protection system a control
4 system. It seems to me that it doesn't quite make sense to talk
5 about controlling a plant only when it's in normal operation. I
6 think you want to control it all the time, as best you can.
7 And therefore, I don't see really any great reason for distinguish-
8 ing, at least intellectually, between the control and safety
9 systems.

10 MR. EPLER: Here is the classical system, if I may.
11 The control system is a system whose failure can be tolerated.
12 A protection system is an independent system whose failure we
13 cannot tolerate.

14 MR. KERR: But safety systems will and do fail, so if
15 you do that, that definition to me doesn't make any sense.

16 MR. EPLER: Like the man said, nobody is perfect.

17 MR. KERR: By the way, I have a recommendation. I
18 really think these horror stories you have, which are quite
19 illustrative, ought to be recorded and put on cards and
20 numbered. You know, it would be 1 through 20, and then all you
21 would have to do is refer to No. 7.

22 (Laughter.)

23 Because they really are worth --

24 (Laughter.)

25 MR. LIPINSKI: Prof. Kerr, I would like to pursue

1 the discussion. Let's talk about flex control as an example.
2 If you are at 100 percent power, and you've got a load following
3 the system, you would like to control the reactor power, let's
4 say the turbine cuts back to 95 percent, automatically you
5 would like to reduce nuclear power to 95 percent. I have a
6 control system that performs that function for me, and
7 depending on how important it is to me, I design it to a certain
8 reliability. If it fails, it may fail stationary and the turbine
9 cuts back, my nuclear power does not, so I've got a heat imbalance.
10 Or the thing could fail in the direction to cause a rod withdrawal,
11 and I have a runaway, because of the control system failure. But
12 important as a supervisory system, that detects the fact that
13 nuclear power is above some prescribed limit, and that is where the
14 plant protection comes in, on a limit on the nuclear power
15 protection.

16 Now we have a question of reliability, and this is
17 where ATWS comes in, because that nuclear channel failure -- we
18 are looking for a probability of failure on the order of 10^{-6} ,
19 whereas that control system failure right now is based on
20 economic importance to the designer to as what he wants to
21 prescribe for its reliability. But now we are getting into
22 these accident cases to see whether the control system is running
23 away in different combinations and can cause accidents to progress
24 along some different path, other than looking at a single rod
25 runaway, because the control rod has failed.

1 But there is a big difference between a control system
2 for nominal failures versus the runaway conditions or the safety
3 systems that come into play.

4 The same thing applies to water level control in the
5 steam generators.

6 MR. KERR: What you are telling me, Walt, is if I
7 lumped all this and can call it a control system, there would be
8 certain functions for which you would want higher reliability
9 than others. I agree. I think that's completely logical. You
10 would not necessarily require exactly the same reliability of
11 all components and subcomponents, but it seems to me to be
12 somewhat arbitrary, and I must say personally strange to have
13 no reliability requirements on a control system, and have the
14 rather extensive requirements we now have on safety systems, and
15 I don't really understand why we do.

16 MR. LIPINSKI: I perfectly agree with you on that
17 issue, but there is a difference and I think we wouldn't want
18 to impose the same reliability requirements as we do --

19 MR. KERR: I don't know what we should be imposing
20 on the control system. Maybe indeed existing control systems
21 meet what one would want if one looked at it. I have an idea
22 that this is a fairly important economic issue, and I would
23 assume that people who build these things want them to be fairly
24 reliable, and they may indeed be. I don't know.

25 MR. LIPINSKI: If they are not, they are going to

1 challenge the protection system. They are going to have unwanted
2 shutdowns.

3 MR. EPLER: There is something elementary that is
4 being over looked here. A control system must operate in two
5 directions: up and down. That's its mission. It has to be
6 optimized to do this. It can make a condition safer or less
7 safe.

8 A protection system can operate in only one direction:
9 a safe direction.

10 Now you have to keep within the limits of optimiza-
11 tion. That's pretty elementary.

12 Now you can make a system that won't fail, but it
13 won't work very well.

14 MR. KERR: Ep, I have never advocated making either
15 a control or safety system that can't fail, because I think it
16 is impossible, and in Heaven maybe one can do this, but I can't
17 do that.

18 MR. EPLER: You can make it less prone to failure.

19 MR. KERR: All I'm saying is I don't understand why
20 we have very high reliability requirements on safety systems, and
21 no reliability requirements on control systems. And maybe a
22 very good reason is I'm unaware of it.

23 MR. EPLER: The answer to one is by definition you
24 can tolerate the failure of one, and the other one you don't
25 wish to tolerate.

1 MR. KERR: I would say that judgment is somewhat
2 arbitrary, and we have had control system failures which I would
3 not want to tolerate if I had a choice, because I think they got
4 me in situations that I would not want to be in.

5 MR. LIPINSKI: Let me add to that, to just arbitrarily
6 scram the reactor every time is not a safe condition, because
7 of the thermal conditions, such as now if I have a feedwater
8 controller that's giving me frequent shutdowns and thermal
9 shocks reflected into the primary system, that is not a good
10 condition. And if this were a condition occurring frequently,
11 somebody would take an immediate look at that problem.

12 And the reverse part of that is the failure rate,
13 because if the system is unreliable, that means it's failing
14 frequently, and the specification on a control system in terms
15 of unreliability says how frequently can you expect that system
16 to fail, and if it's failing too frequently, causing the plant
17 to go through changes that you would like to avoid, then you
18 require a specification on the systems to prevent that.

19 MR. KERR: Well, I don't find anything with which I
20 disagree on that. It seems to me maybe that is implicit in what
21 is actually being done in the review process now. But it is not
22 explicit because what I hear is we really want to design so that
23 that safety system can handle any excursions, but we are not too
24 concerned about how often those excursions occur.

25 MR. MATHIS: I think we are.

1 MR. KERR: I'm not talking about what you are, I'm
2 talking about what I heard this morning. I didn't hear any
3 things about problems with the frequency of challenge of the
4 safety system.

5 Now I have heard that in other publications of the
6 Staff. In fact, justification for changes in set points and
7 other things post-TMI have been made on the basis that we do not
8 want to challenge the safety system.

9 Now it seems to me if one doesn't want to challenge
10 the safety system, this implies some sort of reliability requirement
11 on whatever it is that challenges the safety system.

12 MR. EPLER: There is one point that is being over-
13 looked, and I think it is extremely important. A protection
14 system having a failure probability of 10^{-6} has no economic
15 importance at all. You couldn't care less. It may cost you a
16 penny a year.

17 However, a control system that fails regularly is
18 going to affect your pocketbook. We have an enormous incentive,
19 economic incentive, to keep these things on line, and that's
20 just great, I love it.

21 Now if you have got the economic incentive working
22 for you, don't knock it, but you cannot have the economic
23 system working for you on protection system, because if we
24 believe our reliability failures, they are far beyond that
25 threshold.

1 MR. KERR: Well, Ep, when one looks at what even TMI-2
2 is costing the industry, it certainly seems to me there is an
3 economic incentive for a very reliable safety system, and I just
4 cannot buy the argument that says people who operate plants
5 aren't interested in safety. Maybe a few dogs aren't, but most
6 of the people have got to be interested in safety, or they are
7 not going to be in the business very long.

8 MR. EPLER: All I said was if it's 10^{-6} like we are
9 led to believe, then they are not a matter of concern. Obviously
10 we have systems that are not 10^{-6} and that's different ball park.

11 MR. EBERSOLE: I guess you are developing this topic
12 we are coming up on about developing the importance of the
13 forthcoming thing about identifying the meaning of systems
14 important to safety, or safety-related, or safety-grade, or
15 safety systems.

16 Could we use as a model perhaps the AC power system?
17 The diesel generators are safety systems in my view. And one
18 certainly does not want to challenge these things very often,
19 because they are not so reliable.

20 Therefore, at the front end of these diesel power
21 systems, we have the preferred power systems, and we call them
22 important to safety, and we go out in the switchyard and require
23 two lines at least on certain characteristics about switching
24 the circuits out there. There's a gradient from the switchyard
25 to the internal distribution system finally down to the diesels.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 654 2345
T.4

1 where the reliability is certainly not getting any better, because
2 we well know the reliability of the diesels is worse than that
3 of the offsite systems. But the terminal function of the diesels
4 is to prevent a disaster, and we have stringent requirements
5 on those, although we know that all of our efforts to do so are
6 not going to make them very good. They are safety-grade because
7 they, in a terminal sense, prevent a disaster from occurring
8 when we lose in fact a better system.

9 MR. KERR: You are raising an important issue, and
10 you remind me that at the present time we really don't have
11 any reliability requirements on any of this stuff. We do have
12 some nominal requirements on the ability of diesels to start
13 and run, but no requirements on the reliability of the power
14 supply.

15 MR. EBERSOLE: We could have parallel Goldbergs and
16 call it a safety system.

17 MR. KERR: Well, my point is -- well, I don't know
18 what my point is, except I think that one needs to talk in
19 some sense about total system performance, rather than taking
20 out little pieces which I have an idea is what we are now
21 doing.

22 MR. LIPINSKI: To summarize, you are only pointing
23 out the inadequacy of the single failure criterion, because as
24 a minimum you have two diesels, yet their combination together
25 in terms of their overall function is pretty low. In terms of

1 their being required to remove residual heat, if we do not have
2 offsite power. And the question is, what should their overall
3 system reliability be.

4 MR. EBERSOLE: Which involves the reliability of
5 what we would call the control context or the systems important
6 to safety, but not the safety systems. It's a composite problem.
7 It's a composite problem. One is dedicated to not having a
8 high challenge rate to the final line.

9 MR. KERR: Are there other questions or comments?

10 Let me ask the Staff, if you were starting from
11 scratch and did not have all this tradition for which Epler or
12 Ebersole are responsible, probably partly --

13 (Laughter.)

14 -- of controlling safety systems, do you think you would
15 do it this way the second time over? That is, would you make
16 this very sharp distinction between reliability requirements
17 for safety systems and in effect very little reliability require-
18 ment for nonsafety systems?

19 MR. ROSA: Speaking for myself, I do not believe
20 there is another approach that can be followed that would get
21 us where we are now, frankly.

22 MR. KERR: I think that is a statesmanlike answer.

23 (Laughter.)

24 Because I don't think there is another approach,
25 either, that would get us where we are now.

1 (Laughter.)

2 MR. ROSA: Where we are now in terms of safety, in
3 terms of nuclear power availability, and so forth.

4 MR. KERR: I am not criticizing where we are now, but
5 it is possible in hindsight, one generally thinks one can do a
6 better job, and I just wondered if, with hindsight, and you had
7 it to do over again, you would make this sharp line of demarca-
8 tion between safety and nonsafety systems. I know Epler would,
9 so -- I mean would not.

10 MR. EBERSOLE: Bill, one thing --

11 MR. KERR: Wait a minute. I'm not trying to force
12 you to say something you don't want to say.

13 MR. ROSA: The only basis for another approach which
14 is making the control system a safety system would have --

15 MR. KERR: Please, lest there be a misunderstanding,
16 I am not saying control systems ought to be safety-grade. I
17 don't know. I am suggesting that maybe there ought to be some
18 reliability specification, but even then I am not sure.

19 MR. ROSA: If we had started out with a set of
20 reliability requirements in terms of numbers, fine. We could, I
21 think -- I think design a system, a control system as well as a
22 safety system, perhaps in a different manner. But there was no
23 way to arrive at this point of having numerical reliability
24 criteria and until you get a number of operating plants and a
25 date base established, that won't happen.

1 MR. KERR: I guess what I should have said is if you
2 were starting now with a data base you have, and without the
3 tradition and all the rules and regulations, would you still do
4 it this way?

5 MR. ROSA: If I were starting now, knowing everything
6 we know now, I would say this: I would say that the frequency
7 of challenge of this safety system that results from control
8 system failures is a growing concern, and that therefore we
9 would take a closer look at the design of the control system,
10 and also the operating experience of each new design as it came
11 on line, and we would also recognize that every challenge of the
12 safety system due to control systems is an economic penalty on
13 the utility, and that that primarily should be relied upon to
14 produce a reliable system and improvements as necessary, as
15 operating experience dictates.

16 Now I emphasize that this is my opinion.

17 MR. KERR: Other comments?

18 MR. EBERSOLE: Well, the safety systems, as you well
19 know, have to be environmentally qualified for a host of things
20 that control systems don't have to be qualified for.

21 For instance, you don't expect earthquakes, storms,
22 protection from fires, et cetera, wherein from a commercial
23 viewpoint you would be willing to take a failure, and you are
24 not entitled to take that failure --

25 MR. KERR: No, Jesse, if I suggested that control

1 systems ought to have reliability requirements, I would be
2 surprised if it turned out you would want them to be as
3 reliable. But that doesn't mean they should have no requirements
4 at all. My mind isn't made up on this score at all. I am just
5 really trying to do a sensitivity analysis, if you will.

6 MR. EBERSOLE: I don't have any difficulties seeing
7 safety systems redlined as differentiated from control systems.
8 That applies to service water, hydraulics, mechanical systems,
9 not just electrical apparatus.

10 MR. KERR: Mr. Rosa?

11 MR. ROSA: Mr. Chairman, I think as a result of the
12 work that is going to be done on this task, generic -- well,
13 the issues, the generic issues task that we talked about before,
14 an analysis of the LRs related to -- or involving control
15 system malfunctions which will distinguish between control system
16 malfunctions due to human error as opposed to control system
17 malfunctions due to actual equipment failures or power supply
18 failures will provide the insight that is necessary to develop
19 criteria that can be applied. But in the absence of an analysis
20 of this sort, I don't think we can proceed to do anything right
21 now, except what we are doing.

22 MR. LIPINSKI: Steam generator overfill is another
23 good example. If every time we tripped the turbine, we were to
24 fill that steam generator with the probability of bringing the
25 steam line down around our neck, we would quickly change our

1 philosophy on the design of that level control system.

2 And right now the analysis may come out with further
3 analysis in making it safety grade.

4 MR. EBERSOLE: I think what will happen is it might
5 increase the reliability because of the implications of commercial
6 damage and shutdown.

7 On the other hand, I think what will come out of it is
8 it will now be recognized that that particular control system
9 must be -- must have an adequate safety system override to
10 control its malfunctions. Consider the rate of the function.
11 But it may be that that system may not get any better, but it
12 will be in place. Another system that will cope with its
13 malfunctions.

14 MR. KERR: Gentlemen, I need your advice.

15 MR. ROSA: May I have one more comment, sir?

16 MR. KERR: After I get the committee's advice. As
17 I listened to this discussion, which I find very illuminating,
18 it's my guess that after a break, about an additional hour of
19 discussion, we will have exhausted most of the new ideas we are
20 about to come up with at this meeting.

21 My question to you is, shall we continue this for
22 about another hour and then call it a day? Or do you want to
23 break for lunch?

24 MR. MATHIS: Continue.

25 MR. KERR: And is there any disagreement with my

1 judgment as to the value of continuing this discussion beyond
 2 an hour? I would guess that that will have exhausted most of
 3 our fresh and new ideas.

4 Let me suggest, then, that we take a 10-minute break
 5 and continue -- plan on continuing for about an hour after
 6 that. May I? And, Faust, I will get right back to you.

7 Does the Staff have any objection to this procedure?

8 MR. ROSA: None at all that I know of.

9 MR. KERR: Okay. Thank you.

10 (Recess.)

and AR
 Beach fr

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Follows
Riley

1 MR. KERR: Mr. Rosa, you had some comments which
2 I interrupted. Why don't you continue.

3 MR. ROSA: Okay. They'll be very brief.

4 Going back to what I had said previously about
5 safety systems, or those that are taken credit for in the
6 safety analysis, I just simply want to state that the Staff
7 uses that term "take credit for" in safety analysis rather
8 frequently. What we mean is exactly the process that
9 Dr. Lipinski described, when we use that term.

10 The other comment I had to make is simply this:
11 When we're talking about making control systems "safety grade,"
12 what we're really saying is: We ought to have some redundancy
13 built into the system such that it's not subject to single
14 failure. I think we can eliminate the need for environmental
15 protection beyond capability for operation in a normal
16 environment, or for seismic capabilities, because we are
17 concerned with just challenges to the protection system of
18 control system failures in the -- during normal plant
19 operation.

20 That means that to apply the single-failure
21 criterion to an already very complex system is going to add
22 additional complexity. I am reminded of what some people
23 describe as a natural law in the protection area that "simple
24 is safe." It seems to me that if we go overboard towards
25 providing single-failure requirements to control systems, we

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 may be adding less reliability than we think. In fact, we
2 may be degrading reliability. That's the only thought I had.

3 MR. KERR: Okay, let me comment on those thoughts
4 in reverse order.

5 I have heard the same expression, that "simple is
6 safe," the implication being that it is desirable to design
7 simple systems. I'm not quite sure why it is that simplicity
8 appeals to so many people so much. But as I look at the world
9 around me, I find that one of the more complicated living
10 organisms is the human being.

11 I would certainly hate to eliminate all of them
12 just because they're not "simple" --

13 (Laughter.)

14 MR. EPLER: They will be.

15 MR. KERR: They do have characteristics that make
16 you want to eliminate them, on occasion, but I think sometimes
17 complicated systems have virtue. So I just wouldn't want to
18 completely eliminate that possibility.

19 The second had to do with your earlier comment,
20 which I think was well taken, about the need to study the
21 question in some detail before deciding what the correct
22 approach would be.

23 You mentioned that you were going to use the LERS
24 for this purpose. I am not the first to indicate that LERS
25 are somewhat deficient in being able to provide information.

jwb 3

1 I think Mr. Basdekas pointed out this morning that not every
2 failure incident -- or in fact I'm not even sure the majority
3 of failures of control systems are covered in LERs. It would
4 seem to me, therefore, that one would want to supplement the
5 LERs with some other source of information.

6 One possible source, it seems to me, would be a
7 failure modes and effects analysis -- although, for the life
8 of me, I've never been sure I understood what one meant by
9 that, but I understand there is such a thing; and indeed,
10 the Staff required B&W to do one, and even asked Oak Ridge
11 to comment on it.

12 I guess, if I can follow that comment with a
13 question: Why did the Staff require this of B&W, but not of
14 anybody else? Can somebody --

15 MR. ROSSI: Well, I think there was a feeling
16 from some incidents that had occurred on B&W plants, and also
17 from looking at the B&W design, that the integrated control
18 system on B&W may have tied the control of many functions
19 together more closely than had been done on other vendor
20 plants. That was, I think, the reason that that one particular
21 vendor was asked to do this.

22 MR. KERR: I guess I am not sure what is meant by
23 "tying the events together closely."

24 MR. ROSSI: There were control functions that
25 affected many variables kind of simultaneously in the

1 integrated control -- just the very fact that it was an
2 integrated control system where the philosophy was that you
3 try to vary several things at the same time for power changes
4 and during other plant transients with the control --

5 MR. KERR: I could interpret what you're saying
6 to mean that because they had a control system that controlled,
7 then you were concerned about the failure thereof; whereas
8 other plants have control systems that don't really control
9 very much --

10 MR. ROSSI: Well, no. I think the other plants
11 have control systems that control, but they are a little more
12 separated in the way they do the functions --

13 MR. EPLER: More eggs in one basket.

14 MR. ROSSI: More eggs in one basket on the B&W,
15 perhaps, than on the others.

16 MR. EBERSOLE: Well, isn't it true that that system
17 is a tight system because of the relatively low inventory of
18 water on the secondary side?

19 MR. ROSSI: Well, that's right. I think that the --

20 MR. EBERSOLE: In order to avoid excessive scrams
21 and turbine trips --

22 MR. ROSSI: They required this; right. They had
23 to have a more tightly coupled system.

24 MR. EBERSOLE: The end result of your imposition
25 on them now is they're going to scram more often, which may

1 or may not improve the safety picture.

2 MR. ROSSI: From -- you mean from the standpoint
3 of changing setpoints that --

4 MR. EBERSOLE: I mean, you're going to make them
5 scram more often.

6 MR. ROSSI: Through what? Through the changes --

7 MR. EBERSOLE: Decoupling some of the things that
8 were previously coupled.

9 MR. ROSSI: Well, that could happen. I don't
10 know that we've asked them to decouple anything that was --

11 MR. EBERSOLE: Well, you've got turbine trips now --

12 MR. ROSSI: Yes. The kind of things we're looking
13 at is power supply --

14 MR. KERR: Well, if you found out you were
15 increasing the number of scrams in normal operation, would
16 that be a concern?

17 MR. ROSSI: I think that would be a concern.

18 MR. KERR: Have you checked to see?

19 MR. ROSSI: That would definitely be a concern.

20 MR. EBERSOLE: Isn't that rather obvious that that
21 is what is going to happen?

22 MR. ROSSI: Well, not necessarily, because if you
23 try to divide things up maybe a little better on power
24 supplies, it's not clear that you would end up with more
25 scrams.

1 MR. EBERSOLE: So that's not clear, yet?

2 MR. KERR: Has anybody looked to see if you're
3 getting more scrams?

4 MR. ROSSI: I don't think a systematic look has
5 been taken at that; no.

6 MR. LIPINSKI: Well, they were directed to provide
7 turbine trip; whereas, the -- They were directed to provide a
8 turbine trip; whereas, the original design of that integrated
9 protection system was to ride out the turbine trip.

10 MR. ROSSI: That's right.

11 MR. LIPINSKI: That trip has now been added, so that
12 every time the turbine trips, the reactor scrams. So their
13 frequency has to go up.

14 MR. ROSSI: So that will make it up; yes, certainly.

15 MR. LIPINSKI: Because some of those events they
16 were able to ride out by previous design; but now, by mandate,
17 they must trip.

18 MR. KERR: Now, let's see. It seems to me also
19 that I read a letter recently in which Westinghouse was being
20 required to install an anticipatory trip because otherwise
21 there may be too many challenges to the safety system.

22 So there is a Staff position which, in a sense,
23 says we want to modify the control system, or at least the
24 nonsafety part of the system -- or maybe that now becomes part
25 of the safety system to avoid challenging the safety system.

jwb 7

1 Is that Staff philosophy, now?

2 MR. ROSA: I'm not familiar with the anticipatory
3 trip you referred to. Does anyone on the Staff here --

4 MR. KERR: I could look up the letter. I should
5 have written the reference down, I guess, but it was one of
6 these letters that come across my desk that I happened to
7 read.

8 MR. ROSA: I recall an anticipatory trip item in
9 the lessons learned.

10 MR. KERR: Well, this was a letter to Westinghouse.
11 Apparently there had been some disagreement, and the Staff
12 was saying: You've got to put in an anticipatory trip
13 because we don't want -- and I quote -- "challenges to the
14 safety system."

15 MR. ROSSI: I can't talk about the specific thing
16 that you're asking, but let me bring up a kind of a philoso-
17 phical point on challenging safety systems.

18 I think that you might put in an anticipatory trip
19 which would trip the reactor more frequently if by putting
20 that kind of thing in you found that you would reduce the
21 number of challenges to overpressurizing the reactor coolant
22 system, or reduce the number of challenges to defeating the
23 heat removal from the reactor coolant system.

24 So I think you have to look at whether or not
25 in some cases it might be better to have more reactor trips

jwb 8

1 and fewer challenges where you might end up without being
2 able to remove heat from the core.

3 MR. KERR: Okay, I guess I didn't make my question
4 very clear.

5 In your presentation earlier, the impression I
6 got was that the number of trips was not a matter of concern;
7 what you tried to do was make certain that you could handle
8 any sort of malfunction or aberation of the control system
9 by the safety system; and that if a trip took care of it, that
10 was it. You didn't count number of trips and say that if
11 we get more than 10 or 100, that's a problem.

12 MR. ROSSI: I think in terms of the Regulations
13 and the way we license plants, that's true. I think that
14 there is a concern on our part --

15 MR. KERR: I'm sorry, but any letter that goes out
16 from this Staff to Westinghouse telling them that they've
17 got to put on anticipatory trips is part of the licensing
18 process. To me, that represents evidence of a Staff
19 philosophy. Now it may not to you, but I bet it does to
20 Westinghouse.

21 MR. ROSSI: But again, I think that would only be
22 done if, by having an additional reactor trip, you could
23 minimize the challenge to other safety functions.

24 MR. KERR: I don't disagree with that; but what I
25 am saying is: If your argument for not having any

jwb 9

1 specifications on the control system is, "we really don't
2 worry about, implicitly, how many challenges; we just design
3 the safety system so it'll handle them," --

4 MR. ROSSI: Okay --

5 MR. KERR: And then we don't look to see how many
6 challenges the control system is going to provide.

7 Here is a situation, it seems to me, in which the
8 Staff is saying: Ah-ha! You've got too many challenges to
9 that system; we've got to prevent that.

10 Therefore, one could interpret that as being
11 somewhat inconsistent. I don't.

12 MR. ROSSI: I guess there would be somewhat of an
13 inconsistency, perhaps --

14 MR. EBERSOLE: Bill, I can't separate. The number
15 of challenges is an integral part of the safety problem.

16 MR. KERR: Jess, I don't disagree with you. I'm
17 saying that I didn't hear anything about number of challenges
18 in the presentation this morning. What I heard -- maybe I
19 misinterpreted it -- was that if we design the safety system
20 so it will take care of a challenge, the number of challenges
21 is not a problem.

22 MR. EBERSOLE: But it is, because of the reliability
23 problem of safety systems.

24 MR. ROSSI: Well, the number of challenges have
25 not been the subject of reviews. I think that's fair. I

1 think that there is a concern, and there may be some inconsis-
2 tency in what we have done. But I think that in the licensing
3 process in general that the number of challenges and the number
4 of reactor trips has not been a concern; but the concern has
5 really been that when you get them, the systems will keep you
6 out of trouble.

7 MR. EBERSOLE: Pardon me. You can't say that in
8 a general context, because when you go out in the switchyard
9 and look at the distribution systems and the preferred power
10 supplies, and the number of incoming lines, obviously you were
11 working toward reducing the number of challenges to the diesel
12 power system, for a good reason.

13 MR. ROSSI: Okay.

14 MR. EBERSOLE: Now you may not have done it to the
15 scram system, but that doesn't mean you shouldn't.

16 MR. ROSSI: Okay.

17 MR. EBERSOLE: I think it's just like the persistency
18 about looking at the number of challenges. Obviously you felt
19 that you don't want to start the diesels under duress any more
20 often than you have to. So you've put a lot of impositions
21 and gradations in safety from the switchyard on in.

22 MR. ROSA: I agree with you. And as I said before,
23 I believe the Task plan will include taking a look -- a
24 rigorous look -- at the experience of challenges to the
25 safety system.

1 MR. KERR: Let me explore another issue a little,
2 if I may. There is currently a great deal of interest on
3 human-factors' engineering that is being manifested by rather
4 detailed analyses and some changes in control room design.

5 Now is one restricting that to the safety systems
6 and their indicating instruments? Or does that interest
7 extend beyond safety systems to control systems, as well?

8 MR. ROSA: I believe it extends to the entire
9 system -- safety, as well as control.

10 MR. KERR: Well, again, it just seems to me to be
11 a little inconsistent with the philosophy that says that if
12 we design the safety systems to handle incidents, we don't
13 have to worry about the performance of the control system.
14 Here, it seems to me, is a situation in which one is saying
15 that interaction between people and control systems has been
16 less than satisfactory in the past, and we're going to try to
17 do something about it.

18 MR. ROSA: Well, we don't expect that the automatic
19 actuation of safety systems will be sufficient, unto itself,
20 to mitigate completely any accident or transient. But some
21 human actions have to take place sometime --

22 MR. KERR: Here is a situation, it seems to me,
23 without setting a quantitative goal, that something is being
24 done which will enhance the reliability of the control system,
25 assuming that the human being is a part of that.

jwb 12

1 MR. ROSA: That's true.

2 MR. KERR: Okay.

3 MR. EBERSOLE: But something is also --

4 MR. KERR: And in fact, rather detailed reviews of
5 this part of the control system are taking place.

6 MR. ROSA: Yes, that's correct.

7 MR. KERR: Okay.

8 MR. EBERSOLE: Bill, may I ask a question? You
9 are going to get into this topic here, as you appear to be
10 getting into it, of the matter of the gradation of QA and
11 QC, as you go from systems which are called "safety related,"
12 or "important to safety," and finally proceed to the ultimate
13 which is the safety systems? You appear to be touching on this
14 topic which is really sort of a future topic. Did you intend
15 to carry it much farther? I'm talking about the gradation of
16 safety requirements.

17 MR. KERR: Well, you'll remember in Oklahoma where,
18 in Kansas City, they've gone about as 'fer as they can go'?

19 (Laughter.)

20 MR. KERR: I want to go just as 'fer as we can go
21 within six months, as long as it bears on this topic. And as
22 I view the topic, it does involve some retrospective look, if
23 you like, on reliability and performance requirements of
24 those things that affect the safety of a nuclear power plant.
25 And I am personally convinced that probably control systems

1 do have some influence on safety.

2 MR. EBERSOLE: Well, control systems are analogous
3 to, for instance, preferred power versus a dedicated power
4 system.

5 MR. KERR: I would say, almost any system that
6 has something to do with plant operation eventually has some
7 influence on safety, and one needs to try to make some
8 gradation among those systems. I don't think one would come
9 out with a requirement that said all systems should have the
10 same reliability requirement.

11 MR. EBERSOLE: Right. Well, let me ask Faust.
12 Do you have in place, or could you produce now, your philosophy
13 that expresses your gradation in QA and QC as you approach the
14 ultimate system like, for instance, the diesel plan or the
15 scram system, from some distant place like the switchyard,
16 or some challenge point off in the distance? Do you have in
17 place now an unstated activity that defines increasing quality
18 control and QA -- for instance, resistance to seismic events,
19 et cetera -- as you approach the final wall of protection?
20 It's not expressed, and it's very unclear, and it gets to be
21 a big flap.

22 You know, right now there is an effort and Congress-
23 sional activity to make them all good, all the best, which
24 I'm sure is not practical.

25 MR. KERR: Do you understand the question?

1 MR. ROSA: Yes, I understand the question.

2 We have Class IE systems, complete safety grade
3 systems. Of course everyone understands what they are. Now
4 we have applied, in the course of our review, what we call
5 "equivalent requirements" with regard to, say, oh, a Class IE
6 for nonredundant components of the nonsafety system.

7 A case in point is the off-site power system from
8 the safety buses to the switchyard. That's not a Class IE
9 system. However, we do require that this be high-quality
10 industrial grade, and that a QA program be in place at the
11 construction site and at operating sites following initial
12 operation that monitors these systems.

13 So, yes, there are criteria in place that are
14 applied. However, it's not formalized as --

15 MR. EBERSOLE: That is the problem. I think now
16 what is happening is, because of issues of Safety Boards and
17 other things wherein one must say why they're not all of
18 top grade, that something has to come out to express why they
19 don't need to be. You know, gradation needs to be expressed
20 and the reasons for it.

21 MR. ROSA: Well, I guess the basic reason why we
22 don't have a complete set of criteria in place that addresses
23 the gradation of requirements is this: It is simply that the
24 regulatory process is an evolving process. We couldn't start
25 out with the system in place; it had to grow as we went along.

jwb 15

1 It is doing that now, and this effort in IEEE is the latest
2 activity towards attaining what you would like to see.

3 MR. EBERSOLE: Well, in the final analysis, isn't
4 it true that all of this is done simply to reduce the challenge
5 frequency to the final system?

6 MR. ROSA: That is certainly part of it, yes.

7 MR. EBERSOLE: Isn't it the bulk of it?

8 MR. ROSA: Well, no, because it is to reduce the
9 challenges to an ultimate safety system. Or it could be
10 simply to make a nonsafety system more effective in mitigating
11 accidents, for instance. The off-site power system is a case
12 in point, to make it more reliable, if you will.

13 MR. EBERSOLE: You mean, in preventing --

14 MR. ROSA: In preventing; right.

15 MR. EBERSOLE: To control its range of influence?

16 MR. ROSA: Well, here you enhance safety by providing
17 an off-site power system, which we call a nonsafety system,
18 that is highly reliable, because now the overall AC power
19 availability is increased.

20 MR. KERR: Let's see. Earlier you told me, I think,
21 why you asked for a failure modes and effects analysis for
22 B&W. You didn't tell me why you didn't require one for the
23 other plants. Maybe I should ask that. Or maybe I should
24 also ask: As you go into this study, is it likely that that
25 would be useful enough that either you would do one, or require

jwb 16

1 other vendors to do one, or somebody, on their control systems?

2 MR. ROSSI: Well, I think the "why" was that we
3 started out with the B&W one. We are still -- you know, that
4 has been done; it's been reviewed by Oak Ridge. We are still
5 discussing it with the licensees. I told you why we started
6 with it, first, and I don't think we have fully considered yet
7 what we are going to do, if anything, with the other vendors.
8 I don't think we've closed that, yet.

9 MR. KERR: Did you find the analysis useful?

10 MR. ROSSI: Well, let me give you my personal
11 opinion. My personal opinion is that probably more effort
12 was expended in it than what we got. That, I guess, would
13 probably be my personal opinion on failure modes and effects
14 analysis, that you probably don't get enough out of them to
15 warrant the effort. And I think there may be better approaches.

16 MR. BASDEKAS: Mr. Chairman?

17 MR. KERR: Yes, sir.

18 MR. BASDEKAS: May I comment on this point?

19 MR. KERR: Yes, sir.

20 MR. BASDEKAS: The failure modes and effects
21 analysis was requested by the Staff of B&W plants right after
22 the TMI accident. The Lessons Learned Task Force reported --
23 I believe it's NUREG-585, if I'm not mistaken in the number --
24 that the same should be done with respect to control systems
25 of other vendors.

jwb 17

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I understand that later the Staff backed off from this advice, or commitment, whatever it might have been. The reasons that were given by Mr. Denton to Chairman Ahearne on December 17th, 1979, during a briefing, of which there is a record. In it, without quoting -- of course I don't remember -- but paraphrasing Mr. Denton's comments, for the reasons, was that the Staff felt that the other vendors had enough other things to do; hence, they will not ask them to perform a failure modes and effects analysis.

Now the value of failure modes and effects analysis is, I think, a lot more than is envisioned by the Staff as reflected by Mr. Rossi's comments here, if it's done properly. And I think a proper way to do it, as well as a description of failure modes and effects analysis, you may find in IEEE Standard 352-1975. That is intended for the analysis during the design stage of reactor protection systems, but the method basically can be applied to 20 systems.

As the terminology applies here, you determine the failure modes of a system, and then you determine its effects on something -- in this particular case, safety. It is as simple as that. It is straightforward, and I think it can be quite productive.

As a matter of fact, in the performance --

MR. KERR: In your view, was the B&W analysis done following that IEEE Standard?

jwb 18

1 MR. BASDEKAS: Not altogether, but certainly it
2 was --

3 MR. KERR: 90 percent?

4 MR. BASDEKAS: Well, the format certainly is pretty
5 much along those lines. However, I think in terms of its
6 proper implementation of that procedure, I think the B&W report
7 left a lot to be desired. And I think some of this had been
8 organized by the Staff --

9 MR. KERR: No, I mean, would you say it was maybe
10 90 percent correct? Or 70 percent correct? Or what -- or
11 10 percent? Or what?

12 MR. BASDEKAS: Well, I would say you don't even
13 get to 30, 40 percent, maybe.

14 MR. KERR: So in your view, it wasn't really --

15 MR. BASDEKAS: It was deficient.

16 MR. KERR: -- really wasn't a very good analysis?

17 MR. BASDEKAS: No. But certainly it was a step
18 in the right direction, of which I thought the Staff should
19 have seized the opportunity to proceed to enhance the value
20 of that study by encouraging B&W to continue, as well as
21 initiating the same type of studies with the other vendors.
22 I have been making that point for a long time, and I do second
23 Dr. Lipinski's recommendation.

24 MR. KERR: If you had an opportunity to review the
25 B&W analysis, what did you learn from it that was especially

jwb 19

1 significant?

2 MR. BASDEKAS: Well, for instance, I don't believe
3 they have -- either because of time limitations or other
4 pressures -- they have missed some things which were very
5 important.

6 One of the things they have missed was the fact
7 that this failure of a level controller on the steam generator
8 side of the system can cause rather severe consequences on the
9 primary side; and the consequences, or the effects, if you
10 please --

11 MR. KERR: I guess I --

12 MR. BASDEKAS: -- will tell you more what is
13 indicated is of no consequence, not even of the reactor who
14 trips, they said.

15 MR. KERR: No, I didn't make my question clear.
16 I had assumed that with a 30 to 40 percent grade that you
17 would have perhaps learned something new from it. What you
18 just told me was something you didn't learn from it which they
19 missed.

20 Was there anything new in it that you can think
21 of that was valuable that was uncovered by their analysis?

22 MR. BASDEKAS: Well, I don't specifically recall,
23 but certainly some of the things that the Staff learned from
24 that I'm sure have been valuable, at least if not in terms of
25 taking specific steps, at least in getting a better insight as

jwb 20

1 to the things that they ought to continue looking at. I gave
2 you just an example of having listed the failure mode of a
3 certain controller on the secondary side. However, having
4 failed to properly identify the effects of it.

5 MR. KERR: Yes.

6 MR. BASDEKAS: And I think that is where the value
7 of failure mode effects analysis comes about, because it
8 forces one to go through in a methodical way, as described in
9 this IEEE Standard that I mentioned, and force himself to go
10 through and ask the "what if?" questions that otherwise he
11 might have missed, or almost certainly would have missed --

12 MR. KERR: Okay.

13 MR. BASDEKAS: -- either by coincidence or by
14 accident.

15 So I think that with respect to failure mode effects
16 analysis, let me reiterate the point I've made in my writings
17 there for quite some time: The fact that the recommendation
18 you heard from Dr. Lipinski this morning ought to be,
19 hopefully, taken seriously.

20 MR. KERR: I guess I would be skeptical that just
21 anybody using IEEE Standards could do a meaningful failure
22 modes and effects analysis. My guess is that you have to have
23 at least 15 years of experience, and a lot of familiarity
24 with systems.
25

jwb 21

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BASDEKAS: Certainly, but you need a framework on which to build, absolutely. IEEE Standards do not do the work. They do give, however, some guidance gained from experience in other industries --

MR. KERR: I interpreted your comment to mean that you thought, given that IEEE Standard in the left hand and the plant drawings on the right hand, it's fairly straightforward to do one.

MR. BASDEKAS: For someone who knows what he's doing; yes.

MR. KERR: Oh, okay. That's a good qualifier.

MR. ROSA: Mr. Chairman?

MR. KERR: Yes, sir.

MR. ROSA: One of the reasons we have confidence in plant controllers is the fact that I think it's generally recognized that designing a system of this complexity is pretty nigh impossible without some extensive failure modes and effects analyses being performed -- whether they're formally documented or not.

I expect that all of the vendors have done this type of work, asking them to repeat it --

MR. KERR: Mr. Rosa, that argument would be more convincing to me if you had just recently asked B&W to do one. Maybe there was no particularly logical reason why you should have, but you did.

jwb 22

1 MR. ROSA: Well, no, I believe --

2 MR. KERR: And you could have made exactly the
3 same argument you're making to me, before you asked them to
4 do that.

5 MR. ROSA: I believe we have reason -- or we had
6 reason to request that B&W do this. I think that operating
7 experience has demonstrated that the B&W system was -- to use
8 a term that's hard to really define -- a little tighter than
9 the others.

10 MR. KERR: Well, now, let's walk through this logic
11 slowly. Your logic was that these systems were so complicated
12 that anybody had to do a failure modes and effects analysis
13 in order to design them.

14 You then say that the B&W system is more complicated
15 than most -- which says to me that they have to do even more
16 failure modes and effects analysis in order to design them.

17 And yet, you require them to do one. And that's
18 the point at which I get lost, but maybe --

19 MR. ROSA: I didn't say it was more complicated
20 than others. I said that its operation, as observed in
21 operating experience at B&W plants, seemed to indicate that
22 its responses to plant transients were a little tighter than
23 the others, and therefore might get you into trouble more
24 often.

25 MR. KERR: All right, I stand corrected.

jwb 23

1 MR. LIPINSKI: Could I offer a comment?

2 MR. KERR: Mr. Lipinski.

3 MR. LIPINSKI: I haven't seen the B&W analysis, but
4 I'm sure there is one that is in there that says the PORV
5 opens to control reactor pressure, and the failure is: It
6 sticks open. The effect is: The system depressurizes.

7 Now having identified that effect on this analysis,
8 somewhere somebody has to translate that effect into a course
9 of action such that that system is in use, and it has this
10 failure mode, and how do you then respond if this failure mode
11 occurs?

12 Now I'm sure B&W must have thought about that
13 somewhere when they had the block valve in there, but somehow
14 systematically this did not get translated into identifying
15 all of these effects and then giving them as instructions to
16 the operators as to what course of action they were to take
17 if these failure modes occurred.

18 MR. KERR: Mr. Epler just said earlier, "nobody
19 is perfect."

20 MR. LIPINSKI: Yes; even Mr. Epler didn't analyse
21 this triplicated system for a possible failure mode when they
22 pulled the second one.

23 MR. KERR: You have a very good point; I agree.

24 Any other comments or questions on this issue?

25 (No response.)

1 MR. KERR: In Mr. Paul Check's memorandum of
2 December 19th, 1979, addressed to Mr. Eisenhut through
3 Mr. Linus -- Do you by any chance have a copy of that so that
4 I can refer to it, rather than reading?

5 (Pause.)

6 While you're looking, it is a short paragraph.
7 It is on page two of that memorandum, and it is the first
8 full paragraph on the page, and he says:

9 "Our specific concern relates to new scenarios
10 generated by some licensees during their reviews and described
11 in detail in their reports. Although each new scenario was
12 resolved by the licensee who developed it, we cannot tell
13 whether other similar plants considered these scenarios. We
14 recommend that the scenarios described in Appendix A be
15 addressed by the appropriate LWR licensees within the next
16 60 days."

17 Was that recommendation acted upon?

18 MR. ROSA: I don't know, sir.

19 MR. MORRIS: No, it was not.

20 MR. KERR: Is it still under consideration? Or
21 was it decided not to do anything about it? I mean, was a
22 specific decision made not to do anything?

23 MR. MORRIS: It was "delayed," I believe is the
24 correct interpretation, and as I understand it now --

25 MR. KERR: Delayed indefinitely? Or to some fixed

1 time?

2 MR. MORRIS: No, no. This issue was considered as
3 we looked at it at the time to be an example of a systems
4 interaction. And as we went through the reorganization process,
5 it was targeted as an item that would be considered among the
6 other kinds of systems interactions, and has now been adopted,
7 I believe -- John Stoles can take the mike now, and has taken
8 it over as far as systems interaction.

9 MR. KERR: So it will be treated, but under the
10 Systems Interaction Program?

11 MR. MORRIS: I'll let John speak to that.

12 MR. STOLAS: John Stoles. Ernie Rossi mentioned
13 earlier, correctly, that we plan to include this type of
14 review during our Systems Interaction evaluation of Indian
15 Point 3. We haven't had a chance to really discuss in detail
16 the program with the power authority of the State of New York
17 because, as you know, they just elected their supporting
18 contractor, Abasco.

19 We are anxious to meet with them in the next week
20 or so to introduce the thoughts that we want to get across
21 in their program, which in fact does include the subject that
22 we're talking about today. That is, safety systems and
23 control systems; and specifically, taking a harder look at the
24 high energy line break and its consequential failures on
25 control systems such that they might in fact effect safety

1 systems.

2 As you heard earlier, the Staff looked at what the
3 licensees brought back after the 20-day letter. There was no
4 hard, independent review that we know about -- and I think we
5 deserve to look into that matter further.

6 MR. KERR: Excuse me. I didn't understand your
7 last statement.

8 MR. STOLES: I'm saying that the Staff made an
9 evaluation largely based on the information that was provided
10 by the licensees, and I am not aware that there was any
11 detailed independent evaluation by the Staff on these presenta-
12 tions.

13 MR. KERR: Okay.

14 MR. STOLES: And I think we deserve to look into
15 that further as part of -- for example, on Indian Point.
16 Essentially what we're proposing is to use Indian Point 3 as
17 a test bed to kick off this type of review, and possibly we
18 will gain some insights into this subject.

19 MR. EBERSOLE: Mr. Chairman?

20 MR. KERR: Yes, sir.

21 MR. EBERSOLE: At this point, I want to be sure to
22 reiterate, so you hear what I say: The high energy line break
23 is probably a less likely accident than a manifold break,
24 which directly affects the control of the safety system
25 performance, since those manifolds, as designed in the earlier

jwb 27

1 plants, simultaneously furnish information to both the safety
2 and control systems en mass.

3 MR. STOLES: We understand.

4 MR. EBERSOLE: And you don't have to have anything
5 impact, you just lose the signal.

6 MR. STOLES: Right. That's right.

7 MR. KERR: Are there other comments or questions?

8 MR. STOLES: Dr. Kerr?

9 MR. KERR: Yes, sir.

10 MR. STOLES: I thought I would remind the subcom-
11 mittee that there will be a subcommittee meeting planned for
12 February the 3rd on the subject of definition of "safety grade,"
13 "safety related," "important to safety," as they fell out of
14 the TMI-1 restart hearings. There is a meeting scheduled for
15 that, and we're in the process of negotiating an agenda with
16 that subcommittee. So the subject matter that you brought up
17 earlier will be discussed further at that February 3rd,
18 subcommittee meeting.

19 MR. KERR: Thank you. That is relevant. I
20 appreciate your calling that to our attention.

21 Are there any other questions?

22 (No response.)

23 MR. KERR: I have nothing further. Let me
24 request of members of the subcommittee and our consultants
25 that you send me a written list of suggestions for further

1 committee activity. Based on that and what Mr. Savio and I
2 can put together, we will schedule further meetings of this
3 subcommittee to pursue this subject, and I hope in greater
4 depth.

5 May I thank all of you for your contributions
6 today, and the meeting is adjourned.

7 (Whereupon, at 1:02 p.m., the meeting was
8 adjourned.)

9 * * *

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

 in the matter of: ACRS - SUBC. ON ELECTRIC POWER SYSTEMS

Date of Proceeding: January 23, 1981

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

M. E. Hansen

Official Reporter (Typed)

M.E. Hansen

Official Reporter (Signature)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS - SUBCOMMITTEE ON ELECTRIC POWER SYSTEMS

Date of Proceeding: January 23, 1981

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

ANN RILEY

Official Reporter (Typed)

Ann Riley

Official Reporter (Signature)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS - SUBC. ON ELECTRIC POWER SYSTEMS

Date of Proceeding: January 23, 1981


Docket Number: _____

Place of Proceeding: Washington, D.C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Jane W. Beach

Official Reporter (Typed)



Official Reporter (Signature)