

NUCLEAR REGULATORY COMMISSION

ORIGINAL

COMMISSION MEETING

In the Matter of: BRIEFING ON NUCLEAR DATA LINK



DATE: March 26, 1981

PAGES: 1 - 58

AT: Washington, D. C.

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

810 4030 681

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BRIEFING ON NUCLEAR DATA LINK

Room 1130,
1717 H Street, Northwest,
Washington, D.C.

Thursday, March 26, 1981.

The Commissioners met at 1:05 p.m. pursuant to
notice, Joseph Hendrie, Chairman of the Commission, presiding.

Commissioners Present:

Joseph Hendrie, Chairman.
John Ahearne, Commissioner.
Victor Gilinsky, Commissioner.

Present for the NRC Staff:

W. Dircks
V. Stello
B. Grimes
E. Hanrahan
S. Bassett
L. Barry
M. Schlosser

Present for the Office of General Counsel:

C. Stoiber, Esq.,
Deputy General Counsel.

Present for the Office of the Secretary:

S. Chilk.

- - - -

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2346

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on March 26, 1981 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

P R O C E E D I N G S

1
2 CHAIRMAN AHEARNE: May we come to order.

3 The Commission meets this morning for a briefing on
4 the Nuclear Data Link. We have a handout, and I guess the best
5 thing to do is to let the Staff go ahead and present the
6 propositions they have in hand to the Commission.

7 Bill, do you want to go ahead, or Vic?

8 MR. DIRCKS: Well, I'll just mention something.

9 CHAIRMAN AHEARNE: All right.

10 MR. DIRCKS: The Nuclear Data Link is beginning to be
11 one of those institutions, I guess, that will go on forever, just
12 trying to get out of the proposal stage. We have been discussing
13 it, I guess, in meetings since February 7th, 1980, May 15th,
14 1980, July 11th, 1980, plus we've had conversations with OMB,
15 Congress and so on.

16 The proposal that is being made today is really
17 dealing with how the contractual effort should go forward. What
18 we are trying to do, I guess, is get a decision on that point,
19 but I'm sure we are still grappling with the basic decision of
20 whether the Nuclear Data Link.

21 Based on the guidance that we have gotten from the
22 Commission in all these meetings, I think this is the proposal
23 that we are left with. I'm sure we will go into the details
24 more, but I have to stress that it's the package we have based
25 on the guidance we got from the Commission thus far.

1 COMMISSIONER AHEARNE: What he's just told us is that
2 if we don't like the package, we gave him lousy advice.

3 (Laughter.)

4 CHAIRMAN HENDRIE: I detected a certain element of
5 that suggestion.

6 MR. DIRCKS: Vic, did you want to pursue any more
7 thoughts along these lines, or --

8 MR. STELLO: Well, yeah, I would like the first slide
9 up as background, fulfilling my promise to never discuss this
10 without assuring that the proper background is kept in mind and
11 what it is we are doing.

12 (Laughter.)

13 (Slide.)

14 I think we are at a point where we really need to
15 decide if we are going to move forward and how to do that.
16 This morning we will be talking about what seems like the best
17 way to accomplish getting started on an NDL.

18 I remind you that what we are looking at is a system
19 that's designed and patterned after what was agreed to in very
20 early meetings on this subject. Nothing has changed. That's
21 still the basic concept which we were after. The emphasis on
22 what we are doing is to really understand and be informed. I
23 think the exercises that we have continue to remind me
24 emphatically of a need. The need is real and it is genuine.
25 If these are our roles, this is what we are to fulfill, it's my

1 belief that to do it, and do it properly, we've got to have an
2 NDL.

3 With that, Brian will summarize the contents of the
4 paper. It's a way in which to reach a decision.

5 MR. GRIMES: Next slide, please.

6 (Slide.)

7 I'd like to first briefly review the data needs
8 during an emergency, and emphasize that the principal users of
9 the data during any accident are the licensee and the state.

10 However, there are other offsite users of information,
11 including the vendors, NSAC in an assistance role, and the NRC.

12 The next slide illustrates the same point.

13 (Slide.)

14 COMMISSIONER AHEARNE: I was going to ask on your
15 last set of three items, are those in some order of priority?

16 MR. GRIMES: No I think the next slide that's now
17 on illustrates a better priority classification. Clearly the
18 on-site licensee's data needs are the highest.

19 MR. STELLO: I think the order of priority in terms
20 of the licensing should be first.- Their needs are first. The
21 state, in terms of the need to eventually decide on protective
22 action, and their involvement is clearly there, they have a
23 direct role, and if I were to put -- I would put the NRC in
24 terms of our responsibilities, and then vendors and NSAC.

25 COMMISSIONER AHEARNE: Are those responsibilities in

1 order of priorities?

2 MR. STELLO: Yeah, I would accept those as what I
3 would --

4 CHAIRMAN HENDRIE: It's less an order of priority
5 than it is a hierachy, okay? You can't recommend protective
6 actions if you don't know what's going on. In order to know
7 what's going on, you have to monitor what's going on at the
8 plant. Somewhere between knowing what's going on and saying
9 we recommend you move people offsite, you're very likely to
10 have suggestions to people at the plant to see if there are
11 measures that could be taken maybe so you don't have to recommend
12 protective action.

13 So I don't think you can make a priority and say,
14 well, we'll only do the first two, because those are the most
15 important. They come together and it's a hierarchy of actions
16 which have a single collective priority. How about that?
17 If the Staff accepts that answer, why --

18 COMMISSIONER AHEARNE: I think Vic understands what
19 I was getting at.

20 MR. DIRCKS: I think it's that "advise" on plant
21 strategy that I think is underlying a lot of the concerns about
22 how much we might intrude on the management decisions being
23 made by the people on the scene, and I think that underlies a
24 lot of it. I think that's the point that Vic will try to make at
25 every chance he can get, that he does not intend to second-guess

1 the responsible officials at the scene of the accident. We
2 don't want to impose our decisions on them, because they are
3 about the only ones who can know what's going on.

4 Is that right, Vic?

5 MR. STELLO: Yeah, I think the word that troubles
6 people most is not "advise," it's what is direct, it's the
7 management, it's the takeover. The sense I have is that an
8 advisory role is not one that creates very much problem for
9 anyone.

10 COMMISSIONER GILINSKY: Well, I think there's a
11 difference between the NRC advising someone or a vendor
12 advising someone or some consultant advising. We are the
13 agency charged by law with overseeing safety. So it seems to me
14 that there's kind of a thin line between advising and directing.
15 It's certainly different from formally directing by order, but
16 if you --

17 MR. STELLO: If you remember the first line, it's a
18 dashed line. It's identified. It's considered to be unlikely
19 that you ever get to that point. It's recognized that this
20 agency, since it has that responsibility, if it really did feel
21 that it was in a position where it had to direct, in the very
22 unusual, unlikely situation, that's preserved as a possible role.

23 It's not visualized as an eventuality that would be
24 derived from looking at information derived from a data link.
25 It's more considered the likely outcome of what would happen after

1 you got onsite, if it were to happen.

2 We seem to have a great deal of difficulty and spend a
3 lot of time talking about what I think is a very unusual circum-
4 stance.

5 But advice, I think, is one that would probably occur
6 much often. I would suspect that it would be a two-way street.
7 It would not just be something that we would simply tell someone
8 over the phone in terms of advice. I think it would be a
9 discussion. And in the exercises we have, they seem to take on
10 very much that character even in the real incidents where we
11 have actually fired up, it's a two-way conversation that has, as
12 part of its characteristic, advice.

13 MR. GRIMES: I think part of the development and
14 review of the emergency preparedness organizations of the licensee
15 are to try to establish a strong enough response organization that
16 indeed they can have an unintimidated discussion with NRC
17 experts.

18 I think your point was that we might carry more
19 weight, even asking questions than the vendor, and I think
20 that's a point to be sensitive to. But we should develop
21 through these exercises, particularly some kind of understanding
22 that they are finally responsible, and they have to tell us
23 they are rejecting our advice or taking an alternate course of
24 action, unless we feel very, very strongly about it. They
25 certainly are up there, they are on the scene, they have the

1 authority and responsibility to do that.

2 MR. STELLO: I think understanding, too, that
3 advice, simply asking questions that might start with did you
4 consider or did you look at, has the connotation of advice as
5 fault. And at some point you get the issue of needing to even
6 have information to know what's going on, which is just under-
7 standing.

8 COMMISSIONER GILINSKY: I don't want to suggest
9 that I don't think we ought to be talking to them, or we've
10 got the competence or these sorts of things. Obviously we will
11 be carrying on a dialogue. I'm jumping the gun here a little
12 bit, but sucking up part of the control room can alter that
13 relationship, and I think that's the kind of thing I was concerned
14 about.

15 I guess I've expressed this before.

16 MR. DIRCKS: Well, I think that goes back to the
17 definition of what part you want the agency to play in these
18 incidents or accidents. It would be easy to say that we have
19 no role to play that would get us out of it completely, but I
20 don't think anyone has suggested that we make such a clear
21 statement. And if you're in it a little bit, you're in it, and
22 I don't know how you can extricate yourself.

23 CHAIRMAN HENDRIE: At the present time, we have now
24 run a number of drills and incident -- at least one incident I
25 can remember, and we're there at the end of one, or at best, two

1 telephone lines, and the level of information inflow to the
2 Response Center with the telephone system is bound to create a
3 sense of modesty and humility on the part of the Op Center people.

4 You know, one sits there and you have a picture of
5 what's going on, but you also have the very uneasy feeling that,
6 by George, you could be wrong, because of the somewhat erratic
7 nature of the single line communication, verbal communication.

8 And so if you talk to the plant manager and say,
9 "Well, you know, have you got the steam-driven aux feed pumps
10 going? How about the fire pumps? Could you blow down the
11 secondary side and use fire pumps?", you're asking questions of
12 someone who is there and presumably is in a much better position
13 to know, and you're very aware of your own sort of lack of firm
14 grasp of everything that's going on.

15 So, indeed, you ask in a tentative fashion. If he
16 tells you, "That's a stupid idea," why, you know, you shrug and
17 say, "Okay, you know best."

18 On the other hand, if you're sitting there at your
19 console, you know, with the lights going on like a monstrous
20 pinball machine, beep, beep, beep, beep, you know, and displays
21 flashing, why, you may get a sense of power and say, "Boy, I
22 really know, you can't talk to me that way."

23 So I think that's the kind of influence on our attitude
24 that I think Vic was speaking to. It's a concern.

25 COMMISSIONER GILINSKY: But it's not all bad.

1 CHAIRMAN HENDRIE: But not necessarily all bad.
2 Clearly we have to do better than the telephone. I haven't talked
3 to anybody who doesn't believe that we need something better
4 than the information transfer system composed of two human
5 beings and the telephone link between them.

6 I find a good deal of discussion about whether it
7 ought to end up at the current cost and sophistication of the
8 equipment, but -- well. . .

9 MR. STELLO: I must point out that there is one flaw
10 in that reasoning, if it's a flaw, that disturbs me, and that is
11 something that suggests that we seem to function in such a way
12 that the smarter we are, the worse we behave.

13 CHAIRMAN HENDRIE: No, I think the comment is just
14 one on sort of basic to human nature.

15 MR. STELLO: I agree, but clearly the need for us
16 to respond is such that there is a certain base of information
17 that would put us in a position to speak to what is going on
18 much more authoritatively, and to the extent we do anything, it's
19 a great deal more wisdom than you are going to ever get pushed
20 over those voice communication systems.

21 COMMISSIONER AHEARNE: Why don't you say, Vic, to
22 speak to what is going on more intelligently?

23 MR. GRIMES: The problem is you don't want to confuse
24 the roles. I think the agency has said that the licensee has
25 the responsibility. If he thinks we're going to look over his

1 shoulder and see if signals are going to be called in from the
2 sidelines, it's going to be confusing to him and confusing to
3 us to see whether we should be sending in those signals.
4 The danger of confusion arose that underlies a lot of this
5 discussion.

6 CHAIRMAN HENDRIE: I think such perils as maybe lie
7 in this area lie in the future. Present company has discussed
8 this matter at such length that I think we are all quite
9 sensitive to it, and if there is a pitfall here down the line
10 for the NDL, why, it's several years off when a new crop of
11 people who have not had the benefit of our searching analyses
12 of this matter inherit it.

13 COMMISSIONER AHEARNE: Vic will still be there.

14 (Laughter.)

15 CHAIRMAN HENDRIE: Yes, Vic, you'll keep --

16 MR. GRIMES: The discussions may still be going on.

17 (Laughter.)

18 CHAIRMAN HENDRIE: Ask for a briefing every six
19 months.

20 Onward.

21 MR. GRIMES: The purpose of the functional diagram
22 is just to illustrate what we've been talking about in a
23 graphical manner on the location of the data users.

24 (Slide.)

25 The next slide indicates what was covered fairly

1 thoroughly in NUREG 730, that there are several different
2 ways of collecting and communicating information, and I won't
3 go through them in detail, except to say that they all have
4 the -- except the automatic methods -- have the disadvantage of
5 tying up people and introducing the disadvantages of delays in
6 transmittal and analysis of information, especially trend informa-
7 tion, to people in the Operations Center or in the vendors or
8 whoever else is using the data.

9 (Slide.)

10 The next slide just is a reminder of the number of
11 variables that may be transmitted. We have not done this
12 precisely, but we expect it to be a subset of Reg Guide 1.97
13 parameters and of this order.

14 (Slide.)

15 The next illustration indicates what the final system
16 would consist of. The onsite data acquisition system is required
17 by NUREG 0696 for the licensee's purposes, for the control room
18 TSCN, EOF displays. And then the NDL terminal would be in
19 addition. There is some discussion of whether a standard
20 format could be specified for the data acquisition system,
21 the avoidance of an NDL terminal.

22 There are also people who believe that to assure
23 reliability, we should have a piece of hardware dedicated to
24 making sure the format and transmission is proper onsite. I
25 have seen various cost estimates for that. My understanding now

1 is that it could be done without -- under \$10,000 per site for
2 that terminal, although there have been estimates that have
3 gone up to 30,000 earlier in the process.

4 The link then would be to Operations Center computer
5 to provide control and storage and display of the information.

6 CHAIRMAN HENDRIE: Let's see. If the \$10,000
7 terminal -- that would be for a standard system, wouldn't it?

8 MR. GRIMES: Yes.

9 CHAIRMAN HENDRIE: That is, in order to have a terminal
10 of that minimal cost -- minimal in the sense of this sort of
11 equipment -- you'd have to -- all of the sites would have to
12 set up their data acquisition system so they were feeding the
13 same sort of format and everything into the terminals. Then
14 you would simply have a small unit whose function would be to
15 try to protect the transmission on into headquarters from some
16 garbled set of stuff from the data acquisition system.

17 MR. GRIMES: That's correct. You'd have to have a
18 standard protocol specified. But you would not have to specify
19 the hardware. Not hardware of the licensees would be the same,
20 only the output be the same.

21 CHAIRMAN HENDRIE: But the preferred system at the
22 moment -- I don't know if "preferred" is the right word -- but
23 the system we seem to be talking mostly about, is one in which
24 the reactor data acquisition system is not necessarily a
25 standard. That is to say, it does not necessarily produce a

1 standard output to go to our terminal, but rather we have a
2 rather more expensive terminal onsite, and we are able -- and
3 we make the conversion between the data acquisition system and
4 our standard protocol for transmission in our terminal onsite.

5 MR. GRIMES: I think some of the earlier cost
6 estimates were based on that thinking. In 0696, we did say
7 there would be a standard protocol that would be specified.

8 CHAIRMAN HENDRIE: I see. We have gone to the standard
9 then.

10 COMMISSIONER AHEARNE: I think you are talking about
11 this distinction between a stand alone and a standard.

12 CHAIRMAN HENDRIE: Have I got the things mixed up?
13 Probably.

14 COMMISSIONER AHEARNE: I thought the standard that,
15 for example, NASA and RTI was talking about is a wholeunit-
16 based standard.

17 MR. GRIMES: There was a concept with the whole unit
18 being standard onsite, including the licensee's hardware.

19 CHAIRMAN HENDRIE: I see. I see. Okay.

20 MR. GRIMES: But there have been various cost estimates

21 COMMISSIONER AHEARNE: So I think what the Staff is
22 recommending is what would have been called the stand-alone
23 system, but the interface between the licensee's stand-alone and
24 the data transmission being a unit to put into the standard --

25 CHAIRMAN HENDRIE: Onward.

1 (Slide.)

2 MR. GRIMES: The next slide gets to the subject of
3 the meeting, which is a discussion of the alternative concepts, if
4 one were to go forward with the NDL. Plan A is the concept
5 where the NRC would staff up a program office and let contracts
6 for specific hardware and system design.

7 Plan B would be using the Sandia Labs, who have
8 done the studies of the program to date, to manage a good deal
9 of the implementation of the program.

10 Plan C, which as a bottom line we are recommending,
11 is that the NRC have a small program office consisting of a
12 program manager and a couple of professionals, and hire through
13 contractual process what we call a technical integrator, someone
14 to actually provide us extra expertise in management skills,
15 in managing the -- in putting out the bids and managing the
16 contract during its execution.

17 COMMISSIONER GILINSKY: Which we would do under Plan
18 A?

19 MR. GRIMES: Which we would entirely do under Plan A,
20 yes.

21 (Slide.)

22 The next slide says the same thing, and there is a
23 more detailed breakdown of this in the paper, but as a rough cut,
24 you can see that in Plan C the technical integrator would be
25 involved in managing -- assisting us to manage and evaluate

1 contractor work and helping with the licensee interface
2 definitions.

3 COMMISSIONER AHEARNE: Could I ask you a question on
4 that, Brian?

5 In your paper, when I read in the back in Enclosure
6 5, which is the RFP, you say:

7 "The systems integrator handles all programming
8 contracting, including RFP preparation and propo
9 evaluation, contract negotiation and award, and
10 contract administration."

11 In the beginning of the paper, in the description of
12 Plan C, you say:

13 "Implementation to be carried out via
14 competitive bidding conducted by the NRC, with
15 assistance and evaluation by the technical
16 integrator."

17 Aren't there two different descriptions?

18 MR. GRIMES: Yes, that's correct.

19 COMMISSIONER AHEARNE: Which is accurate?

20 MR. GRIMES: The paper is accurate. Enclosure 5 was
21 prepared for us by Sandia when the concept was to have them
22 do the procurement as well. During the development of the paper
23 we changed to other than a total systems integrator who would
24 do the procurement to more of a technical evaluator assistance,
25 and the NRC would take on the actual procurement function to

1 assure that the appropriate government procurement regulations
2 were followed, and that our contracts people particularly felt
3 more comfortable with the NRC having the heavier role in the
4 actual procurement.

5 The enclosure just didn't get changed in the process.

6 (Slide.)

7 The next few slides are about the advantages and
8 disadvantages to the various plans. The primary disadvantage I
9 see to Plan A is that the NRC would have to develop a bigger
10 program office, and also I think we can hire expertise --
11 rather, we can contract for expertise easier than we can hire
12 individuals with the appropriate expertise. That, to me, is a
13 major point between Plan A and Plan C.

14 Plan B would not open the bidding to the private
15 sector as much and would give us less program control also.

16 COMMISSIONER AHEARNE: Under Plan B, you would
17 then just extend the existing contract with Sandia?

18 MR. GRIMES: Yes.

19 COMMISSIONER AHEARNE: As I read this, they would
20 then do the contracting? Is that right?

21 MR. GRIMES: Yes.

22 COMMISSIONER AHEARNE: Would you foresee their doing
23 it noncompetitively, or would that be up to them?

24 MR. GRIMES: No, I would foresee that the hardware
25 would likely be competitive. However, there may be some things

1 which Sandia itself could provide.

2 COMMISSIONER AHERRNE: So the less competitive bidding
3 really refers to that portion done by Sandia?

4 MR. GRIMES: Sandia, yes.

5 (Slide.)

6 Plan C, which we are recommending, gives a number of
7 advantages in that we believe that there are a number of
8 organizations whose expertise we could take advantage of in this
9 area, and that we'd have better assurance of state-of-the-art
10 knowledge by going this route.

11 There will be some duplication of NRC tasks in terms
12 of evaluation and management. For example, the systems integrator
13 might require five or six people, professionals, and we might
14 have a couple of professionals. Whereas if we did it ourselves,
15 we might only have five or six professionals ourselves. So
16 there might be some costs in addition to overhead costs to a
17 contractor for some duplication with the balance being higher
18 assurance of having state-of-the-art knowledge and expertise in
19 the area.

20 COMMISSIONER AHEARNE: Could you just go over once
21 again that last point that you made on the change of: this type
22 of systems integrator? You said one of the things was
23 that previously the way the RFP was written, the systems
24 integrator would be doing the subcontracting, and you were
25 concerned about -- or Contracts was concerned about meeting the

1 federal procurement regulations.

2 But you also just said that Sandia, under Plan B,
3 would be doing the contracting competitively. So I'm a little
4 confused now as to why the systems integrator couldn't be doing
5 that also.

6 MR. GRIMES: The systems integrator, I suppose, could
7 be bound to use the same system of regulations as the NRC.

8 COMMISSIONER AHEARNE: No, I'm talking about at Sandia.

9 MR. GRIMES: Oh. Sandia, I think, is bound to use
10 methods which are compatible with the government procurement
11 regulations. There might be some greater expertise and
12 experience in Sandia's contracting office than the NRC's, but I --

13 COMMISSIONER AHEARNE: Was the main reason, though,
14 that you changed the RFP version to the paper version, because
15 of Contracts' uneasiness with letting the systems integrator
16 do the contract?

17

18

19

20

21

22

23

24

25

1 MR. GRIMES: That's one of the principal reasons.
2 After I talked to them, I felt that NRC could indeed handle
3 the job also, which I had not been sure before. And Mr. Holland
4 assured that we are capable of doing that.

5 COMMISSIONER AHEARNE: Did you address whether a
6 systems integrator who would be on the hook to get the system
7 running would feel comfortable with having the NRC choose
8 the people who were part of the responsibility of getting
9 the system running?

10 MR. GRIMES: I'm not sure which concept we are
11 talking about. The systems integrator or the technical --

12 COMMISSIONER AHEARNE: Well, the systems integrator
13 or technical integrator approach I'm familiar with at the DOD
14 systems, in all of the packages we ever did, the systems
15 integrator wanted to have control of the subcontracts, because
16 the attitude the systems integrator took was that they will be
17 on the hook to get the system running, and therefore they
18 would propose in their bid oftines, these subcontractors
19 explicitly, or at least the requirements certainly of the
20 subcontractors. But they would be on the hook to get the system
21 running, and would be very reluctant to let another office
22 choose the subcontractor whose product they were then going
23 to be required to make work.

24 MR. GRIMES: We had hoped to make it clear that
25 they would have the major role in that selection, but that we

1 would do the actual procurement mechanics ourselves.

2 MR. STELLO: Sandia reminded us that that is also
3 their experience, and one of the reasons they constructed the
4 program the way they did was for the very reason you described.

5 (Slide.)

6 MR. GRIMES: The next slide is a very broad
7 spectrum of possible costs which in my view may still be
8 somewhat high, but we won't really know until we go out
9 for bids, I believe.

10 The high estimate is from Sandia. The low estimate --

11 CHAIRMAN HENDRIE: Sam, were you waving a hand
12 back there that I missed?

13 MR. BASSETT: It's probably moot, but we got to
14 the point where an acceptable solution is for the systems
15 integrator to participate in the evaluation of the bids and,
16 more importantly, to manage the contracts after they are let.
17 That's the arrangement that I understand we have, and under
18 those conditions, the fact that NRC actually performs the
19 procurement does minimum damage.

20 COMMISSIONER AHEARNE: I just reserve objection to
21 that.

22 CHAIRMAN HENDRIE: It's a question of whether the
23 minimum damage is still sufficiently high to cripple them.

24 Okay. Back to this slide.

25 MR. GRIMES: Thank you, Sam.

1 COMMISSIONER AHEAPNE: You say NRC costs and industry
2 costs. I did not -- maybe I have forgotten, but I didn't
3 remember the Commission reaching a final decision as to how
4 the costs would end up being allocated.

5 MR. GRIMES: These are the costs, the concept --

6 MR. STELLO: It's the overall cost. Take NRC out.
7 If someone wants to pass those on -- but it's the overall cost.
8 We have been putting this into the budget as though the NRC
9 was in fact going to fund it and thus far it has been described
10 as an NRC program.

11 MR. GRIMES: The operating and maintenance costs
12 may also be somewhat high, but about half of that is for
13 personnel costs to keep a staff 24 hours a day which serve
14 dual functions as communicators in the Operations Center and
15 people who could keep the machinery running.

16 COMMISSIONER AHEARNE: How large a staff?

17 MR. GRIMES: We're thinking of one shift and a
18 shift complement which would be five or six individuals.

19 COMMISSIONER AHEARNE: You're talking about 24
20 people?

21 MR. GRIMES: No, about six total, which would be one
22 per shift.

23 COMMISSIONER GILINSKY: Which person would man the --

24 MR. GRIMES: It would be the communicator and
25 responsible for whatever minor things are needed to keep the

1 system on line.

2 In addition, of course, there would be some overhead
3 in the instant response area for keeping things up to date,
4 and there would be some yearly costs for updating or fixing
5 software.

6 COMMISSIONER GILINSKY: Would there be any activity
7 aside from emergencies? In other words, would the center
8 be continually monitoring the various reactors? What would
9 the man do if he saw something strange?

10 MR. GRIMES: Well, the individual would not be --

11 COMMISSIONER GILINSKY: Or woman.

12 MR. GRIMES: -- continuously monitoring all the
13 reactors. One could call up a particular reactor --

14 COMMISSIONER GILINSKY: No, I understand he wouldn't
15 be watching all of them simultaneously, but would he be, during
16 his shift, looking at the various --

17 MR. GRIMES: We haven't really determined --

18 MR. STELLO: In a monitoring mode? Just monitoring
19 while it's operating? The answer is that we do not intend
20 to do that.

21 COMMISSIONER GILINSKY: So he would be just waiting
22 for a call?

23 MR. STELLO: Right. If there is an incident is
24 when he would go in. We would not intend to monitor as a
25 routine matter. This is a subject that did come up once before,

1 as I recall, OMB asked us to look at that. It's possible to
2 monitor, but with the system we have physically, I believe you --

3 COMMISSIONER GILINSKY: I'll tell you why I'm
4 raising it, because I was thinking of it not as an advantage,
5 but as a possible disadvantage, and if we're looking over
6 the shoulder of the operator on a day-to-day basis, and if
7 you look upon that as your responsibility, whether one or
8 another of these parameters looks odd, you can call us and
9 say --

10 MR. STELLO: Right. That's one of the reasons that --

11 COMMISSIONER GILINSKY: And then I think we'd slip
12 into a, I think, relationship that wouldn't be a helpful one.

13 MR. STELLO: I can understand that. That's the
14 reason not to get into a mode where you would try to monitor.
15 I think it would be -- I think, quite frankly, on some kind
16 of random basis, the plant would be extremely difficult to do.
17 With 70 plants, you would need a lot of people.

18 COMMISSIONER GILINSKY: Well, if you actually
19 intended to monitor the plants. But it seems to me an unavoi-
20 dable tendency to look from channel to channel.

21 COMMISSIONER AHEAPNE: That's why we keep certain
22 people away from the control room.

23 COMMISSIONER GILINSKY: Let me ask you, what
24 would it cost to hook up two plants?

25 MR. STELLO: We're going to cover that.

1 MR. DIRCKS: Do you mean during --

2 COMMISSIONER GILINSKY: No, the \$12-21 million, I
3 assume, is --

4 MR. GRIMES: Is everything.

5 COMMISSIONER GILINSKY: Are you going to tell us
6 what that is?

7 MR. GRIMES: Yes, we'll get into that in the next
8 slide.

9 (Slide.)

10 There are two phases. One, what we call the proto-
11 type installation, and testing would be simply bringing data
12 from a plant into the Operations Center and displaying it,
13 without extensive processing or recording capabilities or
14 the major computer facilities.

15 That would be fairly inexpensive, probably less
16 than \$500,000, to just bring in data from two plants that had
17 that data available. And I expect within the year there
18 will be plants with data streams available.

19 MR. STELLO: You ought to mention that there are
20 vendors now who have put together systems that have the
21 capability to do some monitoring and display. They are
22 already developed and they are marketing them.

23 MR. CRIMES: In fact, we saw a van in Bethesda
24 last week from one vendor with a safety parameter display
25 system, and two CRTs transmitting at the present time about

1 50 parameters which they had hooked up to their simulator
2 through telephone lines and that is the sort of initial
3 prototype installation that we would have in mind, and then
4 use that to display in various fashions.

5 COMMISSIONER AHEARNE: Now, I guess this is a
6 different view of prototype than I thought you were doing, but
7 here you would take these two existing -- it's not a prototype
8 of what you would necessarily work towards. You would do
9 something immediately and so it would be more to get a
10 familiarity with what could you or would you do with the data.

11 MR. GRIMES: Yes, and then use that to design the
12 final system which then would be the lead plant installation.

13 COMMISSIONER AHEARNE: Well, now, that system design
14 -- I'm a little confused. It looks like here your system
15 design is about three months long, because lead plant installa-
16 tion systems seem to start on three months after the system
17 design starts.

18 MR. GRIMES: I think we will have a good enough idea
19 early on as to what we want to start doing -- working on both
20 ends of the --

21 COMMISSIONER AHEARNE: This design has to be moved
22 back or else the lead plant has to move out, but otherwise
23 your lead plant installation can't be based upon a systems
24 design.

25 MR. GRIMES: You may be correct. I'm not conversant

1 with that particular point.

2 COMMISSIONER AHEARNE: On this chart, the monies
3 that we have put in the budget were for two plants; is that
4 correct?

5 MR. STELLO: It's adequate for that purpose, and more.

6 COMMISSIONER AHEARNE: Well, but I think there
7 were some explicit statements that --

8 MR. STELLO: You mean in OMB?

9 COMMISSIONER AHEARNE: Yes.

10 MR. DIRCKS: A small test prototype data link.

11 COMMISSIONER AHEARNE: Okay, now, is that prototype
12 installation and testing, is that --

13 MR. GRIMES: I guess I would have to look at the
14 specific language. I would think that that would be the lead
15 plant involving the main -- the computer system, or at least
16 part of the computer system.

17 COMMISSIONER AHEARNE: If you tried to put on this
18 chart, how many, at which stage would there be, how many
19 numbers of plants? Where would that fall?

20 MR. GRIMES: I would think the first two plants
21 would be in the lead plant installation and testing, at least
22 two plants in that. There would be data stream from at least
23 two plants in the prototype installation testing first.

24 Then there would be a complete, rather complete
25 Operations Center set up for two plants by the end of year two.

1 Whether they are the same as the prototypes or different, I
2 can't say. And then on a fairly linear -- I guess I would say
3 by the end of the -- during this time we are getting hooked
4 up to individual units. We are not prepared to totally
5 process and prioritize the information in the Operations
6 Center until we've got the software complete.

7 CHAIRMAN HENDRIE: Brian, you've got a hand
8 waving behind you.

9 MR. GRIMES: Sam?

10 MR. BASSETT: I think perhaps I can clarify this.
11 This chart, too, suffers from a certain degree of age. It
12 contemplates the engagement of a systems integrator who is
13 thoroughly familiar with the system and can proceed right
14 ahead and install lead plants by what you'd term arm-waving,
15 using laboratory prototypes and the best state of the art.

16 It contemplates the installation of lead plant
17 equipment in advance of a comprehensive cast-in-concrete system
18 design from which you would procure the vast quantity of
19 software and terminal units for all the rest of the reactors.
20 In contemplating integrated ongoing action, it's not perhaps
21 the best chart in the world for a two-plant prototype followed
22 by pause installation.

23 CHAIRMAN HENDRIE: In fact, is it practical to do
24 the prototype on the basis of hand-waving?

25 MR. BASSETT: Indeed it is, if you get a systems

1 integrator who is experienced with these systems. It is not
2 a high level state of the art problem we are facing here.
3 And indeed prototype installation could go ahead rapidly.
4 The confusing thing here is the block of systems design
5 which contemplates a long term design of the system of high
6 reliability, great life cycle considerations and so on.

7 MR. STELLO: As I pointed out, vendors already
8 have units they are prepared to sell for the EOFs, and the
9 only difference between EOFs and Op Centers is transmission.
10 But again, you know, that would mean you are looking at just
11 unit to unit, we'd have one to one. We wouldn't have a system
12 capable of handling all of the plants and doing the things we
13 talked about.

14 But on that basis, you already have something that
15 vendors are out marketing right now.

16 MR. GRIMES: I guess I also at this point would
17 like to interject that I failed to note before that Sam
18 Bassett has been the lead individual along the Sandia contract
19 over the last year and a half or so.

20 COMMISSIONER GILINSKY: Well, is this chart something
21 we ought to be addressing, or is it obsolete?

22 MR. GRIMES. I think it gives you a general idea
23 of the things which must be done and a general time scale over
24 which they must be performed, but I think we won't know the
25 detailed sequence until we have a technical integrator onboard

1 and he helps us develop the formal program for the installation.

2 MR. DIRCKS: I think we ought to note the prototype
3 restrictions contained in the OMB guidance. We should go
4 through the prototype exercise.

5 MR. STELLO: Well, it's intended that we would.

6 Well, Commissioner Gilinsky, to answer your question,
7 starting with the arrow that says technical integrator selected,
8 assuming reasonably competent wholly up-to-speed integrator
9 at that point, I think the chart is reasonable.

10 COMMISSIONER GILINSKY: Well, let me ask you then,
11 when you say lead plant installation and testing, those are the
12 first two or the first several or --

13 MR. STELLO: It would be hoped that the plants
14 that we would select for the prototype would be plants that
15 would be ready to go into the lead plant testing. Hopefully
16 they would be the same ones.

17 CHAIRMAN HENDRIE: What's the difference between
18 the line that says prototype installation and testing, and
19 the line that says lead plant installation and testing?

20 MR. GRIMES: I had indicated briefly that the
21 prototype installation and testing will simply be bringing
22 available data into the center without trying to process it
23 in any extensive form with a computer installation, bring it
24 in over telephone lines to CRT displays in the format that
25 would be sent from the --- in the plant format.

1 We could either use --- well, it's likely we would
2 just use a receiver compatible with that specific plant, so
3 we'd just use the data acquisition system for that facility
4 and assure that our --

5 CHAIRMAN HENDRIE: The prototype then would look
6 like a simple version of what's in that plant's EOF?

7 MR. GRIMES: Yes. It would not have the NDL
8 terminal on site. It would have something at this end which
9 would be compatible with the specific plant.

10 MR. STELLO: And it wouldn't be hooked up. But I
11 think probably the biggest differences, the system that
12 will be in the Operations Center, the computer and the CRTs
13 and the way in which you trend and use the data at the NDL,
14 that would not be there.

15 COMMISSIONER GILINSKY: Now what is it that you
16 won't be able to do? You say trend the data?

17 MR. GRIMES: Well, I guess the easiest way is to
18 think of if you want to do a prototype on every plant, what
19 you would have to do is have up to 50 different sets of
20 receiving equipment, each one specifically compatible with
21 the particular plant system.

22 What we are trying to do in the overall lead plant
23 is install our NDL terminals onsite, if those are needed, and
24 put that into some at least minimal processing at our end,
25 so that we could activate on certain signals from the plant.

1 COMMISSIONER GILINSKY: What sort of processing
2 are you talking about?

3 MR. GRIMES: Many computers which would allow us
4 to call up specific plants, for example. One of the problems
5 in the software will be diverting from one plant to another.

6 COMMISSIONER GILINSKY: I see. But in terms of
7 testing out the concept of how we would interact with the
8 plant and whether we are happy or not happy with so many
9 data elements, it seems to me that would be entirely adequate.

10 MR. GRIMES: The prototype indeed would give us
11 some specific examples of what we could do, and based on that
12 we could develop a design of what we wanted for all the plants.

13 COMMISSIONER GILINSKY: You just simply couldn't
14 run the whole system on that basis.

15 MR. GRIMES: That's right. And you would have
16 different, very likely different information available and
17 trending capability, if any, available on each of your proto-
18 types.

19 COMMISSIONER GILINSKY: And when you said \$500,000,
20 were you talking about those two prototypes?

21 MR. GRIMES: Yes.

22 COMMISSIONER AHEARNE: Given the way you have
23 described it, I don't see why you don't have a dashed line
24 down between your 1 and 2, because your description leads
25 to the conclusion that you would want to take some time then, on

1 the systems integrated, take some time to think about what
2 has been learned through that prototyping and to immediately
3 jump in.

4 MR. GRIMES: Well, the prototype installation testing
5 extends over about a year, and I would say the latter part of
6 that year is making the final decisions, and getting ready to
7 embark on the final design.

8 MR. STELLO: I'm not sure I see the problem.
9 The amount of data that you are reflecting I think is pretty
10 well the number of data points, and there is some flexibility
11 built into it, but the software development, which is how
12 you manipulate and use the data, which is where the learning
13 process is, you notice starts about the middle of that second
14 year and moves all the way out to the middle of year four,
15 and to the extent that that becomes important in the under-
16 standing of what you're going to do, it's clearly going to be
17 in the software end of the business, in how you handle and
18 treat and use the information.

19 It's hard for me to understand why you'd have
20 very significant differences in the computer itself.

21 CHAIRMAN HENDRIE: I'll tell you, it's not clear to
22 me that after you -- it's certainly true that we've got to do
23 better than the phone business. You know, every five or 10
24 minutes, why, a new value for the system pressure comes
25 through, and the guy writes it on the chalkboard and it then

1 appears on a TV tube in several places around the Op Center.

2 Once you go past that, and you've got a system
3 which is capable on an every couple of minute update basis
4 of automatically giving you either printout or show on a CRT
5 the 70 or 100 parameters that you are interested in, boy, have
6 you made a big step forward in terms of the knowledge level of
7 the Operations Center.

8 Now, from there, to the steps of being able to take
9 that data automatically renewed every minute or so and do all
10 kinds of great manipulations with it, that is throw up the
11 last hour's containment pressures, press a button and it
12 gives you a plot of containment pressure vs. time. So, you
13 know, that's all great, but it's not so clear to me that the
14 return in improvement of NRC emergency capabilities is rising
15 at the same rapid rate as the cost of it in that phase. That
16 first stage of getting the improved data into headquarters,
17 the rate of NRC capability to respond is rising very rapidly.
18 You know, lots of capability per dollar.

19 I've got a notion that once you get that stuff in
20 house where people can write it and make a graph and so on,
21 the difference between fact and being able to punch a button
22 and have the computer system go bing, bang, whoopee, and put it
23 up on the screen at the rate of improvement capability per
24 dollar spent is not nearly so high in the question. That is,
25 how far down the line do you have to go. And I guess that

1 continues to be a problem.

2 MR. GRIMES: We didn't put on the chart a graph for
3 Commission meetings towards the end of the prototype develop-
4 ment, but I expect that they would be there.

5 CHAIRMAN HENDRIE: If you get around to that graph,
6 why, allow some space on it for hearings, because the -- I
7 think there's a very good possibility that the amendment to
8 the Interior subcommittee will hold up, and that the expenditure
9 of the prototype and so on, for equipment, either leasing or
10 purchase, will have to be justified by further discussions
11 with the committees, and some agreement from them one way or
12 another with the going ahead with the prototype as proposed, or
13 as modified is the appropriate thing to do.

14 MR. DIRCKS: You're talking about going back and
15 looking at the alternative of line printer type of ---

16 CHAIRMAN HENDRIE: Well, that's a possible version.
17 As I understand what's being talked about here, however, for
18 the prototype -- one and two-plant prototype hook-up, you
19 would go and try to find some plant operator who is making
20 good progress in this line, so that he's just about got his
21 data acquisition system set up and he's buying and installing
22 his display systems for emergency offsite facility, for instance.

23 And then what we do is say, tell you what, why don't
24 we buy or lease some subset of what you're putting in your EOF,
25 the CRTs and whatever receivers you need, and we'll put those

1 in headquarters in the Op Center and hook up our link to the
2 plant, and what that does is then give us an opportunity to
3 run some drills, and see what it's like to have this capability.

4 Now whether it's CRTs or printout, I guess the
5 thing you would be looking to do is to make a --- to do a
6 thing which has a sort of maximum compatibility with what
7 the guy is already doing.

8 So that, for instance, there is not a lot of additional
9 software that has to be prepared in order to make the trans-
10 mission. Do I read that right?

11 MR. GRIMES: Yes. And in addition, there is at
12 least one system that's also compatible with the simulator, so
13 that one could actually run a simulator --

14 MR. STELLO: Which is the more desirable thing to
15 do, especially for exercises.

16 CHAIRMAN HENDRIE: Would you actually try to hang
17 off somebody's honest-to-God that acquisition system, or
18 would you try to buy a set of gear, both his end and mine,
19 and run it off the simulator, which is another way that you
20 could do it?

21 MR. GRIMES: I think we'd try to do both. We'd
22 -- for example, the vendor that was in last week showed us his
23 system as being hooked into his simulator.

24 CHAIRMAN HENDRIE: I see.

25 MR. GRIMES: But that same system will be hooked

1 into some other plants. And when they are hooked into the
2 other plants within a year, certainly, perhaps next fall, then
3 we would like to hook into a plant just to be able to establish
4 we can hook into a plant. But as far as exercising goes, I
5 think I'd much prefer to be hooked into a simulator.

6 CHAIRMAN HENDRIE: That would certainly give
7 you a lot more opportunity for drills and exercises and so on.

8 Now, the sort of thing that sends you up for the
9 prototype stage with -- in the Op Center, is some sort of
10 display system which corresponds approximately to the semi-
11 automatic mode that you have discussed in one of the reports
12 to the Congress. That is, as I understand it, in order to
13 look at trends and whatever, why, people will take data off
14 the system, read it off the screen or a printout and go and
15 ponder upon it as they will. Make plots or further calculations
16 or whatever.

17 MR. GRIMES: It depends on the prototype and
18 design. This particular one also had some limited plotting
19 capabilities.

20 CHAIRMAN HENDRIE: I see.

21 MR. GRIMES: For trends you could select a few
22 parameters to plot.

23 CHAIRMAN HENDRIE: But for the most part it would
24 be a matter of people taking the data off and doing further
25 analysis?

1 MR. STELLO: I should at least note that the Staff
2 has full confidence that the Commission will get whatever
3 resources are needed to do this.

4 COMMISSIONER AHEARNE: The only question that
5 remains is what is actually needed.

6 MR. STELLO: True.

7 COMMISSIONER AHEARNE: That seems to be the
8 Congressional question.

9 MR. STELLO: Well, that's, I guess, going to be an
10 issue until we have gone out and actually put it out to bid,
11 without an integrator onboard.

12 MR. DIRCKS: You're talking -- in this fiscal
13 year, what are you talking about in terms of --

14 MR. STELLO: We have this fiscal year enough to
15 get it going.

16 COMMISSIONER GILINSKY: Now do we need an integrator
17 for this prototype installation?

18 MR. GRIMES: It would be preferable to have him
19 or be getting him onboard while we did this, so he could assist
20 us in evaluating the prototypes. We could go ahead and start
21 getting the couple of types contracted for and getting a
22 technical integrator onboard. But for the evaluation of them,
23 we would certainly want the integrator onboard.

24 COMMISSIONER AHEARNE: So that he could get the
25 advantage of the --

1 MR. GRIMES: Yes. And we could get the advantage of
2 him, also.

3 CHAIRMAN HENDRIE: Now, let's see. How much have
4 we got in the budget on this subject overall for '82?

5 MR. GRIMES: For '82?

6 MR. BARRY: 5 million, '82.

7 CHAIRMAN HENDRIE: 5 what?

8 MR. BARRY: \$5 million in '82.

9 CHAIRMAN HENDRIE: And what in '83?

10 MR. BARRY: 6.

11 CHAIRMAN HENDRIE: And how much would go into the
12 prototype?

13 MR. GRIMES: The installation of the prototype
14 itself is only going to run around half a million. It will
15 probably be '81 money. We have existing money that we can use,
16 but getting the technical integrator can also be done out of
17 '81.

18 CHAIRMAN HENDRIE: Okay. Now let's start again.
19 If the gods are kind and Congress smiles, and assorted other
20 things happen, you know, there is no nuclear war, the Republic
21 survives, et cetera, come October 1st, we will have \$5 million
22 in this presumably to be used for nuclear data link activities
23 in fiscal '82.

24 I state that as a premise. All who disagree or want
25 to differ, please raise their hands.

1 No hands. Good. That's the premise.

2 Now how much of the 5 is required for the prototype
3 implementation in '82? Has anybody got a guess?

4 MR. GRIMES: The total on prototype is probably
5 less than half a million for '2.

6 MR. STELLO: And we would use '81 money to get that.

7 CHAIRMAN HENDRIE: How much of the '82 money would
8 you use for it?

9 MR. DIRCKS: Whatever is needed for maintenance, I
10 suppose.

11 CHAIRMAN HENDRIE: There probably would be some
12 fraction of the overall Staff effort or contractor effort in
13 NDL which could be described in the prototype, but that, you
14 think, would not be a large chunk of money, \$200,000, maybe
15 for the year?

16 MR. GRIMES: The larger amounts of funds -- or if
17 the technical integrator is onboard and trying to design or
18 manage a system design --

19 CHAIRMAN HENDRIE: In fact, it's questionable how
20 much of that actually can be reasonably expected to get done
21 in '82. So we in fact expect that most of the '82 \$5 million
22 would move forward and actually be committed probably later
23 in the fiscal year.

24 COMMISSIONER AHEARNE: If you went for their
25 proposed option, there is going to be in any month --

1 CHAIRMAN HENDRIE: You know, the whole thing won't
2 coalesce until we go into the project for many moons.

3 Other comments?

4 COMMISSIONER GILINSKY: I would like to see the
5 thing tried out in the two reactors in a simple form.

6 CHAIRMAN HENDRIE: Or a reactor and a simulator or
7 something like that. Having a hook-up back to a simulator
8 would actually be very handy, because then we could commission
9 a series of drills in which the simulator would run an incident
10 and work the whole system.

11 It's probably practical to arrange with the same
12 degree of exercise of the system of the plant.

13 MR. HANRAHAN: Instead of doing it in Bethesda,
14 why don't you try to hook it to the same simulator?

15 CHAIRMAN HENDRIE: Well, that's a possibility, but
16 I guess what that means is we end up buying a chunk of
17 equipment which probes the innards of the simulator's
18 computer and gathers together the parameters of interest
19 and then transmits them.

20 I thought there was some hope that if you found
21 -- you know, if you're dealing with a vendor who supplies
22 this kind of equipment and he is also in the simulator business
23 and has a simulator, he might consider it a great encouragement
24 for his gear to let us hook into his simulator and use his,
25 you know, simulated onsite transmission equipment without

1 enormous cost; whereas if we go to Chattanooga and sit it
2 up on TVA's simulator, why, it's going to be pretty much --
3 we're going to have to lease and maybe buy all of the plant
4 and I think that could run the cost up.

5 It still may be worth doing in terms of greater
6 degree of control you've got over it, and the fact that you
7 are then compatible obviously with TVA's training needs for
8 the simulator and could run a batch of drills. I can see
9 what that means, we'll be running those drills on the midnight
10 to 8:00 shift, Vic.

11 MR. STELLO: That's one of the times we have the
12 computer.

13 CHAIRMAN HENDRIE: We can always assign
14 emergency commissioners. I'll take the day shift.

15 (Laughter.)

16 MR. GRIMES: Would you settle for Saturday? I
17 think we could possibly arrange Saturday.

18 CHAIRMAN HENDRIE: Well, you would have better
19 control. That's what I'm thinking about. And then if you
20 can also have, as part of the prototype plant, a look-up to
21 an honest-to-God operating plant, why, it might be interesting
22 to see what problems turn up there. But your ability to
23 exercise it, you know, through transients is not very good.

24 COMMISSIONER GILINSKY: I would then regroup after
25 that experience.

1 CHAIRMAN HENDRIE: Yeah, you know, you get the gear
2 in place and you run some drills, various kinds, to try to
3 exercise aspects of the proposition and then I would think
4 instead of proceeding blindly down that chart to 80 sites
5 or however many are involved, why, I would think you would
6 regroup.

7 MR. STELLO: That's the understanding we would
8 have with the technical integrator, and we would move forward
9 to get one.

10 CHAIRMAN HENDRIE: You would move forward to get
11 one.

12 MR. STELLO: You might be talking a year before
13 you do get one. We're only going out for an expression of
14 interest. Then after that you've got to go through a bid
15 process. So you do understand if we don't decide to move
16 forward, you know, that's just that much longer before we
17 would ever get into it, if we ever do.

18 CHAIRMAN HENDRIE: I don't regard Vic's opinion to
19 regroup and my joining it after the prototype experiences
20 say one should not go ahead putting in place the procurement
21 and technical capability to go ahead.

22 You can always, you know, send out notes of
23 regret saying, well, sorry, we have decided to stop it all,
24 but starting it is --- well, John says a year, and I find it
25 hard to --

1 MR. STELLO: That's not an unreasonable effort.
2 Then you have to get the hits back and evaluate them and
3 select them. That's not the speediest process in the govern-
4 ment.

5 CHAIRMAN HENDRIE: No, it isn't.

6 Yes, John?

7 COMMISSIONER AHEARNE: I have a couple of points I
8 want to make before you close.

9 CHAIRMAN HENDRIE: Let me give you time to make
10 those points. Let me say as a parenthetical remark about
11 the procurement system of the United States of America, if it
12 had been operative in the years of my youth, from like '39 to
13 '46, we'd have lost the damn war.

14 John.

15 COMMISSIONER AHEARNE: I am not going to refer to
16 that comment.

17 In trying to address this particular issue, I have
18 tried to go back and just summarize what I saw to be some of
19 the problems we are trying to address with this, and they
20 are all obviously very obvious. But as far as I can see,
21 there are two problems we are trying to solve:

22 One is what type of contact and between whom should
23 the NRC have contact during an accident with; and the second
24 was, how can the NRC know what is happening during an accident.

25 Now a lot of the debate, both here and in the

1 Congress, confuses me, because it really seems to underlie
2 -- there seems to be an underlying indication that we really
3 shouldn't have contact. But if we assume that the NRC
4 headquarters should be able to keep Commissioners, the Congress,
5 the White House, abreast of an accident and be able to
6 advise governors or other local officials whether protective
7 action should be taken, then we do need good information on at
8 least some parameters.

9 And in spite of the debates, I don't see anyone
10 who is willing to say we have decided that we don't need to
11 keep these groups informed.

12 In fact, some of those who are most critical at the
13 moment of why are we going down this path seem to have been
14 the ones that in times past were most anxious to know what
15 was happening.

16 So I conclude that in the presence of another
17 accident, they will once again want to know what is happening.
18 And I believe that we have seen many times already, either
19 in drills or actual events, that governors and local officials
20 do want our advice on what kind of actions might be taken.
21 So I think we do need good information.

22 Now we can get it from people onsite. One option
23 would be to have a permanent resident inspector. That means
24 24 hours a day. Or you can say the resident inspection office
25

1 has to be within a certain number of minutes, and then lower
2 the trigger point, at which time they are called to the site,
3 to make sure that if an event were beginning to unfold, he
4 would be at the site.

5 We could count on the phone link and use licensed
6 personnel until a resident inspector arrives. Or we can
7 have some automatic data. We are where we are now because
8 many of us have concluded that we do need the information,
9 and that the other alternatives, the full 24-hour coverage
10 or using the phone lines, that either of those are inadequate.

11 So we reach the automatic data.

12 Now at the moment we have a lack of acceptance of
13 the concept. We have this Nuclear Safety Oversight Committee,
14 Babbitt and company, who have criticized this approach. We
15 have Mr. Udall and his committee criticizing the approach.
16 The OMB doubts the approach. Commissioner Gilinsky doubts
17 the approach.

18 We have these two groups, Research Triangle
19 Institute and NASA, who have questioned do we really have
20 clearly in mind what our requirements are.

21 Perhaps if we had a clear definition of the
22 requirements, maybe some of the doubts would disappear, but I
23 sort of doubt it.

24 And my conclusion is that we have to go ahead. I
25 think you have got to get a systems integrator and in the time

1 when you go out with your notice, you are going to have to be
2 working on trying to refine the requirements, because at the
3 present time I notice your answer to NASA's criticism was,
4 well, in the meantime there have been a lot of drills and
5 other papers.

6 I think the NASA criticism was focused on there is
7 no single document you can pick up and say here are the
8 technical requirements for this, and from NASA's experience
9 I think what you are seeing is that their history would say
10 in the absence of that, you are opening the potential for
11 very significant costs, in schedule slips, and in the long
12 run, a system which isn't going to satisfy you.

13 I think those of us who believe this ought to be
14 done have a hard time to convince the critics, the people who
15 are doubtful, that it could be put in place without some of
16 the problems which they see; namely that the NRC really is
17 going to be looking so close at every licensee that they are
18 going to start --- if not in fact at least lately, transfer
19 responsibility to the NRC, and that seems to be the under-
20 lying concern, that the licensee will have a reason to step
21 away from the responsibility which we are saying is theirs.

22 My own vote is I don't think that the approach
23 you are taking to the systems integrator is going to work.
24 I think that -- my guess is that the best system is the one
25 that you had originally proposed.

1 CHAIRMAN HENDRIE: What is that? Just put the
2 job to a contractor and say, contract?

3 COMMISSIONER AHEARNE: That's right.

4 MR. GRIMES: You mean the systems integrator
5 Enclosure 5 concept, where they handle that procurement?

6 COMMISSIONER AHEARNE: Right.

7 MR. STELLO: That doesn't give me any problem.

8 COMMISSIONER AHEARNE: Certainly -- but coming out
9 of that experience, the approach that you now have tends to
10 fail, whereas the other is higher, particularly when we just
11 don't have that level of expert knowledge.

12 MR. STELLO: Let me be fair. I don't have any
13 problem in doing it. I haven't heard the arguments as to what
14 contracts fill the need, but --

15 MR. SCHLOSSER: As a representative of the
16 Division of Contracts, I can certainly express those.

17 My name is Lawrence Schlosser. I represent the
18 Division of Contracts.

19 The problem that we see with the approach here is
20 that what the program officer is referring to as a technical
21 integrator fuses in effect three types of duties in one
22 entity:

23 There are elements of program management which can
24 border very close to contracting out government functions.

25 There are elements of technical assistance which

1 fall into the consultant category, possibly placing this
2 technical integrator in conflict of interest position, that is
3 developing the specs here, and in a position to influence
4 contracting over here.

5 There are elements of a performing contractor.

6 Now my understanding, after talking with Mr. Weiss,
7 was that Concept C related to a scaled-down person whose
8 in-house skills would be supplemented, if you will, from time
9 to time by technical assistance. That what they really had
10 in mind was not a fusing of these three elements with all the
11 attendant problems and potential conflicts of interest, but
12 rather having a smaller project office, one that would be
13 augmented, for example, in the RFP preparations stage,
14 the proposal evaluation stage, the systems test analysis
15 stage, et cetera.

16 Now what I think Commissioner Ahearne is talking
17 about when he talks about a systems integrator or technical
18 integrator is a prime contractor.

19 Take, for example, for the B-1 bomber, who has
20 ultimately the legal responsibility for putting together a
21 system that works? That contractor doesn't have to perform
22 the entire contract itself, but they subcontract the avionics,
23 may subcontract the engines or the airframe.

24 The danger that I see here is that these three
25 elements are being inadvertently fused into one entity. I

1 don't have any problem with that approach. That is a prime
2 contractor. He then subcontracts major elements of the system.
3 There is no problem with that. Division of Contracts does not
4 have a problem with that.

5 We have a problem with the contractor who is a
6 systems integrator, a consultant, and also project manager.

7 COMMISSIONER AHEARNE: But realizing that the
8 distinction you are making turns out to be one more set of
9 terminologies, let me take -- you use the B-1. Let me use
10 AWACS, in which the company was hired in the contract as
11 systems integrator.

12 Now they were the prime contractor. Somebody else
13 built the radar and somebody else built the communications
14 equipment and display consoles. They provided the airframe.
15 But the purpose they were hired for was to manage the manage
16 the program, to put it all together, to provide technical
17 assistance, when necessary, to make sure all the pieces
18 meshed together, as well as actually provide some of the
19 hardware.

20 MR. SCHLOSSER: I think there is a difference.
21 Every prime contractor obviously has to manage his program.
22 What we are talking about is a potential that system acceptance,
23 that is the event that triggers the payment of tax dollars,
24 is actually performed by other than an NRC personnel.

25 I think it is a bit dangerous to -- more than a bit

1 dangerous -- to have ourselves in a position of dependency
2 where we don't have enough expertise to oversee this contractor.

3 That's one reason why the Division of Contracts is
4 able to agree to a situation where a scaled-down project
5 office has in-house skills that are supplemented at appropriate
6 times by another contractor.

7 COMMISSIONER AHEARNE: My concern is that
8 supplement is not going to lead to a successful solution of
9 the effort. I guess you are worried about one side and I am
10 worried about another side, and I am not sure they both can be
11 meshed.

12 I would urge you to try to see whether we cannot
13 meet the legal requirements, but let someone have overall
14 responsibility. Because my concern would be do we end up with
15 a useful system. Not that we are sure that even if it is
16 useful, we have met all the requirements in the easiest way.

17 (Laughter.)

18 MR. SCHLOSSER: There is no problem having a prime
19 contractor responsible for the total system, but to have
20 that contractor onboard, in effect, as is proposed before you
21 even begin, getting into the innards of the system design, I
22 think is inappropriate from a conflict of interest standpoint.
23 I think we have problems there meeting our own conflict of
24 interest standards, because this person is onboard helping us
25 with the development of specifications and is in a very central

1 position.

2 COMMISSIONER AHEARNE: What you are saying is the
3 system at this stage, as you see it, is sufficiently poorly
4 designed so that you could not be going out with a systems
5 design contract, with a total system contract?

6 MR. SCHLOSSER: I haven't taken a look at the
7 specifications yet, but there certainly are a number of
8 appropriate steps we can take. It would seem to me that
9 after having spent the amount of money that we have spent
10 that the documents would be suitable for release to industry
11 for draft comment.

12 In the meantime, we could be looking for technical
13 assistance. That is someone who would be in a position to
14 assist us and react to these comments, would be in a position
15 to assess their significance on the system design without
16 having committed ourselves to a long-term relationship which
17 may be inappropriate.

18 We could, for example, instead of going through
19 the sources sought and then an order for technical assistance,
20 we can compress those. There is no need to go through sources
21 sought. From my experience in this area, it seems there are
22 a number of firms competent to provide technical assistance.

23 So I don't think we have to go with the sources
24 sought. I think we can go immediately with our statement of
25 requirements for technical assistance and secure that

1 assistance. But this person should not also be in a position
2 to contract. I think that's too much of a conflict of
3 interest.

4 MR. BASSETT: I'd like to rise to one point of
5 the systems integrator scheme. We have considered that he
6 be excluded from furnishing hardware as a basic requirement.
7 This, I think, answers one of your objections.

8 Another part of it is that the sources sought
9 overture allows us to consider the use of not-for-profit
10 and other government entities who in many ways would constitute
11 the most objective systems integrator capability because of,
12 again, the removal of the temptation to get into hardware.

13 COMMISSIONER AHEARNE: If there was that exclusion
14 on hardware, would it overcome --

15 MR. SCHLOSSER: I think specs can be restricted in
16 many ways besides hardware specifications, so I don't see that
17 as being fully responsive.

18 COMMISSIONER AHEARNE: But if the concern is the
19 conflict of interest and if they are excluded from providing
20 the hardware ---

21 MR. SCHLOSSER: We are also involved with software
22 bids. We would also propose to exclude the software. In
23 other words, we would remove the element of self-interest.

24 (Laughter.)

25 MR. HANRAHAN: I think it turns on having a lack of

1 specifications. What you need is somebody incapable of doing
2 that, to have a contract that can provide -- help us create
3 the functional specifications which they would then not be
4 permitted to bid on. They would have done their job.

5 MR. SCHLOSSER: We would have spent a good deal
6 of money procuring that kind of specification.

7 MR. HANRAHAN: The review seemed to indicate
8 that there were no specifications available to do the job.

9 MR. SCHLOSSER: That would cast doubt on Sandia's
10 expertise in this area.

11 MR. BASSETT: I would like to submit that we are
12 in the basic fundamental confusion we started with; to wit,
13 there is a system which is relatively straightforward
14 mechanical consideration, and there is a functional requirement
15 which will have to be resolved with experience, and which
16 the prototype program will be helpful with, I think.

17 The documentation that's been developed thus far
18 has been based on our best guess of the function requirement
19 and a fairly good knowledge of what the system requirements
20 are. We can procure that system tomorrow by routine,
21 straightforward procurement.

22 I sense that it is the uncertainty on the part of
23 the public and the Commission as to the actual function
24 requirement that keeps us from doing that. Under those
25 circumstances, I think the proposed course of action would

1 be to get an integrator who can help us in these definitions,
2 help us evaluate the prototype installation, take them out of
3 the hardware and dedicated software business, and let them go
4 ahead and help us implement the program. And that's, I think,
5 the proposition.

6 MR. SCHLOSSER: The form you are describing is
7 the technical integrator then would be a consultant at the
8 front end of the process, primarily. Is that --

9 MR. BASSETT: Correct.

10 MR. SCHLOSSER: Okay. This technical integrator
11 then would not have the ability to actually conduct the
12 procurement itself?

13 MR. BASSETT: In the present scheme, the actual
14 procurement would be conducted by NRC.

15 MR. SCHLOSSER: Well, it seems to me that was what
16 I initially started with, which was the scaled-down technical --

17 COMMISSIONER AHEARNE: They said they have
18 proposed the contracts, and I was just saying I think that's
19 wrong.

20 MR. SCHLOSSER: Okay. Well, I was just attempting
21 to --

22 COMMISSIONER AHEARNE: Yes, I understand.

23 CHAIRMAN HENDRIE: Other comments?

24 COMMISSIONER GILINSKY: One question:

25 Have you discussed this with the utilities? What

1 is their reaction to it?

2 MR. GRIMES: We got some feedback on the comments
3 on 0696, and I would say there is not a great constituency
4 for providing the NRC with more information. I think the basic
5 concepts of 0696 are generally accepted as a useful thing to do
6 to get the data in to the licensees' facilities, and I would
7 say industry reaction mostly is neutral, but there are some
8 people who would oppose from the philosophy of getting the NRC
9 too deeply into the process. The problems we discussed earlier
10 would oppose the concept.

11 MR. STELLO: I guess maybe I would add the
12 conversations I have had with people from utilities did not
13 leave me with the belief that they thought this was a bad idea,
14 although a lot of written comments reflect it. Some of the
15 people I have chatted with in casual conversation lead to a
16 different conclusion. I suspect if I asked the industry, reaction
17 would run against moving forward with it.

18 I don't know if that's a reason to do it or not do it,
19 however.

20 COMMISSIONER GILINSKY: No, I was just curious.
21 John rattled off a list of persons who were uncertain about it.

22 CHAIRMAN HENDRIE: Well, I guess if no one has
23 other comments to add or questions to ask, I'll adjourn the
24 meeting, and ask the Commissioners to contemplate the
25 proposition before them, and we shall see whether we gather a

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Commission consensus.

Thank you very much.

(Whereupon, at 11:40 a.m., the meeting was
adjourned.)

* * * *

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
NRC Commission

in the matter of:

Date of Proceeding: March 26, 1981


Docket Number: _____

Place of Proceeding: Washington, D.C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

ANN RILEY

Official Reporter (Typed)



Official Reporter (Signature)