

1 UNITED STATES OF AMERICA
 2 NUCLEAR REGULATORY COMMISSION
 3

4 In the Matter of:)
)
 5 GENERAL ELECTRIC COMPANY) Docket No. 50-70
) Operating License
 6 (Vallecitos Nuclear Center -) No. TR-1
) (Show Cause)
 7 General Electric Test Reactor))

8 HEARING

9 Veterans Memorial Hall
 10 522 South L Street
 Livermore, California

11 Friday, May 29, 1981

12 The above-entitled matter came on for hearing
 13 pursuant to recess at 9:30 a.m.

14 BOARD MEMBERS PRESENT:

15 HERBERT GROSSMAN, ESQ., CHAIRMAN
 Atomic Safety & Licensing Board Panel
 16 U.S. Nuclear Regulatory Commission
 Washington, D.C. 20555

17 GEORGE A. FERGUSON, Ph.D.
 18 School of Engineering - Howard University
 2300 - 6th Street N.W.
 19 Washington, D.C. 20059

20 HARRY FOREMAN, M.D., Ph.D.
 Director, Center for Population Studies
 21 University of Minnesota
 Minneapolis, Minn. 55455
 22
 23
 24
 25

8106090257

1 APPEARANCES:

2 On behalf of the Licensee:

3 EDWARD A. FIRESTONE, ESQ.
4 General Electric Company
5 Nuclear Energy Company
6 175 Curtner Avenue
7 San Jose, California 95125
8 (Mail Code 822)

9 GEORGE L. EDGAR, ESQ. &
10 JAMES VASILE, ESQ.
11 Morgan, Lewis & Bockius
12 1800 M Street, N.W.
13 Washington, D.C. 20036

14 On behalf of the NRC Staff:

15 RICHARD G. BACHMANN, ESQ. &
16 DANIEL SWANSON, ESQ.
17 OELD
18 U.S. Nuclear Regulatory Commission
19 Washington, D.C. 20555

20 On behalf of the Intervenors:

21 GLENN W. CADY, ESQ.
22 Carniato & Dodge
23 3708 Mt. Diablo Blvd., Suite 300
24 Lafayette, CA 94549

25 BARBARA SHOCKLEY
1890 Bockman Road
San Lorenzo, CA 94580

GLENN BARLOW
Friends of the Earth

I N D E X1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25WITNESSDIRECTCROSSREDIRECTRECROSS

PANEL:

John Reed		568	571	
Richard Harding		(by Swanson)	(by Edgar)	
Richard Jahns		574		
Garrison Kost		(by Cady)		
Dwight Gilliland		575		
Richard Kovach		(by Barlow)		

PANEL:

David Ross Brillinger

EXHIBITSIDENTIFICATIONIN EVIDENCE

Intervenor's Exhibit 4	---	660
Intervenor's Exhibit 5	--	703
Licensee's Exhibit 21	--	724
Licensee's Exhibit 42	--	695

P R O C E E D I N G S

9:30 a.m.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN GROSSMAN: The hearing will now come to order. The third day of hearing in the Show Cause proceeding is now in session.

MR. EDGAR: Mr. Chairman, we have Dr. Reed, Mr. Harding and Dr. Jahns available to provide a brief response to Dr. Ferguson's question yesterday concerning the open file report.

CHAIRMAN GROSSMAN: Thank you. Gentlemen, you may proceed.

WITNESS HARDING: I have asked Dr. Jahns to join us up here because of his many years of experience in the transverse ranges just in case any questions come up on the San Fernando fault.

Yesterday, the Board asked us to review this open file report 81-668, by Robert Sharp, to determine if there were any significant new information in this in which the Board would be interested. While we don't feel that we can really comment on whether or not the Board would be interested in this, we have reviewed it and we find that there is no new information in here which would cause us to change our analyses of the San Fernando data or to change our conclusions regarding the one meter offset which the NRC has recommended as design criteria.

1 There are several reasons for that. To begin with,
2 we don't base our final conclusion on the offset criteria
3 mainly on the San Fernando data. We feel it is more appro-
4 priate to use the slip rates calculated for the Verona fault
5 based on the geologic information we have right there on the
6 site. That slip rate is a maximum of 2 feet every 10,000 years
7 for any one single shear and 4 feet every 10,000 years across
8 the entire Verona fault zone. That is our main basis for the
9 conclusion that one meter is a conservative design criteria.

10 San Fernando was used mainly for comparison purposes
11 only, kind of as a check on that. If you will recall some
12 of my comments in the last two days, the San Fernando and
13 Verona faults are really two different faults. They are both
14 thrust faults but they are in different tectonic regimes. The
15 San Fernando fault is a small segment of a large fault that
16 is more than 100 miles long. The segment which broke was
17 15 to 19 kilometers. Compare that to the Verona fault, which
18 has a total length of we feel 8 kilometers and possibly as
19 much as 12.

20 The stresses that cross the faults we feel are much
21 different. By any comparison, including the slip rate, we
22 would expect then that offsets on the Verona would be much
23 less than what occurred on the San Fernando. If you use a
24 slip rate comparison it would be one-sixth. So on that basis
25 it does not really change our conclusions regarding the off-

1 set.

2 Dr. Reed I think can discuss some of the data points
3 which are presented in the chart paper and how that fits in
4 with our analysis.

5 WITNESS REED: I would first like to give the Board
6 a little bit of the background leading up to the open file
7 report. Initially the NRC staff analysis was based in part
8 on data by Barrows, which is given in a California Division
9 of Mines and Geology report. This data by Barrows consists
10 of 179 data points in the vertical direction, vertical offset,
11 of which a mean value was calculated to be .34 meters. Also
12 from the Barrows report there were 40 data points in the
13 horizontal or lateral direction that had a mean value of .4
14 meters.

15 Subsequent to that -- that was published in the
16 Staff's SER -- subsequent to that during the deposition that
17 was taken on March 25, 1981, Dr. Earl Brabb stated that he
18 felt that data by Sharp were preferable because they were
19 based on direct measurements of net slip and taken at the
20 same location. I think the Board needs to understand here
21 that the data that was given by Barrows consisted of components
22 of the net slip, not the net slip directly, but components --
23 the vertical and the lateral and the dip angle. And they
24 were taken many times at different locations.

25 The Sharp paper, which was published, is also really

1 a composite of individual components. The net slip was not
2 measured directly, but rather components were measured
3 generally close together, in one case up to as far away as
4 250 meters.

5 Now after Dr. Brabb made this statement in his
6 deposition we felt that it was necessary to go back and look
7 at the Sharp data and, in this process of doing this, we
8 did an analysis that is given in Appendix B of Exhibit 1.
9 Now that analysis in Appendix B includes not only the Sharp
10 data as given in the paper by Sharp -- that paper is referenced
11 in Appendix B -- but in addition to that, the Barrows data
12 and data from many other sources, but principally the data
13 comes from three sources: Barrows, Sharp, and an author by
14 the name of Kamb.

15 Now the analysis that we did for Appendix B used
16 the data by Sharp as reported in his technical paper. Now
17 at the time we did this analysis, which was a few weeks ago,
18 we asked Sharp to give us a copy of his raw data because we
19 were making some inferences from his data. He gave us --
20 we completed our analysis. He gave us a copy of his data
21 and at that time he brought to our attention that there were
22 some discrepancies or changes that he would like to make to
23 those data. We took a look at those changes and found that
24 the analysis that we had done for Appendix B was not affected.

25 Now as you know, the other day the USGS open file

1 report came out with an analysis by Sharp using his data and
2 using his corrected data. So that sort of is a chronology
3 leading up to the open file report.

4 Now I would like to just spend a few moments kind of
5 reviewing the results of the report, the open file report,
6 and the Appendix B that we have included with Exhibit 1.

7 The Sharp open file report gives a mean offset,
8 mean slip offset, that ranges between .59 and .78 meters.
9 The Appendix B results that we present in Exhibit 1 we feel
10 are better, a better analysis of the data, for several
11 reasons. These are: first, we included all the data points.
12 Sharp in his open file report uses only 18 data points. In
13 the Appendix B, by including not only Sharp's but Kamb's and
14 Barrows' data, we had a total of 81 lateral components, 238
15 vertical components, and 85 dip angle measurements.

16 The second reason is that our analysis, we feel,
17 is more statistically rigorous, in that by using proper
18 procedure we are not limited to only data points that measure
19 net slip. We can work with the components and include those
20 in the statistical analysis. This allows us then to use not
21 only Sharp's data, but Kamb's and Barrows'.

22 The final reason that we feel that the analysis is
23 Appendix B is more realistic is that the analysis fits better
24 the GETR situation. Our results are that we obtain a mean
25 slip offset of .22 meters.

1 In conclusion, we feel hat the open file report is
2 not inconsistent at all with the analysis that we have done.
3 As Mr. Harding mentioned earlier, we feel the more appropriate
4 basis for establishing the criteria is to look at the data
5 that was actually obtained at the site. As Mr. Harding said,
6 we can't judge whether this open file report will be of inter-
7 est to the Board; however, we believe that the information
8 that is contained in that has been included and accounted for
9 in our analysis.

10 DR. FERGUSON: Thank you, Mr. Harding and Dr. Reed,
11 for that information.

12 (Off the record)

13 CHAIRMAN GROSSMAN: The hearing will be back in
14 session.

15 DR. FERGUSON: Mr. Harding and Dr. Reed, I under=
16 stand that my expression of thanks for your efforts were not
17 recorded, so I want to thank you once again.

18 I was turning, I think, to you, Mr. Swanson, and
19 trying to recall the words that you entered into the record
20 when you offered or distributed this document, this open
21 file report that we are talking about, Open File Report 81-
22 668 from the U.S. Department of Interior Geological Survey.
23 I am paraphrasing now, Mr. Swanson, what I remember you
24 saying and you can correct me if I am incorrect.

25 You I believe distributed this report with the

1 statement that you felt it was recent information and the staff
2 wanted to distribute it so that nothing that was or may be of
3 value would not be known to the parties. That's my para-
4 phrasing of your statement. Is that essentially correct?

5 MR. SWANSON: Yes. I think that is an accurate
6 paraphrase. The exact words appear on transcript page 258
7 that, if you would like, I would be prepared to expand on
8 that.

9 The purpose of bringing that to the Board's atten-
10 tion was I think in line with the teachings of the Northanna
11 proceeding and other cases which clearly place an obligation
12 on the part of the Staff to bring forward information which
13 we consider relevant to the proceeding. I think our position
14 is that it clearly is relevant. And it was recently released,
15 as we mentioned. The morning it was handed out was the first
16 that we were permitted by the USGS to -- were able to obtain
17 copies to publicly release it.

18 We do not feel, however, that it is material which
19 is significant -- sufficiently significant from the point of
20 being inconsistent with or at odds with the previous testimony
21 that we personally would offer it. We would not object to
22 it being placed in evidence, but we were not personally going
23 to offer it. The results of the Sharp data and analysis is
24 that the San Fernando event caused an average mean plus one
25 standard deviation of surface rupture I believe of -- well,

1 there are two methods. One was a .70 meter surface rupture;
2 another method came up with the result of .74 meter rupture.
3 The Staff came up with an analysis which produced a mean of
4 about 1 meter. One could argue that the Sharp data points
5 to the conservatism of the Staff analysis. In that sense, it
6 is perhaps material as well as relevant.

7 But it was not our intention at that time to intro-
8 duce it. It is new information. It is something that came
9 up at the last minute. Because of its -- the fact that it
10 did not significantly affect the Staff's position, we didn't
11 intend to bring this up at the last minute and offer it into
12 evidence. We did, however, feel that it was our obligation
13 to make it publicly available and that was the purpose for the
14 distribution.

15 DR. FERGUSON: Thank you, Mr. Swanson. By the way,
16 we had a little manipulation by our mechanic or engineer
17 sitting at the desk there on these microphones. Can everyone
18 hear what I am saying?

19 Very good. Then let's proceed from that point.

20 Without revealing anything, Mr. Swanson, at this
21 time that you do not want to reveal, you have said that this
22 particular document is relevant. You I don't think used the
23 word "significant". I think you intimated that it had perhaps
24 some bearing on this case. You did not intend to enter it
25 into evidence. May I ask you whether or not you intend to

1 refer to this document in any of the testimony that you hope
2 to present later?

3 MR. SWANSON: No, it is not referred to in our
4 testimony and we would not intend to rely on it in our testi-
5 mony at this hearing or in findings. I did indicate that we
6 certainly would not object to it being introduced. It would
7 possibly necessitate bringing yet another witness. I think
8 that plus the lateness of its availability probably more than
9 anything else dictated that decision to not offer it at this
10 time.

11 DR. FERGUSON: So it is merely an informational
12 document, is that correct?

13 MR. SWANSON: That is correct.

14 DR. FERGUSON: Well, that helps to clarify a point
15 in my mind.

16 Now let's turn back if we possibly can to the panel.
17 Dr. Reed, you gave us a chronology of events leading up to
18 today, I suppose, and our review of this particular document.
19 In that chronology you mentioned a recent publication of USGS
20 within the past few days, I think you said. Is that the
21 document that we are referring to, the Sharp document?

22 WITNESS REED: That is correct.

23 DR. FERGUSON: There is nothing further than the
24 document we are now referring to, is that correct?

25 WITNESS REED: As far as I know, that is correct.

1 DR. FERGUSON: Okay. You also suggested that the
2 analysis that you have undertaken perhaps could be relied
3 upon more heavily than the Sharp interpretation because you
4 used many more points. I think you said Sharp used on. 3
5 whereas you used 80 or more points, is that correct?

6 WITNESS REED: That's correct.

7 DR. FERGUSON: Is that negligence on Sharp's part
8 or why did he not use more points, if more points would have
9 been valuable?

10 WITNESS REED: I don't know the reason why he did
11 not include the other points, other than this general feeling
12 that was expressed by Dr. Brabb and possibly Sharp may also
13 have believed it that in order to analyze the data you had to
14 have net slip values. You could not work with the components.
15 If you limit yourself only to net slip values, Sharp was
16 stuck with his data, although he could also have used at least
17 one other reference, and that was Kamb's data that gave net
18 slip values, which were not -- I forget the number of points
19 there, but there wasn't more than 10 or 12 additional ones
20 he might have used.

21 DR. FERGUSON: Very good.

22 MR. EDGAR: May I ask a point of clarification here?

23 DR. FERGUSON: Sure.

24 MR. EDGAR: People -- in some of the discussions
25 there has been a discussion or the use of the nomenclature

1 "the Sharp data" and "the Sharp paper", and it may be con-
2 fusing in the record. There are two documents authored by
3 a gentleman by the name of Robert Sharp. One is Reference
4 3 to our Appendix B, which is cite dat page B-11 of our
5 Exhibit 1. That is what people have commonly referred to as
6 the so-called Sharp paper That was an earlier, 1975 document.
7 The Open File Report is a subsequent calculati.. based on the
8 1975 paper.

9 So it might be well for people to consider a conven-
10 tion to distinguish the two Sharp papers.

11 DR. FERGUSON: Thank you, Mr. Edgar. We have only
12 one document that we are discussing today and that is the Open
13 File Report 81-668.

14 Let me ask anyone on the panel to help me understand
15 a little bit about the areas mentioned in this document that
16 I just referred to. Help me understand these regions in terms
17 of where we are at the present time, that is, where Livermore
18 stands. I don't know where -- I haven't had a chance yet to
19 review any documents that would help me understand where the
20 Sylmar segment is or the Tujunga segment. Could you in just
21 a few brief words -- or the Lakeview segment, for that matter
22 -- relate those segments to any document that we have seen
23 in our testimony thus far?

24 WITNESS HARDING: Judge Ferguson, if you have a copy
25 of our testimony, which is Exhibit 1, I'll try to find a

1 photograph for you. I think maybe with reference to that we
2 can point these out.

3 Figure 36, which is on page 63. If you look at
4 the bottom photograph in Figure 36 you will see the name
5 San Fernando F there -- that's for San Fernando Fault. The
6 white dashed line which is right next to that name is the
7 Tujunga segment. Now the fault makes sort of a right angle
8 bend there toward the north and then again trends westerly
9 out from that bend. That little westerly trend out from that
10 bend is the Sylmar segment. The Mission Wells segment is a
11 very short segment which really doesn't show up too well at
12 this scale, but it would be on the end, on the westerly end
13 of the Sylmar segment.

14 And then the eastern portion of that line which I
15 pointed out was the Tujunga segment would then be the Lakeview
16 segment. Have I covered them all?

17 DR. FERGUSON: Yes. Thank you, Mr. Harding. It
18 was very helpful.

19 Let us turn to the Open File Report 81-668, page
20 8. There is a discussion there called Prediction of Future
21 Fault Displacements. I'd like any member on the panel who
22 would want to help me understand this to interpret the dis-
23 cussion at the bottom of that segment which begins -- and I
24 quote -- "Although the rupture length, displacement and
25 magnitude M 7.0 of the 1940 earthquake were larger than those

1 of the M 6.5 event of 1979, the ground surface broke along
2 nearly identical traces in the fault segment common to both
3 events. If we had attempted to predict the 1979 earthquake
4 magnitude, rupture length, and maximum and average displace-
5 ment of the 1940 event, we would have overestimated each.
6 If the order of the events were reversed, however, the less
7 than .4 meter average displacement and the .8 meter maximum
8 movement of the 1979 earthquake would have seriously under-
9 estimated the more than 1.7 meter average and the 6 meter
10 maximum slip of the 1940 shock. Underestimation would have
11 been minimal if the maximum 1979 displacement were used to
12 predict the average 1940 displacement."

13 Would someone on the panel interpret that statement?

14 WITNESS JAHNS: I think my own first comment would
15 be in the way of a generalization. The real point that Bob
16 Sharp is making here is to point out the inherent uncertainties
17 of purely empirical correlations. He is saying that here we
18 have a very unusual situation of two events on the same fault,
19 the Imperial fault, with epicenters on different parts of the
20 fault but with an actual overlap of the two rupture areas
21 along the fault. So this represents an unusual opportunity
22 to compare the parameters of two events with a lot of other
23 things being equal because of the commonality of the occurrence.

24 He is simply saying that you can't very well use the
25 parameters of one event to predict with complete satisfaction

1 the parameters of another event on the fault either preceding
2 it or succeeding it. The somewhat confusing at first glance
3 manner of presentation is I think nonetheless very interesting
4 because he is attempting to point out what would have happened
5 if one had used the 1940 event to predict the later one or
6 the strongly contrasting result that you would have obtained
7 if the later event had been used to predict let's say a
8 future event exactly like the 1940 one.

9 ///

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

T-2

1 DR. FERGUSON: Dr. Jahns, that's the point I
2 think I'm trying to make. We, of course, are attempting
3 perhaps hopefully successfully to predict what the future will
4 hold and I guess the point that I would really like to have
5 the panel address is are we essentially allowing the possibili-
6 ty, as pointed out in the section of Sharp's p exist.

7 That is to say -- or to occur. That is to say, we
8 have looked at past events and we hope to predict future
9 events. And presumably we have predicted that future events
10 would be small. Because of the uncertainty that you have
11 just mentioned, Dr. Jahns, is there the possibility that our
12 predictions would be incorrect? The direction of our pre-
13 dictions.

14 WITNESS JAHNS: I think I would respond affirmatively
15 if the approach were entirely empirical. This is, of course,
16 the great weakness of a purely empirical approach in dealing
17 with events of this sort. Specifically to this case in the
18 Imperial Valley. The 1940 event was a truly unusual one
19 in terms of the maximum surface displacement along the fault.
20 Now, if one examines beyond the purely empirical relationships
21 and begins to ask questions about the fault itself in terms
22 of seismic moment, which in its turn reflects some certain
23 fundamental parameters of a given earthquake and of the mater-
24 ials affected, then one can begin to understand why this
25 happens to be a peculiar point on any kind of empirical plot.

1 Because, here's an area where the crust is very thin,
2 so if one is examining the amount of energy released as
3 expressed by the magnitude and the rupture area -- the rupture
4 length in effect has to be pretty long in order to give an
5 area with a shallow crust. In other words, the vertical
6 dimension is short. In order to give an area appropriate to
7 that kind of energy release, the length of the rupture has to
8 be considerable and so does the amount of rupture. Because
9 the seismic moment, which is a fairly fundamental parameter,
10 is the result of multiplying these factors.

11 So, if one is pretty small, the other has to be large.
12 This is the kind of qualification that I would -- I try to
13 keep in my own mind in comparing these empirical plots.

14 DR. FERGUSON: I want to thank the panel for coming
15 back and helping us understand the significance or lack there-
16 of of this particular document.

17 There is one question that I failed to ask each
18 member of the panel yesterday after my cross examination and
19 that question is this. Based on your judgment as an expert
20 in the field in which you are, do you feel there is any factor
21 that has not been considered that would endanger health and
22 safety if this plant were permitted to restart? I'd like
23 each of you to answer that question separately.

24 WITNESS REED: My answer to that question is no.

25 WITNESS JAHNS: That's mine as well.

1 WITNESS HARDING: I would have to concur.

2 DR. FERGUSON: I thank the panel very much for
3 coming back. I have no further questions.

4 CHAIRMAN GROSSMAN: Mr. Barlow or Mr. Cady. Who
5 ever wants to conduct this part of the cross examination. Do
6 you need five minutes to prepare?

7 MR. CADY: Yes, Your Honor. Five minutes would
8 be fine. Thank you very much.

9 CHAIRMAN GROSSMAN: We'll be recessed for five min-
10 utes. Off the record.

11 (A brief recess.)

12 CHAIRMAN GROSSMAN: On the record.

13 Will the panel members please take their seats?

14 MR. EDGAR: Mr. Chairman, I'd like to state for the
15 record, we'd like to have Dr. Garrison Kost join the witness
16 panel. We have previously identified him as a witness in
17 connection with this piece of testimony to be available to
18 answer --

19 CHAIRMAN GROSSMAN: I'm not sure we had our signals
20 straight here. I had assumed -- Did you have cross examina-
21 tion of the prior panel on the matters that were discussed
22 this morning?

23 MR. CADY: Cross examination for the geology offset
24 panel?

25 CHAIRMAN GROSSMAN: On the matters that were on the

1 Board questions and the discussion this morning. You are
2 certainly entitled to cross examine on that and I assume that
3 everyone was preparing for that.

4 MR. CADY: No, Your Honor, we are perfectly satis-
5 fied with the examination performed by Judge Ferguson.

6 CHAIRMAN GROSSMAN: I see.

7 MR. CADY: Thank you.

8 CHAIRMAN GROSSMAN: Mr. Swanson and my remarks were
9 directed towards all counsel here.

10 MR. SWANSON: I had understood that you were allowing
11 us a chance to think about the remarks that were just made as
12 opposed to the new panel. May I have just a moment?

13 CHAIRMAN GROSSMAN: And for that matter, Mr. Edgar,
14 too, you're entitled to ask questions on redirect, too.

15 MR. EDGAR: Yes, sir.

16 MR. SWANSON: I really have one statement that I
17 want to make and I guess just one question for Dr. Reed.

18 CROSS EXAMINATION

19 BY MR. SWANSON:

20 Q I just wanted him to explain what he meant by his
21 methodology being more rigorous than Mr. Sharp's.

22 A (Witness Reed) What I meant by that comment was
23 in regards to the ability to use all of the data that was
24 available in Sharp's analysis in the open file report. He
25 works only with his data points rather than everybody's data

1 points of the data that's available.

2 Now, in the analysis that we conducted in Appendix B,
3 we were able to use not only Sharp's data, but other data --
4 Other data being not only net slip vectors, but also components.

5 Q And in using that other data, did you include points
6 of zero amounts of offset in the analysis?

7 A That is correct, as did Sharp.

8 MR. SWANSON: That was all the questions I had. I
9 did have one statement that I want to make, because there was
10 a chance that this might not come up again and it's in reac-
11 tion to Dr. Ferguson's question about the Imperial Valley
12 event and I think that raises -- obvious in my mind, perhaps,
13 because I'm sensitive -- a question as to why the staff did
14 not also consider that to be relevant and why we didn't offer
15 it, perhaps for that purpose.

16 The answer is simply to refer to the last sentence
17 of that document, the Sharp Document, which states that it
18 would be inappropriate, however, to extend the use of this
19 factor -- again referring to the Imperial Valley data -- to
20 other faults. Particularly faults that are not strike slip in
21 character until further comparative studies are made after
22 future fault displacements.

23 To my knowledge I believe the characteristic of
24 the opposed -- the Verona Fault having thrust characteristics
25 as opposed to strike slip characteristics is unchallenged in

1 this proceeding and it was on that assumption that it was --
2 falls into the category of faults other than strike slip that
3 would render the Verona Fault to be not valid to comparison
4 with the results that Mr. Sharp had on the Imperial Valley.
5 It was for that reason that we also considered this not to be
6 material -- or at least this aspect -- not even to be relevant
7 to this proceeding and it was on that bases that we decided
8 not to offer it into evidence.

9 CHAIRMAN GROSSMAN: Mr. Swanson, I'm sure you intend
10 to ask the panel the appropriate questions in order for them
11 to state on the record what you've just indicated, since, of
12 course, you're not presenting evidence.

13 MR. SWANSON: Of course, our statements in the
14 Staff testimony about the characteristics about the Verona
15 Fault being thrust as opposed to strike slip, but it could be
16 highly on direct.

17 CHAIRMAN GROSSMAN: What I'm directing my remarks
18 to right now is the fact that the record will not be complete
19 if you intend to rely on your statements as to why the
20 Imperial Valley data are not appropriate for use in the Staff's
21 expert testimony. You will need your witness to state that.

22 MR. SWANSON: I understand that. I was merely, I
23 guess, following up on the question that Dr. Ferguson asked
24 earlier as to why we are distributing it and I guess implicit
25 in it is why we are not offering it and this last factor which

1 was separate from the analysis of San Fernando data came up
2 in questioning and I just wanted to make the record clear,
3 since this was not in evidence, why this additional part was
4 also not considered to be relevant by the staff.

5 I did not mean it to be testimony.

6 CHAIRMAN GROSSMAN: Mr. Edgar?

7 MR. EDGAR: I have one question of clarification.
8 Dr. Ferguson had asked several questions and Mr. Harding
9 responded in defining the location of certain segments of the
10 San Fernando Fault. There was also an element of Dr. Ferguson's
11 question that I don't think was answered.

12 REDIRECT EXAMINATION

13 BY MR. EDGAR:

14 Q Where is San Fernando located in relation to Liver-
15 more and could you give us, Mr. Harding, by reference to your
16 figures in your testimony, a location for the San Fernando
17 Fault in relation to the Verona Fault and Livermore?

18 A (Witness Harding) I'm not sure that my figures
19 cover the whole state, which you would have to do to show
20 that comparison on one figure, but we're sitting here in
21 Livermore in the Bay Area of Northern California. The Tran-
22 sverse Range is in Southern California some 400 air miles
23 from here. Three to four hundred air miles from here, due
24 south.

25 Q Where in relation to Los Angeles are the Transverse

1 Ranges?

2 A The Transverse Ranges are just north of Los Angeles.
3 In fact, the eastern portion of them are the northern boundary
4 of the eastern part of Los Angeles Basin. In San Fernando
5 we have an intervening mountain range there which is the
6 Santa Monica Mountain Range which separates the Los Angeles
7 Basin from the San Fernando Valley and in that portion, the
8 Transverse Ranges are the northern boundary of the San Fernan-
9 do Valley.

10 MR. EDGAR: I have no further questions.

11 DR. FERGUSON: I have a short question for you, Mr.
12 Edgar. Are you trying to establish the fact just then that
13 the San Fernando range was some distance from the Verona
14 Fault?

15 MR. EDGAR: I just wanted to be sure that the
16 record wasn't confused on that point, were their analogies.
17 I mean, they're being used in this proceeding and the techni-
18 cal analysis as analogies to one another, but no where thus
19 far in the record, has anyone said where San Fernando is
20 geographically and where Verona is geographically and how far
21 about they were.

22 DR. FERGUSON: And that was what you were trying to
23 establish, is it not?

24 DR. EDGAR: It wasn't a very profound point. It
25 was one of clarification.

1 DR. FERGUSON: Thank you.

2 CHAIRMAN GROSSMAN: The panel is now excused. I
3 would like all of you to realize that if you're recalled, we
4 are not going to give you the oath again. You remain under
5 oath. Thank you very much, gentlemen.

6 (Whereupon, the panel was excused.)

7 CHAIRMAN GROSSMAN: Dr. Kovach?

8 MR. EDGAR: Your Honor, I had mentioned earlier that
9 we would like Dr. Garrison Kost to join the witness panel.
10 We have identified him as available with this panel to answer
11 questions in the area of the interface between seismology and
12 the structural engineering. Some of the questioning yester-
13 day bore on that interface and we'd like to have him join the
14 panel to facilitate responses in those areas.

15 CHAIRMAN GROSSMAN: Dr. Kost, would you raise your
16 right hand please?

17 Whereupon,

18 GARRISON KOST

19 having been first duly sworn, was called as a witness herein
20 and was examined and testified as follows to join the panel
21 which had previously been sworn:

22 CHAIRMAN GROSSMAN: Please be seated.

23 MR. CADY: Your Honor, to begin with, I would like
24 to examine -- is it doctor or mister Kost?

25 WITNESS KOST: Doctor.

1 MR. CADY: I would like to examine Dr. Kost on his
2 educational qualifications that would qualify him as an
3 expert before turning the remainder of the examination over to
4 Mr. Barlow.

5 CHAIRMAN GROSSMAN: Proceed.

6 CROSS EXAMINATION

7 BY MR. CADY:

8 Q Could you please give us a brief summary of your
9 education background, because in the testimony that was sub-
10 mitted, there was no resume attached.

11 A (Witness Kost) My resume can be found in the back
12 of Exhibit No. 22 which is the structural panel, Panel No. 3.
13 You may want to refer to that.

14 Q To facilitate, so that I don't have to look through
15 my desk, could you just give me a brief rundown of what --
16 your education?

17 A Yes, I have my bachelor's degree in civil engineering
18 with emphasis on structures. I have my master's in engineering
19 degree in structural engineering and also a doctorate from
20 Stanford University in structural engineering. I'm a licensed
21 civil and structural engineer in California.

22 Q Could you give us a summary of your experiences
23 with seismology and in the area of seismology and seismicity,
24 please?

25 A I've been involved in the design of structures to

1 withstand earthquakes for many years. For basically all of
2 my professional career. And during that time, I have worked
3 very closely with seismologists to develop engineering criter-
4 ia for the use and design and evaluation of structures to
5 withstand earthquakes.

6 MR. CADY: Thank you very much.

7 CHAIRMAN GROSSMAN: Mr. Barlow, proceed.

8 MR. BARLOW: Thank you.

9 CROSS EXAMINATION

10 BY MR. BARLOW:

11 Q I would like to begin with a few brief questions
12 to Mr. Gilliland. Mr. Gilliland, has Dr. Bruce Bolt consulted
13 for General Electric regarding the seismic hazards to the
14 GETR?

15 A (Witness Gilliland) Dr. Bolt prepared a report
16 with respect to the microseismicity in the region of the
17 GETR.

18 Q Was that report the one published in March 1980
19 entitled, Seismicity of the Livermore Valley in Relation to
20 the GE Vallecitos Plant?

21 A I believe so. I don't recall the exact title, but
22 I believe it's correct.

23 Q Are you aware of a report prepared by Dr. Bolt
24 regarding the January 1980 Livermore earthquake sequence
25 which shook the Vallecitos Valley?

1 A I understand that Dr. Bolt has prepared the report
2 and -- but I have not seen it nor have I read it.

3 Q Has General Electric presented a copy of that
4 report in this proceeding?

5 A Presented a copy of that? No.

6 Q Why did General Electric decide to not present Dr.
7 Bolt as an expert witness for the GE seismology panel?

8 A Let's see. I believe we answered that in an
9 interrogatory. Let me refer to that for just a moment?

10 (Pause)

11 Our answer reads as follows: This is in answer to
12 interrogatory fourteen, your interrogatory data 3-16-81 and
13 our response of April 3. Drs. Bolt and Hansen were among
14 those consultants who provided input to GE seismic and geologic
15 investigation. Dr. Kovachs will use that input along with
16 additional information identified in Licensee supplemental
17 responses to Intervenors to present GE's overall position on
18 seismic considerations and we believe that the roles of Drs.
19 Bolt and Hansen in the GETR review was not great enough to
20 warrant their appearances as witnesses.

21 Q Thank you.

22 Dr. Kovach, are you aware that Dr. Bruce Bolt as
23 the chief seismologist at the University of California at
24 Berkeley Seismology Laboratory has prepared a number of
25 reports regarding seismic events in Northern California in the

1 region of interest regarding the GETR?

2 A (Witness Kovach) He's written many papers that I'm
3 aware of, but -- Can you hear me?

4 Q Yes, I can. Go on.

5 A I'm not aware of what specific reports you're
6 referring to.

7 Q Specifically, I was referring to a number of reports
8 that he has issued that catalogue seismic events in the
9 region.

10 A Are you talking about the routine catalogues that
11 come out of the seismigraphic station?

12 Q Those are included, yes. Are you familiar with
13 those?

14 A I'm familiar with those, yes, I see them from time
15 to time.

16 Q I believe you said yesterday that you have reviewed
17 Dr. Bolts report on the Livermore earthquakes of 1980?

18 A I have read that paper. Is that the Seismological
19 Society Bulletin?

20 Q Have you discussed that earthquake sequence with
21 Dr. Bolt in preparation for this hearing?

22 A No, I have not.

23 Q Have you discussed with Dr. Bolt his opinions of
24 the phenomena or concept of seismic focusing?

25 A No, I have not.

1 Q Have you -- excuse me. Are you familiar with a
2 report which includes a working hypothesis of Dr. Bolt on
3 -- entitled. Policies for Seismic Safety, published by the
4 University of California at Berkeley Institute of Government
5 Studies in 1979?

6 A I'm not personally acquainted with that document.

7 Q If I could read a couple of sentences from that
8 report that are in regards to Dr. Bolts work in this region
9 and ask you your opinion of those statements, if that's okay.

10 MR. EDGAR: Could we have the document made available
11 to the witness so he can see the complete context of it?

12 CHAIRMAN GROSSMAN: Yes, certainly, counsel.

13 Would you show that document to the witness?

14 (Pause)

15 BY MR. BARLOW:

16 Q Dr. Kovach, could you read the first two complete
17 paragraphs on page two of this document, which would be the
18 subject of my questioning.

19 CHAIRMAN GROSSMAN: Could you first let him have a
20 chance to look at what the document is?

21 MR. BARLOW: Certainly.

22 (Pause)

23 WITNESS KOVACH: Would you give me a minute, please?

24 MR. BARLOW: Certainly.

25 CHAIRMAN GROSSMAN: And counsel, could you also

1 bring the document up here first so we can see before the
2 answer is --

3 WITNESS KOVACH: Should I read it aloud first or
4 circulate it?

5 MR. BARLOW: Certainly.

6 (Pause)

7 MR. CADY: Your Honor, I've been assured by Mr.
8 Barlow that in the other statements that of this nature so
9 that we don't the round robin review of the document. There
10 will be no more instances in his examination along these lines.

11 CHAIRMAN GROSSMAN: Thank you.

12 I believe there is a question pending to Dr. Kovach.
13 Is that correct, Mr. Barlow, or hadn't you formulatéd a ques-
14 tion, yet?

15 MR. BARLOW: I wanted --

16 CHAIRMAN GROSSMAN: Well, whether or not you had,
17 please formulate a question now.

18 BY MR. BARLOW:

19 Q Dr. Kovach, could you read outloud the second full
20 paragraph on page two of that document?

21 A (Witness Kovach) Yes. This document is entitled,
22 Policies for Seismic Safety, Elements of the State Governmen-
23 tal Program and the author, apparently, is Stanley Scott
24 from the Institute of Governmental Studies, University of
25 California, 1979. I am reading two paragraphs on page two.

1 It says:

2 "Finally boundaries between major continental plates
3 are known to pass through California and these plates are
4 moving with respect to one another. Plate tectonics is, in
5 fact, the most convincing and currently accepted explanation
6 for a majority of earthquakes wherever they occur. Plate
7 movements in California are demonstrated by such evidence as
8 the northwesterly drift approximately three inches per year
9 of the Farralon Islands about 30 miles west of San Francisco
10 with respect to Mt. Diablo, 30 miles east of San Francisco.

11 "The resulting strain building up in the interven-
12 ing formations would have to be relieved by slippages that
13 will almost certainly occur along one or more of the major
14 active faults traversing the San Francisco Bay Area. Given
15 the long 73 year interval since the most recent great earth-
16 quake in Northern California, the amount of slippage that
17 must occur will be sufficient to produce one or more great
18 earthquakes."

19 Second paragraph:

20 "Relying on such evidence, the University of
21 California seismologist, Bruce A. Bolt, recently put forth
22 the working hypothesis that a great earthquake is likely to
23 strike somewhere in California within the next ten years and
24 probably will effect some major urban areas. Bolt estimates
25 the likelihood of this happening within ten years as higher

1 than 50 percent. Moreover, he points out that the probability
2 of such an earthquake occurring within a specified period in-
3 creases progressively as more time elapses since the last
4 great earthquake."

5 ///

6 ///

7 ///

8 ,//

9 ///

10 ///

11 ///

12 ///

13 ///

14 ///

15 ///

16 ///

17 ///

18 ///

19 ///

20 ///

21 ///

22 ///

23 ///

24 ///

25 ///

1 Q Dr. Kovach, do you have any disagreements with
2 the statements that you read?

3 A No, I have no particular disagreements .

4 Q Do you therefore agree with Dr. Bolt's working
5 hypothesis that a great earthquake is likely to strike
6 somewhere in California within the next ten years?

7 A I'm not sure that I would specifically agree
8 with the time period of ten years, but I would agree with
9 the statement that a great earthquake is likely to occur
10 sometime in the future.

11 Q Would you define the word great in the term
12 great earthquake? Are you familiar with Dr. Bolt's?

13 A As I recall Dr. Richter rdefined a great
14 earthquake as an earthquake being greater in magnitude
15 than 7.5.

16 Q Greater than 7.5?

17 A 7.5 or greater.

18 Q Thank you.

19 Regarding the evidence that Dr. Bolt's
20 working hypothesis is based upon -- is this in regards to
21 the concept of seismic cycles and seismic recurrence
22 intervals?

23 A Well, I'm not intimately aware of how he
24 formulated that decision so I'm not able to respond to
25 that.

1 MR. EDGAR: Mr. Chairman, I have a suggestion
2 here.

3 If the line of inquiry is directed toward the
4 Bolt paper, Dr. Jahns is a co-author and he may be helpful.

5 CHAIRMAN GROSSMAN: Would you like to have
6 Dr. Jahns join the panel, Mr. Barlow for responding
7 to these questions?

8 MR. BARLOW: Yes, sir.

9 CHAIRMAN GROSSMAN: Thank you Dr. Jahns.

10 MR. EDGAR: I'm advised that I may have
11 mis-stated it, but the two gentlemen have worked together
12 and the subscribe to the same theories.

13 It may be worthy of asking a preliminary
14 question in that line.

15 BY MR. BARLOW:

16 Q Dr. Jahns, are you aware of the evidence and
17 concepts upon which Dr. Bolt has based his working
18 hypothesis regarding an imminent earthquake in California?

19 A (Witness Jahns) Yes. To some extent, at
20 least.

21 Q Does it involve the concepts of seismic
22 cycles and seismic recurrence intervals?

23 A Indirectly yes. This sort of prediction that
24 was quoted here is based on a combination of the notion
25 of plate movement on the historic record and to some extent

1 on at least one of the two factors you mentioned.

2 And, it was one of those situations which
3 Dr. Bolt had been thinking about this from one standpoint
4 and I from another and we put our heads together and came
5 up with the suggestion that was quoted, although, I believe
6 there is a slight mis-quotation.

7 Our parameter was an earthquake of magnitude 7.0
8 or greater.

9 Q 7.0 or greater.

10 A And according to some classifications, that
11 range would include all of the great range and part of
12 the major range.

13 Q Dr. Jahns, did you attend the meeting of the
14 Seismological Society of America at the University of
15 California, Berkeley in 1981?

16 A Yes, I did.

17 Q Are you familiar with the presentations given
18 there by Dr. Darryl Herd and Dr. Earl Brabb of the
19 U.S. Geological Survey regarding seismic cycles?

20 A Familiar to the extent that I listened to the
21 latter part of it.

22 Q Do you agree that there was a seismic cycle
23 in Northern California from 1836 to 1905 leading up to the
24 1906 San Francisco earthquake in which there were a number of
25 earthquakes of magnitude 5.5 to 7.5 along the San Andreas

1 fault and it's major branches in the Bay Area?

2 A Yes, I think this is a matter of record and
3 Dr. Herd and Dr. Brabb made a very interesting compilation
4 of the record and pointed out what the record shows,
5 and fair enough.

6 Q Do you also agree that the 1906 earthquakes were
7 followed by 30 years of seismic quiescence in the Bay Area
8 from 1907 to 1956?

9 A In a relative sense, that's what the record seems
10 to show.

11 Q Do you agree that beginning in 1957 with the
12 Daly City earthquake of the magnitude of 5.5 or the
13 magnitude of 5.5 range that a seismic cycle of earthquakes
14 of 5.5 to 6.0 began to recur from 1955 to 1980?

15 A I frankly have no opinion on that because
16 when one reaches the stage of converting data into
17 some kind of cyclical interpretation, then I want to do
18 a great deal more thinking about it, than I have, about
19 that particular question. It's a very interesting
20 notion.

21 Q Do you agree that during the period of 1955 to
22 1980, the Bay Area did experience a number of earthquakes
23 in the magnitude range 5.5 to 6.0?

24 A Yes.

25 Q Is part of the working hypothesis that you and

1 Dr. Bolt have presented, based on these data points from
2 seismic history in Northern California?

3 A No, not really because we were concerned with
4 a different and more limited aspect of the problem.

5 We began by sorting out earthquakes of magnitude
6 7.0 or greater, Richter scale.

7 And the other beginning points in addition to
8 the historic record, was our best appraisal of the general
9 behavior of the two principle plates involved in this
10 part of the world and a sort of review of the evidence
11 that very strongly suggests that this behavior has been in
12 a gross sense fairly uniform for the last 4- $\frac{1}{2}$ or 5 million
13 years, geologic time.

14 So, it was really those two things that we
15 put together and clearly, this did not lead us into the
16 kinds of considerations that Dr. Herd and Dr. Brabb were
17 involved with because we so reduced our data base with
18 the magnitude range we selected that it didn't have
19 much significance in terms of trying to recognize any
20 cyclical trends within the data.

21 Q Does the working hypothesis that you and Dr. Bolt
22 have developed depend more on the rate of movement between
23 the two plates, the North American plate and Pacific
24 plate and the build up of stress along the plate boundary?

25 A Yes, and it goes like this. In brief, you begin

1 with a basic notion of the two plates with a more or less
2 uniform rate of motion so that in effect is a given.

3 Then you look at the historic record and the
4 first thing it tells you is that there is an average
5 recurrence interval of magnitude 7.0 or 7.0+ earthquakes
6 through the last 150 years, of 15 years.

7 And it also tells you right away that this is
8 an arithmetic number that doesn't mean all that much
9 because the actual recurrence between two events has
10 been as short as two years and as long as 34.

11 But we were impressed not only by this
12 variation, but by the fact it's crowding on to 34 years,
13 29 as I recall now, since the last magnitude 7.0 or 7.0+
14 in California and if we do go another decade, California
15 shall have set a new record for historic time in terms
16 of this relative quiescence.

17 This is a sort of simple tool approach, but
18 is one that I think is basically sound and we jointly
19 considered at that time, it justifiable to suggest that
20 somewhere in California, via an extension of this record
21 and the context of plate motion, there was at least
22 a 50/50 chance and I think it's probably greater than that,
23 of an earthquake, magnitude 7.0 or larger within the next
24 decade. Eight years now, I guess.

25 Q Is it possible that the earthquake which you were

1 discussing that may occur in the future could occur on
2 the Calaveras fault?

3 A Yes, that's possible.

4 Q Could that earthquake occur in the region of
5 the Calaveras fault near the GETR site?

6 A Yes, that's also possible.

7 Q If this earthquake could occur during the
8 next ten years, is it also possible that this earthquake
9 could occur at any time on the Calaveras fault?

10 A That's also possible, and your questions have
11 an interesting sequence, because the probability associated
12 with that is steadily decreasing, in the order of the
13 questions that you proposed.

14 Q Dr. Jahns, are you familiar with the concept
15 of seismic gaps?

16 A I can't claim familiarity with it and I'm familiar
17 to the extent of having read about it in the published
18 literature.

19 Q Dr. Kovach, are you familiar with seismic
20 gaps?

21 A (Witness Kovach) Yes, It's my understanding
22 that a seismic gap is a substantial region of a plate
23 boundary that has not had a large earthquake within a
24 time frame of 30 to 100 years and it's one hypothesis
25 that the big earthquakes tend to occur along those portions

1 of the plate boundary which have not experienced a major
2 earthquake in historic time met by the definition of the
3 seismic gap.

4 Q Dr. Kovach, have you reviewed reports prepared
5 for General Electric by Dr. Bolt and Dr. Richter regarding
6 the historic earthquakes along the Calaveras fault?

7 A I'm not familiar with that specific -- you said
8 Dr. Bolt and Dr. Richter?

9 Q Yes, sir.

10 Dr. Richter's report -- well, Dr. Bolt's report
11 we've already referred to from March, 1980. Dr. Richter's--

12 A The microseismicity -- yes, I have read that
13 report and I believe I have read Dr. Richter's -- I'm
14 not sure what your --

15 Q Dr. Richter's report is dated December 9, 1977 and
16 entitled, "Potential Earthquakes on the Calaveras Fault",
17 GETR, Vallecitos, California.

18 MR. EDGAR: Dr. Kovach, would you like to see
19 a copy of the document? Would it refresh your recollection?

20 WITNESS KOVACH: I have not read this report.

21 BY MR. BARLOW:

22 Q Dr. Jahns, have you read this report?

23 A (Witness Jahns) Yes, I believe so.

24 Q Dr. Jahns, are you familiar with the historic
25 earthquakes along the Calaveras fault zone? Referred to as

1 the Dublin or San Ramon earthquake of 1861, I believe it's
2 July 3, 1861 and the Mara Island earthquake of 1898?

3 A I'm aware of the record, but I can't claim
4 familiarity with it.

5 Q Have you done any sort of study of either of
6 those two earthquakes?

7 A No, I have not.

8 Q Dr. Kovach, have you done any sort of analysis
9 of either of those two earthquakes?

10 A (Witness Kovach) No, I could make one general
11 comment about the 1861 earthquake which you are referring
12 to. Not a great deal is known about it and it's presumed
13 to have had it's epicenter near Dublin and the 1898
14 Mara Island, one had damage in Vallejo and estimated
15 magnitude was 6.0 and that's as much as I know about it.

16 Q Would you associate either or both of those
17 earthquakes with the Calaveras fault zone?

18 A That's the presumed epicenter but as I say,
19 they're so very old and it's -- not that much is known
20 about them.

21 Q But it is generally preseumed that they are
22 associated with the Calaveras fault zones?

23 A Yes, to the best of my knowledge.

24 Q Would you estimate recognizing that there are
25 not precise instrumental records of these quakes, but would

1 you estimate that those are the two largest earthquakes
2 in the past, during the historic record along the
3 Calaveras fault zone?

4 A Yes, I would presume so.

5 Q Would you agree that the so-called Dublin earth-
6 quake of July 3, 1861 was accompanied by surface rupture?

7 A As I say, I have no specific knowledge of that
8 earthquake other than what I read in one book. There was
9 presumed to be five miles of rupture on surface associated
10 with that earthquake.

11 Q Was that earthquake well, let me put it this
12 way.

13 CHAIRMAN GROSSMAN: Excuse me, Dr. Jahns, do
14 you agree with that too, sir?

15 WITNESS JAHNS: Yes, that's what the record
16 shows to the extent that I'm aware of it.

17 BY MR. BARLOW:

18 Q Is it true, Dr. Jahns, that both the epicenters
19 of the Mara Island earthquake and the Dublin earthquake
20 were to the North of the GETR site along the Calaveras
21 fault zone?

22 A Yes, I believe so.

23 Q Is it also true that during the 20th century,
24 much of the seismic activity along the Calaveras fault
25 zone has been to the South of the GETR site closer to the

1 junction to the San Andreas fault?

2 A Certainly there's been activity. I couldn't
3 say how much relative.

4 Q Is it possible, either Dr. Jahns or Dr. Kovach,
5 I would like to hear both of your opinions on this, that
6 the area along the Calaveras fault zone just opposite
7 the GETR is in a stated seismic gap?

8 A (Witness Kovach) Well, I think that's not
9 perhaps the correct way to phrase it. I think if you're
10 asking me whether there's been a lack of seismic activity
11 in the historical record along that segment on the Calaveras
12 fault, yes, but I'm not sure that I would agree that that's
13 a fair statement of a seismic gap, because we're focusing
14 on a single fault rather than on the major plate boundary
15 itself which takes all of the faults in that into consider-
16 ation.

17 Q Dr. Kovach, in your definition of seismic
18 gap you said it is an area along the active plate boundary
19 which has not had a major earthquake within the past 30 to
20 100 years, is that correct?

21 A Yes.

22 Q I've seen some definitions that limit that to
23 30 years and Dr. Jahns in your analysis that you presented
24 earlier, you said that thirty-four years or 29 years
25 was a long time to not have a magnitude 7.0 along the San

1 Andreas plate boundary is that correct?

2 A (Witness Jahns) It's a long time not to have
3 a magnitude 7.0 or greater earthquake somewhere in Southern
4 California.

5 Q Associated with the plate boundary?

6 A Ah, not necessarily.

7 Because, what may have been California's greatest
8 historic earthquake was on an intra-plate fault. The
9 Sierra Nevada fault in Owens Valley.

10 Q Well, I think I've exhausted this line of
11 questioning and I'd like to change subjects.

12 Dr. Kovach, would it be possible for you
13 at this time to present the results of the analysis
14 regarding the question that was presented to you yesterday?

15 A (Witness Kovach) Well, yes.

16 Basically on the -- would you want to maybe
17 for the record rephrase -- I'll tell you what I did answer
18 and what I can give you are the values of the accelerations
19 based on the data set which I examined for 3 size events.
20 Is that what you -- at the distance of the Calaveras fault
21 is what I did.

22 Q Yes, sir, if you could specifically define the
23 distance and the magnitude that you used?

24 A The distance I used was 3.5 kilometers and the
25 magnitudes which I examined were 5.5, 6.5 and 7.5.

1 CHAIRMAN GROSSMAN: Dr. Kovach, could you
2 summarize basically what you were doing and what the results
3 are? So that, it makes a complete record for anyone who
4 would read it at this point? Rather than just pinpoint
5 answers to what was said yesterday.

6 Just pretend that we're in one of your classes.

7 (Laughter)

8 WITNESS KOVACH: Okay, what I did was examine
9 the data from the Coyote Lake earthquake and the Imperial
10 Valley earthquake of 1979 which are the most complete data
11 set we have available for describing the near field
12 behavior of ground acceleration as we approach the vicinity
13 of the fault.

14 Now, I established a functional form by doing
15 a non-linear regression analysis of these data sets.

16 Now, assuming this was the appropriate functional
17 relationship I then used this relation to extrapolate to
18 a higher magnitude, ie., a magnitude of 7.0 on a 7.5
19 earthquake and I tested it against the albeit limited
20 data which are available for distances for less than 100
21 kilometers in the magnitude range of greater than seven
22 and basically there are data from 7 earthquakes, so it's
23 not an overwhelming data set by all means in that magnitude
24 range.

25 And, the predicted values were in very good agree-

1 ment with magnitude range and from that I used that to
2 estimate what the accelerations would be.

3 Now, to be specific, then, about this one set
4 of values, for a magnitude 5.5, my analysis would give
5 0.2G. For a magnitude 6.5, 0.39G and for a magnitude
6 7.5, 0.74G.

7 BY MR. BARLOW:

8 Q Dr. Kovach, are these G values effective
9 horizontal values or instrumental horizontal values?

10 A (Witness Kovach) These would be instrumental
11 horizontal.

12 Q Did you calculate instrumental vertical accelera-
13 tion values?

14 A No, I did not do a similar analysis for verticals.
15 I did examine the vertical accelerations as I mentioned
16 yesterday for the Imperial Valley and tried to understand
17 the anomalously high values and I excluded that in my
18 analysis in coming up with my estimate of what the
19 reasonable vertical acceleration would be.

20 That was the extent of my analysis.

21 Q Do you mean that in your testimony when you
22 were discussing vertical accelerations, that you excluded
23 the high verticals from the Imperial Valley data set?

24 A Yes, that's correct.

25 Q Can you justify that exclusion of that data?

1 A Well, the reasons for this which I did mention
2 yesterday were, I felt convinced that the reasons for
3 these high vertical acceleration in the Imperial Valley
4 were due to a local site condition through the fact that
5 there's a very strong velocity contrast near the surface
6 which preferentially refracts the compressional wave
7 upwards and gives it a bigger amplitude and as I pointed
8 out, the comparison of the velocity structures in the
9 Imperial Valley and Livermore Valley, I mean, they're
10 completely different and I was of the opinion and am
11 still of the opinion that using those values in the
12 Livermore Valley is not appropriate.

13 Q Can you, back to the calculations that you
14 did perform and that you just presented, are these
15 results -- would the results which you presented in terms
16 of G values, for these three different magnitudes be
17 changed if the distance of 3.5 kilometers would be
18 changed?

19 A Presumably there would be some slight changes,
20 yes, but in the near field if we can examine the curve
21 here, you notice that the peak horizontal acceleration
22 as you approach the fault is flattening and so then I
23 don't think that it's a major change if you want to
24 change the distance.

25 MR. EDGAR: What figure are you referring to in

1 that respect?

2 WITNESS KOVACH: Figure 6 in my testimony on
3 page 19.

4 Just to clarify it for the record, this is a
5 plot of peak horizontal acceleration in G on the vertical
6 axis versus the closest distance of the fault and it's
7 a log/log scale because of the range of the numbers so --

8 CHAIRMAN GROSSMAN: What page is that?

9 WITNESS KOVACH: Page 19. Exhibit 21.

10 MR. BARLOW: Are we waiting for an explanation
11 to Mr. Edgar's question?

12 Do you have a question pending?

13 MR. EDGAR: No. I just wanted to help clarify
14 it.

15

16

17

18

19

20

21

22

23

24

25

t4

1 BY BARLOW:

2 Q Dr. Kovach, there seems to be a disagreement about
3 the distance between the Calaveras fault zone and the GETR
4 reactor. I realize that in some of General Electric's present-
5 ations they have given the value of distance for 3.5 kilometers
6 which is the value which you used, but in other presentations
7 by GE the distance was listed as 3.1 kilometers. In presenta-
8 tions by the NRC Staff and the USGS in the SER's, the distance
9 was listed alternatively as 2.3 kilometers and approximately
10 2 kilometers. And I would like to ask you --

11 MR. EDGAR: I would like to object to the form of
12 the question in that it assumes facts not in evidence.

13 CHAIRMAN GROSSMAN: Well, does counsel disagree
14 with the statement made as to --

15 MR. EDGAR: I have no idea whether those statements
16 are true, Your Honor. If I had a specific reference, but
17 that doesn't constitute evidence. It is fair to ask the
18 witness his opinion of what the distance is.

19 CHAIRMAN GROSSMAN: Well, it's fair first to
20 clarify what has been submitted by the parties. Mr. Swanson,
21 could you clarify the situation for us? Were there different
22 distances used in various submittals?

23 MR. SWANSON: If he is referring to the 2.3 kilometer
24 figure in the Staff's document, that apparently is a typo-
25 graphical error. It is mentioned several times as being

1 approximately in the neighborhood of 3 kilometers. It should
2 be 2 - 3, not 2.3.

3 CHAIRMAN GROSSMAN: Two to three kilometers?

4 MR. SWANSON: That's correct.

5 MR. EDGAR: Mr. Chairman, the other point is in
6 the record, in response to questioning by Mr. Swanson the
7 other day and some by Mr. Cady, Mr. Harding answered ques-
8 tions on the distance and calculated approximately 2 miles,
9 which corresponds to a range of 3.5 kilometers.

10 MR. BARLOW: If I may rephrase the question and
11 pose a hypothetical question to the witness.

12 CHAIRMAN GROSSMAN: Yes.

13 BY MR. BARLOW:

14 Q Dr. Kovach, if you were calculating a G value for
15 horizontal instrumental accelerations for a magnitude 7.5
16 earthquake and instead of using the 3.5 kilometer distance
17 which you used you used a 2 kilometer distance, do you think
18 that the G value would be larger than the value which you
19 calculated for 3.5 kilometers?

20 A (Witness Kovach) Yes, I believe it would be
21 slightly larger.

22 Q Do you have an easy way of calculating what it would
23 be? I mean, would you be able to do that calculation today?

24 A Yes. I could probably do that today, but not here
25 at the table in two minutes.

1 Q Perhaps over the lunch break, if you could calculate
2 the horizontal instrumental accelerations for a magnitude
3 7.5 quake at a distance of 2 kilometers, I would appreciate
4 it. Okay. Going on to further questions, if you took the
5 instrumental data set from the Coyote Lake earthquake in
6 1979 on the Calaveras fault and the Imperial Valley earthquake
7 of 1979 on the Imperial fault and calculated the vertical
8 accelerations versus distance, would you be able to extra-
9 polate for magnitudes 6.5 and 7.5 and arrive at an estimate
10 of the vertical accelerations at distances of 3.5 kilometers
11 and in the distance range of 2 kilometers to 3.5 kilometers?

12 A In principle I could do that. But it would, you
13 know, involve some fairly substantial calculations. It is
14 not something I can do overnight.

15 Q Would it be possible to do that by sometime next
16 week?

17 A No.

18 Q How long would it take you to do such a calculation?

19 A My problem is I am going to Europe here very shortly
20 and I just can't get involved in any heavy computations.

21 Q Do you have available to you the data set of the
22 vertical accelerations from those two earthquakes?

23 A Yes, I would have them available.

24 Q If you are going to be leaving for Europe, is there
25 anyone else that could make that calculation for the Licensee?

1 MR. EDGAR: Mr. Chairman, I would like to interpose
2 an objection. I don't know where the line is leading. I
3 really question whether the Licensee is under an obligation
4 to perform calculations in support of the Intervenor's case.

5 CHAIRMAN GROSSMAN: I think this is going to require
6 some consultation among the Board members. Let's clarify,
7 though, for the record what you are requesting here. Is this
8 -- were you requesting a computation based on the vertical
9 accelerations of the Imperial Valley event now as projected
10 to the distances from the GETR to the Calaveras fault?

11 MR. BARLOW: Yes, sir. That is correct in terms
12 of the Imperial Valley earthquake and the Calaveras fault;
13 however, I also requested an analysis of the Coyote Lake
14 earthquake on the Calaveras fault which was a 5.7 magnitude
15 and a magnitude 6.5 on the Verona fault.

16 CHAIRMAN GROSSMAN: Mr. Edgar?

17 MR. EDGAR: Our concern here is the fact that in
18 Dr. Kovach's testimony, if you look at Figures 6 and 7, he
19 has taken a data set, performed a regression analysis to
20 develop a function that he then tests against the higher
21 magnitude data set. So he can run a number for you if you
22 pick the magnitude and pick the distance. But the question
23 now presented is will you take another data set for us and
24 run a new regression analysis. I am convinced that that's
25 not our responsibility unless there is some strong showing

1 that the information is critical and that it can be obtained
2 from no other source.

3 DR. FERGUSON: Mr. Barlow, I think the point has
4 been raised. Could you help us focus on just where you are
5 going with this line of questioning, what do you hope to
6 establish?

7 MR. BARLOW: Okay, sir. I would like to establish
8 some estimate by the Licensee's witnesses and next week we
9 hope to do the same with the NRC Staff witnesses from the
10 USGS of an estimate for the GETR site of ground accelerations
11 both vertical and horizontal for earthquakes of magnitude
12 7.5 on the Calaveras fault and 6.5 on the Verona fault at
13 distances that are estimated at various values. So that's
14 why there is a range in the distance values. But do you
15 understand?

16 DR. FERGUSON: I understand what you just said.
17 Can you make that calculation? The reason I ask that question
18 is are you asking the Staff or will you ask the Staff and
19 the Licensee to do it to compare it against your calculation?
20 Just why are you asking them to do it?

21 MR. BARLOW: We have not made those calculations.
22 We are asking them to because these are the critical distances
23 and magnitudes that are being discussed and the ground accel-
24 erations are very critical in analyzing the seismic design
25 criteria for the GETR.

1 DR. FERGUSON: What do you think the calculations
2 will show? Do you feel that -- do you have any indication
3 that these calculations, if performed, will reveal anything
4 that cannot be revealed otherwise?

5 MR. BARLOW: Well, the primary concern is that in
6 the Imperial Valley earthquake, as I understand it and as
7 Dr. Kovach said yesterday, the peak vertical acceleration
8 was a 1.74 G and it was at a certain distance from the Imperial
9 Valley fault. There also were peak vertical accelerations in
10 the Coyote Lake quake on the Calaveras fault which are of
11 concern to us. We would like to see those data sets applied
12 to the GETR site calculations for seismic design criteria
13 because we agree with Dr. Kovach that these two earthquakes
14 are two of the best instrumented earthquakes in history and
15 that the data sets from these two earthquakes are very good
16 as pointed out in Dr. Kovach's testimony in Figure 6.

17 But these calculations have not been performed,
18 apparently, in the testimony presented by the Licensee.

19 CHAIRMAN GROSSMAN: I believe the issue has been
20 joined as to whether those earthquakes are appropriate, that
21 is, the vertical accelerations from those earthquakes are
22 appropriate figures to be utilized with regard to the GETR
23 site. Now perhaps the Staff and Licensee want to stipulate
24 that if they are appropriate then there is no way that a GETR
25 can operate or -- I don't know. But the point is that is an

1 issue and maybe there is an easier way to resolve it.

2 MR. EDGAR: Let me suggest this: if the question
3 is what is Dr. Kovach's calculation for 2 kilometers distance,
4 if you are talking about distance and any variations in magni-
5 tude, those numbers are readily inferrable from Figures 6
6 and 7 of his testimony. The Intervenors can pick off the
7 data points. That can be scaled simply. We have testimony
8 that the vertical accelerations are not valid data points
9 in Imperial Valley. We believe that that's the case. We
10 haven't heard any testimony to the contrary.

11 Now we are being asked to go through the complete
12 data set and redo the regression analysis. I don't see that
13 that's our obligation.

14 CHAIRMAN GROSSMAN: I take it the vertical accelera-
15 tions would not be in any proportion to the horizontal
16 accelerations.

17 MR. EDGAR: To be fair there, Dr. Kovach has
18 explained that he has done his regression analysis in the
19 horizontal and, based on his analysis of the earthquake
20 records, he recommends two-thirds of verticals for the hori-
21 zontal case.

22 CHAIRMAN GROSSMAN: Well now if let's say in the
23 Imperial Valley it were three-halves rather than two-thirds
24 is it an appropriate -- if the conditions were the same in
25 the Imperial Valley or analogous, would that three-halves be

1 an appropriate figure for vertical versus horizontal at the
2 GETR site? Maybe that's an easier way of doing it. I don't
3 know. Is there any simple proportion that can be used,
4 either utilizing the horizontal figures on the assumption
5 that the data from the Imperial Valley event and the other
6 event mentioned are appropriate for use at the GETR site?
7 Can you answer that, Dr. Kovach?

8 WITNESS KOVACH: I'm not sure I'd know how to do
9 that because the site conditions are so uncomparable, as I
10 mentioned. I'm not sure that I could come up with a magic
11 scaling number that would be appropriate for the GETR site.

12 MR. SWANSON: Mr. Chairman, since Mr. Barlow
13 indicated he will also ask the USGS to do that next week,
14 perhaps I should indicate that we also would object and the
15 basis would be that -- of course this is premature -- but
16 that there is insufficient foundation to show the relevance
17 of doing such a calculation. The argument will be, and it
18 will be based on the testimony, presumably, which will be
19 in the record at that time, that the data points that he
20 wants to use cannot be transferred in a meaningful way to
21 the GETR site because of anomalous situations. We will
22 introduce testimony, if need be, to that point.

23 CHAIRMAN GROSSMAN: Let me ask you, did you perform
24 the calculations anyway with regard to projecting the figures
25 from Imperial Valley to the GETR site, whether you intend to

1 use them or not? When I say you I mean your Staff.

2 MR. SWANSON: I'm not sure what the answer to the
3 question is, if they can or not. They have not been done
4 and the reason would be because the data points I think that
5 Mr. Barlow refers to in his testimony are not deemed to be
6 relevant to the GETR site because of the anomalous conditions
7 that existed that created that. So that calculation has not
8 been done and we would strongly object to performing it,
9 should Mr. Barlow then request it.

10 DR. FERGUSON: Mr. Barlow, I want to make it very
11 clear if I possibly can to you that the Board is very inter-
12 ested in all of the things that you have and all of the things
13 that you are trying to bring out. It is, however, difficult
14 for us to understand the motivations that you have for asking
15 for work to be performed unless you tell us what that motiva-
16 tion is. The motivation cannot be simply that you want to
17 see the numbers. There must be a stronger basis than that.

18 MR. BARLOW: Are you asking me to explain that?

19 DR. FERGUSON: Can you share that basis with us?

20 MR. BARLOW: Yes, sir. At the GETR site I believe
21 it has been agreed by the parties that the Calaveras fault is
22 near the site; the distance is a matter of disagreement,
23 whether it is 2 or 3 or 3.5 kilometers. But it has also been
24 agreed that the Calaveras fault could generate an earthquake
25 of magnitude 7.5. And in both the testimony by the Licensee

1 and the testimony by the NRC Staff there have been estimates
2 of the seismic design criteria both for vertical accelerations
3 and for horizontal accelerations. Now these estimates for
4 the vertical acceleration estimates are based on a formula
5 of two-thirds -- the verticals are two-thirds of the hori-
6 zontals. And yet in the data sets of the two most relevant
7 earthquakes which -- that statement of most relevancy comes
8 from the USGS and the Licensee's witness and in the testimony
9 -- the data sets on the vertical accelerations exceed two-
10 thirds of the horizontal accelerations and they also exceed
11 the seismic design criteria that have been recommended both
12 by the Licensee and by the NRC Staff.

13 We are concerned that in the written testimony by
14 the Licensee and by the Staff there are no calculations for
15 vertical accelerations based on the data set from these two
16 relevant earthquakes.

17 DR. FERGUSON: When you use the word "relevant
18 earthquakes" are you implying that the earthquakes on the
19 Calaveras fault are similar to the earthquakes on the other
20 fault that we have been talking about?

21 MR. BARLOW: The two earthquakes that I am referring
22 to are the Coyote Lake earthquake of 1979 on the Calaveras
23 fault and the Imperial Valley earthquake of 1979 on the
24 Imperial fault. As I examined Dr. Kovach yesterday, the
25 Imperial fault is a branch of the San Andreas fault and the

1 Calaveras fault is also a branch of the San Andreas fault.

2 DR. FERGUSON: Is that the connection between the
3 two that makes in your mind the calculation relevant, that
4 they are both branches of the San Andreas?

5 MR. BARLOW: Yes, sir. They are both strike slip
6 faults along the plate boundary of similar length and similar
7 potential magnitude. There are other points of relevancy
8 that could be brought out under cross examination regarding
9 the soil characteristics and the distances from the fault
10 plane to the data set that were recorded.

11 CHAIRMAN GROSSMAN: We'll take a ten-minute recess
12 now.

13 (A brief recess.)

14 ///

15

16

17

18

19

20

21

22

23

24

25

1 CHAIRMAN GROSSMAN: On the record.

2 We left off the discussion with Mr. Edgar not having
3 had a chance to have his say.

4 MR. EDGAR: I'd like to make one basic point first
5 and that is that's there's been a little bit of confusion
6 here when people talk about the Imperial Valley data set.
7 When we're talking about the high vertical accleration, we're
8 talking about a set. We're talking about a point. A data
9 point at station six. Now, in order to do what Mr. Cady
10 suggests, which is to go back through all the vertical data,
11 we would have to do a regression analysis on that data. We
12 would have to get computer access and we have no guarantee
13 that we could do this in a timely manner.

14 The fact is that the same thing applies to the Staff.
15 The U.S.G.S does not accept the anomalous data point of
16 Imperial Valley at station six. It is addressed in our
17 testimony at pages 22 through 23. We don't think that the
18 effort will be of any value to the record, either. We're
19 talking about re running a set of data that will give you the
20 same result in the end because our experts and the Staff's
21 experts, don't accept the anomalous data point.

22 We think that if it is an important point, than
23 there is no reason why Mr. Barlow can't undertake his own
24 calculations.

25 CHAIRMAN GROSSMAN: Mr. Edgar, you're not asking

1 us to decide the case from the bench here, are you?

2 MR. EDGAR: No, sir. I'm asking one more suggestion
3 perhaps and that is there is no reason why the Board can't
4 inquire further of these witnesses as to the significance or
5 meaning of rerunning the data sets and ask the same of the
6 Staff and perhaps make the decision based on more specific
7 facts.

8 CHAIRMAN GROSSMAN: But aren't you asking us to
9 decide at this point that the Imperial Valley event and
10 Coyote event have no relevance as far as the vertical accler-
11 ations and thereby decide the case here?

12 MR. EDGAR: No, sir. What we're asking you to
13 consider is whether or not we have an obligation to rerun a
14 data set when our experts have testified without any contra-
15 diction that the anomalous data point should not be considered
16 and we're perfectly willing to withstand the test of cross
17 examination on that issue.

18 CHAIRMAN GROSSMAN: Mr. Swanson, do you have some-
19 thing to add?

20 MR. SWANSON: I was just going to add that I also
21 would ask that a decision on the relevance -- whether or not
22 a bases has been established -- be made, at least, to whether
23 or not G.S. should do this calculation until after we have
24 had an opportunity to hear the response of our witness on
25 this point, who will be the assistant director of the United

1 States Geological Survey and he will be thoroughly prepared
2 to respond to questions about this anomalous point. I might
3 add, though, that Coyote Lake event being brought up -- I'm
4 not sure that a similar thorough response would be available.
5 This is the first time that this has been brought up as an
6 evidence of -- as a need, perhaps, for further analysis in
7 response to interrogatories and in testimony. The only
8 events that were mentioned is support of the acceleration for
9 the design value by the Intervenor with the San Fernando
10 and Imperial Valley events.

11 And on those events, of course, we will be thoroughly
12 prepared. But, my bottom line is that I would ask that as
13 a Board's decision as to whether or not a basis has been
14 established for inquiring further into an analysis, they make
15 that decision after they have had an opportunity to hear the
16 response of the assistant director of the United States
17 Geological Survey.

18 CHAIRMAN GROSSMAN: But, both of you do agree that
19 what we want is a prima facie showing, not a dispositive
20 showing in which the Board can decide right now from the
21 bench that we're going to conclusively determine that we're
22 going to throw those events out as far as determining vertical
23 acceleration.

24 MR. EDGAR: No, we're not asking you to pre-judge
25 before all the evidence is in. What I'm suggesting is that

1 I think we've got the presumptions reversed. The evidence is
2 not in yet. There has been no prima facie showing which would
3 place an obligation on us to generate data that may well be
4 meaningless.

5 CHAIRMAN GROSSMAN: Well, at least not sufficient
6 in your view.

7 MR. EDGAR: That's correct.

8 CHAIRMAN GROSSMAN: Did you want to add something,
9 Mr. Barlow?

10 MR. BARLOW: Yes, sir. I would like to just say
11 one thing. We are not talking about the use of only one
12 data point, as Mr. Edgar was saying. There are other data
13 points. There are several data points of vertical acceleration
14 within the data sets from those two earthquakes in which the
15 vertical acceleration exceeds the horizontal acceleration
16 and therefore, we're not limiting this discussion to the one
17 point which they claim is anomalous.

18 CHAIRMAN GROSSMAN: Well, Mr. Barlow, I hope that
19 you can bring all of these matters out in cross examination.
20 Basically, the Board has decided not to decide the question
21 right now as to whether we ought to compel the computations,
22 but to allow you more time to connect up that particular need
23 to the testimony that's been given and so we'll allow you
24 to proceed along those lines, now.

25 MR. BARLOW: Okay, thank you.

1 BY MR. BARLOW:

2 A Dr. Kovach, in your testimony on page 19, figure 6,
3 you have calculated peak horizontal accelerations from two
4 earthquake data sets, Imperial Valley and Coyote Lake in 1979.
5 In the following figure 7 on the next page, you have calcula-
6 ted peak horizontal acclerations from several other earth-
7 quakes.

8 Could you explain to me why, in your testimony,
9 you did not calculate similar graphs for peak vertical acceler-
10 ations from these or any other earthquakes in regards to the
11 seismic design critera for the GETR reactor?

12 A (Witness Kovach) I did a tentative study of --
13 very early in my work of the GETR site looking at the verti-
14 cal accleration data from the Imperial Valley and I did a
15 preliminary regression analysis excluding several of the
16 anomalous points which was very clear when one -- from the
17 geology and also a careful examination of the strong motion
18 accelogram itself, that they were clearly anomalous and I
19 was convinced at the time I did that analysis that two-thirds
20 was an appropriate value -- two-thirds of the horizontal.

21 Q Yesterday, I asked you if you were familiar with
22 vertical acceleration data from the Coyote Lake earthquake and
23 I believe your response was no. Is that correct?

24 A I did not look at any vertical component data for
25 the Coyote Lake earthquake.

1 Q So, you don't know if the vertical data there
2 exceeded the horizontal?

3 A I have no first hand knowledge and I don't have the
4 data in front of me.

5 Q I also asked you if you knew whether or not in the
6 Imperial Valley data set, whether there was more than one ver-
7 tical acceleration data point in which the vertical acceleration
8 exceeded the horizontal acceleration and I believe your
9 response was that you were not familiar with that data set
10 to answer that question. Is that correct?

11 A Yes, I believe that's correct.

12 Q Have you not examined the vertical data set from
13 the Imperial Valley earthquake other than the largest peak
14 acceleration on the vertical scale?

15 A I did mention that I have looked at some of the
16 vertical data and I did a preliminary analysis which I just
17 mentioned.

18 Q Can you recall from that preliminary analysis whether
19 or not there are more than one data points in which the
20 vertical acceleration at Imperial Valley exceeded the horizon-
21 tal acceleration?

22 A I can't remember the detailed specifics. I believe
23 there were several where the verticals were comparable to the
24 horizontals, but I could not give you a number from memory.

25 Q I asked you if you knew of any other earthquakes

1 besides these two earthquakes in which the verticals exceeded
2 the horizontals and I believe your answer was that you only
3 knew of one, the Gazli earthquake of 1976. Can you recall any
4 other earthquakes besides these three in which verticals
5 exceed the horizontals?

6 A No, not from memory, I can't.

7 Q Do you have access to data sets from earthquakes
8 which might provide an opinion for you or not?

9 A Possibly.

10 Q Would it be possible for you to do a review of
11 those data sets to see if you can find another earthquake
12 in which verticals exceed horizontals?

13 A Would it be possible? Is that what you asked me?

14 Q Yes, sir.

15 A Anything is possible.

16 Q Would it be possible with your -- When are you
17 leaving for Europe?

18 A I don't have the time to do any detail, you know,
19 technical analysis in the time that's left for me here, so
20 I can't respond to that in a very positive way.

21 Q When are you leaving for Europe, sir? Are you
22 going to Europe?

23 A Yes, shortly.

24 Q When is that?

25 A Well, it depends a little bit on the way these

1 hearings are going. I'm trying to time my departure to be
2 here to be constructive. So, roughly the middle of next
3 week, I would like to go.

4 Q In the data set which you used in your figure 7 on
5 page 20 of your testimony, you have several earthquakes that
6 you have examined. Do you agree that the bulk of the data
7 in that figure is at a distance of 30 kilometers or more from
8 the recording site?

9 A Yes.

10 Q What -- How would you characterize your level of
11 confidence in your methodology of extrapolating to closer
12 distances using data sets that are at that distance?

13 A Well, if I were to exclude the -- My level of
14 confidence was somewhat higher than it would be if I would
15 not have had these two earthquake, mainly, the Gazli and the
16 Tabas, which are the only two earthquakes which we have strong
17 ground motion in the near field in the magnitude range greater
18 than 7. If we were to exclude those two data points and
19 attempt to do a prediction, I would have much less confidence
20 in the results.

21 Q On that page, you say that in the last full sen-
22 tence on that page 20 of your testimony -- you say, thus
23 mean horizontal peak acclerations ranging from .57G to .74G
24 are appropriate for a magnitude 7 to 7.5 earthquake on the
25 nearby Calaveras Fault.

1 Now, here you're using mean values. If you used
2 peak values rather than mean values, would you come up with
3 a number larger than .74G?

4 A I did use peak value. I used the mean of the peak
5 value. I don't quite understand --

6 Q The mean of the peak values. If you used the maxi-
7 mum peak value, would you come up with a larger number than
8 .74G?

9 A Yes, that's obvious.

10 Q Would that number be based on the Gazli earthquake
11 and the Tabas earthquake which provide the data set at a dis-
12 tance of three kilometers?

13 A Would you rephrase the question?

14 Q In your figure 7, you have data points from the
15 Gazli earthquake and the Tabas earthquake at a distance of
16 three kilometers. If you were to calculate the maximum peak
17 horizontal acceleration rather than the mean value, would
18 the maximum value be based on those data points?

19 A The values that are shown here are the peak values.

20 Q Yes, sir, so would the maximum value value be --

21 A That would be the maximum value.

22 Q Could you tell us what those values are from those
23 two earthquake?

24 A Would you give me a minute to consult my notebook?

25 Q Yes.

1 A If you had dividers you could scale it off, but I'll
2 look it up, if I can find it.

3 Q While you're looking it up, could you also find the
4 peak vertical accelerations from those two earthquakes?

5 (Pause)

6 MR. EDGAR: Would this be a good time to break for
7 lunch?

8 CHAIRMAN GROSSMAN: After the answer would be a good
9 time, I would think

10 MR. EDGAR: Yes.

11 WITNESS KOVACH: For the Gazli earthquake, the peak
12 values were .75 and .67 and the vertical was 1.3. For the
13 Tabas earthquake the vertical malfunctioned and I'm not sure
14 that I could put my finger on here, but it looks like it's
15 .8G, approximately.

16 BY MR. BARLOW:

17 Q The horizontal peak is .8G?

18 A Yes.

19 Q So, in the Gazli earthquake --

20 CHAIRMAN GROSSMAN: I'm sorry and what was the
21 vertical?

22 WITNESS KOVACH: The vertical didn't operate.

23 CHAIRMAN GROSSMAN: Oh.

24 WITNESS KOVACH: During the Tabas.

25

1 BY MR. BARLOW:

2 Q So, in the Gazli earthquake you had a .75G horizon-
3 tal peak and a 1.3G vertical peak?

4 A That's correct.

5 Q Would you agree that the vertical exceeded the
6 horizontal at Gazli?

7 A That's what was there. Yes, I agree with that.

8 Q Was that vertical data point at a distance of three
9 kilometers?

10 A Excuse me?

11 Q Was that vertical data point at a distance of three
12 kilometers from the recording site?

13 A I think the Gazli is a little bit larger. I think
14 it's roughly three and a half to four kilometers.

15 Q Would you agree that that is comparable to the
16 distance from the Calaveras Fault to the GETR site?

17 A Yes.

18 CHAIRMAN GROSSMAN: We're going to break for lunch
19 now. So, why don't we come back at 1:30 p.m.

20 Off the record.

21 (Whereupon, at 12:00 noon, the hearing was recessed
22 until 1:30 p.m., this same day, Friday, May 29, 1981.)
23
24
25

A F T E R N O O N S E S S I O N

1:30 p.m.

CHAIRMAN GROSSMAN: On the record.

The hearing is now in session.

Mr. Barlow, would you proceed?

CROSS-EXAMINATION (Resumed)

BY MR. BARLOW:

Q Dr. Kovach, are you familiar with the works of the USGS scientists Drs. Boore, Joyner and Porcella regarding ground accelerations?

A (Witness Kovach) Yes, I presume you're referring to the most recent report of theirs?

Q Well, actually, I believe there is a series of three reports on USGS professional circular number 672 and then USGS professional paper number 795 and then the March, 1981 which they presented as I said in March.

Are you familiar with all three of those papers?

A Yes.

Q Have you analyzed the ground accelerations versus distance and magnitude relationships which they have presented in those papers?

A I've checked my analyses against their recent one, yes.

Q How does your analysis and method compare to

1 the analysis and method that they used?

2 Or, excuse me, how do your results compare with
3 their results?

4 A Their results in the near field are roughly
5 20% higher than mine.

6 Q 20% higher, is that for the mean or for all
7 levels?

8 A I would presume it's for the mean.

9 Q Can you explain why their values exceed your
10 values by 20%?

11 A Well, their analysis is a matter of debate in
12 the seismological community but basically they made the
13 assumption that peak ground acceleration does not saturate
14 with an increase in earthquake magnitude and I don't
15 believe that that's the correct hypothesis.

16 Q Can you explain why you support the hypothesis
17 that peak ground accelerations saturate at certain
18 magnitudes?

19 A Well, if one looks at the fact that the local
20 magnitude scale which is based on high frequency components
21 tends to saturate for the higher magnitudes and number 2,
22 the fact that the data from the near field for Coyote
23 Lake and the require a curvature correction which comes
24 out to be magnitude dependent.

25 Q Could you explain how the hypothesis works that

1 hypothesizes that magnitude saturates at certain magnitudes,
2 by that I mean, can you explain at what magnitude level
3 you hypothesize that accelerations saturate?

4 A I would only be guessing, since we don't have
5 any acceleration data in the near field for earthquakes
6 greater than 7.7 which is the Tabas, but I would imagine
7 it's in that range between 7.5 and 8.0.

8 Q I'm sorry, between 7.5 and 8.0?

9 A 8.0, yes.

10 Q So, below magnitude 7.5 you would expect
11 a correlation between magnitude and acceleration?

12 A Well, there is a slight dependence in my analysis
13 on earthquake magnitude, yes.

14 Q And yet in the near field of less than 10 kilometers
15 distance from the recording site, what data sets exist
16 other than the Imperial Valley data set that provides
17 any data for that range between magnitude 6.5 and magnitude
18 7.5?

19 A Well, all of the data that are available are on
20 my figure.

21 Q That's all the data available on a worldwide
22 basis?

23 A That's all that I am aware of. On page 20.

24 Q Are those figures 6 & 7 in your testimony?

25 A Figure 7 on page 20.

1 Q Figure 7 on page 20. Is all of the data that
2 is available at less than 10 kilometers in the range
3 magnitude 6.5 to 7.5?

4 A That's all the data I'm aware of.

5 Q Therefore, is it necessary for the purposes
6 of predicting ground accelerations for seismic design
7 criteria at a site like the GETR to extrapolate from the
8 available data?

9 Do you use extrapolations in your methods?

10 A I use the functional form which I mentioned
11 earlier and tested it against this data which is not
12 really an extrapolation. It's just putting in a higher
13 magnitude into the functional dependents that I use
14 when I'm testing it here against the observed data.

15 Q Can you tell me the magnitude of the Imperial
16 Valley earthquake please?

17 A I believe it's 6.6.

18 Q And the peak horizontal instrumental value is
19 .8G, is that correct?

20 A I believe that's correct.

21 Q If you had -- excuse me. Could you tell me
22 the distance that that .8G was recorded from the fault?

23 A Would you repeat the question please?

24 Q In the Imperial Valley earthquake, the peak
25 horizontal instrumental data point was .8G. What was the

1 distance from the fault that that was recorded at?

2 A I believe 3 kilometers.

3 Q 3 kilometers.

4 If you had an earthquake near the GETR site,
5 on the Verona fault of magnitude 6.5 that was directly
6 beneath the reactor or on the Verona fault zone, whether
7 or not it was directly beneath the reactor itself, can
8 you extrapolate using the Imperial Valley data and
9 come up with a predicted value for the peak instrumental
10 horizontal value for acceleration?

11 A I believe I did that in my testimony. Yes, I
12 did that.

13 Q What value did you extrapolate?

14 (Pause)

15 A Well, I believe that an appropriate magnitude
16 for an event postulated along the Verona fault was in
17 the range of 5.5 to 6.1 and my testimony on page 22, I
18 estimated .4G as an appropriate value.

19 Q .4G. Was that for zero distance?

20 A Between 0 and one kilometer.

21 Q Between 0 and one kilometer.

22 And yet you used a magnitude range of 5.5 to
23 6.0.

24 If you used a magnitude 6.5 on the Verona fault,
25 could you estimate the peak instrumental horizontal accelera-

1 tion for that?

2 A Yes, I could.

3 Q Have you done that?

4 A What?

5 Q Have you done that calculation?

6 A No, I have not done that calculation.

7 Q Were you ever asked to do that calculation?

8 A I was not asked to do that calculation.

9 Q Mr. Gilliland, could you explain to me why
10 General Electric did not ask Dr. Kovach to calculate
11 the ground accelerations for a magnitude 6.5 earthquake
12 on the Verona fault?

13 A (Witness Gilliland) We asked Dr. Kovach to
14 help us with respect to the seismological matters at the
15 site and in his evaluation, he concluded that the values
16 of 5.5 to 6.1 were appropriate values to use.

17 We rely on his expert capability and therefore
18 left it at that.

19 Q Mr. Gilliland, if the NRC staff and the USGS
20 Geological Survey decided that an appropriate magnitude
21 for the Verona fault is a magnitude 6.5, would you ask
22 Dr. Kovach to calculate the peak horizontal instrumental
23 accelerations for a magnitude 6.5 on the Verona fault?

24 A Well, I think it depends a little bit on the
25 nature of how the request read we had received.

1 We have talked about that and my understanding
2 is that the value wouldn't be terribly different so we
3 haven't spent a lot of time with respect to that point
4 so if they were to make a point of that, we would consider
5 it given what they said.

6 Q Dr. Kovach, if you were to calculate the
7 peak instrumental horizontal acceleration on the Verona
8 fault for a magnitude 6.5 earthquake at 0 distance,
9 would the value be higher or would you expect that
10 value to be higher than the .4G that you estimated
11 for your former calculations?

12 A I wouldn't want to speculate on that without
13 doing the calculation.

14 Q In doing that calculation, would you use the
15 data set from the Imperial Valley earthquake?

16 A I would perhaps, you know, consider that to
17 be part of it, yes.

18 I would certainly look at the data.

19 Q And, you noted that in the Imperial Valley
20 quake at a distance of 3 kilometers, the peak instrumental
21 horizontal value was .8G which is double the value that
22 you predicted using your calculations, is that correct?

23 A If you look at the graph on figure 6, you'll
24 see that there are roughly -- several data points at
25 three kilometers and you've taken the maximum one of .8 and

1 asking me if I would use that as the sole basis for
2 estimating the value and the answer to that is no, I
3 would not.

4 I would attempt to look at all of the data
5 and come up with the best assessment at that distance
6 for that magnitude range that I could.

7 Q Am I correct in understanding you to say that
8 you would choose to use the mean value rather than the
9 peak value?

10 A I would use the mean of the peak values observed.

11 Q Dr. Kovach, if you were to analyze an earthquake
12 of the magnitude of 6.5 on the Verona fault at zero distance
13 from the GETR, to calculate the peak vertical instrumental
14 accelerations, do you have any idea what value you would
15 come up with?

16 A (Witness Kovach) No.

17 Q Did you calculate the peak vertical accelerations
18 based on a data set or did you just use the 2/3rds
19 of horizontal formula to arrive at your estimate of
20 vertical accelerations?

21 A I did not do that calculation.

22 Q You did not calculate the peak vertical accelera-
23 tions at the site for a magnitude 6.5 on the Verona Fault?

24 A That's correct.

25 Q Mr. Galliland, why did General Electric not ask

1 Dr. Kovach to calculate the peak vertical acceleration
2 for a magnitude 6.0 to 6.5 earthquake on the Verona
3 fault zone?

4 A (Witness Gilliland) Yes, let's see. Did I
5 understand correctly -- is that the question you asked
6 before? It seems the same question.

7 Q I was talking about --

8 A So what's the difference?

9 Q I was talking about horizontal accelerations
10 in previously asked questions.

11 A Horizontal? Well, again, we were relying on
12 Dr. Kovach's evaluation of the data and what he has stated
13 with respect to the vertical, we rely upon.

14 Q Why did you not ask him to calculate the vertical
15 values for the magnitude range which he used in the 5.5
16 to the 6.0 range?

17 A Well, let's see.

18 My impression from what he has said here today
19 and what he has told us, in previous conversations is
20 that his assessment produced values of vertical accelerations
21 which we have subsequently used in our evaluations of
22 structure and based on that, we didn't see any point
23 with proceeding with the point you were raising.

24 Q Were you aware that Dr. Kovach's assessment's
25 of vertical accelerations were based on the formula that

1 vertical is 2/3rd's of horizontal? Rather than an
2 analysis of the data set?

3 A My impression is that he evaluated the information
4 that he had, that he did not start arbitrarily with 2/3rds

5 Q I'm sorry, I didn't understand that. Could you
6 repeat that answer?

7 A I said, my impression is that he arrived at that
8 conclusion having looked at the data set. He did not
9 start with the notion that the vertical would be 2/3rd's
10 of the horizontal.

11 He reached that conclusion having looked at
12 the data.

13 Q Did you realize that he was excluding certain
14 data in his calculations?

15 A Certain -- what are you referring to?

16 Q The Imperial Valley vertical accelerations,
17 the Gazli earthquake acceleration, vertical accelerations and
18 the Coyote Lake vertical accelerations?

19 A I'm sorry, I can't hear you. You're not speaking
20 very clearly.

21 Q Oh, I'm sorry. Did you realize that Dr. Kovach
22 was excluding from his analysis the vertical data sets
23 from the three earthquakes, the Coyote Lake quake, the
24 Imperial Valley quake and the Gazli quake?

25 A I'm aware that the -- there is at least one data

1 point in the Imperial Valley which was anomalously high
2 for reasons which have been subsequently described by a
3 number of people including Dr. Kovach here today.

4 And, for that reason, should not have been
5 included in the data set.

6 It is my understanding that similarly for Gazli
7 the high vertical is due to conditions similar to the
8 one that gave rise to the value at Imperial Valley and
9 therefore appropriately is not included.

10 What we're trying to do, I believe is to
11 establish proper design values for the GETR site and
12 simply to say that the values that one gets from instrument
13 accelerations at a place like Imperial Valley which is in
14 a different geologic setting and for a different character
15 of fault is not a proper thing to do. It is restricted,
16 and so you must rely on the experience and judgement
17 of persons who have evaluated this data so that it
18 is possible to arrive at the proper values for GETR.

19 I think through -- to simply jump into it and
20 say the Imperial Valley has a value and therefore the GETR
21 should have the same one is not proper.

22 It is not consistent.

23 Q Mr. Gilliland, did General Electric employ as
24 consultants geologists or seismologist to estimate
25 seismic design criteria prior to the construction of

1 the GETR?

2 A Let's see.

3 I would have to do some looking. My recollection
4 is that in the course of the design effort, the GETR
5 and the records -- this is an old historic situation, that
6 in the course of the design that there were persons employed
7 to evaluate seismological matters with respect to its
8 design.

9 Q Were those persons geologists or seismologists?

10 A Well, I'm having trouble recalling the names
11 so I would have more difficulty recalling their
12 specialty, so I guess my best answer to you at this point
13 is I don't know.

14 Q I recall during the discovery process a statement
15 which you may be familiar with that in regards to the
16 excavation photographs of the hypothetical fault and the
17 foundation of the GETR, that G.E. had employed certain
18 individuals of the Parsons company who looked at the
19 possible faults and foundations but that none of those
20 persons were geologists or seismologists, is that correct?

21 A I think that the response, well, the information
22 with regard to that particular point is that there were
23 personnel assigned to the construction of the GETR who
24 observed the excavations but while they were not trained
25 geologists but at the same time had experience in excavation

1 for buildings felt in subsequent questioning that they
2 would observe any major structural phenomena that might
3 have been there.

4 I think that's verified by the examination
5 that has been subsequently made of construction photographs
6 that were taken and have been evaluated.

7 Q Dr. Kovach, if an earthquake of magnitude 6.5
8 occurred on the Verona fault zone, directly beneath the
9 Reactor, would you expect the fact that it's at zero distance
10 to cause higher ground accelerations than we observed in
11 the data sets at distances larger than zero?

12 A (Witness Kovach) Excuse me, larger than what?

13 Q Larger than zero?

14 A I really wouldn't want to speculate because
15 when you're pushing in the curve into zero distance, it
16 becomes almost horizontal and I, you know, couldn't
17 answer that off the top of my head.

18 Q Is that based on the saturation theory?

19 A No, that's just based on the functional formula
20 I was using.

21 Q In your?

22 A In my analysis.

23 Q In your analysis.

24 Have you looked at the March 1981 report by
25 Drs. Boore, Joyner and Porcella from the U.S.G.S in regards

1 to a magnitude of 6.5 earthquake at zero distance for the
2 peak horizontal instrumental value?

3 A Well, I'm aware that they have done that calcula-
4 tion, but I can't recall what the result is.

5 Q Do you have that report in front of you?

6 A I may have it in my brief case but I think it's
7 in front of me, just give me a minute here.

8 (Pause)

9 I presume you're referring to Open File Report
10 81-365?

11 Q That's correct.

12 A By Joyner, Boore and Porcella?

13 Q Yes.

14 Did you -- could you look at their peak instrumental
15 horizontal chart?

16 (Pause)

17 Could you look at a magnitude earthquake 6.5
18 at zero distance and tell us what the peak horizontal
19 value is?

20 (Pause)

21 A No, no, I can't do that because you don't go
22 to zero on log paper but you want me to read the value
23 off the end of the graph?

24 Q I'm sorry, I don't understand. Could you
25 repeat your answer?

1 A Well, what's plotted here is the logarithm
2 of the distance versus --

3 Q Do they have a chart that compares distance
4 to horizontal accelerations?

5 A Yes, that's what I'm pointing to here.

6 Q It does not have a zero distance on here?

7 A Well, it doesn't, you can't go to zero on log
8 paper.

9 Q Can you go to less than 1 kilometer?

10 A Yes, we can go to less than 1 kilometer.

11 Q Can you tell us what the value is?

12 A Well, I would estimate, it looks like half of
13 G. 0.5G.

14 Q While you're looking at that could you look
15 at a magnitude 7.5 earthquake at a distance of 3.0 kilometers?
16 And, tell us what the value is?

17 A Well, it's hard to read on this, but it's
18 approximately -- they're estimating 1G will be exceeded
19 50% of the time.

20 Q One G would be exceeded 50% of the time?

21 A That's correct.

22 Q And on the 84th percentile chart, is there
23 one of those?

24 A I can't read it on the graph. Oh, excuse me, I'm
25 still looking at the wrong --

1 (Pause)

2 I guess the 84% curve here, exceedent's
3 probability?

4 Q Yes, sir.

5 A I don't know, it's something in excess of 1G,
6 I can't read it on the graph here.

7 Q In excess of 1G?

8 (Pause)

9 Dr. Kovach, are you familiar with the data
10 set from the Milindi Ranch quake in Bear Valley in 1972?

11 A (Witness Kovach) No, I'm not.

12 CHAIRMAN GROSSMAN: By the way, before we
13 go further, were those values horizontal or vertical
14 accelerations that you just gave?

15 WITNESS KOVACH: They were just horizontal
16 accelerations.

17 CHAIRMAN GROSSMAN: Thank you.

18 BY MR. BARLOW:

19 Q Dr. Kovach, you said that you had examined
20 Dr. Bolt's paper on the Livermore Earthquake of 1980, is
21 that correct?

22 A (Witness Kovach) I've read the paper, yes.

23 Q Do you agree that the earthquake of January 24,
24 1980, was a magnitude 5.5?

25 A Well, I have no reason to disagree with Dr. Bolt's

1 determination of magnitude.

2 Q And yesterday when we were looking at this
3 in regards to your testimony on page 14, where you say
4 that there is roughly 31.5 times as much energy released
5 for each full-step increase in earthquake magnitude and
6 I ask you to compare the energy released during a 5.5
7 earthquake with the energy released during a magnitude
8 7.5 earthquake and you said that the larger earthquake
9 would release approximately 900 to 1000 times as much
10 energy as a smaller earthquake?

11 A That's correct.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q Now, in examining the earthquake of January 24,
2 1980, the Livermore earthquake, I asked you whether or
3 not you were familiar with the concept that that earthquake
4 exhibited seismic focusing and you said yes, is that
5 correct?

6 A (Witness Kovach) Well, I read the statement
7 that Mr. Bolt said there seemed to be some evidence
8 for focusing on that earthquake.

9 Q Do you think that the reason -- do you think
10 that Dr. Bolt's statement is based on an analysis of the
11 distance from the epicenter to a point approximately 15
12 kilometers south at the Livermore lab site where there
13 was extensive structural damage?

14 A I don't know the answer to that question.

15 Q Are you aware that there was extensive
16 structural damage at the Livermore nuclear laboratory
17 during that earthquake?

18 A I'm not familiar enough with any of the damage
19 to make a knowledgeable statement about that.

20 Q In a hypothetical situation, if you had a
21 magnitude 5.5 earthquake and 3 kilometers from the epicenter
22 you had trailer parks and dikes on saturated mud, would
23 you expect damage to the --

24 MR. EDGAR: Object to the hypothetical on
25 the grounds that there's no foundation in the record.

1 CHAIRMAN GROSSMAN: I assume you're going to
2 connect that up later, is that correct, Mr. Barlow?

3 MR. BARLOW: Yes, sir.

4 CHAIRMAN GROSSMAN: You may proceed.

5 BY MR. BARLOW:

6 Q Would you expect strong ground shaking at a
7 distance of three kilometers from the epicenter of the
8 magnitude 5.5 earthquake that might damage a saturated
9 dike or a trailer -- a house trailer?

10 A I'm not a structural engineer, perhaps Dr. Kost
11 can.

12 Q Dr. Kost, could you answer that question?

13 A I didn't understand the last three or four
14 words that you used, could you please repeat them?

15 Q Yes, sir.

16 If there were an earthquake whose epicenter
17 were three kilometers from a trailer court with house
18 trailers and also three kilometers from a water saturated
19 dike, in the delta of the San Joaquin river valley --

20 A With a water saturated dike?

21 Q Yes. Would you expect some sort of damage
22 to either the trailer court or the dike during that earth-
23 quake? At that distance and at that magnitude, 5.5?

24 A I think that it's quite possible that there would
25 be damage to trailer courts. It's well known that such

1 structures have not behaved well in earthquakes. They
2 tend to be supported on concrete blocks and are in fact
3 just sitting there perched on very flimsy supported
4 structures and I think as a result of this experience
5 it has been learned that that's an undesirable form
6 of anchorage and as a result, we're beginning to design
7 anchorages for trailer courts to mitigate and eliminate
8 such damage.

9 Q Dr. Kost, are you aware or or have you analyzed
10 any of the structural damages during the Livermore earth-
11 quake of 1980?

12 A No. I have not.

13 Q Dr. Kovach, focusing on the subject of seismic
14 focusing, have you analyzed a report from the earthquake
15 engineering research institute dated December, 1978,
16 entitled engineering features of the Santa Barbara earth-
17 quake of August 13, 1978?

18 A (Witness Kovach) I've read the report, I've
19 not analyzed the report.

20 Q Dr. Kost, have you read that report?

21 A (Witness Kost) Yes, I read it.

22 Q Dr. Kovach, having read that report, and looking
23 at the characteristics of the Santa Barbara earthquake,

24 --

25 A (Witness Kovach) Excuse me, which earthquake?

1 Q The Santa Barbara earthquake of August 13,
2 1978 -- would you expect to find higher ground accelerations
3 in the town of Goleta or Isla Vista at a greater distance
4 from the epicenter than you would expect to find in the
5 city of Santa Barbara at a closer distance to the epicenter?

6 A That's quite possible.

7 Q If there were higher ground accelerations,
8 on the University of California campus at a greater distance
9 from the epicenter than downtown Santa Barbara, would
10 you attribute those higher accelerations to the phenomena
11 of seismic focusing?

12 A That's one possible explanation.

13 Q And have you looked at the after-shock and
14 main shock epicenter locations of that quake?

15 A No, I have not.

16 Q Would you be of the opinion that the seismic
17 rupture propagated in the direction of Isla Vista rather
18 than the direction of Santa Barbara?

19 A Well, from what I read in the report, it's the
20 analysis, the preliminary analysis suggested that there
21 was a rupture that went up/dip up the plane so I accept
22 that as a base value.

23 Q Dr. Kovach, if you had a hypothetical earthquake
24 on the Calaveras fault zone, which was a few kilometers to
25 the North of the GETR site near the town of Dublin, the

1 epicenter, it's near Dublin, and the rupture was propagating
2 to the South, do you agree that it would be possible to
3 have seismic focusing in the direction of the GETR site?

4 A (Witness Kovach) That's possible, yes.

5 Q Do you agree that the seismic focusing in this
6 hypothetical situation could cause higher ground accelera-
7 tions in the direction of rupture propagation?

8 A That's a point of possibility. I mean, seismic
9 focusing is very clear to be much more pronounced in
10 ground displacement and ground velocity. However, a more
11 correct statement would be that you might expect it to have
12 effect on the peak accelerations, but in some cases, it's
13 clear that that does not happen.

14 Certainly if one looks at some of the data
15 from the Imperial Valley, some of the Mexican stations that
16 were behind the rupture front, they had comparable amplitude
17 to -- in the accelerations to those stations that were
18 in front of the rupture, so there it's not at all definitely
19 conclusive that focusing had that much of a pronounced
20 effect on the accelerations.

21 The reasons for this are, that there can be
22 local variations in the direction of rupture propagation,
23 there can be scattering and lateral refractions, and
24 all of these tend to reduce the effect of the high
25 frequency component of acceleration.

1 So, I'm not disputing the fact with you that
2 yes, focusing can have an effect on ground acceleration
3 but I'm saying that sometimes it may not.

4 Q Would the degree of seismic focusing depend on
5 local seismic fault geometry as one of the parameters?

6 A Well, the focusing depends on several parameters.
7 It depends on the velocity of the propagation of the rupture,
8 it depends on the shear wave velocity of the material
9 and it depends on the azimuths in which the way your
10 stations are relative to which way the ruptures went.

11 Q Is fault geometry one of the parameters?

12 A Would you define what you mean to me as fault
13 geometry?

14 Q Would you expect the occurrence and characteristics
15 of seismic focusing to be effected by the parameter of
16 fault geometry?

17 A I'm unclear as to what you mean by fault geometry.
18 Do you mean which way the fault is aligned?

19 Q No, I mean if there is a complex geological
20 situation such as we have around the GETR site and to be
21 more specific, if you had the Calaveras fault zone
22 paralleled by the Pleasanton fault zone and the Verona
23 fault zone and you had an earthquake whose epicenter is
24 near Dublin, with the rupture propagating to the South,
25 how would that rupture propagation interact with the fault

1 geometry of the Calaveras fault, the Pleasanton fault
2 and the Verona fault?

3 A Could I ask Dr. Jahns to answer that question?

4 A (Witness Jahns) I must confess to begin with,
5 I share Dr. Kovach's difficulty in understanding precisely
6 what you mean by fault geometry. Do you mean the attitude
7 of the fault surface or it's straightness or just what?

8 Q I mean the strike of the fault geometry as
9 mapped on the surface.

10 A Whether it's straight or not? Simple or branched?
11 Joining or rejoining?

12 Q The geometry as mapped on the surface.

13 A Then your question allows for a very wide latitude
14 of answers because so much depends on whether it is a
15 simple break, whether it's straight or curved -- or whether
16 it's a series of an anastomosing break, something of that
17 sort.

18 Insofar as the Verona structure is concerned,
19 we know it can't be simple because there's more than one
20 break.

21 And, they're sub-parallel to be sure but they're
22 not planar. They show curvature of various kinds. The
23 Calaveras doubtless is even more complicated, comprising
24 of very large numbers of breaks that branch and join.

25 Now, if you could indicate what you would like me

1 to do with this I'll see what I can do.

2 Q Considering the complexity of the fault geometry
3 with these faults, if you had a magnitude 7.5 earthquake
4 on the Calaveras fault zone, whose epicenter was near the
5 town of Dublin, in a similar location of the earthquake
6 of 1861, according to the records that we have, and the
7 rupture from this earthquake propagated to the south along
8 the Calaveras fault zone, would it be possible for this
9 rupture to break along different strands of the Calaveras
10 fault?

11 A That's possible, yes.

12 Q Would it be possible for the earthquake to rupture
13 a new strand parallel or adjacent to the Calaveras fault
14 zone?

15 A It's also possible.

16 Q In otherwords, it could break new ground?

17 A The fact that there is more than one break on
18 an existing fault zone indicates that of course, that's
19 happened at least once during geologic time.

20 So it is possible, yes.

21 Q Could that rupture happen to the East of the
22 Calaveras fault zone?

23 Or, whatever hypothetical distance?

24 A I would say yes.

25 Q Therefore, could this hypothetical rupture occur

1 close to the GETR site than the mapped trace of the
2 Calaveras fault zone?

3 A Yes, that's within the realm of possibilities.

4 Q Would you expect a new rupture such as this
5 to occur along a zone of weakness of an older fault that
6 might be mapped in the area that is rupturing?

7 A Such as the Verona?

8 Q No, sir, not the Verona.

9 A If there were an existing zone of weakness, the
10 geometry of which was appropriate for ready transmission
11 of the rupture from the Calaveras to a new trend, then this
12 certainly would be a possibility.

13 Q Looking at Intervenor's Exhibit No. 1, could
14 you -- do you have that available?

15 (Pause)

16 A I believe I have it here somewhere.

17 Q I'm sorry, looking at Intervenor's Exhibit No. 2.

18 (Pause)

19 No, the next one which is the ESA Map.

20 That's number one you have there. Well, looking at number
21 one first, on Darrell Herd's map in Intervenor's Exhibit
22 No. 1, would it be possible for an earthquake of magnitude
23 7.5 on the Calaveras fault to rupture along the fault which
24 is mapped by Darrell Herd between the Calaveras and the
25 GETR?

1 A Well, first, so that you don't place too much
2 weight in the response I might make, I don't know personally
3 of the nature or even the existence of this fault.

4 Nonetheless, I would say that it is possible,
5 albeing extremely improbable for rupture to occur along
6 such a trend, whether or not the fault is there now.

7 Q Okay, thank you.

8 Dr. Jahns, are you familiar with the Pleasanton
9 fault zone?

10 A I know of it and I can't claim familiarity with
11 it.

12 Q Have you examined any maps which show--?

13 A I have looked at maps which show it depicted, yes.

14 Q In your opinion, would it be possible for a large
15 earthquake on the Calaveras fault zone to rupture along
16 the Pleasanton fault zone?

17 A I would not expect that.

18 One can't rule it out completely as a possibility.
19 Instances are known throughout recorded seismologic
20 history world-wide. A major rupture occurring on one fault
21 and then either at essentially the same time or shortly
22 later, what amounts to sympathetic rupture occurring on
23 another fault nearby but not necessarily connected. That
24 happened in 1952 in connection with the Arvin-Tehachapi
25 and the Bakersfield earthquakes. That might be roughly

1 comparable to the hypothetical case you pose, in that there
2 are two faults sub-parallel, some considerable distance
3 apart but in the same region and not apparently connected.
4 with seismic events close enough in time so that one could
5 make a reasonable supposition that somehow the later one
6 represented the change in stress/strain relationships
7 associated with the earlier one.

8 Q Therefore, do you agree that a subsidiary or
9 a lower order fault can experience sympathetic surface
10 faulting during the earthquake on a nearby major fault?

11 A As a possibility, yes.

12 I think I should add that almost all of these
13 things that we've been talking about since I think your
14 first question in this series deal with the -- just the
15 extreme limits of the probability scale.

16 But, they are possible.

17 Q Dr. Jahns, could you describe for us the
18 characteristics of the 1952 White Wolf fault earthquake
19 near Bakersfield including a description of the sympathetic
20 faulting that occurred and the major aftershock that
21 occurred near Bakersfield?

22 A Well, the White Wolf fault is a break that
23 has general East/West trend and represents North/South
24 crustal shortening. So, it is a thrust, and the average
25 dip on the order of 45°. It's one of the faults that some

1 investigators group as a transverse range structure. Others
2 consider it as a sort of outlying feature North of the
3 transverse range's proper.

4 But it certainly has transverse range's affinities
5 in the terms of it's attitude and general movement since.

6 In 1952, there was a major shock, magnitude
7 7.7 on that fault with both dip/slip and horizontal
8 slip components of movement so it was a left oblique
9 thrust slip and each of these slips, was -- each of these
10 components was on the order of two feet, three feet about
11 maximum for any of the components.

12 A really big earthquake with surface rupture
13 of course, and with a highly asymmetric epicenter relative
14 to the total length of the fault -- the epicenter lay
15 at almost the extreme West end of the fault and I should
16 add here to place this in proper perspective the White
17 Wolf fault is essentially parallel to the Garlock fault
18 and specifically it's trend although East/West in general
19 is East/Northeast and it extends in that structurally
20 interesting block of ground that lies north and east of
21 the intersection of the San Andreas fault and the Garlock
22 fault in the Big Ben region.

23 Geographically it's located South, Southeast
24 and East of Bakersfield at the South end of the San Joaquin
25 Valley.

1 It's one of those faults so far as we can
2 determine with the data available that's capable of
3 one of the larger kinds of earthquakes that occur in
4 California off the San Andreas fault and probably with
5 a very long recurrence, average recurrence interval,
6 especially relative to those along the San Andreas itself.

7 Now, the fault along which the subsequent
8 several months later Bakersfield earthquake occurred,
9 is sub-parallel to the White Wolf, north of it, in the
10 general vicinity of Bakersfield and not exposed at the
11 surface.

12 Presumably it is because the earthquake that
13 occurred after the ARvin-Tehachapi was great enough to
14 have caused surface rupture but I'm speaking now of
15 a geologic sense.

16 If you look at the fault prior to that earthquake,
17 does it show scarps and features of that sort and the
18 answer generally is no and that's largely the expression
19 of the youthfulness of the materials in that part of the
20 San Joaquin Valley floor.

21 That earthquake occurred -- I don't recall
22 that exact length of intervening time, but it was many
23 weeks later, long enough so that it became a fruitful area
24 of discussion among seismologists as to whether it was
25 an aftershock or a separate sympathetic break or something

1 not associated at all. Does that respond to your request
2 for a description?

3 Q Yes, definitely, I have a couple of follow-up
4 questions on that earthquake. Could you tell us the
5 magnitude of the aftershock or the secondary shock?

6 A I don't recall it's exact magnitude but it was
7 as usual for after shocks and at least an order less than
8 the 7.7 Arvin-Tehachapi.

9 Q And it was a different fault than the main
10 shock?

11 A Yes, that's right.

12 Q Do you know the distance between the secondary
13 fault and the main fault?

14 A Well, that's your term secondary fault.
15 Maybe it was, I don't think anyone knows for
16 sure.

17 There was a major difference in energy release,
18 of course and it was at least a factor of 50 and
19 perhaps a good deal more.

20 Q Do you know the approximate distance between
21 the epicenter of the main shock and the epicenter of
22 the secondary shock or aftershock?

23 A Well, as I recall the epicenter of the
24 subsequent shock lay both North and East of that for the
25 principle shock which was extreme West on the White Wolf

1 fault.

2 Q Do you know the approximate distance between
3 those two epicenters?

4 A No, that I don't.

5 Q Do you know an approximate length of the White
6 Wolf fault?

7 A No, not without being able to scale it off on
8 the map.

9 It extends from the vicinity of Wheeler Ridge
10 and Grapevine where it probably is buried beneath the
11 pleato and some other shallow thrust features there in
12 that very complex area to points corresponding to the
13 southern projection of the Kern Canyon fault at the
14 south end of the Sierra Nevada.

15 It's a distance of a good many 10's of miles.

16 Q Do you have any idea of the length of the
17 fault that the aftershock occurred on?

18 A No, I don't think anyone does really. There is
19 enough information on aftershocks of that earthquake to
20 provide some notion of a rupture area, but how far beyond
21 that, East and West, the fault extends, no one really
22 knows because Westward it's part of the Valley that has
23 not been explored for oil so there's very little sub-surface
24 control at the right depths.

25 Q Did the aftershock cause surface rupture?

1 A I beg your pardon?

2 Q Did the--was the aftershock accompanied by
3 surface rupture?

4 A Not to my knowledge.

5 Q Did the aftershock cause more damage than the
6 main shock?

7 A As I recall in dollar terms, yes, because it
8 affected a great many more people. The principle factor
9 was demographic.

10 Q Do you agree that in general large earthquakes
11 along the San Andreas fault boundary on strike/slip
12 faults in California can be accompanied by significant
13 aftershocks that can cause damage?

14 A I'm sorry, I didn't catch all the words in the
15 last part of your question. Would you mind repeating that?

16 Q Certainly. Do you agree that large earthquakes
17 on strike/slip faults in the San Andreas fault boundary,
18 plate boundary, excuse me, be accompanied by aftershocks
19 that can cause significant damage?

20 A Yes.

21 Q Can such aftershocks be located at a distance
22 of several kilometers from the main fault and the first
23 epicenter?

24 A Well, without attempting to be picky or to split
25 hairs, if you're willing to include in this category

1 sympathetic failure on adjacent faults, things of that
2 sort, yes, that's possible.

3 I would prefer to think of an aftershock as
4 something representing continuance of the same rupture
5 that caused the original shock.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

t8 1 Q Would you characterize the aftershocks as being
2 adjustments of stress in the crust?

3 A That's the view of most, I believe.

4 Q To be site specific at the GETR site, is it possible
5 that a magnitude 7 to 7.5 earthquake on the Calaveras fault
6 would be accompanied by a significant aftershock?

7 A Where?

8 Q Within a radius of several kilometers from the
9 fault.

10 A On the Calaveras fault?

11 Q Either on the Calaveras fault or adjacent to it or
12 on nearby faults or zones of weakness.

13 A Okay. Just so I understand, our nomenclature remains
14 slightly different.

15 Q If you want to correct my nomenclature --

16 A No, no. No correction is necessary, just so we are
17 clear. Some sympathetic shock, I take it.

18 Q Yes, sir.

19 A Yes. I think this is possible and probably with the
20 same order of probability as a rupture in hitherto unbroken
21 ground. I am very reluctant on bases other than those we
22 have heard here in this room to relate some sort of failure
23 on the Verona fault directly to failure on the Calaveras
24 because their respective geometries and movement senses are
25 so fundamentally different.

1 Q Are you aware --

2 A It's still possible.

3 Q Okay. Are you aware that during the January, 1980,
4 Livermore earthquake on the Greenville fault that there was
5 sympathetic surface rupture on the Las Positas fault?

6 A That's what I've been told. And I have been told
7 by others whose opinions I also respect that it is very doubt-
8 ful that that is primary rupture. So evidently it is not
9 in scientific senses an open and shut case. But it is some-
10 thing that is certainly another possibility.

11 Q If it were not primary rupture would it be secondary
12 or sympathetic surface faulting? Is that how you would
13 characterize it?

14 A I should say if it were not primary rupture the
15 most likely thing would be a surface expression of fling or
16 heave of soft unconsolidated materials. These things are
17 very widespread and, incidentally, are the -- that problem
18 is the principal reason for doubt as to how much surface dis-
19 placement there was on the old events on the Hayward and
20 Calaveras fault. It is very hard to determine from the des-
21 criptions of laymen however carefully made they might be
22 whether one is dealing with primary surface faulting or some
23 form of heave or fling of relatively soft material, which is
24 a quite different thing.

25 Q Considering the nature of the soil characteristics

1 at the GETR site, could you have this phenomena of heave or
2 fling on the GETR site during a major earthquake on the
3 Calaveras fault?

4 A I would not expect much of that at the site, no.

5 Q What is that based on?

6 A The cover of really soft, unconsolidated material
7 is very thin. That sort of thing happens most typically
8 in domains where there is a considerable thickness, many tens
9 or a few hundreds of feet of very soft material and it is in
10 those circumstances you typically get the jello in the bowl
11 phenomenon where you rattle a bowl and the jello really moves.

12 Q Is that jello bowl phenomenon generally associated
13 with valleys?

14 A . Very commonly because they are the logical places
15 for the accumulation of soft, unconsolidated, very weak
16 materials.

17 Q Considering the GETR site and the proximity of the
18 Calaveras fault, do you believe that it is possible during
19 the past few million years of activity on the Calaveras fault
20 that at some time in geologic history the Calaveras fault was
21 rupturing further east than its present location?

22 A At a given latitude, you mean?

23 Q Yes. At any latitude.

24 A I think that's possible, if one couples that with
25 a depth. The fault may not be vertical. If it were dipping

1 say steeply east then there could well be rupture east of
2 its present trace a little bit. This kind of thing is well
3 known where there are clusters of well-controlled epicenters
4 along the San Andreas and the Sargent and Hayward faults.

5 Q Is that a possible explanation for the observations
6 by the USGS that epicenters along the Calaveras fault are
7 typically east of the fault?

8 A That's one possible explanation. Another one equally
9 -- maybe even more generally applicable -- is difference of
10 materials on either side of the fault so that the paths of
11 -- ~~the travel paths can be different and be characterized by~~
12 different velocities. So that the epicentral locations could
13 be modified on the scales that you are talking about.

14 Q Would that be related to the fact that between the
15 Calaveras fault and the Hayward fault there is the Sinole
16 Ridge which is a crustal block that is tilted up between the
17 two fault zones? Is that what you meant by the difference
18 in characteristics of the soils on the two sides of the
19 Calaveras fault?

20 A Yes. Certainly this is a belt in California geology
21 where there is juxtaposition commonly along steeply dipping
22 faults of different materials of different geologic ages and
23 in many instances violently different physical properties and
24 hence differences in elastic properties or properties relative
25 to the behavior of elastic waves.

1 Q Considering your responses to the last few questions,
2 do you agree that it is possible that an earthquake of magni-
3 tude 7 to 7.5 on the Calaveras fault could be epicentered
4 between the Calaveras fault and the GETR site?

5 A With an accurately located epicenter?

6 Q I'm not sure what you mean by that.

7 A Well, all epicenters are plus or minus something in
8 terms of location. So in your hypothetical instance you want
9 one known to be in terms of location.

10 Q I realize that there are errors of location, but
11 with the typical errors of location.

12 A Okay. No, I would not expect that.

13 Q Is it theoretically possible?

14 A I would think that would be possible only in con-
15 nection with what amounts to a newly developed fault which is
16 possible, but way out there at the very end of the line of
17 probabilities. Because here one has in the Calaveras a very
18 well defined zone of breakage and to depart substantially
19 from that zone of breakage with a brand new rupture in pre-
20 viously unbroken rock is simply not something one would expect.

21 Q Okay. Thank you, Dr. Jahns. Dr. Kovach, returning
22 to you and the discussion of seismic focussing, I would like
23 to ask you a question. Do you agree that in thrust faulting
24 there can be seismic focussing in thrust faulting in a
25 vertical or vertically dipping angle?

1 A (Witness Kovach) Yes, I agree it is possible.

2 Q Do you think that such focussing during thrust
3 faulting could cause higher ground accelerations than would
4 occur without the focussing?

5 A That's also possible and, as I explained before,
6 it is also not possible.

7 Q If there were a thrust faulting event on the Verona
8 fault beneath the GETR reactor could that thrust faulting
9 event be accompanied by seismic focusing?

10 A It's possible.

11 Q Dr. Kovach, have you reviewed a report by Dr. Darrell
12 Herd of the USGS dated 1977 entitled Geologic Map of the Las
13 Positas, Greenville and Verona Faults, Open File Report 77-
14 689?

15 A No, I have not read that report.

16 Q Have you ever seen the epicenters of earthquakes
17 in the Livermore Valley chart which accompanies this report?
18 You may have seen it separately from the report, since you
19 do seismicity studies. Would you review this document, please?
20 Dr. Jahns, would you also review the document?

21 A (Witness Kovach) I have not seen this before.

22 Q You have never seen that page from Dr. Herd's report?

23 (Pause)

24 MR. BARLOW: Could we have this page marked Inter-
25 venor's Exhibit No. 4?

1 (The document was marked for
2 identification as Intervenor
3 Exhibit No. 4.)

4 MR. SWANSON: Could we have just a couple of minutes
5 while we get our copy of this document? I assume there is
6 going to be some questioning on this.

7 MR. CADY: Your Honor, may we have a five-minute
8 break so that the witnesses can review the document and give
9 the staff the time to find it?

10 CHAIRMAN GROSSMAN: Fine. We'll take a five-minute
11 break.

12 (A brief recess)

13 CHAIRMAN GROSSMAN: On the record. Mr. Barlow, you
14 may proceed.

15 BY MR. BARLOW:

16 Q Dr. Jahns and Dr. Kovach, have you had a chance to
17 review the document, Intervenor Exhibit No. 4?

18 A (Witness Kovach) I have looked at the map, yes.

19 Q I believe you said that you had never reviewed this
20 document in the past, is that correct?

21 A I have not seen this map before and I have not seen
22 the report and I don't know in what context this map fits
23 into the report.

24 Q If I might briefly describe the context in the
25 report --

1 MR. EDGAR: We'd like to have the report speak for
2 itself. Could you -- why don't we go ahead and have you des-
3 cribe it and see if that will shortcut it.

4 MR. BARLOW: Okay. This report accompanied Dr.
5 Darrell Herd's original map in 1977 of the Calaveras, Verona
6 and Las Positas faults. The report and the map were pub-
7 lished I believe in September, 1977, the month prior to the
8 shutdown of the GETR reactor. They discussed the epicenter
9 map, which is Exhibit No. 4, is in a section entitled Tectonic
10 Implications of Faulting in the Area -- I believe that is a
11 **paraphrase of that.**

12 BY MR. BARLOW:

13 Q The epicenters which you see on Exhibit No. 4,
14 would you agree that those are associated with faulting in
15 the region of the GETR site?

16 A (Witness Kovach) Not necessarily. As I say, I
17 don't know how this map was prepared. It looks superficially
18 to me like it's a -- the points are laid out in a grid so it
19 is like a computer plot. I don't know what the uncertainties
20 here are in any of the locations. So it would be presumptuous
21 of me to try to associate any of these epicenters with faults
22 on the basis of this map. I might add that there is a more
23 up to date one in my testimony which Prof. Bolt prepared
24 which has many more epicenters and much larger data base than
25 apparently is used in this --

1 Q I realize that, Dr. Kovach, and I agree with you
2 that there is a larger number of epicenters on Dr. Bolt's
3 map. But I wanted to focus for the purposes of this period
4 on this series of epicenters which occurred during a certain
5 time period in the 1940's in the Livermore Valley. If you
6 were to -- first let me ask you a general background question.
7 Can you describe for me the errors of uncertainty in epicenter
8 location and how they have changed since 1940 in this region?

9 A Well, it is my belief that prior to 1969, before
10 the USGS installed a very dense network of stations, that
11 most of the epicentral locations in this area are based on
12 the readings from I believe two stations, Berkeley and Mt.
13 Hamilton, which -- and they are based on using S-T time.
14 So I would say prior to 1969 the uncertainty in the epicentral
15 locations are certainly much larger than they were after 1969.

16 Q Could you quantify the range in kilometers in the
17 errors of uncertainty prior to 1969?

18 A Well, I can't be overly specific since I, you know,
19 didn't review the locations here. But I would say that the
20 recent ones after 1969 are believed to be accurate to within
21 a kilometer or so. I believe the ones prior to 1969 could be
22 in error by several kilometers or so.

23 Q Several kilometers, is that the range of uncertainty?

24 A That's my estimate.

25 Q If you applied that range of uncertainty in epicentral

1 location to these epicenters before you in Exhibit 4, is it
2 possible that the epicenters of those earthquakes could be
3 beneath the GETR site?

4 A I don't know what the scale is here on the map.
5 So I can't really answer that.

6 Q I'm sorry. I don't know either. It's not on there.
7 Okay. I just have a couple more questions. Dr. Jahns --

8 A Well, let me just answer. Yes, it is possible
9 that some of these epicenters could be close to the GETR
10 site; however, because of the uncertainty they could also be
11 further away.

12 Q Okay. Dr. Gilliland -- Mr. Gilliland -- could you
13 explain to me why General Electric did not ask Dr. Kovach and
14 Dr. Jahns to review Dr. Darrell Herd's original 1977 report
15 which came out a month before the shutdown of the reactor?

16 A (Witness Gilliland) I think at the time that that
17 report was issued the principal interest had to do with the
18 proposed faults that were shown on that map and the attention
19 was focused on that particular thing. Subsequent in the
20 investigation and I suppose at least a couple of years after
21 that the point of microseismicity of the site was raised and
22 it was at that juncture that we asked Dr. Bolt and he in turn
23 Dr. Hansen to review the microseismicity of the site and it
24 was at that point that they collected, well, they really
25 already had in their computer the collection of epicenters

1 which are shown in this Exhibit 21, Figure 1. So that study
2 was done and it is -- I think that is the sequence of events.
3 It seems to me there was no oversight, particularly. The
4 focus of interest at the time that map was issued was not
5 this particular feature.

6 Q Mr. Gilliland, would you agree that it would be
7 helpful in this proceeding if your consultant seismologist,
8 Dr. Bolt, were made available for cross examination?

9 A At this point I don't see any need. At least I
10 haven't seen a need to this juncture. I haven't seen it
11 demonstrated. Perhaps you have reasons that I am not aware of.
12 Furthermore, the work that was done by Drs. Bolt and Hansen
13 is reflected in this report and I have not noted questions
14 which were specifically in that direction that could not be
15 answered by Dr. Kovach. So I see no need.

16 Q Well, it appears to be difficult to rely on other
17 people's review of Dr. Bolt's work when he did original
18 research on the site, on the seismicity at the GETR site.
19 Did General Electric --

20 MR. EDGAR: Is that a question or --

21 MR. BARLOW: I have a question.

22 MR. EDGAR: I'd like to object on the ground that
23 that's an argumentative statement, not a question.

24 MR. CADY: Your Honor, I believe that these questions
25 should be directed to the Board as to whether or not we should

1 be allowed to have Prof. Bolt here to give testimony as to
2 his reports and as to his input into GE's testimony.

3 CHAIRMAN GROSSMAN: If you are referring to specific
4 inputs that Dr. Bolt had which the witnesses cannot respond
5 to, I believe you ought to point those instances out to the
6 Board. But I am not familiar from what has been testified
7 to that there were gaps that are attributed to Dr. Bolt's
8 having gathered the information. If you want to be specific,
9 we will entertain your request.

10 MR. BARLOW: Okay. I would like to point out two
11 documents that are authored by Dr. Bolt that are very relevant
12 in this proceeding. One has been mentioned quite often.

13 CHAIRMAN GROSSMAN: These are documents that have
14 been offered by GE that were authored by Dr. Bolt?

15 MR. BARLOW: The first one was offered by General
16 Electric; the other one was not entered into this proceeding,
17 but was authored by Dr. Bolt. The first one, which was
18 distributed to all parties, is dated March, 1980, entitled
19 Seismicity of the Livermore Valley in Relation to the GETR.
20 The second one is dated February 2, 1980, entitled The
21 Greenville Earthquake Sequence of January 1980, by Dr. Bolt,
22 Dr. McEvelly and Dr. Erhammer of the Seismographic Station
23 at the University of California, Berkeley.

24 In addition to this, there have been other references
25 to other reports by Dr. Bolt in the testimony by these witnesses

1 and several times when I asked Dr. Kovach about these reports
2 by Dr. Bolt he had not discussed either the reports or the
3 earthquakes that we were discussing with Dr. Bolt in cases
4 where Dr. Bolt was the primary author of the reports on these
5 earthquakes.

6 CHAIRMAN GROSSMAN: Well, the problem is that you
7 are the one who raised the reports by Dr. Bolt and not the
8 Licensee's reliance on Dr. Bolt that made those reports
9 appear relevant to the case. Now the usual procedure is for
10 you if you believe the reports to be relevant to get them
11 during discovery and then to request that the author, Dr.
12 Bolt, be available. Now that's something you didn't do and
13 now we are up to the hearing and while it is true the witnesses
14 have testified to those reports, it was in response to your
15 questions and, as a matter of fact, if I can recall, the
16 sum of their testimony is that they have never reviewed the
17 reports or analyzed them, which may be another question but
18 it doesn't justify your being permitted to bring in Dr. Bolt
19 at this point.

20 Now if you can show some special need, which I don't
21 believe has been shown, for Dr. Bolt the Board might listen
22 a little more sympathetically. But all that we have on the
23 record so far is that there have been those reports and the
24 witnesses are not familiar with them.

25 MR. BARLOW: Would it be possible for us to demon-

1 strate a specific need for Dr. Bolt early next week, on Monday?
2 If we could document and distribute copies of reports at that
3 time?

4 CHAIRMAN GROSSMAN: I'm not sure that that would
5 supply what we need in order to determine that the reports
6 are significant. Now I understand you are going to be
7 testifying either as an admitted expert or as making an offer
8 of proof. Now if as a result of that testimony it appears
9 that the matters are significant and are things that the
10 Board must have, it may be at that time the Board will decide
11 to request Dr. Bolt's appearance. But those are hypotheticals.

12 What we are saying is that as of now I don't think
13 any kind of demonstration has been made that would require
14 Dr. Bolt's presence.

15 MR. BARLOW: I understand fully. I was only asking
16 if we could make that demonstration later than today.

17 CHAIRMAN GROSSMAN: Certainly the Board will re-
18 consider on the basis of what goes further in the proceeding.

19 MR. BARLOW: Thank you.

20 BY MR. BARLOW:

21 Q I have just one more question and then I will be
22 completed. Dr. Jahns, is it -- do you agree that in California
23 there have been faults which were previously considered inac-
24 tive that have ruptured during earthquakes?

25 A (Witness Jahns) No, I don't believe I would agree

1 with that right off the top of my head, so to speak.

2 Q Specifically, in the San Fernando earthquake of
3 1971 was that fault previously considered active and capable
4 of such an earthquake?

5 A Relative to your question, in that specific context
6 I would most definitely disagree. For this reason: contrary
7 to published and unpublished reports immediately following
8 that earthquake, something on the order of 98 percent of the
9 total surface trace of active faulting was known and on maps
10 prior to the event. Not only that, the maps were not published,
11 but they were available, readily available to the public for
12 use, largely under the aegis -- compiled under the aegis of
13 the Metropolitan Water District of Southern California.
14 These compilations were made in connection with the water
15 distribution system of MWD that is still under construction,
16 the so-called Foothills Feeder System.

17 Nearly every one of those faults was definitely
18 judged as active and certainly the evidence was overwhelmingly
19 in favor of that. So I think if one were seeking an example
20 of a fault that was assumed not to be active and proved to
21 be, that would be one of the world's worst. Now one of the
22 world's best would be the White Wolf that we have talked
23 about already, in that there were two schools of thought
24 relative to that one. According to one school this was not
25 an active fault, on the basis of subdued topographic expression

1 and a number of other factors. According to the other school
2 of thought, it was an active fault in a region where recur-
3 rence intervals on the average were very great. And that of
4 course turned out to be the more correct point of view.

5 Q And that's the fault that in 1952 generated a
6 magnitude 7.7 earthquake?

7 A That's correct.

8 Q Thank you, Dr. Jahns.

9 MR. BARLOW: I have completed my cross examination.

10 CHAIRMAN GROSSMAN: Mr. Swanson?

11 CROSS EXAMINATION

12 BY MR. SWANSON:

13 Q Just one question for Dr. Jahns and then one for
14 Dr. Kovach. Twice, Dr. Jahns, you mentioned a probability
15 -- I think first was as to the probability of sympathetic
16 response of an event and later I think you were talking about
17 new breakage and you said the probability of certain events
18 was towards the extreme probability, and I just want to make
19 sure the record is clear when you meant toward the extreme
20 you did mean towards the lower end of probability, meaning
21 a trending toward a zero probability, is that correct?

22 A (Witness Jahns) Yes, that certainly is correct.

23 Q Okay. I just wanted the record to be clear on that
24 point. Dr. Kovach, on pages 10 through 13 of your testimony
25 you comment on a report by Ellsworth and Marks. That would

1 be I assume the Ellsworth and Marks report entitled Seismicity
2 of the Livermore Valley, California, Region, 1969-1979, is
3 that correct?

4 A (Witness Kovach) I believe that is correct, yes.

5 MR. SWANSON: For the information of the Board,
6 that is an attachment to the Staff's October, 1980 Safety
7 Evaluation Report. I'm sorry. May 23, 1980.

8 BY MR. SWANSON:

9 Q You refer there to a figure showing focal mechanism
10 solutions, the points of which you also reproduce on your
11 Figure 4 contained on your page 10; is that correct?

12 A (Witness Kovach) Yes.

13 Q Is it your contention that points V and VI are
14 claimed by Maxwell -- excuse me -- by Ellsworth and Marks
15 to be associated with the Verona fault?

16 A Well, I believe that is what Ellsworth and Marks
17 stated in the report, yes.

18 Q As well as Points III and IV, is that correct?
19 Those you are indicating are also claimed by Ellsworth and
20 Marks to be associated with the Verona fault?

21 A Well, they were claimed by them, but if you look
22 at Figure 5, the Event III in the vertical section is way
23 below the projection of the hypothetical dipping line at 45
24 degrees there, so I don't believe it is likely that that can
25 be claimed to be associated with the Verona fault, not in the

1 spatial sense.

2 Q But it is your contention I guess as stated on page
3 11 of your testimony that those two points, V and VI, have
4 -- can be associated with the Livermore Fault Zone rather
5 than the postulated Verona fault? Is that correct or are you
6 just referring to Point VI?

7 A Point VI, as I said, could be attributed to the
8 Livermore Fault Zone. And that leaves one focal mechanism
9 in that V that could possibly be associated with the postulated
10 Verona fault. However, in that subsequent letter which I
11 refer to from Bill Ellsworth to Prof. Maxwell, he has now
12 revised his analysis of that event and finds that it is
13 compatible with both strike slip or thrust faulting and so it
14 weakens the case for saying that that proves --

15 Q Looking at your Figure 4, am I inferring correctly
16 that you sketch in the postulated Verona -- excuse me --
17 Livermore fault zone as being a northwest trending fault?

18 A Did I sketch that in? Is that your question?

19 Q Pardon me?

20 A Did I sketch that in?

21 Q Is it your contention, as represented in that
22 figure, that the Livermore fault zone, postulate Livermore
23 fault zone, is a northwest trending fault? Is that correct?

24 A Yes.

25 Q And it is your testimony, then, that Point VI on

1 that figure is compatible with that northwest trending fault
2 zone?

3 A It's possible.

4 Q Does it appear to you as though they are trending
5 in the same direction?

6 A Which is trending the same direction? I'm confused.

7 Q I'm referring now solely to Point VI of the fault
8 plane solution.

9 A Well, there is some discrepancy in the strike there;
10 however, there is some uncertainty in the focal plane solu-
11 tion that could be rotated 10 degrees either way. So I don't
12 know how bad the discrepancy really would be.

13 Q But it is your contention that those two points,
14 V and VI, are incompatible with a thrust fault associated
15 with the sketch of the Verona fault?

16 A Well, no. My contention is that those two -- those
17 V and VI -- well, particularly V, can be either strike slip
18 or thrust faulting and so, depending on which solution you
19 favor, yes, it is compatible with thrust faulting or no, it
20 is not compatible with thrust faulting, if you accept that
21 the strike slip solution is the correct solution.

22 Q Point V is apparently not unequivocally a thrust
23 event, but wouldn't you indicate that it is certainly a
24 predominant characteristic?

25 A That's the subsequent conclusion that was reached by

1 Ellsworth himself.

2 Q And yourself, did you say?

3 A By Ellsworth himself.

4 Q Himself. I see.

5 MR. SWANSON: We have no further questions.

6 CHAIRMAN GROSSMAN: I have a few questions. It
7 appears to me from some of the responses you made that there
8 seemed to be a lack of interest in the Livermore Earthquake
9 of 1980 and no interest at all in two reports by Dr. Bolt
10 on the Livermore earthquake. Could you tell me why it was
11 of such little interest to you, Mr. Gilliland?

12 WITNESS GILLILAND: Well, the Livermore earthquake
13 was observed at the GETR site, but the levels were very low
14 or relatively low, and well within and in fact on the very
15 low side of the values that were being used for the evaluation
16 of the structures and those that had been under consideration.
17 And so it was not felt necessary to elaborately examine the
18 Livermore earthquake in order to have it add to the body of
19 knowledge that was being used for the evaluation of the GETR
20 facilities because it didn't appear that it would -- that it
21 was any kind of a bounding or limiting or at the limit kind
22 of an earthquake. So that for that reason it was not actively
23 pursued.

24 Furthermore, that earthquake occurred at a time
25 when -- and the data are still coming from the evaluations

1 of that earthquake. I don't know that any of our consultants
2 views have changed. I think everyone seemed to believe that
3 that didn't represent any kind of limiting phenomena, there-
4 fore it wasn't necessary to evaluate, that it would fall
5 within the frame of what we had already done.

6 CHAIRMAN GROSSMAN: Well, was it also your opinion
7 that there couldn't have been any significant data that could
8 be derived from those earthquakes, aside from the fact that
9 they may not be limiting data?

10 WITNESS GILLILAND: Well, I guess the proper thing
11 to say is no, we didn't believe there would be significant
12 new information derived by carefully examining the earthquake.
13 In the course of these evaluations we had already studied a
14 number of earthquakes, especially the Imperial Valley in
15 relation to near field phenomena with its significantly
16 increased amount of measurement data. And I think it was
17 our collective opinion that it wouldn't be necessary, that
18 it would not add consequentially to the body of information
19 that we were using.

20 CHAIRMAN GROSSMAN: Does everyone on the panel
21 agree with that? Dr. Jahns?

22 WITNESS JAHNS: Yes.

23 WITNESS KOST: I could add something to that. As
24 Mr. Gilliland stated, the recordings were made on the second
25 floor of the reactor building for that earthquake and I don't

1 recall the exact number, but I believe that the maximum
2 acceleration in the horizontal direction from that earthquake
3 was 5 percent G or less, which is quite a bit below the
4 criteria for which the facility is being evaluated. So if
5 you have 5 percent G on the structure, the free field
6 acceleration will then be somewhat less than that, so it is
7 an even smaller value. So it puts it down in a very small
8 range of significant earthquakes.

9 CHAIRMAN GROSSMAN: Dr. Kovach, I believe that or at
10 least my notes show that you had indicated that although you
11 had determined a G value for 5.5 to 6 magnitude earthquake
12 you could, if necessary, calculate a G value adjusting that
13 to a 6.5 magnitude earthquake, and then in response to a
14 later question indicated that you couldn't tell without making
15 the calculations whether the G value would be greater at
16 6.5. Is that the substance of your testimony on that point?

17 WITNESS KOVACH: I don't recall that I testified
18 that way.

19 CHAIRMAN GROSSMAN: Well, now why don't you just
20 give us a direct answer. If you were to increase a magnitude
21 from 5.5 to 6 to 6.5 you would necessarily get a higher G
22 value, would you not, if all the other conditions remain the
23 same?

24 WITNESS KOVACH: Yes, that is correct.

25 CHAIRMAN GROSSMAN: Now you also in response to

1 questions indicated that you had excluded some data for making
2 your calculations on vertical acceleration. But I am not
3 quite sure that you indicated what data you did include in
4 making your calculations.

5 WITNESS KOVACH: The data which I did include in
6 my -- in a preliminary analysis was data from the Imperial
7 Valley earthquake of 1979, excluding two anomalously high
8 points in the data base.

9 CHAIRMAN GROSSMAN: Oh, in other words, you did use
10 data from the Imperial Valley event but you excluded some of
11 the points for that event, is that correct?

12 WITNESS KOVACH: Yes, that is correct.

13 CHAIRMAN GROSSMAN: Did you use any other events
14 other than the Imperial Valley?

15 WITNESS KOVACH: No, I did not, not for the vertical
16 component acceleration.

17 CHAIRMAN GROSSMAN: Mr. Gilliland, it was my under-
18 standing that the Staff had based its current position on a
19 maximum 6.5 magnitude quake. Is that your understanding, too,
20 sir?

21 WITNESS GILLILAND: Yes. That is what is stated is
22 the SER.

23 CHAIRMAN GROSSMAN: But I understood from the
24 testimony this morning that your consultants only determined
25 ground accelerations on the basis of 5.5 to 6.0. Was that

1 also indicated today?

2 WITNESS GILLILAND: It seems to me that the values
3 are slightly in excess of 6, but not 6.5. I think that is
4 what was said today.

5 CHAIRMAN GROSSMAN: I believe at one point it was
6 stated to be 5.5 to 6.1, was that the correct --

7 WITNESS GILLILAND: I think that is correct.

8 CHAIRMAN GROSSMAN: Well, didn't you think it would
9 be important to determine what the values would be for the
10 magnitude earthquake that the staff was basing its position
11 on?

12 WITNESS GILLILAND: Well, let's see. I may have a
13 little difficulty following the trail of exactly what we did
14 in that regard. We looked at the Imperial Valley and the
15 Coyote Lake earthquakes and then, as earlier described by
16 Dr. Kovach, made some predictions on the basis of the curve
17 fits that he did to the Imperial Valley data. That which is
18 shown in the testimony does not show how we arrived at the
19 IV value, but it was in the process of this fitting to the
20 data that I guess we didn't quite get to the 6.5. Perhaps
21 we ought to talk about that for a minute before I respond
22 further. Would that be all right?

23 CHAIRMAN GROSSMAN: That is fine if you want to
24 consult each other on that.

25 (Pause while the witnesses confer.)

1 CHAIRMAN GROSSMAN: Mr. Gilliland?

2 WITNESS GILLILAND: If I can get this to you
3 straight from what I have just been told -- what we have
4 just discussed. We, as I said, as we looked at this we were
5 looking at the value that the staff had indicated, 6 to 6.5,
6 and Dr. Kovach did some evaluations that indicated that the
7 values would likely be between 5.5 and 6.1. So far as that
8 is concerned, that was in the neighborhood of the 6 to 6.5;
9 however, we had previously adopted the values of acceleration
10 effective acceleration for purposes of structural evaluation
11 that had been proposed by the Staff and so felt it unnecessary
12 to go into the elaboration of that conversion ourselves.
13 So having adopted their value already, we didn't feel it
14 necessary to proceed with that.

15 CHAIRMAN GROSSMAN: But it is possible that if you
16 made your own calculations on the 6.5 magnitude that your
17 figures for acceleration would exceed the Staff's figures
18 for acceleration on their 6.5 magnitude projection, is that
19 correct?

20 WITNESS GILLILAND: It's possible, but my recollec-
21 tion of the evaluations that we were doing would be that that
22 wouldnot be the case. It seems to me that we were starting
23 with a value of acceleration that was lower than that started
24 with by the Staff and I would not expect us to arrive at a
25 higher value by making that calculation. We felt that had we

1 done it it would be within the limit of what the Staff had
2 calculated.

3 CHAIRMAN GROSSMAN: But you di:in't actually make a
4 calculation to determine that?

5 WITNESS GILLILAND: No, we didn't actually do that

6 CHAIRMAN GROSSMAN: Going back to the vertical
7 acceleration data, Dr. Kovach, in which you eliminated two
8 of the data points, is that the calculation that you used to
9 arrive at the two-thirds projection of vertical as opposed to
10 horizontal?

11 WITNESS KOVACH: Yes, that is correct.

12 (Pause)

13 DR. FOREMAN: I guess I am attempting to follow
14 the cross examination. There are some generalities and
15 thoughts that occurred to me. So I would ask, am I right in
16 concluding that aftershock possibilities were considered and
17 that the calculation you came out with was much more conserva-
18 tive than any aftershock possibilities, any effects of after-
19 shock that might occur?

20 WITNESS JAHNS: Relative, that is, to an event on
21 the Calaveras fault?

22 DR. FOREMAN: Yes.

23 WITNESS JAHNS: Yes. Normally the aftershock can
24 be reckoned as at maximum not greater than one whole point on
25 the magnitude scale below the original shock.

1 DR. FOREMAN: So therefore they were considered but
2 not necessarily dealt with in your analysis?

3 WITNESS JAHNS: That is correct, so far as I am
4 aware.

5 DR. FOREMAN: Okay. And then, to go on down the
6 line, the same applies for -- excuse me?

7 WITNESS KOST: Can I add something about aftershocks
8 that -- to state that they were dealt with in the structural
9 analyses. So we have evaluated the structure's ability to
10 withstand aftershocks as well as main shocks.

11 DR. FOREMAN: Yes. I recall reading that. And does
12 the same kind of thinking apply to seismic focusing? I guess
13 indeed you did consider seismic focusing, but the kinds of
14 events that could happen or the results that could happen
15 were far less than the numbers that you arrived at for the
16 design basis?

17 WITNESS JAHNS: Yes, I would agree with that.

18 DR. FOREMAN: Okay. I am just verifying my impres-
19 sions. And the same applies for sympathetic faulting?

20 WITNESS JAHNS: Yes.

21 DR. FOREMAN: And then with respect to the thinking
22 about the seismic gap, the implication that this area was due
23 for a large earthquake, if indeed rhythmicity does occur,
24 you considered that possibility and that such an event would
25 fall within the calculations or the effects that you had --

1 for which you had calculated for?

2 WITNESS JAHNS: Yes. The seismic gap notion un-
3 doubtedly has some merit but is very difficult to apply in
4 specific instances in the absence of much more knowledge than
5 we now have relative to the differences in behavior along a
6 given fault. In the case of the Calaveras, for example, there
7 is a very substantial fraction of the current activity
8 expressed as creep, aseismic creep. That makes a whale of a
9 difference in terms of its influence on the seismic gap notion.
10 Because if a given segment of a fault is in effect not very
11 effectively accumulating strain energy then it is creating in
12 a sense its own seismic gap in temporal terms. So that the
13 seismic gap notion is nothing that can be very easily and
14 readily applied.

15 Perhaps Dr. Kovach has something addition to say
16 to that.

17 WITNESS KOVACH: Well, the only thing I would per-
18 haps add for your information, I feel very strongly that a
19 magnitude 7.5 earthquake on the Calaveras is what we would
20 call a maximum credible earthquake. In order to have a
21 magnitude 7.5 we would have to have roughly a rupture length
22 along the fault of 100 miles or so and that is roughly the
23 mapped length of the Calaveras fault. So we would have to
24 rupture the entire Calaveras fault to end up with a magnitude
25 7.5. My personal opinion is that it is more probable to be a

1 magnitude 7.0 where we are talking about rupture lengths of
2 the order of 40 kilometers or so. And indeed, this checks
3 very well with the 1868 earthquake on the Hayward fault,
4 which is the adjacent fault to the Calaveras which had a
5 magnitude of 7 estimated and a rupture length of 40 kilometers.
6 So in my opinion, the maximum credible is 7.5 and the most
7 probable is 7.0.

8 DR. FOREMAN: Thank you.

9 DR. FERGUSON: I'd like to ask a few questions.
10 In your testimony, Dr. Kovach, on page 8, there is a Figure
11 3 there, titled Mechanism for Faulting. Now I saw or could
12 discover no reference to that figure. But I surmise that it
13 was included to help us to understand the symbols on Figure 4.
14 Is that interpretation correct

15 WITNESS KOVACH: Yes, that is correct.

16 DR. FERGUSON: So reference to Figure 3 was just
17 an oversight?

18 WITNESS KOVACH: An oversight, I guess, on my part,
19 yes.

20 DR. FERGUSON: Looking at Figure 4, then, which
21 appears on page 10 of your testimony, I note in that figure
22 a heavy line, for lack of a better description I will call it
23 a serrated line. It is near the bottom of the figure. It
24 represents a fault, I presume. Have you identified that line?
25 The line that I call a serrated line --

1 WITNESS KOVACH: The serrated line?

2 DR. FERGUSON: Yes.

3 WITNESS KOVACH: This figure was taken from the
4 Ellsworth and Marks report and that line is presumed to
5 represent the Verona fault.

6 DR. FERGUSON: Yes. It does represent the Verona
7 fault, is that correct?

8 WITNESS KOVACH: It is meant to represent the
9 position of the Verona fault.

10 ///

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 DR. FERGUSON: Thank you.

2 Let me just clarify one think in my mind. I have
3 seen the Verona Fault in the material that has been presented
4 thus far, described as the Verona Fault or the postulated
5 Verona Fault. Clarify that? Is it a fault or is it a postu-
6 lated fault? Does the fault exist? I guess that's the testi-
7 mony I would like to have.

8 WITNESS KOVACH: The purpose of my seismological
9 testimony is to try to point out that if one were looking
10 solely on the bases of the seismic evidence to say that the
11 Verona Fault were there, the data do not support that as a
12 definitive conclusion. Therefore, I use the word postulated
13 fault.

14 DR. FERGUSON: So, in the minds of seismologists,
15 the fault is not definite, is that correct?

16 WITNESS KOVACH: That's correct.

17 DR. FERGSUON: In the minds of geologists, Dr. Jahns.

18 WITNESS JAHNS: It depends on which geologists you
19 are communicating with.

20 DR. FERGUSON: Let's deal with the one at hand.

21 WITNESS JAHNS: In mind mind, there is no Verona
22 Fault.

23 DR. FERGUSON: In turning back to Figure 4 and look-
24 ing at that postulated fault. I'd ask you to keep that in
25 front of you and also if you -- or your counsel can provide it

1 for you, Exhibit No. 1 of Licensee -- Exhibit No. 1 of the
2 Licensee and turn to page 25.

3 The purpose of this line of questioning, Dr. Kovach
4 is just to try to understand the nature of that fault as best
5 I can. We're now on page 25 of Licensee's Exhibit No. 1 and
6 we also have your testimony in front of us, Dr. Kovach.

7 Looking at Figure 4 and Figure 4 of your testimony
8 and Figure 16 of Licensee's Exhibit No. 1, am I to interpret
9 the line that is mapped in your Figure 4 to be the total line
10 in Figure 16 of Licensee's Exhibit No. 1, commencing at the
11 far upper end of the solid line on which are the words,
12 Verona Fault, going down the southerly -- the southeasterly
13 direction, I guess, and including the dotted portion of Verona
14 Fault that veers eastwardly toward the Las Positas Fault.

15 I'm just trying to show a correlation between those
16 two figures. The specific question is, is the line shown
17 in Figure 4 of your testimony the total line shown in Figure
18 16 of Licensee's Exhibit No. 1?

19 WITNESS KOVACH: I do not specifically answer that
20 or I do not specifically know if it is. The line that was
21 in the Ellsworth and Marks Report was just meant to depict
22 the approximate position for seismological mapping purposes
23 where the relative position of the Verona Fault is to these
24 epicenters shown here. I would have to defer to perhaps
25 Dick Harding, if you don't mind, as to whether this figure

1 shown here is comparable to this one, because there may be
2 some form of artistic license in there that I'm not aware
3 about.

4 DR. FERGUSON: I believe that Mr. Harding was the
5 person who testified to this and I would assume -- Well, maybe
6 I should not assume what he would say. The thing that I'm
7 only trying to establish is the fact that in the testimony
8 just above Figure 16, there is an argument that in fact that
9 dotted line does not represent a portion of the fault and when
10 we look at your testimony, we see the line seems to be definite.

11 Now, I see Mr. Harding approaching the microphone
12 quietly. Would you like to enlighten us, Mr. Harding?

13 WITNESS HARDING: Nobody asked me to, but I assume
14 the question was coming up.

15 I believe that the hatched line which is shown
16 in Figure 4 on page 10 of this panelist's testimony, is
17 -- includes this dashed portion. In other words, the easterly
18 bend of the Verona Fault.

19 DR. FERGUSON: That would be my assumption, too,
20 from the way it's drawn. But is the argument just above
21 Figure 16 on page 25 of the Exhibit, an argument that that
22 in fact, can not be the case?

23 WITNESS HARDING: That's my argument, yes.

24 DR. FERGUSON: So, based on that, there is some
25 error in figure 4?

1 WITNESS HARDING: I believe that figure four was
2 taken from somebody else's report, not mine.

3 DR. FERGUSON: Which you do not agree with, of course?

4 WITNESS HARDING: No, I don't agree with figure 4.

5 DR. FERGUSON: Do you agree with it --

6 WITNESS KOVACH: I have no opinion about Figure 4,
7 I just used it as a cartoon for reference here in terms of
8 the approximate location of these focal mechanisms to the
9 presumed position of where the fault is. I would not construe
10 this -- my Figure 4 to be an accurate geologic map by any --
11 and I'm sure that Ellsworth and Marks, wouldn't either.

12 They would not presume that this is an accurate
13 geologic map.

14 DR. FERGUSON: Dr. Jahns, are you in agreement with
15 Mr. Harding's view of these two figures?

16 WITNESS JAHNS: Yes, sir, I am.

17 DR. FERGUSON: Thank you.

18 Let me direct, now, your attention to some conclu-
19 sions that you reached on page 13 of your testimony, Dr.
20 Kovach. On page 13 of your testimony you say, in part, in
21 summary a review of the available seismic evidence supports
22 the following conclusions. And you give three and I will read
23 only one. The one that I am interested in and that's conclu-
24 sion number three which is found on page 14.

25 The conclusion is this: The theoretical assignment

1 of earthquake foci to a postulated fault is not independent
2 evidence for the postulated Verona Fault. The Verona Fault
3 can only be assumed to be active if at all for reasons apart
4 from the available seismological evidence. And I'll stop
5 there.

6 I just had a little difficult. Perhaps, it's
7 semantics. Are you intimating in that second sentence, which
8 I'll read again. And the sentence is this: The Verona Fault
9 can only be assumed to be active, if at all, for reasons
10 apart from available seimological evidence. Does that state-
11 ment suggest that there are reasons to believe that the
12 Verona Fault is active or are you saying that if the Verona
13 Fault is active, it must be for some other reason that you
14 do not know of?

15 WITNESS KOVACH: The second thing that you stated.

16 DR. FERGUSON: Then it was semantics?

17 WITNESS KOVACH: Yes.

18 DR. FERGUSON: Thank you, I have no further questions.

19 CHAIRMAN GROSSMAN: Before we get to your re-redirect,
20 Mr. Edgar, I have a few up on what Dr. Foreman asked.

21 Dr. Jahns, did you mean to indicate that you took
22 into account and calculated the effects of seismic focusing
23 or rather that you made a determination that it was unnecessary
24 to consider the case of seismic focusing?

25 WITNESS JAHNS: You're addressing me, sir?

1 CHAIRMAN GROSSMAN: Yes.

2 WITNESS JAHNS: No, actually neither. I have not
3 made any effort quantitatively to appraise the effects of
4 seismic focusing.

5 CHAIRMAN GROSSMAN: Does the same hold true with
6 regard to sympathetic faulting?

7 WITNESS JAHNS: So far as I'm concerned, like
8 seismic focusing, it's a qualitative concept that really
9 winds up as a matter of judgment in terms of its input rela-
10 tive to the problems here. So, nothing is strictly quantita-
11 tive.

12 CHAIRMAN GROSSMAN: You just made your determination
13 that it doesn't apply and that's as far as you went.

14 WITNESS JAHNS: About all that one can do, really,
15 is examine the historic record world wide to get the largest
16 possible data base and simply ask the questions, in how many
17 instances can one make a reasonable case for the occurrence
18 of sympathetic faulting. The number is very small.

19 CHAIRMAN GROSSMAN: I'm not challenging your conclu-
20 sion, I'm just asking what was done. I wanted to get that
21 straight. That's fine. That fully explains it.

22 And I take it, the same thing holds true with regard
23 to seismic gap. That it just was not considered by you to
24 be relevant to the situation we had here and after that
25 initial determination, nothing further was done with that?

1 WITNESS JAHNS: Quite so. There were too many
2 complicating factors for the Calevaras Fault.

3 CHAIRMAN GROSSMAN: Thank you.

4 Mr. Edgar.

5 REDIRECT EXAMINATION

6 BY MR. EDGAR:

7 Q A couple of points of clarification. First of all,
8 Dr. Kovach, you had indicated in response to questions by
9 Mr. Barlow, that you had undertaken some review of the data
10 for the Santa Barbara, Mammoth Lakes and Livermore earthquakes.
11 Is that correct?

12 A (Witness Kovach) Yes, that is correct.

13 Q Did that review affect any of your conclusions as
14 to the appropriate seismic design bases for GETR?

15 A No, it did not. I did examine the data and all of
16 the data for less than six kilometers to the fault. The
17 mean value from all of those earthquakes is about three-tens
18 of the G and so my conclusion was that it would not effect
19 the design criteria.

20 Q Now, during responses to Mr. Barlow's questions, you
21 mentioned that there was an observed 1.33G vertical accelera-
22 tion to the Gasli earthquake. Is that correct?

23 A Yes, that's correct.

24 Q Could you explain the bases for that acceleration
25 value and whether you consider it to be valid?

1 A In the case of the Gazli earthquake, there -- the
2 velocity structure, again, is quite anomalous compared to
3 the Livermore Valley case. There's a very deep low velocity
4 sedimentary layer present beneath the station and the net
5 effect of that -- There are actually two effects that you
6 get in the sedimentary layer. One is a very strong P to
7 horizontally polarized to what we call SV conversion and there
8 -- it contributes to ringing, which probably amplifies the
9 vertical component of motion.

10 I have prepared a graph here, which I think should
11 be presented, which is a plot of depth in kilometers verses
12 the E wave velocity in kilometers per second for the three
13 areas that we were discussing. Namely the Imperial Valley,
14 the Gazli area and the Livermore region which clearly points
15 out the differences in the velocity structures. I think that
16 this could be of some use to the people.

17 DR. EDG' : Would counsel and the Board like to
18 see that?

19 MR. CADY: Yes, please.

20 CHAIRMAN GROSSMAN: We'll take a look at it.

21 (Pause)

22 WITNESS KOVACH: What's plotted here --

23 DR. FOREMAN: You're on the record. Do you want
24 to explain it on the record?

25 WITNESS KOVACH: What's plotted on this figure is a

1 plot of the compression or P wave velocity in kilometers per
2 second along the X axis verses the depth in kilometer. The
3 point to be made here --

4 DR. FOREMAN: The depth of what in kilometers?

5 WITNESS KOVACH: The depth from the surface.

6 DR. FOREMAN: Of the wave or the depth of the shoot.

7 WITNESS KOVACH: Well, just the thickness of the
8 sediments and the rocks, which the earthquake would progogate
9 up to the surface.

10 And the point to be made here in the Imperial Valley
11 there is a very strong gradiant in the upper part which causes
12 this upward refraction of the P wave motion. In the Gazli,
13 there is a very deep low velocity sediment layer and then a
14 huge jump to a much higher velocity and this causes very strong
15 P to SV type of conversion and it causes a ringing in the
16 sedimentary section and has a tendency to amplify vertical
17 component of the strong ground motion --

18 MR. CADY: Excuse me. Could you explain what the
19 P to SV relationship is? You're talking to people who are
20 not quite schooled in this type of activity.

21 WITNESS KOVACH: Well, a P wave or a compressional
22 wave is defined as a wave in which it's motion is alternate
23 compressions and rarafactions or push-pull in the direction
24 of propogation. In other words, if the wave originates where
25 I am sitting and comes towards you and passes beneath your

1 feet, you would feel vibratory motion in the direction of
2 propogation. Now, a shear wave on the other hand, the direction
3 of vibration is always transverse to the direction of propoga-
4 tion. NOW, since it is transverse, you can also split that
5 into two components called the horizontally polarized SH,
6 which would be the one vibrating in the horizontal plane and
7 an SV wave which is polarized in the vertical direction, but
8 oscillating to righ angles of the directional propogation.

9 So, you can get a conversion of a P wave motion to
10 an SV type of motion. It's a demonstrated seismological
11 fact. You can not get a conversion, though, from a P to
12 an SH type of motion. It has to have the vertical component.

13 CHAIRMAN GROSSMAN: I notice this document you handed
14 us has numbers to it and apparently is based on some quanti-
15 tative data. Is that correct, sir?

16 WITNESS KOVACH: Yes.

17 CHAIRMAN GROSSMAN: Where is this underlying data
18 that you have to support this document? First tell us what
19 it is?

20 WITNESS KOVACH: What the data are?

21 CHAIRMAN GROSSMAN: Yes. What is the nature of
22 the data that you used inorder to compile that document?

23 WITNESS KOVACH: The data from the Livermore Valley
24 earthquake were taken from the Ellsworth and Marks Open File
25 Report and this is the crustal model, which is assumed to be

1 the appropriate one for the Livermore Valley and it's based
2 on calibrations of some explosion shots and refraction
3 experiments and the time term analysis of the seismic waves.

4 The data from the Gasli earthquake are in the pub-
5 lished literature and their also based on seismic refraction
6 experiments that were done by the Russians in the epicentral
7 area and likewise the refraction data for the velocity data
8 for the Imperial Valley are probably based on data from my
9 thesis which I did in 1962. Since I did the first seismic
10 refraction experiments in the Imperial Valley.

11 CHAIRMAN GROSSMAN: I had understood that you draf-
12 ted this during the luncheon break, but was this something
13 that you had had that had been done some time ago?

14 WITNESS KOVACH: The data had been available, yes.

15 DR. FOREMAN: But when did you put them altother,
16 he's asking? Just now?

17 WITNESS KOVACH: I just made the graph last night,
18 because the point came up about the vertical accelerations
19 and I want to have this as an additional piece of evidence to
20 help explain the reasons for these high vertical accelerations.

21 CHAIRMAN GROSSMAN: Is there anything pending, Mr.
22 Edgar.

23 MR. EDGAR: I would like to have that, if I may,
24 marked for identification as Exhibit No. 42.

25 (Pause)

1 (The document referred to
2 was marked for identifica-
3 tion as Licensee's Exhibit
4 No. 42.)

5 MR. CADY: Your Honor, if I may? We have no
6 objection to its being marked as an exhibit, but I believe
7 Intervenor and Staff would like to review the underlying
8 data that was used in the preparation of this diagram.

9 MR. EDGAR: No problem. I just want it marked for
10 the sake of an organized record for the moment.

11 BY MR. EDGAR:

12 Q Dr. Jahns, you were questioned in regard to the
13 so-called working hypothesis that you and Dr. Bolt developed.
14 As I understand that hypothesis, there is some notion that
15 there will be a great earthquake in California at some point
16 in the near future. Is that correct?

17 A (Witness Jahns) Qualitatively, yes. To be more
18 specific, a magnitude 7 or larger earthquake.

19 Q Does that refer to California as a whole, or is the
20 theory based on specific fault areas or locations?

21 A Somewhere in California. California as a whole.

22 Q Taking this hypothesis into account, does this
23 give you any reasons to believe that one could exceed a 7
24 to 7.5 event on Calaveras?

25 A As a possibility without attached timing? Yes,

1 it certainly is a possibility.

2 Q Do you believe it's likely?

3 A I think it's likely for some time in the future,
4 because it's an active fault.

5 Q Do you believe that it's likely that in some point
6 in the future that there will be an event of greater than
7 7.5 on Calaveras?

8 A No, I do not. Not greater than 7.5. I quite agree
9 with Dr. Kovachs that 7.5 is a reasonable value for the max-
10 imum credible event and that's plus or minus nothing. 7.5
11 is the maximum.

12 Q Dr. Kovach, in connection with your testimony, you
13 were asked a series of questions by Mr. Barlow concerning
14 the U.S.G.S. Open File Report by Joyner et. al. and that is
15 Open File Report No. 81-365. Could you explain the basic
16 nature of the analysis in that Open File Report?

17 A (Witness Kovach) Well, the basic analysis was to
18 take a set of data and subject it to a statistical analysis
19 with not allowing for the fact that magnitude saturation was
20 probably the appropriate thing that happened and it came up
21 in the analyzed and obtained a set of curves.

22 Q At what magnitude levels were the data upon which
23 they did this statistical analysis?

24 A At what magnitude levels? Could I refer to the
25 document?

1 Q Sure.

2 (Pause)

3 A There magnitude range which they considered apparen-
4 tly ranged from 5.0 to 7.7.

5 Q Have you -- Does that Open File Report give you any
6 reason for changing your conclusions concerning the seismic
7 design bases?

8 A No, it does not.

9 Q This is addressed to Drs. Jahns and Kovach, both.
10 Let me address it to Dr. Kovach? Do you have any reason to
11 believe that one can expect due to an event on the Verona
12 Fault the phenomena of seismic focusing at the GETR site?

13 A (Witness Kovach) I -- As I stated earlier, I
14 believe that's certainly a possibility that could happen.

15 Q Do you believe that it's likely?

16 A That would be only a prediction on my part. Yes,
17 I think it's likely.

18 Q Would that have any opinion or would that have
19 any influence on your opinion as to the appropriate values for
20 instrument acceleration?

21 A No, because the data base which I used if focusing
22 were present, it's already present in the data base. And so
23 there is no need to take data base and make a separate allow-
24 ance for focusing since it's already in the data base.

25 Q Dr. Jahns, you were asked some questions concerning

1 the possibility of branching or new branches from the
2 Calaveras Fault, In your opinion, is it likely that a new
3 branch could form on the Calaveras Fault which could extend
4 on to the GETR site?

5 A (Witness Jahns) I would say extremely unlikely.
6 Even if the Verona Fault were joined as a simple branch and
7 even if the Verona Fault were a near vertical feature like
8 the Calaveras, the chances of a new joined being formed in
9 that fashion would be extremely small. All one has to do
10 to test this is examine the number of breaks on a fault like
11 the Calaveras at a given latitude and consider that in terms
12 of say the calculated number of earthquake events through a
13 million years of geologic time and this comes out to an
14 extremely low probability.

15 ///

16 ///

17 ///

18 ///

19 ///

20 ///

21 ///

22 ///

23 ///

24 ///

25 ///

1 Q Dr. Kost, during much of the questioning,
2 the issue was presented as to vertical versus horizontal
3 acceleration as measured on instruments.

4 From a standpoint of structural response,
5 what is the significance of the vertical versus the
6 horizontal components?

7 A (Witness Kost) I think that can be answered
8 as follows. The numbers that have been discussed today
9 have been ratios of the vertical to horizontal on the
10 order of 2/3rds which, by the way is very consistent with
11 standard practice in the earthquake engineering field
12 and ranging perhaps to ratios of 1 or similar numbers.

13 What we're concerned with here is very high
14 frequency motions in vertical directions due to these
15 close in earthquakes that have been the main topic of
16 discussion today. These high frequency motions attempt
17 to in effect to be averaged or filtered as the seismic
18 waves pass across the large base of the structure such
19 as the GETR reactor building as opposed to a very small
20 seismograph station.

21 The effect of this averaging is to produce a
22 much smaller effective acceleration in the vertical
23 direction, than the numbers that have been talked about
24 today so the ratio in effect as it influences in response
25 to the structure is indeed much less than one times the

1 horizontal or 2/3rds the horizontal for that matter.
2 I think it's also worthwhile in discussing vertical
3 motions to note that structures are inherently very
4 strong in the vertical direction.

5 They are designed for primarily, for vertical
6 motions, or vertical loads. I'm speaking here of typical
7 office buildings.

8 When you have the structure such as the GETR
9 reactor building and similar buildings which have a
10 very heavy massive wall, the vertical strength of
11 these such structures is very very high. The design
12 configuration is ususally based on considerations other
13 than just supporting the vertical weight of the structure
14 and they need a certain amount of shielding perhaps or
15 other considerations.

16 As a result, the stresses in the various
17 structural members in these massive walls tend to be
18 very low in the vertical direction. The net effect
19 is that the vertical accelerations from earthquakes
20 have very little influence on the conclusions regarding
21 the adequacy of the structure.

22 MR. EDGAR: I have no further questions.

23 CHAIRMAN GROSSMAN: Dr. Kovach, just a clarifica-
24 tion. You indicated that you took into account seismic
25 focusing in your data base. Did you mean to say that

1 you took it into account specifically or you just
2 assumed that there is just as much chance that there
3 was seismic focusing in the data you used as there would
4 be in a postulated event in the GETR vicinity?

5 WITNESS KOVACH: Yes, the answer is to the
6 second part of your question.

7 CHAIRMAN GROSSMAN: The latter part.

8 But it may be that there wasn't any seismic
9 focusing in the data base and there might be a GETR and
10 vice versa that might be seismic focusing in your data
11 base and there may not be at GETR. Those possibilities
12 are there too, is that correct?

13 WITNESS KOVACH: Yes.

14 DR. FOREMAN: I have a question.

15 What order of change might a seismic focusing
16 introduce in a seismic event? Would they increase an
17 ordinary event? A factor of 1- $\frac{1}{2}$, 2, an order of magnitude?
18 What sort of things are we talking about?

19 WITNESS KOVACH: It would be very hard to
20 generalize or give you an answer because it depends on
21 many parameters such as how fast the rupture is and
22 what's the shear wave velocity but I would say off the
23 top of my head, it would certainly not be more than 20%.

24 MR. CADY: Your Honor, I would like to ask
25 some questions of this panel after I have had time to review

1 the data base that Dr. Kovach used to prepare that last
2 figure, relative to the excessive vertical accelerations
3 at the Gazli site, the Livermore, the Imperial Valley
4 sites of the earthquakes and I would specifically like
5 to direct questions as to the validity of the data and
6 as a result, the computations to Dr. Kovach and also, if
7 necessary, have Mr. Harding present to discuss the
8 underlying soil structures of those areas.

9 CHAIRMAN GROSSMAN: Well, my understanding is
10 that the exhibit that has been marked for identification
11 is not going to be offered and definitely if it is offered,
12 there will be opportunity for impeachment, but nevertheless
13 there has been some testimony that's been given that's
14 been based on that document and I think you will have an
15 opportunity to ask some more questions with regard to
16 the testimony, if not to the document itself which is
17 not apparently going to be offered.

18 Is there any objection to that, Mr. Edgar?

19 MR. EDGAR: No objection to that.

20 CHAIRMAN GROSSMAN: I believe that concludes
21 the business of the panel and I would like to thank you
22 for appearing here. Before we call a recess I'd like
23 Counsel to approach the bench and we can decide on the
24 procedures.

25 MR. CADY: To the panel members, thank you very

1 much.

2 MR. EDGAR: Could I ask, I had made an offer
3 of Exhibit 21 and I don't think the board made a ruling
4 so I would like to have that admitted into evidence
5 if I may.

6 CHAIRMAN GROSSMAN: I take it Exhibit 21 is
7 a testimony?

8 MR. EDGAR: That's correct.

9 CHAIRMAN GROSSMAN: Any objection, Mr. Cady?

10 MR. CADY: No objections.

11 CHAIRMAN GROSSMAN: Admitted.

12 (The document referred to,
13 having been previously
14 marked for identification
15 as Licensee's Exhibit
16 No. 21, was received in
17 evidence.)

18 CHAIRMAN GROSSMAN: We will take a ten minute
19 recess.

20 (Whereupon a ten minute recess was taken.)

21 ////

22 ////

23 ////

24 ////

25 ////

1 CHAIRMAN GROSSMAN: On the record.

2 The hearing is now in session. I believe our
3 next witness is Dr. Brillinger?

4 MR. CADY: That is correct. Let me introduce him
5 to you. This is Dr. David Brillinger, Chairman of the statis-
6 tics deparment, University of California at Berkeley.

7 David, I would like to introduce you to the Board
8 members. Judge Grossman in the center. On your left, Judge
9 Foreman and the gentleman on the right is Judge Ferguson and
10 I would like to now turn the examination over to Mr. Edgar.

11 CHAIRMAN GROSSMAN: Dr. Brillinger, could you
12 stand please and raise your right hand?

13 Whereupon

14 DAVID ROSS BRILLINGER

15 having been first duly sworn, the witness was called herein
16 and was examined and testified as follows:

17 MR. EDGAR: Do we have an exhibit number for Dr.
18 Brillinger's testimony? Can we assign one, so that we can
19 have a shorthand --

20 MR. CADY: Let's make that Intervenor's Exhibit
21 No. 5.

22 (The document referred to
23 was marked for identifi-
24 cation as Intervenor's
25 Exhibit No. 5.)

CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. EDGAR:

Q Dr. Brillinger, I will refer to your written testimony, what your caption, comments re; the Vallecitos Nuclear Reactor/Slash GETR as Intervenor's Exhibit No. 5 or Exhibit No.5. So, if you'll bear with us, that's a simple convention and might save some words.

A couple of initial points of clarification. In regard to the preamble of your testimony, I see a statement which I will quote. I was requested by an aid to Congressman R. Dellums to review certain materials related to the siting of nuclear reactors at Vallecitos, California. Following that, it says, this material was and five documents are listed.

Am I to understand that these are the only documents which you have reviewed in connection with the GETR proceedings.

A No. To the date of April 19th, that's true, but I received quite a few other documents since then which I have read through.

Q YOU have undertaken a review of other documents in addition to these?

A Yes. I haven't had the time to go into the depth I did with these documents, here, but I read through.

Q Now, based upon the review of additional -- of the additional materials are there any specific corrections or additions that you would make to your testimony?

1 A I would say my opinion of the additional material
2 is quite similar to my opinion of these five documents.

3 CHAIRMAN GROSSMAN: Wait, can I interrupt for a second
4 here. I'm not sure we got your full name and address down on
5 the record. Did we, Ms. Reporter? I don't recall.

6 Would you give it to her?

7 WITNESS BRILLINGER: It's David Ross Brillinger,
8 statistics department, University of California, Berkeley,
9 California 94720.

10 CHAIRMAN GROSSMAN: I'm sorry, Mr. Edgar.

11 BY MR. EDGAR:

12 Q Now, in regard to your professional experience, am
13 I correct in understanding that you have no educational
14 training or professional experience in the field of nuclear
15 engineering?

16 A That's correct.

17 Q And likewise in the field of geology?

18 A That's correct.

19 Q And seismology?

20 A I've co-hosted courses in seismology, so I've
21 instructed courses in seismology. I'm not sure how you
22 view that to being educated.

23 Q Well, do you consider yourself to be an expert
24 in the field of seismology?

25 A No, but I do consider myself to be a professional

1 amateur in a sense.

2 Q Could you define the elements of the term profession-
3 al amateur, as you use it?

4 A Perhaps, I could describe a statistician and then
5 convert into that. A statistician is an individual who
6 applies mathematics and certain parts of mathematics especially
7 to problems of science in the broad range and during the
8 course of his career, if he is a mainstream statistician, he'll
9 find himself working with subject matter from various substan-
10 tive fields.

11 The field I have worked in mostly would be seismology.
12 I've worked a great deal in neurophysiology, also.

13 My thesis advisor once said that a statistician
14 couldn't consult with a chemist unless he became a chemist,
15 so I would say that there are areas of seismology I know as
16 well as the seismologist do, because I've worked in those.
17 There are many areas that I have never worked in.

18 Q You used the term mainstream statistician.

19 A I meant as opposed to a theoretical statistician.

20 Q So, that would be an applied statistician?

21 A A mainstream and especially an applied statistician.

22 Q Now, in regard to -- You do not have any expertise
23 in structural engineering, I would assume?

24 A No, I don't.

25 Q About how much time did you -- have you spent

1 reviewing the documents that formed the bases for your
2 testimony?

3 A Several hundred hours, I would say.

4 Q Have you done or performed any independent calcula-
5 tions or probability analysis in regard to the probability of
6 surface offset beneath the GETR?

7 A No, I haven't.

8 Q If I could call your attention to page one of your
9 testimony under the last sentence, you have the phrase in-
10 cluded, the end result of the analysis, the single number
11 probability constitutes too brutal a summary of the situation.

12 Now, what type of results would you prefer, rather
13 than a single numbered probability? Is the implication there
14 that you would prefer to see a range of results?

15 A Yes, of different qualitative character. Somehow
16 there seemed a great deal of concern of demonstrating that
17 a certain probability was less than ten to the minus six and
18 that is something of interest, but there are many aspects.
19 A single number only has so much information in it. It's a
20 very complicated situation.

21 Q So, you would prefer to see a range and perhaps
22 a parametric analysis that give one a broader sense of the
23 meaning rather than the single number?

24 A Whole succession of numbers devoted to different
25 aspects of the problem.

1 Q You indicated that a single number probability, ten
2 to the minus six, has meaning in and of itself. What meaning
3 would you assign to that?

4 A Excuse me.

5 Q Am I correct that you do attribute some significance
6 to the probability, ten to the minus six per year?

7 A Yes, but it depends totally on the context in which
8 it is introduced.

9 Q Let's pick the context of the probability of the
10 surface offset beneath the GETR. What in your mind is the
11 significance of that value, ten to the minus six, per year.

12 A In that case, the specific number doesn't mean
13 too much to me. It is very small.

14 Q But it has no meaning other than an intrinsic
15 meaning, I assume?

16 A I'm not sure if you're trying to get at what one
17 means by probability within the foundations of the probability.

18 Q We're not understanding each other. I'm just --
19 Your statement was that there may be some meaning that one
20 would attribute to the number ten to the minus six per year
21 and I'm trying to ask you what significance you would ascribe
22 to that value.

23 A This sentence, I was directing myself to the fact
24 that a lot of energy went into producing a single number.
25 This afternoon, I felt the same thing was happening to

1 producing a single acceleration value and a single number is
2 a very restricted entity. One needs a great deal more of
3 context in other numbers of other quantities to be able to
4 proceed to consider the problem.

5 Q Do you believe that you have reviewed every proba-
6 bility analysis that GE has performed for these proceedings
7 and submitted to the NRC?

8 A I don't believe that, but I don't know. There are
9 several other in the documents that I have received since
10 April 19 stating -- addressing the same problem, but in a
11 different fashion, slightly.

12 Q And so you're not -- You can neither claim nor
13 disclaim whether you have reviewed the complete body of analysis
14 accomplished by GE?

15 A I'm certain that I have not reviewed the complete
16 body of analysis.

17 Q Have you reviewed any analysis of the probability
18 of the surface offset beneath the GETR conducted by any person
19 other than GE?

20 A There was an analysis conducted by Terra Corporation
21 that I saw.

22 Q Have you reviewed that?

23 A Yes, I looked through that.

24 (Pause)

25 Q On page two, the first full paragraph, you make the

1 statement in the second sentence and I quote, or in the
2 third sentence and I quote, A cursory review of the litera-
3 ture yields conflicting physical values for many of those
4 employed.

5 Can you give me a cross reference to your, in other
6 portions of your testimony where the statement as to the
7 conflicting physical values is found? Where you might expand
8 upon that.

9 A Where I might have expanded in these pages?

10 Q Yes.

11 A I had in mind things like the discussion that took
12 place earlier this afternoon like the values of G.

13 Various formulas were made use of in the course of
14 the probability calculations that had values in them and when
15 I looked through the literature, I was finding various opinions
16 on the values of those parameters.

17 Q I was trying to get just a clarification. When you
18 talk about conflicting physical values, that brings to my
19 mind something like a geological parameter.

20 A I mean like the maximum acceleration. That that's
21 the sort of value that one might expect that an earthquake
22 a certain distance from a certain fault of a certain charac-
23 ter.

24 Q What I'm trying to get at, if you could assist
25 me a little bit, is that you indicate that you undertook a

1 cursory review of the literature and what I'm trying to do
2 is develop a list of the physical values where you believe
3 there were conflicts between the physical values in the litera-
4 ture and I couldn't find them in the later portions of your
5 testimony. Perhaps, you could help me.

6 A Well, if we went through the various reports one
7 by one, that may be the best way to do that, if you'd like to
8 do it.

9 Q Okay, we'll hold that for the moment, but I'm
10 looking within the body --

11 A The general procedure I followed was I read the
12 report and then I would refer to some value that had been
13 observed or some curve that had been computed. I would go
14 look at the references and related references and I would
15 find quite a wide ranch of value. Some values were double
16 what different people were quoting quite different values.

17 Q Down in the next paragraph on page two, you, in
18 the last sentence, the statement appears that quote, the
19 implications of deliberately building in bias parens conserva-
20 tism, question mark, close parens, comma, need to be investi-
21 gated, unquote.

22 What do you mean by that? Could you expand upon
23 that?

24 A Yes, various values are propogated through the
25 studies and the approach seemed to be rather than to try to

1 find the best value, the best answer to whatever the question
2 was. At each stage, one would take the most conservative
3 value and propagate that value forward and the usual statis-
4 tical procedure would try to produce a best estimate and then
5 to attach a range of error around that. So, it was as if at
6 each stage you were biasing your estimate and propagating the
7 biased values through. That's not a traditional procedure
8 and there might be some unexpected implications to proceeding
9 in that fashion.

10 Q Is the concern -- I'm trying to develop some sense
11 of what the concern is. Is the concern that if one keeps
12 building in this conservatism then one doesn't have a clear
13 definition of the limits of error of the analysis?

14 A It's not clear just what the answer means. The
15 final answer that one has come up with. The normal statistical
16 procedure is to try to produce the best estimate that one
17 can of whatever value one is interested in and in this case,
18 and this is what I think is one of the defects that I see in
19 these studies -- it's been very much compartmentalized. One
20 tries to solve this problem and then one feeds a single number,
21 say, a maximum acceleration into another compartment and then
22 one feeds something from that compartment and probably some
23 single number into a later compartment and biased in a
24 conservative direction, values are propagated through rather
25 than best estimates.

1 Q In the abstract, wouldn't you agree that compounding
2 conservative assumptions or values, as the case may be, is
3 an approach which tends to produce worse results than one
4 would normally expect?

5 A I think normally, but I wouldn't be surprised but
6 there were some logical counter examples one could construct.

7 Q Can you conceive of any in the context of the GETR
8 safety analysis?

9 A Well, perhaps something has been made so thick, it
10 then effects in a negative way some other aspect of the
11 structure.

12 Q Can you point to any specific examples of --

13 A No, I can't. This just struck as a non traditional
14 manner to estimate parameters.

15 Q Do I take it the comment is not made in the parti-
16 cular sense, but it is more of a question that one might
17 pose from the standpoint of approach or methodology to
18 problem solving?

19 A Yes.

20 (Pause)

21 Q In the third full paragraph -- the third paragraph
22 on page two, you have the statement and I quote, a full risk
23 study should be carried out in the approach of such a study
24 assessed in detail. You also indicate that the study should
25 include among other things, all reactors at the site. Do you

1 know how many reactors there are at the site?

2 A No, but I was baffled, because it talked about
3 probabilities per reactor year and if there is only one there,
4 I didn't think they would do that.

5 Q Well, if there were just one at the site, would it
6 make any difference? In other words, wouldn't per reactor
7 year be a proper convention?

8 A I was surprised by the terminology per reactor year.

9 Q So the sense of that comment was a question born
10 out of the convention per reactor year?

11 A Yes, to me it made me think there must be a second
12 reactor there. At the point in which I had these documents,
13 I didn't have a detailed description of what was actually at
14 the facility.

15 Q If you'll turn to page three of your testimony, the
16 first full paragraph. You include the statement and I'll
17 quote it. Suppose a coin ten times and a tail comes up each
18 time, then the question, are you then willing to proceed on
19 the bases that the probability of a head, the next flip, is
20 one over the quantity n plus two, question mark.

21 Let me ask you in another context, the same question.
22 I take it your point is that -- Let's just assume that n is
23 a large number and specifically if we assume that n is a
24 hundred and twenty-eight thousand, what then would you say
25 is the probability of a head on the next flip?

1 A I would have to -- So, you're saying the coin has
2 been flipped a hundred and twenty-eight thousand times and
3 has come up tail every single one of those times?

4 Q That's correct.

5 A I would say it is somewhere near one of it being
6 a tail. To have a precise answer, one over n plus two is
7 just scientifically deceptive.

8 Q What I'm trying to get at is the notion that you
9 indicate that LaPlaces rule of succession has fallen into
10 discredit. Is that correct?

11 A That's true.

12 Q What I'm trying to do is put a little sense of
13 context on that and let's suppose that we have the expression
14 one over n plus two and n is a very large number and I'll
15 choose 128,000 for that number. When n is a large number,
16 can I proceed with some confidence that the probability of a
17 head on the next flip is quite small?

18 A Well, you'll have to define your terms. It could
19 be a perfectly fair coin and come up a tail 128,000 times.
20 If you ask me to work up the probability of that happening, I
21 can and if you ask me to work up the confidence of various
22 values coming up, I can.

23 Q Let me put it another way, then. You say that we
24 could have a very fair coin and it's flipped 128,000 times
25 and you get a tail everytime, but if you're going to use your

1 own money in this process, wouldn't you question the fairness
2 of the flipper?

3 A Yes, because a very rare event would have had to
4 happen for that to take place. This is something one could
5 work out a specific probability for. I'm objecting to a
6 single specific number being there rather than the value
7 being propogated as a random variable.

8 Q I'm missing the point, because it seems to me that
9 your criticism goes to the use of the method in general of
10 that employed in the document that you've critized. What I'm
11 suggesting or what I'm asking to you or of you is if one
12 has an historical record that is quite long and is consistent,
13 then is it going to make any difference if your historical
14 record is long, wouldn't you expect that the probability of
15 a head on the next flip is quite low?

16 A It would depend totally on the context. If you
17 were to phrase that, do I think, because we're getting farther
18 and farther away from the 1905 San Francisco earthquake the
19 chances of another one are getting smaller and smaller, I
20 certainly would.

21 Q Let me put it in more pointed terms then.
22 Let's suppose that I have two shears. One on each side of
23 the reactor building. Let's further assume that I know
24 for 128,000 years, I have had movement along the shears
25 further that for 128,000 years I have had no movement off the

1 shears, between the shears. Then does it matter what method
2 I'm using? Is it highly likely that I won't have movement
3 off the shears in the future?

4 A See, it's just total opinion. I could answer that
5 in some subject fashion, but it's not being produced by
6 any scientific methodology, my answer to you.

7 Q What is your opinion, then?

8 A In my submission here, I asked why in the world
9 are there two shears, then? If it's just going to break
10 along existing shears, there should only be one shear there.

11 Q We'll go on to that, but would you then feel that
12 there is no scientific way of taking the information of
13 movement on the shears for 128,000 years and no movement
14 between the shears for 128,000 years and developing an estima-
15 tion of the probability of movement under the reactor founda-
16 tion. Is that your position?

17 A I forget which way you way you phrased the question.
18 I believe it is possible to evaluate a probability of that
19 character by collecting information at other locations, by
20 looking at micro studies in the laboratory. Things of that
21 sort. I think when one doesn't have many observations, one
22 wants to look for similar situations and make use of the data
23 from those situations. One doesn't want to invoke a Bayesian
24 argument.

25 Q When you talk about -- I'd like to pick up on one

1 point in the latter part of your sentence or your answer, if
2 you will. I believe you said when one doesn't have many
3 observations. Am I correct?

4 A Yes.

5 ///

6 ///

7 ///

8 ///

9 ///

10 ///

11 ///

12 ///

13 ///

14 ///

15 ///

16 ///

17 ///

18 ///

19 ///

20 ///

21 ///

22 ///

23 ///

24 ///

25 ///

1 Q Would you consider a record of movement on the
2 shear for 128,000 years, and a record of movement with
3 no movement between the shears for 128,000 a small record?

4 A (Witness Brillinger) Yes, I would.

5 Q And it is sufficiently small that you believe
6 that it cannot be used for the purpose of developing
7 a probabalistic analysis?

8 A I think one can draw some conclusions but they
9 would have to have suitable qualifications and I think the
10 conclusions would almost be the statement you made.

11 Further condensation isn't really helpful.

12 Q I'm sorry, I didn't hear the last remark.

13 A Further condensation down to a single probability
14 is not really helpful.

15 One can make the remark for 128,000 years, etc.,
16 etc., whatever you said.

17 Q And that's as far as you would go with it?

18 A I think I mean, if I were involved in such
19 a study, I would be looking very hard for other related
20 information and not leave it at that.

21 Q And you would just take that information at
22 face value and ascribe no significance to it other than
23 as a historical fact?

24 A Yes, at this point, yes.

25 Q All right. Now, I'm almost a layman. I'm close.

1 I really should call myself a layman. Would you give me
2 some sense of what this argument is about the Bayesian
3 analysis school of thought versus the classical. Would
4 you put that into some kind of nutshell? It seems to
5 be a big controversy.

6 A Yes, there are several sorts of Bayesians.

7 The classical argument in statistics would
8 proceed by -- there would be some experiment of interest
9 and it would seem reasonable to describe outcomes of that
10 experiment in terms of probabilities.

11 There would be certain unknown constants in those
12 probabilities in a variety of circumstances. When we
13 have a population, the constant might be the mean of the
14 whole population.

15 In an experiment that can measure the force
16 of gravity, the parameter would be the true force of
17 gravity.

18 Bayesians proceed by taking that constant,
19 that parameter and viewing it in turn as having a random
20 character to it. Subjective Bayesians would ascribe to
21 probabilities by using their own subjective knowledge
22 and experience and that is the most debatable area of
23 Bayesian statistics because it means that the estimates
24 that one ends up with have the persons biases built into
25 them in a very specific fashion. There is continual argue-

1 ment over estimates produced in that fashion.

2 There is another sort of Bayesian arguement,
3 empirical bayes, where in point of fact, the parameter
4 can really be viewed as a random variable and for example,
5 this business of this $\frac{1}{n+2}$, for the probability of
6 a head, suppose what was the case that there was a box
7 that say had 10,000 coins in it. One of them had
8 probability. One in 10,000 of turning up tail, another
9 probability 2 in 10,000, another probability 3 in 10,000
10 all the way through. The last one had the probability of
11 9 in 10,000 let's say. The way the experieiment proceeded
12 was you reached into a box and picked out a coin and you
13 didn't know which one it was and you flipped it and you
14 found yourself with tails n-times. Then the classical
15 statistician would agree that $\frac{1}{n+2}$ is a sensible estimate
16 of the probability of a head coming up, but do you
17 see that I constructed an experiment in which this
18 parameter value, this constant going along with the coin
19 had in fact been generated by a previous experiment.

20 Q I'll perhaps rsimplify so you be careful
21 not to take me at my word, but as I understand it,
22 the Bayesian approach is one that involves the process
23 of judgement in arriving at --

24 A The subjective Bayesian approach.

25 Q Yes. I mean, no one's free from sin altogether but

1 he seems to be about the worst, is that --?

2 A To the classical statisticians.

3 If he is a bright enough person, then his
4 answers are going to be all right, but one doesn't know
5 when one has a bright person and that's the bad part.

6 Q And the thing that's distinguishing here is
7 the application of the judgement factor, I take it?

8 A Yes.

9 Q Now, getting back to the other thought that
10 we had discussed very preliminarily which is the
11 implication of building in a conservative bias throughout
12 each junction or each juncture of ones analysis, what
13 would you think of a Bayesian statistician who made
14 conservative assumptions as his means of implementing
15 subjective judgement?

16 A You've simply described him. I would just
17 take him as that, a conservative Bayesian statistician.

18 Q Well, would that -- why would you tend to
19 have a lack of confidence in his results in that case?

20 A The difficulty comes in that, well, the
21 difficulty for a statistician comes in that most statisticians
22 would view their role as being objective role, as indicating
23 what conclusions can in fact be drawn from given data
24 sets in given experiments and by bringing the subjective
25 information in a specific fashion, that fig'ts against the

1 natural role of the statistician. As long as he states
2 what he's done, well, that's quite fair and proper.

3 MR. EDGAR: Mr. Chairman, I am not going to
4 finish this afternoon. To be fair I really think I've
5 got a full hour to go.

6 I'm willing to do whatever the parties are
7 willing to do or the Board.

8 CHAIRMAN GROSSMAN: I think this is an
9 appropriate time to recess until Monday morning at
10 9:30 in San Francisco.

11 (Whereupon, the hearing was adjourned at
12 4:53 p.m., to reconvene at 9:30 a.m., Monday, June 1st,
13 1981, in San Francisco, California.)

14 ////

15 ////

16 ////

17 ////

18 ////

19 ////

20 ////

21 ////

22 ////

23 ////

24 ////

25 ////

This is to certify that the attached proceedings before the
Nuclear Regulatory Commission

in the matter of:

Date of Proceeding: May 29, 1981

Docket Number: 50-70-SC

Place of Proceeding: Livermore, California

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Ruth Portune

Official Reporter (Typed)

Ruth Portune

Official Reporter (Signature)