

NUCLEAR REGULATORY COMMISSION

In the Matter of:

SOUTH CAROLINA ELECTRIC & GAS COMPANY)
Summer Nuclear Station, Unit 1) DOCKET NO. 50-395-OL

DATE: June 22, 1981 PAGES: 669 thru 843
AT: Columbia, South Carolina



*TRel
S o/1*

ALDERSON REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

8107010164 810622
PDR ADOCK 05000395
T PDR

Telephone: (202) 554-2345

T

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

BEFORE THE
NUCLEAR REGULATORY COMMISSION

In the Matter of: }
 }
SOUTH CAROLINA ELECTRIC & GAS }
COMPANY }
 }
Summer Nuclear Station, Unit 1 }
 }

Docket No. 50-395-OL

Deauville Room 4
The Town House Inn
Columbia, South Carolina

Monday, June 22, 1981

PURSUANT TO ADJOURNMENT, the above-entitled matter
came on for further hearing, at 9:30 a.m.

APPEARANCES:

Board Members:

HERBERT GROSSMAN, ESQ., Chairman
Administrative Judge
Atomic Safety and Licensing Board Panel
U. S. Nuclear Regulatory Commission
Washington, D. C. 20555

GUSTAVE A. LINENBERGER
Administrative Judge
Atomic Safety and Licensing Board Panel
U. S. Nuclear Regulatory Commission
Washington, D. C. 20555

FRANK HOOPER
Administrative Judge
Atomic Safety and Licensing Board Panel
U. S. Nuclear Regulatory Commission
Washington, D. C. 20555

pw

1 APPEARANCES (continued):2 For the NRC Staff:

3 STEVEN GOLDBERG, ESQ.
4 U. S. Nuclear Regulatory Commission
Washington, D. C. 20555

5 MS. MITZI YOUNG
6 U. S. Nuclear Regulatory Commission
Washington, D. C. 20555

7 For the Applicant - South Carolina Electric & Gas Company:

8 JOSEPH B. KNOTTS, JR., ESQ.
9 Debevoise & Liberman
1200 Seventeenth Street
10 Washington, D. C. 20036

11 and

12 RANDOLPH R. MAHAN, ESQ.
13 South Carolina Electric & Gas Company
P. O. Box 764
Columbia, South Carolina 29218

14 For the State of South Carolina:

15 RICHARD P. WILSON, ESQ.
16 Assistant Attorney General
State of South Carolina
P. O. Box 11549
17 Columbia, South Carolina 29211

18 DR. SANUEL L. FINKLEA, III, Ph.D.
19 South Carolina Department of Health and
Environmental Control
2600 Bull Street
20 Columbia, South Carolina 29201

21 For the Intervenors:

22 BRETT ALLEN BURSEY
23 Route 1
Little Mountain, South Carolina

24

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

C O N T E N T S

<u>STATEMENT OF:</u>	<u>PAGE</u>
(Limited Appearances)	
Ruth Thomas	677
Sandra Jones	684
Patsy Bianchi	685
Travis Bianchi	688
Doug Rogers	691
Betty Gilbert	694
Mike Lowe	697
Laura A. Bagwell	699

WITNESSES: DIRECT CROSS REDIRECT RECROSS

Panel consisting of:

SHELTON S. ALEXANDER
 ROBIN KEITH McGUIRE
 CHANG CHEN
 PRADEEP TALWANI 704 755
 JAMES G. MCWHORTER 831
 WILLIAM G. SMITH 831

<u>STATEMENT OF:</u>	
(Limited Appearances)	
Barbara Bullard	804
Michael Gooding	804
Wes White	807
Elizabeth Lever	810

C C N T E N T SSTATEMENT OF:PAGE

(Limited Appearances)

Merle Truesdale

813

Renee Bursey

816

Jean Pfundstein

817

Anthony Martin

818

Abraham Shingleton

819

Richard Lane

823

Gary Lane

825

EXHIBITS:FOR IDENTIFICATIONIN EVIDENCEApplicant's:

1

740

743

2, 3

744

746

4

747

751

P R O C E E D I N G S

1
2 JUDGE GROSSMAN: The evidentiary hearing is now
3 convened.

4 This is an evidentiary hearing in the matter of the
5 application by the South Carolina Electric & Gas Company and
6 the South Carolina Public Service Authority for a license to
7 operate the Virgil C. Summer Nuclear Station, Unit I.

8 On April 18, 1977, the Nuclear Regulatory Commission
9 published a notice in the Federal Register indicating that the
10 application for operating license had been filed and permitting
11 persons to file notices or applications for leave to intervene
12 in these proceedings.

13 A petition for hearing was received from Mr. Brett
14 Bursey and a prehearing conference was held in which the
15 contentions submitted by Mr. Bursey were discussed. The Atomic
16 Safety and Licensing Board that had been designated to consider
17 the petitions granted Mr. Bursey's request for a hearing and
18 admitted him as an intervenor in this proceeding on February 3,
19 1978.

20 On February 8, 1978, a Notice of Hearing was issued
21 indicating that an evidentiary hearing would be scheduled and
22 also indicating that limited appearance statements would be
23 heard at the evidentiary hearing. We have subsequently scheduled
24 the hearing for this date and indicated that limited appearance
25 statements would be heard today or this morning or carrying over

A2pw 1 into the afternoon if necessary. That will be the first order
2 of business for us. But before that, I would like to introduce
3 the Board.

4 As most of you are aware, health, safety and
5 environmental matters pending before the NRC are usually heard
6 by Boards that consist of an attorney as Chairman and two
7 scientists, usually a nuclear scientist and an environmental
8 scientist, as the other two Administrative Judges. Serving
9 on the Board with me on my left is Judge Frank Hooper, who is
10 our environmental scientist. He has a PhD from the University
11 of Minnesota. He is currently a professor of zoology at
12 University of Michigan and the Chairman of the Ecology, Fisheries
13 and Wildlife Program at Michigan. He is a part time member of
14 the Board.

15 On my right, is Judge Gustave Linenberger, who is
16 a full time member of the Board. He is a nuclear physicist.
17 He has extensive experience in industry as a nuclear physicist
18 and engineer and has been a President and Board Chairman of a
19 nuclear engineering company.

20 My name is Herbert Grossman. My experience has been
21 as a trial attorney and appellate attorney for the Department
22 of Justice for a number of years.

23 I would like now for counsel and the parties to
24 introduce themselves, starting with Mr. Bursey, the intervenor,
25 on my left.

A3pw

1 MR. BURSEY: Thank you, Judge Grossman. I am Brett
2 Allen Bursey and I live in the proximity of the V.C. Summer
3 plant and I'm the intervenor.

4 MR. KNOTTS: Judge Grossman, members of the Board, my
5 name is Joseph P. Knotts, Jr., I represent the applicants
6 South Carolina Electric & Gas Company and South Carolina Public
7 Service Authority. With me at the counsel table this morning
8 is Randolph Mahan, who is an attorney with the Electric & Gas
9 Company.

10 MR. GOLDBERG: Yes, Judge Grossman. My name is
11 Steven Goldberg, I am an attorney with the U. S. Nuclear
12 Regulatory Commission. I represent the Commission staff in
13 this proceeding. With me at counsel table is Mitzi A. Young
14 who entered an appearance in this case on Friday. To my right,
15 Mr. William Kane, Project Manager for the Summer License
16 Application.

17 MR. WILSON: Mr. Chairman, I'm Richard P. Wilson,
18 an Assistant Attorney General with the State of South Carolina
19 representing the State. And with me is Dr. Samuel L. Finklea III,
20 who is our technical assistant from the Department of Health &
21 Environmental Control.

22 JUDGE GROSSMAN: As I indicated before, the first
23 order of business is to entertain limited appearance statements.
24 We would like the speakers to limit their statements to five
25 minutes apiece; however, if time is not critical and there are

A4pw

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

not that many limited appearance statements, we will allow some leeway in that.

Mr. Paul Hamilton, who is the Panel Technician, is in the back of the hearing room and he will take names of those who do want to make a statement.

We will take a ten minute recess now while he collects the names.

Thank you.

(Short recess.)

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

nd of A

1 JUDGE GROSSMAN: We will begin with the limited
2 appearance statements and we would like the first four speakers
3 to be seated here at the table; Ruth Thomas, Sandra Jones,
4 Patsy Bianchi and Travis Bianchi and we will start with Ruth
5 Thomas, as the first speaker.

6 MS. THOMAS: Do you want me to come up there?

7 JUDGE GROSSMAN: Yes, please, at this table here.

8 (Indicating.)

9 (Brief pause.)

10 In beginning your statements, would you each please,
11 when beginning that statement, give your full name and address?

12 Ms. Thomas, you may sit or stand as you prefer.

13 MS. THOMAS: I think better on my feet.

14 JUDGE GROSSMAN: Fine.

15 MS. THOMAS: Is this coming over all right?

16 JUDGE GROSSMAN: That is the problem with standing,
17 you are further from the mike. If you could get closer, that
18 would be fine.

19 MS. THOMAS: Is that all right? Is that better?

20 JUDGE GROSSMAN: Yes.

21 STATEMENT OF RUTH THOMAS

22 MS. THOMAS: My name is Ruth Thomas and I live at
23 1339 Sinkler Road in Columbia. I am here as a private citizen
24 but I am the authorized representative of several South Carolina
25 organizations and I am a member of the Advisory Committee

1 to the Department of Health and Environmental Control.

2 On October 20, 1970, J. D. Bond who is Chairman of
3 another Atomic Safety and Licensing Board gave his talk before
4 the hearing. He pointed out that meaningful--is it too loud
5 now?

6 No?

7 Meaningful participation by the public could only
8 be done through intervention, and being a party to a proceeding,
9 and today we are involved in limited appearances, so I was
10 interested in looking up how limited appearances compare.

11 There is no oath and so I understand that whatever I
12 say is not considered evidence. This was kind of disturbing to
13 me, and looking into the views of other hearing Boards in
14 relation to their being Intervenors, and a number of reports
15 and documents indicated that hearing Boards felt as if intervenors
16 added a great deal and were able to bring out local issues and were
17 able to raise questions that the Board could follow up on, and I
18 understand that this is the view of your Board, and--I didn't
19 address each one of you--but, I am glad to be here before this
20 Atomic Safety Licensing Board.

21 By accepting intervenors, you showed that you felt as
22 though they could contribute and from my own experience, I have
23 felt that intervenors contributed. I was an intervenor at the
24 Barnwell Nuclear Field Plant and at the first hearing, there were
25 no intervenors and this is the transcript which covered it

B 3 ra

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 (indicating), 177 pages. I did not bring the transcript of the
2 later hearing in which there were intervenors because it is this
3 tall (indicating), and it is something like 37 times the number of
4 pages. Of course, it is not complete yet either, so these 6,000
5 pages certainly contain more evidence on which to base a decision.

6 As I understand it, the purpose of Licensing Hearings
7 are to compile as complete and accurate a record of evidence as
8 possible. It is difficult for me to understand the Appeal Board's
9 reversing of your decision to allow Fairfield United to be a party
10 to this hearing, particularly since I had read of Appeal Board's
11 opinions on this having intervenors. In 1977, the Appeal Board
12 members, one of them was quoted as saying:

13 "Many substantial safety and environmental issues
14 were raised first by intervenors and they do have a contri-
15 bution to make".

16 This was before Three-Mile Island so it would seem as
17 though there is more need for intervenors now than there was at
18 that time.

19 I attended a meeting of the Advisory Committee on
20 Reactor Safeguards in which I offered testimony...In later years
21 in Washington, the topic of the Summer plant was discussed
22 particularly in relation to South Carolina Electric and Gas's
23 never having operated a nuclear plant before. They spoke of it
24 "as being a somewhat unique plant in that the utility has not had
25 an operating plant before".

B A ra

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 I would like to have it on the record that someone whose
 2 interests would be affected by the Summer plant is raising questions
 3 about there not being local intervenors and there not being people
 4 who lived right here having an opportunity to represent directly
 5 their interests.

6 I have a long history of interest in the Summer plant.
 7 It began in the fall of 1972 when I was with the Conservation
 8 Department of the Womens' Club. I raised questions in a letter
 9 to the Attorney General of South Carolina. I asked--this was
 10 one of my Committee members that wrote the letter, and she asked
 11 to be notified. We expressed our interest in the hearing and
 12 asked such questions as would South Carolina be a party? Would
 13 they cross examine witnesses and represent the interest of the
 14 public through having contentions?

15 The state did not respond to this and we were not
 16 notified of the hearing. We were all pretty new at representing
 17 ourselves and coming before various Boards, state and federal.

18 We learned that it is not a good idea to depend on
 19 anyone else, including the Attorney General, to let you know about
 20 meetings in relation to representation.

21 I urge you, Chairman Grossman, and your fellow Board
 22 members to use the contentions of the local intervenors and to
 23 use particularly those contentions of Fairfield United which
 24 relate to emergency planning and management and those issues which
 25 are of concern to the local people.

B 5 ra

1 I also ask that the Board take an adversary role in
2 place of the local groups, that is in case the local groups are
3 not accepted.

4 It is my understanding that raising of safety issues
5 and requiring proof from the Applicant applies with or without
6 intervenors.

7 At the February 26, 1981 Advisory Committee on
8 Reactor Safeguards, I raised the question in relation to the
9 Summer plant on the instrumentation and controls and the
10 emergency planning.

11 I would like to submit these to the Board. Some of
12 these questions have not been answered. I will also submit
13 a list of recommendations which relate to emergency planning
14 and in respect to the Federal Emergency Management Agent. This
15 was on May 12 and there has not been a response to this list
16 of recommendations.

17 Members of the public often get the feeling that
18 they are not really having a conversation with people in
19 government who are representing them, and I would like to do
20 whatever I can to promote more of a cooperative feeling, so
21 that we would feel less like outsiders. I know it is not the
22 policy in limited appearances for you to ask questions, or maybe
23 it is, but at least I know that you don't cross examine people
24 who give limited appearances. That probably makes them feel
25 more comfortable too, but I think when there is an exchange--

B 6 ra

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 and I know I really felt as though my over two years of experience
 2 in hearings on the Barnwell plant, I felt as though I had a good
 3 relationship with the people on the Board. Sometimes I would
 4 have to take over the cross examination because we didn't have
 5 money for a lawyer and I can remember times when I was asking
 6 questions that were of a very technical nature, on technical
 7 subjects, and I do not have an engineering degree and I do not
 8 have a law degree and the Board members would help me. They
 9 would tell me what I was trying to ask, which I didn't know
 10 and I appreciated that.

11 The people who are intervenors, we work pretty hard
 12 I can tell you and we are trying to represent the interests of
 13 the public, and it really hurts our feelings when people call
 14 us subversives and act as though we are trying to stand in the
 15 way of progress. We do not feel that we are doing that. We
 16 feel that we are making a contribution.

17 We are actually, in a way, offering free services
 18 and we can't understand when they are turned down.

19 Thank you.

20 JUDGE GROSSMAN: I might say that we are called that
 21 too, on occasion.

22 JUDGE LINENBERGER: Well, Ms. Thomas, I would like to
 23 observe, I think your statements and observations are well reasoned
 24 and well presented and indicate, at least from what we can hear
 25 so far, a legitimate interest on your part and that of your

3 7 ra
1 associates.

2 I am interested in a couple of things that you have
3 said. Somewhere along the way you indicated that you felt there
4 was not an adequate opportunity for local people with interest
5 in say this proceeding to achieve status of intervenors and
6 that I think is very unfortunate; and, I gather also, from the
7 content of your remarks, that you feel that had you been, you
8 personally been better informed about the development and
9 progress of the earlier days of this proceeding, you or your
10 associates might have gone the route of formal intervention, is
11 that correct?

12 MS. THOMAS: Well, yes. At one time we did think
13 about this but we were involved in a hearing which took a great
14 deal of our time. We were also a party of this organization as
15 Environmentalists, Incorporated. We were also a party to the
16 hearings on plutonium recycled uranium called Table S, whatever
17 that was. We were also involved in the law suit which was
18 related to both the Barnwell hearings and plutonium recycle.

19 JUDGE LINENBERGER: The point I was trying to elicit
20 here was whether your lack of being an intervenor now reflects
21 more a commitment of your time to other things or more a lack
22 of information given you about how this proceeding was progressing
23 and I gather it was primarily a conflict of your time on other
24 matters.
25

38 ra

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

MS. THOMAS: Also I had the feeling that there were other intervenors and that there was somebody else working on this and I was glad and would do what I could to help them but I felt like I was spreading myself pretty thin as it was and our organization was too because we are a very small group.

JUDGE LINENBERGER: Fine. Thank you very much.

JUDGE HOOPER: Ms. Thomas, your questions and concerns about emergency planning, will they be--can you make those a part of this record in some way? I think they should be. I am not sure whether we would have those but it seems to me that these are very appropriate, it would be appropriate to have these somewhere in this record.

MS. THOMAS: Yes, I will be glad to give you those.

(Handing.)

JUDGE GROSSMAN: Thank you, Ms. Thomas.

[Submissions above-referred to are appended to this transcript.]

JUDGE GROSSMAN: The next speaker is Sandra Jones.

STATEMENT OF SANDRA JONES

MS. JONES: My name is Sandra Jones and I live at Route 1, Blythewood. I live in the Cedar Creek Community and we are only fifteen miles from the V.C. Summer plant.

I am here today because I do not want the V. C. Summer plant to go on line. I have two small children; a little girl age 5, and a little boy, age 7, who will have to grow up with the

1 fact that this plant is so nearby to the environment in which
2 they are being nourished. I am here because of them. I am a
3 mother who is deeply concerned about the welfare and the future
4 of my two children. To offer them a future which includes the
5 effects of the nuclear industry is not a satisfactory option to
6 me. I have to speak out against nuclear plants for me, for my
7 children and for those I care about. I can do no else.

8 All our tomorrows are too important for me to remain
9 silent. Thank you.

10 JUDGE GROSSMAN: Thank you, Ms. Jones.

11 Patsy Bianchi.

12 STATEMENT OF PATSY BIANCHI

13 MS. BIANCHI: My name is Patsy Bianchi and I too live
14 in the Cedar Creek Community.

15 We thank you gentlemen for giving the people a chance
16 to speak. We speak sincerely and we trust you will hear
17 sincerely.

18 If I knew the risks of living next to the V. C. Summer
19 plant were to be inflicted just on us who use the electricity it
20 produces for thirty years, I would be home this morning weeding
21 the tomatoes. If I believed that nuclear power production was
22 as clean and cheap as the nuclear industry tries to convince us
23 it is, I would probably have my garden sprinkler turned on and
24 my mind would be concentrating on how well the green peppers are
25 holding up to the heat; but, I feel that I have to be a bit

1 subversive this morning. I know that the V. C. Summer
2 plant will affect my descendants for thousands of years, not
3 just us who like to flip a switch and have light in the middle
4 of the night from 1982 to the year 2012. During those thirty
5 years, my family will be receiving low level radiation from the
6 plant in addition to what nature and man have already blessed
7 us with.

8 Of course we live with the constant stress factor of
9 wondering if the accident will happen that will make everyone
10 decide nuclear power risks are not worth it.

11 Then there will be the cost of dealing with and
12 storing spent nuclear fuel and even the plant itself after it
13 becomes so radioactive it is no longer feasible to pay enough
14 people to run it.

15 My child and his children and their offsprings for
16 thousands of years will be paying for space and guardians for
17 something so deadly it should never have been allowed to exist.
18 It should never have become atoms for peace because something so
19 menacing in its possibilities can surely become toys for evil.

20 That nuclear power production was ever allowed to
21 progress before a way to store the fuel was perfected is to me
22 a blatant disregard to reality and common sense.

23 Building a house without a bathroom would make its
24 inhabitants pretty uncomfortable. The johnny at V. C. Summer
25 will fill up in ten years. Even if an efficient septic tank

B 11 ra

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

is designed for storing radioactive waste, the sewer lines will involve hauling the radioactive feces along the highways near our community.

In North Carolina a drunk driver got lost one night with his load of radioactive waste and was rescued by the Highway Patrolman who stopped him for drunk driving. Something we always hear is how much safer nuclear power is than driving on our nation's highways. Almost everyone who drives has chosen to do so, knowing the statistical risks he is taking. Those of us living near the V. C. Summer plant would never choose to absorb the risks we ourselves are subjected to and even less would we choose to pass on the risks to future people who would get absolutely no benefits from the plant, but who will pay dearly for a few years of convenience for their forebearers.

If ever there is a sin of the fathers which will be visited on our children, this is it.

I have here a copy of our Petition that we at Cedar Creek signed and circulated stressing our hopes that the plant won't be allowed to go on line until the questions concerning waste storage is answered satisfactorily. (Handing.)

[Submission referred to above is appended to this transcript.]

JUDGE GROSSMAN: Thank you Ms. Bianchi.

Mr. Bianchi.

STATEMENT OF TRAVIS BIANCHI

1
2 MR. BIANCHI: My name is Travis Bianchi. I live at
3 Route 1, Blythewood. I live within sight of the V. C. Summer
4 Nuclear plant, which is shortly to go on line.

5 I would like to state that the restriction from public
6 involvement in this hearing are typical of response to those of
7 us concerned to the dangers of nuclear power have met with for
8 the last several years.

9 Despite the fact that this plant will only operate
10 thirty years, yet produce tons of toxic radioactive waste that
11 will exist for tens of thousands of years, public participation
12 is limited to a few minutes per person per half day of the
13 hearing.

14 Your attitude towards the residents surrounding the
15 V. C. Summer station is further given away by scheduling the
16 limited appearance public statements before the actual hearing
17 is even started.

18 What are we commenting on? No evidence has been
19 presented. No witnesses have been called or cross examined.
20 It is obvious this simply provides an opportunity for the public
21 to let off steam while remaining as ineffectual as ever. We
22 know that these statements will have no impact on the licensing
23 of the V. C. Summer station. That decision has already been made
24 behind closed doors without public input and despite public
25 concern.

L 3 ra

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

The decision to license the V. C. Summers plant has been made despite growing evidence that malfunctioning nuclear plants have the potential to cause many thousands of people to die horrible lingering deaths from radiation induced cancer, despite increasing evidence that the constant flow of radioactive emissions given off by routinely operating nuclear plants are far more hazardous to human health than previously realized, despite NRC records which indicate accident-free operation of a nuclear plant to be a most improbable goal, despite the increasing realization that in terms of human health effect there is no such thing as an insignificant radiation release, despite inadequate incomplete and short-sighted evacuation planning that will surely fail to remove all of the endangered populus in case of an accident, despite the knowledge that a safe fool-proof system of storage of nuclear waste is yet to be perfected, and, despite the fact that SCE&G will be storing high level waste on-site for an undetermined length of time, despite the Petitions bearing hundreds of names expressing concerns for its potential to a human health disaster, despite the irrevocable evidence that SCE&G does not need the extra electricity generated by its billion dollar cancer factory, despite its potential for rendering thousands of square miles, including towns, farms and countryside uninhabitable and making the soil unproductive for the rest of our lifetime; we know that you intend to license the V.C. Summer plant.

1 Our families feeds itself from the crops and animals
2 that we grow on our land. This plant presents a very real threat
3 that might poison that land so we cannot live on it or from it.

4 There are many families like ours near the V. C. Summer
5 plant. If that plant goes into operation, we will live in fear
6 for the next thirty years that every day on our land might be our
7 last day, and then, for the rest of our lives, we will fear the
8 radiation seeping and leaking from that abandoned power plant.

9 Why in the name of God are we being subjected to this?
10 To run the all-electric air-conditioned homes of Columbia and
11 its suburbs? Or is it so that SCE&G can fatten its corporate
12 self? There is no way that a corporate executive making in
13 excess of one hundred thousand dollars annual salary can empathize
14 with a man who plows the land his family has worked for over a
15 century, nor can a professional bureaucrat understand the
16 relationship that a man has with his land when he walks in the
17 same furrows that his grandfather walked in and that he hopes
18 his grandchildren will one day walk in.

19 Again, I ask you, why are we being subjected to this?

20 (Applause.)

21 JUDGE GROSSMAN: Thank you, Mr. Bianchi.

22 MR. BIANCHI: Thank you for listening.

23 JUDGE GROSSMAN: All right, I would like--thank you,
24 ladies, and could the next three speakers take their places at
25 the table; Doug Rogers, Betty Gilbert and Mike Lowe?

1 Is there anyone else here who would like to make a
2 limited appearance statement who has not yet signed up with Mr.
3 Hamilton?

4 If there is anyone else, Mr. Hamilton is there and he
5 will take your name if you will speak to him.

6 Mr. Rogers.

7 STATEMENT OF DOUG ROGERS

8 MR. ROGERS: Thank you, Mr. Chairman.

9 My name is Doug Rogers. I live in the Bethel Community
10 in Fairfield County about ten miles from the V. C. Summer Nuclear
11 plant.

12 I am here speaking for the members of Fairfield United
13 Action. Until three weeks ago, we expected to be a real part of
14 these hearings. We wanted to force SCE&G officials to answer
15 questions under oath about this plant they built in our back yard
16 and about whether they really knew how to run it, but, as you
17 know, the Appeal Board said you were wrong to let us try to
18 protect ourselves and ordered you to throw us out.

19 SCE&G and the NRC staff asked that we be prevented
20 from demanding that SCE&G prove their ability to run this plant
21 safely or to get us out quickly if they failed. They said we
22 could protect our rights by speaking here today and telling you
23 what worries us, but we know better than that. The Appeal Board
24 admitted that these short opening statements don't really help
25 protect us. We can only really have a say about our health and

1 safety as intervenors. This Board listened very closely to our
2 reasons for not filing until March of this year. You looked at
3 our ability to help examine these important health and safety
4 questions and at the ability of the other parties to protect us
5 and you let us in; but we see that there is something bigger
6 going on here than just this Board, this hearing, or this nuclear
7 plant. The accident at Three-Mile Island unmasked nuclear power
8 and the nuclear industry for what they are; badly managed,
9 unsafe, dishonest and unprepared to handle accidents.

10 After the accident at Three-Mile Island, study after
11 study called for change. Promises were made for better
12 regulations, closer attention to safety and more citizen
13 involvement in licensing.

14 Even Wall Street looked at nuclear power and said it's
15 a bad deal. Who is to blame? Should the blame utility officials
16 and let costs go through the ceiling? Should the public blame
17 utility officials who built more plants than they need? SCE&G
18 will have 59 percent more power than they need. SCE&G first
19 thought that this one million dollar plant would cost a hundred
20 and ninety million. Blame the people responsible? Of course
21 not.

22 The nuclear industry, SCE&G, and their buddies, have
23 unleashed an army of lobbyist and public relations people to
24 spread the big lie.

25 The problem of nuclear power, they tell us, is not that

1 accidents like Three-Mile Island will happen. The problem of
2 nuclear power is not that it raises rates so high that we can't
3 pay them they tell us. The problem of nuclear power is not the
4 waste we don't know what to do with they tell us. The problem,
5 they tell us, is that citizens are saying no to having nuclear
6 plants threatening their land, lives, and loved ones. The problem
7 is that citizens are using the few legal rights they have in a
8 system which is rigged against them from the beginning, and these
9 citizens are being heard.

10 The problem for SCE&G is that the fight of people in a
11 democracy to have some kind of say over their lives, their health,
12 their safety might actually work, and SCE&G and their buddies
13 in the industry say this must not happen, if the people are
14 really heard, we will be out of business, and so, they feed
15 false information to our Congressman to get them to lean on
16 NRC to speed up these hearings. They convince the NRC to propose
17 new regulations which will make real citizen intervention
18 impossible and they get Fairfield United Action thrown out of
19 these hearings. They don't want us in this case because they
20 are afraid we can help you look at how this company is run.

21 SCE&G knows it cannot stand up under a close look.
22 They have even managed to have Mr. Bursey so limited he cannot
23 put up a case on half his contentions and they have had us thrown
24 out, so despite this generous invitation of SCE&G and the NRC
25 staff that we stand here and kid ourselves that these limited

1 statements will make any difference. We will put our energies
2 elsewhere. We will not waste our energy here on ears ordered
3 deaf by the Appeal Board. We will carry our anger and our
4 legitimate fears to the people of South Carolina so that they
5 can hear our message.

6 We expect the original order of this Board admitting
7 us to be upheld. When we can question these people under oath
8 then we will participate. Until then, this mockery will not
9 mock us. This sham will not fool us.

10 Thank you.

11 (Applause.)

12 JUDGE GROSSMAN: Betty Gilbert.

13 STATEMENT OF BETTY GILBERT

14 MS. GILBERT: I am Betty Gilbert, 416 Maple Street,
15 Columbia, South Carolina.

16 I am going to be a little bit redundant but I am a
17 little bit concerned about Secretary Edward's statement about
18 subversive activities flaunting environmentalists activities and
19 I just want to state that I am just a concerned citizen and I have
20 been concerned for about eight or nine years.

21 When I first became concerned, it was very--you very
22 seldom saw anything in the newspaper concerning any of the nuclear
23 issues. I wanted to say that just in this--these are not complete
24 by any means, and just from the COLUMBIA RECORD, here is one on
25 May 24, 1981, and these are just clippings; "Workers find leak

B 19 ra

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

at nuclear plant" and that is at the Browns Ferry, which is--uh, February 23, Savannah River plant, tritium leak--another tritium leak in March at the Savannah River plant, and on March 1st, rodent droppings carrying radioactivities. Nothing is too small to be concerned about now.

All of these clippings (indicating), these are the things that the newspapers is showing that there is a concern of the public.

I am not afraid of an explosion. That is what they have been--the private citizenry doesn't know what they are talking about when they are afraid that the nuclear plant will explode. I am not afraid of that. I am afraid of mechanical error and human error. I am afraid that they will hurt the environment, the air we breathe and the water we drink and use.

I would like to read this last clipping pretty much in toto, from June 18th of this year, this states:

"NRC Consultant. Release of Uranium poses hazards, Oak Ridge, Tennessee, UPI.

"The Department of Energy has confirmed that 11,270 pounds of radioactive uranium was released accidentally in the last twenty-one years from the government owned nuclear fuel enrichment center.

"A Nuclear Regulatory Commission consultant says there is no doubt the release posed health hazards. "It will cause some problems but the people affected probably will not be able

1 to link it back with the releases" says the consultant, Dr.
2 Rosa Lee Burkell of Toronto, Canada.

3 "The Department of Energy confirmed Wednesday that
4 the Oak Ridge Gaseous Diffusion Plant in Oak Ridge in East
5 Tennessee, where 53 workers were exposed to radioactive mist
6 last month has accidentally released more than five and a half
7 tons of toxic uranium hexachloride gas into the air since the
8 facility opened in 1945.

9 "DOE spokesman, Jim Alexander, says the gas was
10 released from the 121 accidents at the facility, part of the
11 massive Atomic Energy Research and Development complex at Oak
12 Ridge National Laboratories. Despite Burkell's assertion that
13 there is no doubt the release posed health hazards, Alexander
14 insisted that it does not present any measurable health threats."

15 . Well, how can you measure health threats if you can't
16 prove the health threat is there? And DOE officials says they
17 do not believe the amount released is unreasonable considering
18 the complexity of the emission system and the number of years
19 involved. So I think that is a kind of a false assumption there
20 in the first place.

21 I would like to throw in here that I have sat in a
22 Nuclear Regulatory Commission hearing and I have heard human lives
23 discussed in the health benefit analysis.

24 This 121 accidents all involved the release of one
25 kilogram, 2.2 pounds or more. DOE officials who compiled the

1 figures for reporters at the last month accident did not include
2 any accidents in which there was less than that that was emitted.
3 In the May 25th accident, 53 workers were exposed to the toxic
4 uranium hydrochloride when a hose ruptured. An investigation
5 continues and officials do not know how much material was lost.

6 I think that is a pretty bad indictment there also.
7 You really can't know what happens when an accident comes.

8 I think that that is the kind of thing that is such a
9 danger in any of the nuclear facilities. They could be little
10 minor things which can create hazards that nobody really knows
11 the total effect of and nobody can really prove what that total
12 affect will be. I know you can't see tritium when it is released
13 so how can you avoid it? If you can't see it to know it is
14 present in the water, how can you avoid it?

15 Thank you.

16 JUDGE GROSSMAN: Thank you, Ms. Gilbert.

17 Mike Lowe.

18 STATEMENT OF MIKE LOWE

19 MR. LOWE: Judge Grossman, members of the Board, my
20 name is Michael Lowe. I am a Columbia resident at 2812 Bratton
21 Street and I speak on behalf of the Palmetto Alliance of South
22 Carolina, a statewide safe energy organization.

23 We feel like these hearings without the intervenor,
24 Fairfield United Action, are nothing more than a conciliator
25 gesture to the public. I feel like that unless you, the Board, or

1 unless the State of South Carolina explores these contentions and
2 these issues that Fairfield United Action has raised, that is
3 management capability. I have personal knowledge of the manage-
4 ment capabilities of South Carolina Electric & Gas. I worked
5 for them on a construction job for two years, as a crane operator,
6 from 1974 to 1976. The financial capability of this company to
7 handle an accident such as Three-Mile Island or to handle a
8 large repair job such as Florida Power & Light is now encountering
9 with steam generator repairs or with their Turkey Point three and
10 four units, unless you explore the emergency plan issues, which
11 I believe only Fairfield United Action has special knowledge of,
12 the record in this case will remain incomplete.

13 I also feel that there is a travesty that the spent
14 fuel storage issue is not being explored in these hearings. To
15 have that placed in a separate hearing is a very bad mistake that
16 the South Carolina Electric & Gas and the Atomic Safety and
17 Licensing Board will have to address some time in the next ten
18 years.

19 To build a plant that has a thirty-year lifetime with
20 only ten years storage capacity, to build a plant that will be
21 number seventy-four in a line of nuclear plants trying to store
22 their spent fuel is absurd. Allied General Nuclear Services
23 officials in their most optimistic predictions say that that
24 plant will not be ready for operation, if it operates, or to
25 accept spent fuel storage before 1990.

1 I believe you should carefully consider and take extra
2 efforts to appeal to your superiors and have these issues heard.

3 Thank you.

4 JUDGE GROSSMAN: Thank you, Mr. Lowe.

5 Thank you ladies and gentlemen and Mr. Rogers, I would
6 like to compliment Fairfield United for the high quality briefs
7 that they have submitted to the Appeal Board and the Commission.

8 The last speaker we have listed is Laura A. Bagwell.
9 Ms. Bagwell, please come forward.

10 STATEMENT OF LAURA A. BAGWELL

11 MS. BAGWELL: Thank you.

12 My name is Laura Bagwell. I live at 4813-B North Main
13 Street in Columbia, South Carolina. I don't have a prepared
14 speech to offer to you this morning, but I am uncomfortable here
15 and it is not because of that fact. I am uncomfortable because
16 there are ten nuclear facilities in this state under construction
17 or working right now and I live, you know, I think about what
18 would happen to my family. I have lived in this state all my
19 life and I love this state and I don't want to see it ruined.

20 I worked at the Cherokee Nuclear plant while it was
21 being constructed and I saw how things got put together. If we
22 could get off early, if it meant us not having to work until
23 9:30 at night which we did frequently, sure we would cut corners,
24 we would let in a load of dirt with roots and stumps which would
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

go underneath a barrier for the sedimentation dam. We would use bad debars--I am sure you know what that is--which had not been passed by quality control.

It scares me when I hear what has happened to the people who live around Three-Mile Island and. The dairy farmers could no longer sell their milk to anybody. The people who grow grapes there, nobody will buy the grapes to make wine from them anymore.

I am just scared. I don't want this here and I appreciate your letting me come and speak this morning. Thank you.

JUDGE GROSSMAN: Thank you, Ms. Bagwell.

(Applause.)

Do we have anyone else who would like to make a limited appearance statement?

(No response.)

JUDGE GROSSMAN: All right, then that concludes limited appearances. We will proceed with the first, or the next item on the agenda which is the panel put on by the Applicant and before that, we will take a ten-minute recess.

(Short recess.)

nd Take B.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

Clpw 1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

JUDGE GROSSMAN: The hearing is back in session.

Mr, Knotts, before we proceed, we have received a communication from Fairfield United indicating that they have been removed from the service list. Is there any reason why you can't restore them to the service list until their appeals are decided?

MR. KNOTTS: Mr. Chairman, by way of clarification, we have been serving Fairfield United with all pleadings related to their appeals and stay request before the Commission. What we have not been doing is sending them routine licensing correspondence since they were dismissed, but in response to your question, we will be happy to do so if that is what the Board would like.

JUDGE GROSSMAN: All right, we would like it, and also to submit to them the stuff that has been issued since June 5.

MR. KNOTTS: Fine.

JUDGE GROSSMAN: Thank you.

Before I swear the panel, was it your intention to make an opening statement, Mr. Knotts, or do you intend to have the panelists give a summary? I'm not sure what your procedure is.

MR. KNOTTS: Mr. Chairman, I would be prepared to give an opening statement, but I don't want to consume that time unnecessarily. The panelists are going to present an oral summary and perhaps it would be more meaningful to have the

C2pw

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

panelists give an oral summary rather than have me outline the whole case.

JUDGE GROSSMAN: That's fine. Would the panelists please rise and raise your right hands?

Whereupon,

SHELTON S. ALEXANDER, PH.D.
ROBIN KEITH MCGUIRE, PH.D.
CHANG CHEN, PH.D.
PRADEEP TALWANI, PH.D.

were called as a panel of witnesses on behalf of the Applicant, and having been first duly sworn, were examined and testified as follows:

JUDGE GROSSMAN: Please be seated. Could you each give your full names and addresses for the court reporter, beginning with the person on my left.

DR. TALWANI: My name is Pradeep Talwani, I am at the University of South Carolina. My home address is 201 North Nottingham Road, Columbia, South Carolina.

JUDGE GROSSMAN: And could you spell that for the reporter please? Your last name.

DR. TALWANI: (Spelling) T-a-l-w-a-n-i.

JUDGE GROSSMAN: I'm sorry, your first name too, please.

DR. TALWANI: (Spelling) P-r-a-d-e-e-p.

JUDGE GROSSMAN: Thank you, Dr. Talwani.

DR. CHEN: My name is Chang (C-h-a-n-g) Chen (C-h-e-n).

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

C3pw

1 My home address is 906 Evergreen Drive, Wyomissing (W-y-o-m-i-s-s-
2 i-n-g) Pennsylvania.

3 DR. MCGUIRE: My name is Robin McGuire; M-c-G-u-i-r-e.
4 I live at 5255 Pine Ridge Road in Golden, Colorado.

5 DR. ALEXANDER: My name is Shelton S. Alexander, I'm
6 a Professor of Geophysics at Pennsylvania State University, and
7 I reside at 1161 Dorum (D-o-r-u-m) Avenue, State College,
8 Pennsylvania.

9 JUDGE GROSSMAN: Thank you, gentlemen.

10 You may proceed.

11 MR. KNOTTS: Thank you. I may note for the record,
12 gentlemen, that the lead witness on the panel is Dr. Alexander
13 and unless you have a specific matter to address to a member
14 of the panel, Dr. Alexander will either respond or direct the
15 response to a member of the panel.

16 JUDGE GROSSMAN: I think we ought to establish the
17 ground rules now. We may, or any of the parties may, direct
18 questions to individual members --

19 MR. KNOTTS: Surely.

20 JUDGE GROSSMAN: (continuing) -- if anyone on the
21 panel has something in clarification or disagrees with what
22 is stated by another panelist, please make a further statement
23 and clarify the record or we will assume that everyone on the
24 panel agrees with the statement that has been made by the person
25 answering the question. So if you do have some questions about

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

C4pw

1 the matters stated, please speak up at that time or we will
2 assume that you agree with the matters stated. Thank you.

3 MR. KNOTTS: Gentlemen on the panel, let me ask each
4 of you, has each of you prepared a statement of your educational
5 and professional qualifications for use in this proceeding?

6 DR. ALEXANDER: Yes.

7 DR. MCGUIRE: Yes, I have.

8 DR. CHEN: Yes.

9 DR. TALWANI: Yes.

10 MR. KNOTTS: I might note for the record, Mr. Chairman,
11 that these statements of qualifications were previously distri-
12 buted with my memorandum of transmittal dated May 28, 1981,
13 the qualifications of Drs. Alexander, McGuire and Chen were
14 appended to their pre-filed written testimony. The qualifica-
15 tions of Dr. Talwani were filed separately since he did not
16 have pre-filed testimony and is being made available to respond
17 to questions.

18 Mr. Mahan will now hand each of you a copy of the
19 document and I will ask you to state for the record whether
20 that is a copy of the document you prepared.

21 Dr. Alexander?

22 DR. ALEXANDER: Yes, it is.

23 MR. KNOTTS: Dr. McGuire?

24 DR. MCGUIRE: Yes, it is.

25 MR. KNOTTS: Dr. Chen?

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 54 2345

C5pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. CHEN: Yes.

MR. KNOTTS: Dr. Talwani?

DR. TALWANI: Yes.

MR. KNOTTS: Now let me ask each of you in turn if there are any corrections or additions to your statement of qualifications which you wish to make. Dr. Alexander?

DR. ALEXANDER: Yes, there are a few of minor nature.

The first page, at the bottom, the second full paragraph up, replace "In 1964" by "From 1963 to 1965" and append at the end of that sentence "while on active duty".

At the top of the second page, third line down, insert between "Geophysics" and "Program", to read "Geophysics Graduate Program". The next line, the parentheses after the word "Coordinator" should read "(1974 to 1977)" and strike "Present", on the next line.

The next paragraph, insert right after "industries", "Teledyne Geotec, Incorporated" and in the very last line of that paragraph, replace "Corporation" by "Research, Incorporated", so that it reads "Weston Geophysical Research, Incorporated."

And on the last page, the sixth line up from the bottom, make that read "National Academy of Sciences" rather than "Science".

MR. KNOTTS: Does that complete your corrections, Dr. Alexander?

DR. ALEXANDER: That completes my corrections.

C6pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2346

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KNOTTS: Dr. McGuire, do you have corrections to your statement of education and professional qualifications?

DR. MCGUIRE: Just several minor corrections.

At the end of the first paragraph, "1980" should read "1981".

And on page two at the beginning of the first full paragraph, "1980" should read "1981".

Other than that, the statement is correct.

MR. KNOTTS: Thank you.

Dr. Chen, do you have corrections to your statement of qualifications?

DR. CHEN: Yes, there is one numerical error on page three.

JUDGE LINENBERGER: Could we go just a little bit slower here please?

DR. CHEN: Certainly.

JUDGE LINENBERGER: Now, where are we?

MR. KNOTTS: With Dr. Chen.

JUDGE LINENBERGER: Dr. Chen, fine.

DR. CHEN: There is a numerical error on page three, in the middle of the second paragraph, "13,000 megawatts" should be "1300 megawatts".

MR. KNOTTS: No further corrections, Dr. Chen?

DR. CHEN: No, that's it.

MR. KNOTTS: Dr. Talwani, are there any corrections to

C7pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

your statement of qualifications?

DR. TALWANI: No.

MR. KNOTTS: In the case of those who have made corrections, is your statement as corrected true and correct?

DR. ALEXANDER: Yes, it is.

MR. KNOTTS: And Dr. Talwani, is yours true and correct as it stands?

DR. TALWANI: Yes.

MR. KNOTTS: Does each of you wish to adopt your statement of qualifications as part of your testimony in this proceeding?

DR. ALEXANDER: Yes.

DR. MCGUIRE: Yes.

DR. CHEN: Yes.

DR. TALWANI: Yes.

MR. KNOTTS: Now let me ask Dr. Alexander, Dr. McGuire and Dr. Chen, whether each of you have prepared written testimony for use in this proceeding.

DR. ALEXANDER: I have.

DR. MCGUIRE: Yes.

DR. CHEN: Yes.

MR. KNOTTS: Is the document which Mr. Mahan is now handing you a copy of the testimony you prepared?

DR. ALEXANDER: Yes it is.

DR. MCGUIRE: Yes.

C8pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. CHEN: Yes it is.

MR. KNOTTS: Now with reference to that document, let me ask each of you in turn whether there are any corrections or additions or updating which you wish to make in your written testimony.

Dr. Alexander?

DR. ALEXANDER: Yes. Again, I have a few corrections.

The first appears on page 3 and it is a misspelling in the statement of Contention A4(a), it should be "activity", a-c-t-i-v-i-t-y.

On page 4, in the middle of the page, the line which ends-"in the Charleston area", I wish to replace the statement "other than in" by "including". And in that same paragraph, there should be a parenthesis after "E" on the left hand side, "Appendix E" should have a parenthesis such that everything after "Supplement No. 1," starting with that parenthesis, should close with "Appendix E", so all of that refers back to the SER.

MR. KNOTTS: Thank you.

DR. ALEXANDER: Page 5, first line of the first full paragraph, Piedmont is spelled P-i-e-d-m-o-n-t.

The very last line at the bottom, last two lines, it should read "to the contention of Intervenor Bursey" as opposed to "contention of the intervenor".

MR. KNOTTS: Thank you.

DR. ALEXANDER: Page 12, the paragraph labeled (4),

C9pw

1 four lines down, there is a typographical error, it should be
2 "surface", s-u-r-f-a-c-e. Two lines below that, propagating
3 should be spelled p-r-o-p-a-g-a-t-i-n-g.

4 Page 14, the first full paragraph on the page, five
5 lines up, should be spelled "events". The bottom paragraph,
6 second line "occurrences" should be singular, "occurrence", to
7 read "on the occurrence of the 1886 Charleston earthquake."

8 And those are all my corrections.

9 MR. KNOTTS: Thank you, Dr. Alexander.

10 Dr. McGuire, do you have corrections to your pre-filed
11 testimony?

12 DR. MCGUIRE: I have none.

13 MR. KNOTTS: Dr. Chen, are there corrections to your
14 pre-filed testimony?

15 DR. CHEN: No, sir.

16 MR. KNOTTS: All right. Dr. Alexander, as corrected,
17 is your pre-filed testimony true and correct?

18 DR. ALEXANDER: Yes, it is.

19 MR. KNOTTS: And Dr. McGuire and Dr. Chen, is your
20 testimony true and correct?

21 DR. MCGUIRE: Yes.

22 DR. CHEN: Yes.

23 MR. KNOTTS: And does each of you wish to adopt your
24 written testimony as part of your testimony in this proceeding?

25 DR. ALEXANDER: Yes.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

C10pw

300 7TH ST, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. MCGUIRE: Yes.

DR. CHEN: Yes.

MR. KNOTTS: Thank you.

Before I ask these gentlemen, Your Honor, to summarize -- provide a brief oral summary of their written testimony, I would now offer the pre-filed testimony and statements of qualifications and ask that it be bound into the transcript at this point as if read.

JUDGE GROSSMAN: Before we rule on that or ask for objections, I think it would be preferable to have them summarize their testimony first and then give the other parties a chance to object or to voir dire the testimony first.

Is there any objection to that, Mr. Knotts?

MR. KNOTTS: I have no objection.

JUDGE GROSSMAN: That way, they can center on --

MR. KNOTTS: I have no objection to voir dire before the testimony is put in.

Gentlemen, would each of you proceed then to give us a brief summary of your pre-filed testimony, beginning with Dr. Alexander.

DR. ALEXANDER: As I indicated, my name is Shelton Alexander. I am employed by the Pennsylvania State University as a Professor of Geophysics in the Geosciences Department. A statement of my personal qualifications and relevant experience is included in my complete testimony.

Cllpw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 JUDGE GROSSMAN: Excuse me. Let me ask the parties
2 what their preference is on that. They may want to object before
3 the summaries go in.

4 Mr. Bursey, do you have any preference on that?

5 MR. BURSEY: Your first suggestion seems to be a
6 reasonable one, hear the summaries and then determine if we want
7 the entire testimony read.

8 JUDGE GROSSMAN: Mr. Goldberg, what's your preference?

9 MR. GOLDBERG: I have no preference.

10 JUDGE GROSSMAN: Okay.

11 Mr. Bursey, let me point out to you that you then have
12 to move to strike the summary if you find that objectionable,
13 but I'll give you the option of which you prefer. To let them
14 proceed with their summaries and then --

15 MR. BURSEY: Yes.

16 JUDGE GROSSMAN: Okay. Proceed.

17 DR. ALEXANDER: To continue, I have been retained as a
18 consultant to South Carolina Electric & Gas Company since
19 October of 1980, to coordinate and integrate the site studies
20 concerned with the V. C. Summer Nuclear Station and Monticello
21 Reservoir.

22 The purpose of my testimony is, first, to summarize
23 briefly the results of our investigation and review of the
24 seismic activity in the region in which the V. C. Summer facility
25 is located, and secondly, to explain the grounds for my

C12pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 conclusion that this investigation and review is more than
 2 adequate to form a basis for evaluation of the potential seismic
 3 hazard at the Summer site and the basis for Dr. Chen's conclusion
 4 with regard to the adequacy of the structural and equipment design
 5 for such seismic activity.

6 I will begin by addressing first Contentions A4(a) and
 7 A4(b) raised by Mr. Bursey, an intervenor, and then I'll present
 8 a brief summary of our findings with regard to the three principal
 9 seismic issues: Reservoir induced seismicity; the Charleston
 10 earthquake and the Wateree Creek fault.

11 First I will read the contention and then summarize
 12 briefly our response to that.

13 Contention A4(a) originally is as follows, "The FSAR
 14 is inadequate with respect to the description of the seismic
 15 activity in the area of the Summer plant site. Then also, Mr.
 16 Bursey contends that a near-field magnitude of 5.3 should be
 17 used and that the Wateree Creek Fault poses new seismic
 18 considerations which must be resolved. The latter added
 19 subsequent to the hearing in South Carolina.

20 I have reviewed the data presented in the FSAR, and
 21 also other relevant literature on the subject. My review of
 22 seismicity and related geologic and tectonic issues included,
 23 but was not limited to, the following documents: The FSAR
 24 (Section 2.5); Woodward Clydes" report entitled "Review of
 25 Reservoir Induced Seismicity"; all of the technical reports by

Cl3pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

1 Dr. Pradeep Talwani on reservoir-induced seismicity at
 2 Monticello Reservoir; journal articles and technical reports
 3 describing seismicity and interpretations of earthquake
 4 activity in the region including the Charleston area; the Safety
 5 Evaluation Report for the Summer plant and its Supplement,
 6 especially Section 2.5 of that SER; Dr. Murphy's views discussed
 7 in Section 2.5.3, pages 2-24 through 2-26 and on page 2-31;
 8 LSAS's review in Section 2.5.3 and in Appendix D; and finally
 9 the USGS letter by Dr. Devine in Appendix E. The report
 10 prepared under my supervision entitled "Supplemental Seismologi-
 11 cal Investigation - Virgil C. Summer Nuclear Station Unit 1 -
 12 December 1980" presents a detailed evaluation of all available
 13 seismic information, except for the SER, which was issued
 14 subsequently. I concluded that the literature search
 15 presented in the FSAR was thorough and my subsequent perusal
 16 of other available reports and publications revealed no new data
 17 that would alter the conclusions reached in the FSAR.

18 So, contrary to the contention of Intervenor Bursey,
 19 the data presented in the FSAR and other referenced documents
 20 provide a more than adequate description of the seismic
 21 activity in the area of the Summer plant site. The issues
 22 concerning a magnitude 5.3 near-field event and the Wateree
 23 Creek Fault will be discussed in a moment, but neither proposes (s
 24 a seismic safety hazard to the V. C. Summer facility, based on
 25 our detailed site specific evaluation.

Cl4pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Contention A4(b) is the next and it is stated as follows: "The plans for monitoring site specific seismicity are inadequate, in that they do not consider the seismic effect of filling the reservoir. Site seismicity should be monitored for one year subsequent to filling the reservoir and prior to the granting of the operating license." Later and now, Mr. Bursey contends that monitoring should continue through 1983.

With regard to the monitoring, data from JSC, a permanent seismographic station of the South Carolina seismic network, which is located 3.5 miles southeast of the plant, provided initial information on the background seismicity prior to the filling of the reservoir. Then South Carolina Electric & Gas installed a four station network which began providing reliable information just prior to the filling of the reservoir. These data were supplemented with those obtained by anywhere from 2 to 5 portable seismograph units deployed in the epicentral area in the early months subsequent to filling. And since July of 1978, additional information has been obtained from six additional stations installed by the U. S. Geological Survey; these additional data confirm that the depths of the seismicity associated with the reservoir are shallow; that is, less than three kilometers in depth and 98% of all of the events that have occurred are less than two kilometers in depth.

The detection threshold with this monitoring -- combined

C15pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 monitoring network, is complete down to a very small magnitude
 2 events, M_L events approximately minus .6 are all detected should
 3 they occur beneath the plant. So in that sense, the record is
 4 quite complete within the immediate vicinity of the reservoir
 5 itself.

6 To date, the seismicity data at Monticello Reservoir
 7 have been obtained for 3-1/2 years subsequent to filling, 2-1/2
 8 years longer than originally suggested by Intervenor Bursey.
 9 After the initial spurt of activity following the filling of
 10 the reservoir, January-February of '78, there has been a marked
 11 decrease in the activity level both in the total number of
 12 recorded events, M_L greater than minus .6 magnitude, and in the
 13 number of the larger amongst the events, microevents, 2 to 2.8
 14 magnitude. These are small events by anyone's standards. And
 15 this pattern has continued. We of course are monitoring continu-
 16 ously up to the present and this pattern has continued with the
 17 small local episodes of activity, the most recent of which was
 18 late March and early April with the largest magnitude of 2.4
 19 approximately. But overall the rate of seismicity continues to
 20 decline.

21 So, in over 3-1/2 years of monitoring the seismicity
 22 at Monticello Reservoir, we have seen the pattern of induced
 23 microearthquake activity, which is limited spatially to
 24 shallow depths in the immediate vicinity of the reservoir; the
 25 largest events are in the magnitude range 2.5 to 2.8 M_L , which are

Cl6pw

1 small events, and there has been an overall decline in the
 2 average activity rate with time following this initial peak of
 3 activity. So in my opinion, the microseismicity observed at
 4 Monticello Reservoir, although it is very interesting scienti-
 5 fically, does not constitute a safety hazard to the V. C.
 6 Summer Nuclear Station.

7 South Carolina Electric & Gas has committed to continue
 8 monitoring the seismic activity at Monticello Reservoir until
 9 the end of 1982, at which time an evaluation will be made in
 10 conjunction with the NRC staff to determine if it should be
 11 continued. So I think that contention is adequately rebutted.

12 Now I will proceed to discuss the three principal
 13 seismic issues in turn, starting with an evaluation of the
 14 reservoir induced seismicity.

15 I have been intimately involved in the evaluation of
 16 the reservoir-induced seismicity at Monticello Reservoir, and
 17 as I indicated earlier was responsible for the coordination and
 18 preparation of the report entitled, "Supplemental Seismologic
 19 Investigation - V. C. Summer Nuclear Station Unit 1 - December
 20 1980".

21 Monticello Reservoir is unusual in that it is probably
 22 one of the best documented cases of reservoir induced seismicity
 23 in the world. Of approximately 11,000 reservoirs worldwide, only
 24 about 45 have confirmed reservoir induced seismicity associated
 25 with them and there are about 12 other questionable cases. Of

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

C17pw

1 these that are confirmed, 30 are associated with macroseismic;
2 that is, magnitude M_L events greater than 3, and 15 events are
3 associated with microseismicity, M_L less than 3. Monticello is
4 included in this latter microseismicity group, which is
5 characterized by small magnitude events. Now there are 59
6 reservoirs that have been constructed within the Piedmont
7 Tectonic Province since 1891, and that's the land on which
8 Monticello is situated, 12 have experienced nearby seismic
9 activity, two of which are unequivocally confirmed as reservoir
10 induced seismicity, that's Jocassee and Monticello itself.
11 So with over 2193 reservoir years of data in the Piedmont Tectonic
12 Province, there has been no reservoir that has been associated
13 with a seismic event greater than a Modified Mercalli Intensity
14 VI, which is approximately an M_b of 4.3 magnitude.

15 JUDGE LINENBERGER: On this point, sir, you've used
16 the term M_L as well as M_b . Would you distinguish between them
17 please sir?

18 DR. ALEXANDER: Yes. The M_L goes back to the initial
19 definition by Richter of what a magnitude is in the first place
20 and it represents a measurement relatively near to the source
21 and L really stands for local magnitude in that sense, and
22 typically it's measured either by taking the largest amplitude
23 of the signature ground motion and calculating the -- the
24 magnitude scale itself is an arbitrary scale according to the
25 definition, which is logarithmic in nature. So one takes the

Cl8pw 1 logarhythm, base 10, of the ground amplitude maximum and that
2 is the definition of magnitude that is related to a standard
3 distance of measurement and a standard instrument. And with
4 more modern instruments everything is then related back to the
5 equivalent M_L definition.

6 A second way of determining it, which is calibrated
7 to this definition is the duration of ground motion, which is
8 related again to the size of the event M_L , so there are these
9 ways of measuring local magnitude. The M_b , so called, is the
10 definition made typically from observations at large distances
11 from the event itself. By large distances, we mean 3,000 or
12 more kilometers. And these scales, although they have not been
13 totally matched in every setting, are approximately equivalent
14 to one another.

15 JUDGE GROSSMAN: I'm sorry, you gave two figures now,
16 one of 6 and one of 4.4, was it? Could you tell me again which
17 magnitudes you were using for those comparable figures?

18 DR. ALEXANDER: Yes. We should distinguish between
19 intensity and magnitude --

20 JUDGE GROSSMAN: Oh, you were using intensity, I'm
21 sorry. Okay, thank you. It was an intensity 6 and a magnitude
22 4.4?

23 DR. ALEXANDER: Correct. That's the match, the
24 association that we infer between those two such that intensity
25 6 would correspond approximately to a magnitude of 4.3.

C19pw 1 JUDGE GROSSMAN: Okay. I assume by the way, when you
2 are discussing magnitudes in general, you're using local
3 magnitude M_L .

4 DR. ALEXANDER: That's correct because that is what is
5 in fact measured with this local network.

6 Let's see, let me find my place here. So with over
7 2193 reservoir years of data in the Piedmont Tectonic Province,
8 no reservoir has been associated with a seismic event greater
9 than intensity 6 or approximately this magnitude, 4.3.

10 Also, of the reservoir induced seismic events globally,
11 there has been 10 reservoirs that have experienced nearby earth-
12 quakes with magnitudes greater than 5.0. And of these 10, 8
13 are associated with known active faulting and the other two
14 have probable active faulting based on known local geology. There
15 are no known or suspected capable faults near Monticello
16 Reservoir.

17 We also found that for all reservoir induced events
18 globally with M_L greater than 5.0, the estimated source depth,
19 so-called focal depth, has been at least 5 kilometers or greater,
20 and in most cases it's greater than 10 kilometers. There is no
21 evidence of the effects of the reservoir or residual tectonic
22 stresses in this area to indicate that there are likely to be
23 events of any size beneath this Monticello Reservoir. That is,
24 Monticello does not conform to the situation where magnitude of
25 5.0 or greater events have occurred.

C20pw

As I stated earlier, Monticello Reservoir is one of the best documented cases of reservoir induced seismicity anywhere in the world and as a result, a significant amount of site specific data have been acquired which provide a good basis for understanding the reservoir induced seismicity at Monticello. And our evaluation indicates that the observed induced seismicity is a result of superficial adjustments to the -- to an altered stress state caused by the reservoir impoundment and there is no evidence to suggest anything more than the microearthquake activity such as we have experienced will occur there in the future. And based on all our data, which includes a variety of lines of geophysical and seismological evidence, we infer that an M_L equal to 4.0 event is the upper bound for any future induced seismicity at this particular site. Also the preponderance of historical data supports our detailed site study in that it's appropriate and suggests that it's appropriate to assign an upper bound with a maximum sized induced event. In particular, near-field reservoir induced events larger than 5.0 should not be considered in this case, as they would imply an induced earthquake larger than the largest natural tectonic event that is known to have occurred in this Province.

M_L equals 4.5, which is the limit stated by the staff, the NRC staff, in the SER, is a very conservative upper bound for reservoir induced seismicity anywhere in the Piedmont Tectonic Province because there is only one reservoir induced event, the

C21pw 1 Clark Hill event of 1974, that has been as large as M_L equals
2 4.0, and there is debate as to whether that event was in fact
End of C.3 induced.

- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

dlda

1 No reservoir as shallow as Monticello outside of an active
2 seismic zone has RIS as large as M_L equals 4.0.

3 Statistical estimates of ground accelerations at the
4 site made by Dr. McGuire, taking into account observed strong
5 motion data from the largest induced earthquakes at Monticello
6 Reservoir, show that, in order to equal or exceed the design
7 accelerations an M_L equals 4.5 event must be closer than 2 kilo-
8 meters to the plant in any direction.

9 M_L equals 5.0 must be closer than three kilometers
10 and M_L equals 5.5 event must be closer than four kilometers.
11 Inas much as all of the reported reservoir induced events globally
12 whose magnitudes are greater than 5.0 have storage depths greater
13 than five kilometers plus site specific data we have indicates
14 that events as large as Monticello would also be deeper than
15 five kilometers, we conclude that an event of the size suggested
16 by Dr. Muprhy, that is an M_L equals as large as 5.3, and later
17 that same figure suggested the University, that size event would
18 not adversely affect the facility.

19 Moreover, Dr. McGuire's calculated that the mean return
20 period for such an event as an M_L equals 5.3 is approximately
21 five thousand years, which is of the same order as for natural
22 events, ecttonic events in the Piedmont Province.

23 As I indicated earlier, all induced events five or
24 greater have been associated with capable faults. And there
25 is none known or suspected in the vicinity of the Summer facility.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

d2da

1 That summarizes our findings for the reservoir-induced case.

2 Now, I'll go to the second seismic issue which is
3 the Charleston Earthquake. And I have become familiar with
4 the studies being conducted by the U. S. Geologic Survey on
5 the occurrence in 1886, the Charleston Earthquake.

6 Available data and literature regarding cause of the
7 earthquake have been thoroughly reviewed and probabilistic analy-
8 ses based on the three most prominent possible scenarios for
9 explaining the occurrence of that earthquake have been made
10 for comparison to the current design parameters at the Summer
11 facility.

12 So from the extensive work carried out in recent years
13 by the U. S. Geologic Survey, evaluations of the most prominent
14 hypotheiss concerning the current suddies and including the
15 probability of future occurrences and of historical records
16 of seismicity in the Charleston area, it's my opinion that there
17 is no observational evidence at this time to indicate that an
18 earthquake comparable to the 1996 event will reoccur at any
19 location other than in the Charleston vicinity. This, I might
20 note, is also the position of the U. S. Geologic Survey, as
21 stated in Appendix E of the SER.

22 So the final seismic issue concerns the Wateree Creek
23 Fault. And subsequent to the impoundment of the reservoir and
24 the onset of induced activity, the U. S. Geological Survey con-
25 tracted the services of Dr. Donald T. Secor, Department of Geology,

1 University of South Carolina, to conduct an intensive geologic
2 investigation of the general area surrounding the reservoir.
3 And this area encompasses a much larger area than was originally
4 part of the detailed site investigation and part of the preliminary
5 safety evaluation report.

6 During the course of his investigation to date, Dr.
7 Secor mapped some previously-unrecognized fault within the Chapin
8 quadrangle whic he named he Wateree Creek Fault. I reviewed
9 Dr. Secor's findings thus far and have reached the following
10 conclusions.

11 One, substantial evidence exists indicating the presence
12 of the Wateree Fault inthe Chapin quadrangle as mapped by Dr.
13 Secor. The fault has been traced northward to a point approxi-
14 matley two kilometers southeast of Peak, South Carolina. The
15 progress of the field work so far has not provided any obervation-
16 al evidence of the northward continuation of the fault; although
17 significant efforts are being made to determine the limits,
18 the northern limits of this feature.

19 The theoretical northward projection of the fault
20 apparently coincides or closely aligns with a topographic drainage
21 feature west of Monticello Reservoir, and possible with general
22 areal geophysical linear patterns. Dr. Secor and his consulting
23 geologists in addition, familiar with the site, did not believe
24 that these associations are sufficient evidence of faulting
25 to extend the northern limits of the faulty beyond where it's

d4da

1 been mapped by Dr. Secor.

2 But, regardless of whether the Wateree Fault is ultimately
3 found to extend to the vicinity of the reservoir, there is no
4 geologic evidence where it has been mapped to suggest it's a
5 capable fault, nor has there been any seismicity in the region
6 associated with it. And therefore, while we plan to follow
7 the progress of Dr. Secor's investigation closely as it continues,
8 there is no reason to believe based on the findings to date
9 that this feature is of concern to the safety of this facility.

10 So, to summarize, we have addressed the intervenor's
11 contentions and the three major seismic issues (reservoir induced
12 seismicity, the Charleston earthquake and the Wateree Fault)
13 and find the design basis of the Virgil C. Summer Nuclear Station
14 is adequate so that none of these issues causes a safety concern
15 for the facility. That concludes my statements.

16 MR. KNOTTS: Is it appropriate at this time, Mr. Chair-
17 man, to renew our offer of Dr. Alexander's testimony and ask
18 it, along with his qualifications, be bound into the transcript
19 as if read?

20 JUDGE GROSSMAN: Mr. Bursey, do you have any objections
21 or voir dire?

22 MR. BURSEY: I certainly have some question of Dr.
23 Alexander. I think we need to determine whether I want him
24 to go over verbatim testimony or--

25 JUDGE GROSSMAN: Well, if it's cross-examination I

305 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 654-2345

1 think it would be preferable to hold that until all of the panel
2 has given their summaries and that way you can address something
3 to Dr. Alexander or anyone else, unless you have a different
4 preference that you would like made known to the Board now?

5 MR. BURSEY: I'm not sure if the other affiants are
6 going to get into the same issues that I wanted to question
7 Dr. Alexander on. We'll wait and see. I don't want to waive
8 the reading of Dr. Alexander's testimony.

9 JUDGE GROSSMAN: Well, the question is really do you
10 have any objections to the offer of the testimony? That does
11 not mean that you can't cross-examine, but is there any objec-
12 tion to the admissibility of the testimony such as may be based
13 on your questioning his qualifications and therefore disputing
14 his expertise?

15 MR. BURSEY: No, sir, I'm not questioning that. I
16 don't want to let the summary stand as his presentation, oral
17 presentation before the Board. I believe I would want Dr. Alexander
18 to go over his testimony more thoroughly.

19 JUDGE GROSSMAN: Mr. Knotts?

20 MR. KNOTTS: Mr. Chairman, I simply don't understand
21 that. The purpose of prefiled testimony is so that the time
22 of the Board and those that come to the hearing is not unneces-
23 sarily consumed by reading testimony which could have been read
24 prior to the hearings. It was filed on May 28th.

25 The purpose of the pretrial testimony is to expedite

1 the proceedings and to make it easier for all parties. If Mr.
2 Bursey is ready to conduct some questioning about Dr. Alexander's
3 professional qualifications at this time, it's appropriate.
4 Otherwise, it seems to me that the testimony should be admitted
5 and then, if Mr. Bursey had additional questions about his testimony
6 then that would be appropriate.

7 JUDGE GROSSMAN: Do you have questions, Mr. Bursey,
8 that go to the admissibility of the testimony or do you merely
9 want to cross-examine so as to undermine the testimony, impeach
10 it?

11 MR. BURSEY: What I want is I want the hearing to
12 a understandable to the public, and myself included. And
13 Mr. Knotts' statement that the parties had the opportunity to
14 read his testimony is very limited. I'm the only party in the
15 room outside of the people who have been paid to be here who
16 has had an opportunity to read this. There are a lot of people
17 in the room, if they want to understand what's going on, if
18 they want to see that the Board is being thorough, they're not
19 going to be able to understand it.

20 JUDGE GROSSMAN: Again, Mr. Bursey, the question to you
21 is whether you have objection to the admissibility of the testimony
22 or merely want to cross-examine. If you merely want to cross-
23 examine, I think we will hold that until after all the panel
24 has given their summary. If you have questions as to admissibility
25 or want to establish some questions as to admissibility in the

d7da

300 7TH STREET, S.W., REPORTERS BUI.DING, WASHINGTON, D.C. 20024 (202) 554-2345

1 form of a voir dire examination, you may proceed with that now.

2 But it's my understanding from what you said that you
3 want to cross-examine on the testimony and I think that would
4 be held for later. Is that basically what you want to do--cross-
5 examine?

6 MR. BURSEY: Yes.

7 JUDGE GROSSMAN: Okay. Fine. So let me ask you now
8 whether you have any objections to the admissibility and that
9 would be, for instance, on grounds of the experts not being
10 qualified to offer expert testimony. Do you have any such ques-
11 tions?

12 MR. BURSEY: No.

13 JUDGE GROSSMAN: Okay. Well then, we will admit Dr.
14 Alexander's testimony.

15 MR. KNOTTS: A copy has been provided to the reporter
16 for that purpose, Your Honor.

17 [Insert]

18

19

20

21

22

23

24

25

MAY 28 1981

TESTIMONY OF
SHELTON S. ALEXANDER, PH.D
SOUTH CAROLINA ELECTRIC & GAS COMPANY
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

My name is Shelton S. Alexander. I am employed by the Pennsylvania State University as a Professor in Geophysics in the Geosciences Department. A statement of my professional qualifications and relevant experience is attached hereto. Previous experience pertinent to the geologic and tectonic setting where the V. C. Summer facility is located includes: (1) Familiarity with the entire region gained from undergraduate studies at the University of North Carolina leading to a B. S. degree in geology; (2) serving from May, 1976, to present as principal seismological consultant to Carolina Power and Light Company with primary responsibility to direct the monitoring and interpretation of seismic activity in the vicinity of the Brunswick nuclear facility near Wilmington, North Carolina, and at the Shearon Harris nuclear plant site now under construction near Raleigh, North Carolina; (3) serving periodically from July, 1978, to present as consultant to the Tennessee Valley Authority to assist in the evaluation of seismic design criteria for the Sequoyah, Watts Bar and Bellefonte nuclear plants, in particular the "Southern Appalachian Tectonic Study" which characterizes the regional tectonic and geologic setting of a large area

of the southeastern United States extending east of the Appalachians and including part of South Carolina; and (4) serving as seismological consultant for the Virginia Electric Power Company's seismic monitoring of their pumped-storage hydroelectric facility being constructed in Bath County, Virginia. In addition I have for several years been actively involved in seismic monitoring and seismic safety evaluation of particular nuclear power plant sites in the northeastern United States.

I have been retained as a Consultant to South Carolina Electric & Gas Company since October, 1980, to coordinate and integrate the seismic studies concerned with the V. C. Summer Nuclear Station and Monticello Reservoir. In this capacity I have reviewed all of the submittals to the Nuclear Regulatory Commission by South Carolina Electric & Gas regarding seismic issues and have personally supervised the preparation of the document entitled "Supplemental Seismological Investigation - Virgil C. Summer Nuclear Station Unit 1 - December 1980" as well as subsequent presentations involving the findings of that investigation.

The purpose of my testimony is, first, to summarize briefly the results of our investigation and review of the seismic activity in the region in which the V. C. Summer

facility is located, particularly the reservoir-induced earthquakes that have occurred beneath and in the immediate vicinity of Monticello Reservoir; and, second, to explain briefly the basis for my conclusion that this investigation and review is adequate and indeed comprehensive to describe and provide a basis for evaluation of the potential seismic hazard at the Summer site and the basis for Dr. Chen's conclusion that a hypothetical local magnitude $M_L=5.3$ near field event will have no adverse effect on the V. C. Summer Nuclear Station's structural and equipment design.

I will begin by addressing contentions A4(a) and A4(b) raised by Mr. Bursey, an intervenor, and then present a brief summary of our findings concerning the three principal seismic issues: Reservoir induced seismicity; the Charleston earthquake, and the Wateree Creek fault.

Contention A4(a)

The FSAR is inadequate with respect to the description of seismic activity in the area of the Summer plant site. Also, Mr. Bursey contends that a near-field magnitude of 5.3 should be used, and that the Water [sic] Creek Fault poses new seismic considerations which must be resolved.

The description of seismic activity that could affect the area of the plant site consists of two parts: (1) The

seismic effects that would be observed at the site caused by earthquakes in the surrounding region, and (2) effects that would be observed as the result of reservoir-induced seismicity in the immediate vicinity of the plant.

I have reviewed the data presented in the FSAR, and also other relevant literature on the subject. My review of seismicity and related geologic and tectonic issues included (but was not limited to) the following documents: FSAR (Section 2.5); Woodward Clydes' "Review of Reservoir Induced Seismicity"; all technical reports by Dr. Pradeep Talwani on reservoir-induced seismicity at Monticello Reservoir; journal articles and technical reports describing seismicity and interpretations of earthquake activity in the region other than in the Charleston area; and the Safety Evaluation Report (SER) for the Summer plant and its Supplement No. 1 (especially Section 2.5); Dr. Murphy's views discussed in Section 2.5.3 (pages 2-24 through 2-26 and 2-31); LASL's review in Section 2.5.3 and Appendix D; and the USGS letter by Dr. Devine in Appendix E. The report prepared under my supervision entitled "Supplemental Seismological Investigation - Virgil C. Summer Nuclear Station Unit 1 December 1980" presents a detailed evaluation of all available seismic information, except for the SER, which was issued subsequently. I

concluded that the literature search presented in the FSAR was thorough and my subsequent perusal of other available reports and publications revealed no new data that would alter the conclusions reached in the FSAR.

The largest earthquake in the Piedmont Tectonic Province was the Union County earthquake of January 1, 1913, located 35 miles (55 km) northwest of the site. For design purposes, this Modified Mercalli Intensity VII earthquake is taken to represent the largest event that could occur at the plant site. The estimated accelerations for such an earthquake are then used to define a safe shutdown earthquake (SSE). The anticipated ground motion at the site because of a repeat of the 1886 Charleston earthquake would cause a lower acceleration than the Union County earthquake, but the duration of shaking would be longer. The estimated accelerations for the Charleston event are used to define the operating basis earthquake (OBE). No other earthquakes in the Piedmont Tectonic Province have been larger than the Union County earthquake.

Thus, I conclude that the data presented in the FSAR and the other referenced documents provide an adequate and complete description of seismic activity in the area of the Summer plant site, contrary to the contention of the intervenor. The issues raised concerning a magnitude 5.3

near-field event and the Wateree Creek fault are addressed later in my testimony. Neither poses a seismic safety hazard to the V. C. Summer facility, based on our detailed site specific evaluation.

Contention A4(b)

The plans for monitoring site seismicity are inadequate, in that they do not consider the seismic effect of filling the reservoir. Site seismicity should be monitored for one year subsequent to filling the reservoir and prior to the granting of the operating license. Mr. Bursey now contends that monitoring should continue through 1983.

Monticello Reservoir is one of the rare early examples where seismic instrumentation was deployed prior to impoundment to observe any seismic activity caused by filling the reservoir. Data from JSC (a permanent seismographic station of the South Carolina seismic network) located 3.5 miles southeast of the plant, provided information on the background seismicity prior to filling. South Carolina Electric & Gas's four station network began providing reliable information just prior to filling the reservoir. The configuration of the South Carolina Electric & Gas network was adequate for obtaining accurate

epicentral locations in the reservoir area and those recordings together with observations from JSC indicated that the induced activity was occurring at shallow depths.

These data were supplemented with those obtained by deploying 2-5 portable seismographs in the epicentral area (in February-March, and July-September, 1978). Since July, 1978, additional information has been obtained from six new stations installed by the U. S. Geological Survey; these additional data confirm that the depths are shallow (<3 km, with 98% of the events <2 km).

Thus, instead of the plans for monitoring the induced seismicity being inadequate, they are more than adequate to characterize the seismic activity associated with the filling of Monticello Reservoir.

To date, seismicity data at Monticello Reservoir have been obtained for 3 1/2 years subsequent to filling, 2 1/2 years longer than originally suggested by intervenor Bursey. After the initial spurt of activity following the filling of the reservoir (January-February, 1978), there has been a marked decrease in the activity level both in total number of recorded events (magnitude $M_L > -0.6$) and in the number of the larger ($2.0 < M_L \leq 2.8$) events. There have been several brief flurries of activity in 1978 and 1979; however, since then there has been a continual

decline in the average activity rate. Also there has been no spatial growth laterally or in depth of the induced seismicity subsequent to the initial period of activity.

Thus, in over 3 1/2 years of monitoring the seismicity at Monticello Reservoir, we have seen a pattern of induced microearthquake activity, which is limited spatially to shallow depths in the immediate vicinity of Monticello Reservoir; the largest events are in the magnitude range $2.5 \leq M_L \leq 2.8$ and there has been an overall decline in activity with time following the initial peak. Thus, in my opinion, the microseismicity at Monticello Reservoir, though very interesting scientifically, does not constitute a safety hazard to the Virgil C. Summer Nuclear Station.

South Carolina Electric & Gas has committed to continue monitoring the seismic activity at Monticello Reservoir until the end of 1982, at which time an evaluation will be made in conjunction with the NRC staff to determine if it should be continued. Such evaluation will be based on the activity up to that time and the potential significance of the data which might be obtained through continued monitoring.

Evaluation - Reservoir Induced Seismicity

I have been intimately involved in the evaluation of the reservoir-induced seismicity at Monticello Reservoir, and was responsible for coordination and preparation of the report entitled, "Supplemental Seismologic Investigation - Virgil C. Summer Nuclear Station Unit 1 - December 1980", prepared for South Carolina Electric & Gas Company.

Reservoir induced seismicity (RIS) is a relatively, recently recognized phenomenon and quantitative evaluations are limited by lack of data in most instances. Monticello Reservoir is unusual in that it is probably one of the best-documented cases in RIS in the world. Of the approximately 11,000 reservoirs worldwide, only 45 have confirmed RIS associated with them; there are 12 other questionable cases. Of those confirmed, 30 are associated with macroseismicity ($M_L \geq 3.0$) and 15 are associated with microseismicity ($M_L < 3.0$); Monticello is included in the latter (microseismicity) group that is characterized by small magnitude events. Of the 59 reservoirs constructed within the Piedmont Tectonic Province since 1891, 12 have experienced nearby seismic activity, two of which are confirmed as RIS (Jocassee and Monticello). With over 2,193 reservoir/years of data in the Piedmont Tectonic Province, no reservoir has been associated with a seismic event greater than Modified Mercalli Intensity (MMI) VI or

approximately $M_b = 4.3$. Except for the single event of this size, the 1974 Clark Hill earthquake, which in fact may not have been reservoir induced, all other events are less than $M_L = 4.0$.

Also, of the RIS events worldwide, 10 reservoirs have experienced nearby earthquakes with magnitudes $M_L \geq 5.0$. Of these 10, 8 are associated with known active faulting and the other 2 have probable active faults based on known local geology. There are no known or suspected capable faults near Monticello Reservoir.

We also found that for all RIS events with $M_L \geq 5.0$, the estimated focal depths have been at a minimum of 5 km, and in most cases greater than 10 km. The microseismicity at Monticello Reservoir has been very shallow (98% of events < 2 km, and all events < 3 km). Over three years of monitoring has shown that the microseismicity is not increasing in depth.

As previously stated, Monticello Reservoir is one of the best-documented cases of RIS in the world, and consequently a significant amount of site-specific data have been acquired which provides a good basis for understanding the RIS at Monticello Reservoir. Our evaluation indicates that the observed RIS is the result of superficial adjustments to the altered stress field caused

by reservoir impoundment, and that there is no evidence that suggests anything more than micro-earthquake activity will occur there in the future. Based on all the observed data, $M_L = 4.0$ is our estimated upper bound for RIS at Monticello. The most important arguments which support the estimated maximum RIS event of $M_L = 4.0$ at Monticello Reservoir are:

- (1) The seismicity induced by Monticello Reservoir is shallow (< 3 km) and closely associated with the peripheries of shallow plutonic rock bodies of limited size ($\sim 1-2$ km), where there is a highly variable, heterogeneous stress field and heterogeneous rock properties, both of which limit potential seismic source dimensions, hence maximum magnitude.
- (2) Because of the spatial scale (dimensions) of lateral and vertical heterogeneities in deviatoric stress and in heterogeneous physical properties of the bedrock beneath the reservoir, there are only small potential seismic source areas (of < 1 km²) for fault movement during any single seismic event.

- (3) The overall rate of seismicity is declining, suggesting that the stored elastic strain being relieved through the occurrence of shallow seismicity is not being replenished.
- (4) The evaluation has revealed that the effects of the reservoir impoundment are very limited in spatial extent (laterally as well as vertically) with a stress barrier surface beneath the active seismicity; this barrier will prevent a fault from propagating through it from above or below. This limits the maximum vertical fault dimension (hence magnitude) at shallow depths and prevents a deeper fault from reaching the surface. The occurrence of shallow seismicity under these conditions is highly unlikely to increase the probability of a larger tectonic event (Intensity VII) occurring beneath the site.

The preponderance of historical data supports the findings from our extremely detailed site specific evaluation of RIS at Monticello Reservoir that it is appropriate to assign an upper bound for the maximum RIS event. From these historical data, the conclusions are:

- (1) Nearfield RIS events of $M_L \geq 5.0$ should not be considered in the Virgil C. Summer evaluation as this would imply an induced earthquake larger than the maximum tectonic earthquake known to have occurred in the Piedmont Tectonic Province.
- (2) $M_L = 4.5$ is a very conservative upper bound for RIS anywhere in the Piedmont Tectonic Province because only one RIS event (Clark Hill - 1974) has been larger than $M_L = 4.0$ and it may not have been an induced event.
- (3) No reservoir as shallow as Monticello outside of an active seismic zone has RIS as large as $M_L = 4.0$.

Statistical estimates of ground accelerations at the site made by Dr. McGuire, taking into account observed strong motion data from the largest induced earthquakes at Monticello Reservoir, reveal that, in order to equal or exceed the design accelerations a $M_L = 4.5$ event must be closer than 2 km, a $M_L = 5.0$ must be closer than 3 km, and a $M_L = 5.5$ must be closer than 4 km. Inasmuch as all reported reservoir induced events with $M_L \geq 5.0$ have reported source depths greater than 5 km and site specific data indicates that an event that large at Monticello would

also be deeper than 5 km, our conclusion is that an event of the size suggested by Dr. Murphy ($M_L = 5.3$) and later by intervenor Bursey would not adversely affect the Summer facility.

Moreover, Dr. McGuire has calculated, under very conservative assumptions, that the mean return period for such an event ($M_L = 5.3$) (which would be well beneath the plant site as just discussed) is approximately 5,000 years, which is of the same order as that for tectonic events in the Piedmont Tectonic Province. Also, all previous $M_L = 5.0$ RIS events have been associated with capable faults, and none is known or suspected in the vicinity of the Summer facility. In his testimony, Dr. Chen will address the response of the facility to these postulated nearfield events.

Evaluation - Charleston Earthquake (1886)

I have become familiar with the studies being conducted by USGS on the occurrences of the 1886 Charleston earthquake. The likelihood of occurrence of another event such as the 1886 Charleston earthquake was considered, and the question of its possible impact upon the Virgil C. Summer Nuclear Station depends upon the tectonic mechanism(s) that caused the event to occur. Available data and literature

regarding the geologic cause of the earthquake have been thoroughly reviewed and probabilistic analyses based upon the three most prominent possible scenarios that have been proposed to explain the Charleston event were made for comparison to the current design parameters at the Summer facility.

The three major hypotheses which have been reviewed are:

- (a) Stress amplification at the margins of mafic or ultramafic plutons;
- (b) Reactivation of steep basement faults of diverse orientation and age of development;
- (c) Reactivation of a master decollement, either by active thrusting or by gravity-induced backslip.

Each has certain weaknesses, but none of these hypotheses can be ruled out, although there is little or no observational evidence in support of widespread reactivation of a master decollement ((c) above). It is concluded that the cause of the Charleston earthquake is still not known.

Probability studies in terms of return period for each of these hypotheses have been performed. From these studies it was determined that the seismic design basis for tectonic earthquakes is adequate regardless of which of the

three hypotheses is used to explain the distribution of seismic activity in tectonic provinces in the eastern United States.

From: The extensive work done by USGS; evaluations of the most prominent hypotheses; the probabilities of future occurrences; and the historical record of seismicity in the Charleston area; it is my opinion that there is no observational evidence to indicate that an earthquake comparable to the 1886 event will reoccur in any location except for the Charleston vicinity. A reoccurrence of such an event in the Charleston area will not generate ground motions that exceed the Summer design basis.

Evaluation - Wateree Creek Fault

Subsequent to the impoundment of Monticello Reservoir and the ensuing increase in local seismic activity, the United States Geological Survey (USGS) contracted the services of Dr. Donald T. Secor, Jr., Department of Geology, University of South Carolina, to conduct an intensive geologic investigation of the general area surrounding the reservoir. The purpose of the investigation is to provide additional detailed geologic information which, it is hoped, will provide a better understanding of the causes of the observed spatial

variations in the local seismicity at Monticello Reservoir. This geologic investigation encompasses an area considerably beyond the area investigated by the South Carolina Electric & Gas Company during Preliminary Safety Analysis Report studies. The investigation, as presently conceived, consists of the following tasks:

- (1) Geologic field mapping of the Jenkinsville, Chapin, Pomaria, and Little Mountain 7 1/2 minute quadrangles.
- (2) Extensive study of fracture orientations within the four quadrangles.
- (3) Magnetometer survey of diabase dikes within the aforementioned four quadrangles.

The investigation was initiated in March, 1980, and is scheduled to be completed in February, 1982. The first technical report of the progress of the investigation was submitted on September 30, 1980. The report, "Geological Studies in an Area of Induced Seismicity at Monticello Reservoir, South Carolina," by Donald T. Secor, Jr., Principal Investigator, contains a description of the work accomplished, findings, and tentative conclusions. Dr. Secor has emphasized that the conclusions presented in his

report are tentative and subject to revision during progress of the investigation.

During the course of the investigation to date, Dr. Secor has mapped a previously unrecognized fault within the Chapin quadrangle which he has named the Wateree Creek Fault.

I have reviewed the findings by Dr. Secor to date and have reached the following conclusions:

- (1) Substantial evidence exists indicating the presence of the Wateree Creek Fault in the Chapin quadrangle as presently mapped by Dr. Secor. The fault has been traced northward to a point approximately two kilometers southeast of Peak, South Carolina. The progress of the field work to date has not provided any observational evidence of northward continuation of the fault, although intensive efforts to resolve the limits of the fault have been given a high priority by Dr. Secor.
- (2) A theoretical northward projection of the fault apparently coincides or closely aligns with a topographic drainage feature west of Monticello Reservoir, and possibly with general areal

geophysical linear patterns. Dr. Secor and consulting geologists familiar with the site geology do not believe these associations to be sufficient evidence of faulting to extend the northern limit of the fault beyond the northernmost control point presently mapped.

- (3) The scope of Dr. Secor's present investigation is thorough and comprehensive, and it is highly probable that his intensive efforts to define the northernmost extent of the fault will produce conclusive field evidence on whether the fault continues across the Broad River toward Monticello Reservoir.
- (4) Regardless of whether the Wateree Creek fault is ultimately found to extend to the vicinity of Monticello Reservoir, there is no geologic evidence where it has been mapped to suggest that it is a capable fault nor has there been any seismicity associated with it. Therefore, while we plan to follow the progress of Dr. Secor's investigation very closely, there is no reason to believe, based on the findings to date, that this feature is of concern to the safety of the Summer facility.

In summary, then, we have addressed the intervenor's contentions and the three major seismic issues (reservoir induced seismicity, the Charleston earthquake, and the Wateree Creek fault) and find that the design basis of the Virgil C. Summer Nuclear Station is adequate so that none of these issues causes a safety concern for the facility.

MAY 28 1981

PROFESSIONAL QUALIFICATIONSSHELTON S. ALEXANDER

My name is Shelton S. Alexander. I am employed by the Pennsylvania State University (PSU) as a Professor of Geophysics in the Geosciences Department. I have been employed by PSU since 1965, working as both a professor and coordinator of graduate programs.

I earned my B.S. degree in Geology at the University of North Carolina in 1956; my Letters of Completion (Geophysics) from Sorbonne, University of Paris in 1957; my M.S. degree in Geophysics from the California Institute of Technology in 1959; and my Ph.D. degree in Geophysics from the California Institute of Technology in 1963.

From 1958 to 1961, I was a Research Assistant at the Seismological Laboratories at the California Institute of Technology.

From 1962 to 1963, I was a Research and Consultant Seismologist for United Electrodynamics in California and Virginia. I performed consulting work in the area of seismology.

In 1964, I taught Geophysics as an Associate Professor at the Air Force Institute of Technology in Ohio.

From 1965 to the present, I have been employed by the Pennsylvania State University in the following capacities:

Associate Professor of Geophysics (1965-1972); Director of Seismic Observatory (1968-Present); Professor of Geophysics (1972-Present); Chairman, Geophysics Program (1971-Present); and Graduate Programs Coordinator (1974-Present).

I have served as a consultant in seismology to the following industries: Carolina Power & Light Company; COMSAT; Empire State Electric Energy Research Corporation; Niagra Mohawk Power Company; Tennessee Valley Authority; Virginia Electric Power Company; and Weston Geophysical Corporation.

Since October 1980, I have served as consultant to South Carolina Electric & Gas Company, to coordinate and integrate the seismic studies concerned with the Virgil C. Summer Nuclear Station and Monticello Reservoir.

My professional society memberships include: American Geophysical Union (past Vice-President and President, Seismology Section); Seismological Society of America (past Vice-Chairman and Chairman, Eastern Section); Society of Exploration Geophysics; Royal Astronomical Society; and the American Association for the Advancement of Science.

I have also participated in or been a delegate to the following organizations: National Academy of Sciences, National Research Council Committee on Seismology; National

Academy of Sciences, Committee on International Participation (alternate principal delegate to IUGG/IASPEI, Peru, 1973); Chairman, Committee on Travel Grant Awards for IUGG/IASPEI Meeting 1973; Secretary, 1973 Annual Meeting Committee, General Chairman, 1974 and 1975 Annual Meeting Committee ; Project Ketch Subcommittee, Governor's Advisory Committee on Atomic Energy Development and Radiation Control (PA); Solid Earth Sciences Long Range Planning Committee (PSU); Advisory Panel to President's Science Advisor and NSF on Earthquake Prediction and Hazard Mitigation; Advisory Panel to DOD on Threshold Test-Ban Treaty; Geodynamics Committee, AGU; Earth Dynamics Advisory Subcommittee, NASA (Chairman, Panel on Earth Deformation and Earthquake Prediction); Chairman, IASPEI, Committee on Digital Seismometry; Member, National Academy of Science, Space Science Board (Committee on Earth Science and Committee on Data Management and Computation).

I have been an author or co-author of approximately 60 scientific publications, plus numerous research reports on grants and projects.

1 MR. KNOTTS: Dr. McGuire, would you proceed to give
2 us a brief summary of your testimony. Excuse me. Mr. Goldberg,
3 did you have any objections or voir dire?

4 MR. GOLDBERG: No, sir.

5 MR. KNOTTS: I'm sorry.

6 JUDGE GROSSMAN: Yes, you may proceed.

7 DR. MCGUIRE: My name is Robin McGuire. I am employed
8 by the firm of Ertec Rocky Mountain, Incorporated, spelled
9 E-r-t-e-c. I have worked as a consultant to South Carolina
10 Electric & Gas since June of 1980, to conduct investigations
11 associates with Virgil C. Summer Nuclear Station.

12 These investigations have been in the area of estimation
13 of ground motion characteristics associated with hypothesized
14 reservoir-induced earthquakes and in the area of calculation
15 of probabilities of occurrence of various levels of ground motion
16 at the nuclear station resulting from both reservoir-induced
17 earthquakes and tectonic-induced earthquakes.

18 The result of those investigations has been already
19 summarized by Dr. Alexander and are accurately reported in all
20 the submittals to the hearing and in the record associated with
21 the Virgil C. Summer Nuclear Station over the last year.

22 MR. KNOTTS: Thank you, Dr. McGuire. Mr. Chairman,
23 at this time I would move the admission of Dr. McGuire's testimony
24 which he has already adopted as his testimony and the statements
25 of his qualifications and ask that it be bound into the transcript

d9da

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

as if read.

JUDGE GROSSMAN: Mr. Bursey?

MR. BURSEY: I have no questions of Dr. McGuire's professional capability but I would like to ask if he's appearing as a consultant and has your firm been registered as a consultant?

DR. MCGUIRE: Yes, it has.

MR. BURSEY: And you were delegated by your firm to appear today, or were you retained personally?

DR. MCGUIRE: I'm not paid directly by South Carolina Electric & Gas; I'm paid through my firm.

MR. BURSEY: And are you paid--is your salary contingent on your appearance here?

DR. MCGUIRE: No.

MR. BURSEY: Okay. That's all.

JUDGE GROSSMAN: Does that conclude your voir dire?

MR. BURSEY: Yes, sir.

JUDGE GROSSMAN: Do you have any objections to the admissibility of his testimony?

MR. BURSEY: No.

JUDGE GROSSMAN: Mr. Goldberg?

MR. GOLDBERG: No.

JUDGE GROSSMAN: The State of South Carolina?

MR. FINKLEA: No.

JUDGE GROSSMAN: Admitted.

[Insert]

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

TESTIMONY OF
ROBIN KEITH MCGUIRE, PH.D.
SOUTH CAROLINA ELECTRIC & GAS COMPANY
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

My name is Robin Keith McGuire. I am employed by the firm of Ertec Rocky Mountain, Inc., as a Senior Engineer. A copy of my statement of professional qualifications and affiliations is attached hereto. I have worked as a consultant to South Carolina Electric & Gas Company since June, 1980, with the purpose of conducting seismic investigations for the Virgil C. Summer Nuclear Station and Monticello Reservoir. For these facilities, I have conducted studies in the following areas:

1. Estimation of ground motion characteristics associated with hypothesized reservoir-induced earthquakes.
2. Calculation of probabilities of occurrence associated with various levels of ground shaking at the nuclear station resulting from reservoir-induced earthquakes.
3. Calculation of probabilities of occurrence associated with various levels of ground shaking at the nuclear station resulting from tectonic earthquakes.

All of my work was professionally and accurately performed, and the conclusions I reached have been accurately reflected in the materials filed with the NRC by SCE&G.

PROFESSIONAL QUALIFICATIONSROBIN KEITH MCGUIRE

My name is Robin Keith McGuire. I am Director - Decision Analysis for Ertec Rocky Mountain, Inc. I am responsible for the development and application of methods of decision theory to optimize planning, investment, and operations decisions in the energy and mining field. I apply methods of risk analysis for projects in geotechnical and earthquake engineering. I have been employed by Ertec Rocky Mountain, Inc. since 1980.

In 1968, I earned an S.B. Degree in Civil Engineering from Massachusetts Institute of Technology. I received my M.S. Degree in Structural Engineering from the University of California, Berkeley in 1969, and in 1974 received my Ph.D. in Structural Engineering from Massachusetts Institute of Technology.

From 1974 to 1979, I worked for U.S. Geological Survey in Golden, Colorado, Branch of Earthquake Hazards. I was involved in developing probabilistic methods to determine optimum design of structures for seismic loads, and applying these methods to areas in the United States for the purpose of recommending seismic design requirements for buildings, dams and power plants. Research there included determining which professional and statistical

uncertainties tainties are most important in the context of seismic risk assessment, and determining the relative importance of various earth science technologies (e.g., earthquake prediction and ground motion estimation) for reducing the monetary and life loss during future earthquakes.

From 1979 to 1980, I was employed by Dames & Moore of Denver, Colorado. My position there required the application of seismic risk analysis methods to engineering facilities, including nuclear power plants and commercial facilities, located throughout the country, as well as the development and application of formal decision analysis methodology to evaluate social, economic, and environmental impacts of alternate engineering design of facilities. I also investigated and used geostatistics for making ore reserve estimates and mining development decisions in the mineral exploration field.

I am a member of the following professional associations: Technical Council on Lifeline Earthquake Engineering of American Society of Civil Engineers; Seismic Risk Committee of Earthquake Engineering Research Institute; Seismological Society of America; Chi Epsilon (National Civil Engineering Honorary Fraternity); Tau Beta Pi (National Engineering Honorary Fraternity); and Sigma Xi

(National Scientific Society). I am a Registered Professional Engineer in Colorado and Massachusetts. The Research Award for Foreign Specialists was awarded to me by the Science and Technology Agency of Japan, allowing three months research at Public Works Research Institute in Tokyo in 1977.

1 MR. KNOTTS: Dr. Chen, would you give us a brief statement
2 of your testimony?

3 DR. CHEN: My name is Chang Chen. I am the Section
4 Manager of Specialty Structures, Power Division, Gilbert/Common-
5 wealth Companies. I have been a Gilbert/Commonwealth employee
6 since 1969, and participated in the design work of Virgil C.
7 Summers Nuclear Station intermittently since the beginning.

8 My testimony is related to the effect of reservoir-
9 induced seismicity on the structural and equipment design of
10 Virgil C. Summer Nuclear Station. As discussed in Dr. Shelton
11 Alexander's testimony, the estimate of maximum seismic event that
12 might be induced by the Monticello Reservoir is of local magnitude
13 M_L equals 4.0. For an average stress drop of twenty-five bars
14 over the fault plane and source distance of 2.0 kilometers,
15 the Brune model and random vibration theory give a zero period
16 acceleration value of .14g which is less than the safe shutdown
17 earthquake value. Thus, for such an event, there is no adverse
18 effect on the structural and equipment design.

19 At the instance of ACRS and the NRC Staff, we were
20 asked to address certain hypothetical seismic events larger
21 than that which we had demonstrated to be the maximum reservoir-
22 induced seismicity. The effect of the reservoir-induced seismicity
23 with hypothetical local magnitude M_L equals 4.5 to 5.3 on the
24 structural and equipment design was investigated.

25 The built-in conservatism can be used to demonstrate

1 adequacy of plant design. After taking into account the more
2 realistic ZPA value in combination with the statistical studies,
3 we can conclude that hypothetical local magnitude M_L equals
4 5.3 near field event has no adverse effect on the Virgil C.
5 Summer Nuclear Station structural and equipment design.

6 MR. KNOTTS: Thank you, Dr. Chen. Mr. Chairman, we
7 renew our motion to have Dr. Chen's prefiled testimony along
8 with his statement of educational and professional qualifications
9 received in evidence and bound in the transcript as if read.

10 JUDGE GROSSMAN: Mr. Bursey, any objections or voir
11 dire?

12 MR. BURSEY: I don't have any objection to Mr. Chen's
13 professional capabilities. I would like to ask a few more questions
14 though.

15 VOIR DIRE EXAMINATION

16 MR. BURSEY: Do you work for Gilbert/Commonwealth?

17 DR. CHEN: Yes, sir.

18 MR. BURSEY: And what does Gilbert/Commonwealth do?

19 DR. CHEN: We are consulting engineers specializing
20 in designing power plants.

21 MR. BURSEY: Specializing in?

22 DR. CHEN: In designing power plants.

23 MR. BURSEY: And you helped prepare the earlier reports
24 and they are about the initial estimates of anticipated seismic
25 activities?

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. CHEN: You mean the siesmology reports?

MR. BURSEY: Well, the ones that are in the FSAR, the original projections for seismicity?

DR. CHEN: No.

MR. BURSEY: I don't have any questions about his professional capabilities. Again, I don't know if his summary is sufficient for understanding by the public to--

JUDGE GROSSMAN: You can clear that up on cross-examination. Mr. Goldberg?

MR. GOLDBERG: No objection.

JUDGE GROSSMAN: The State of South Carplina?

MR. FINKLEA: lo.

JUDGE GROSSMAN: Admitted.

[Insert]

TESTIMONY OF
CHANG CHEN, PH.D.
SOUTH CAROLINA ELECTRIC & GAS COMPANY
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

My name is Chang Chen. I am the Section Manager of Specialty Structures, Power Division, Gilbert/Commonwealth Companies (G/C). A statement of my professional qualifications is attached hereto (Appendix A). I have been a G/C employee since 1969, and participated in the design work of V. C. Summer Nuclear Station intermittently since the beginning. I am knowledgeable of V. C. Summer FSAR Sections 2.5.2.9, 2.5.2.10, 2.5.2.11, 3.6.2.3.1, 3.7, 3.8, 3.9.1.2, and 3.10. I also prepared Appendix X of the Supplemental Seismological Investigation of V. C. Summer Nuclear Station Unit 1, Docket No. 50/395, December 1980.

My testimony is related to the effect of reservoir induced seismicity (RIS) on the structural and equipment design of V. C. Summer Nuclear Station. As discussed in Dr. Shelton Alexander's testimony, the maximum seismic event that might be induced by the Monticello Reservoir is of local magnitude $M_L=4.0$. For an average stress drop of 25 bars over the fault plane and source distance of 2.0 km, the Brune model and random vibration theory give a zero

period acceleration (ZPA) value of .14g which is less than the safe shutdown earthquake (SSE) value. Thus, for such an event, there is no adverse effect on the structural and equipment design.

At the instance of ACRS and the NRC Staff, we were asked to address certain hypothetical seismic events larger than that which we had demonstrated to be the maximum reservoir induced seismicity. The effect of reservoir induced seismicity with hypothetical local magnitude $M_L=4.5$ to 5.3 on the structural and equipment design was investigated. The near field earthquake $M_L=5.3$ has a ZPA value of 0.22g which is higher than the SSE value. However, the built-in conservatism can be used to demonstrate the adequacy of plant design. The plant design used 2% structural damping and the NRC Regulatory Guide 1.61 allows 7% damping. The comparison of 0.22g hypothetical near field response spectrum at 7% damping with the V. C. Summer SSE spectrum at 2% damping indicates that the SSE spectrum is not exceeded in the frequency region of dominant modes of most seismic Category I structures. The SSE spectra would be exceeded in the frequency region higher than about 9 Hz. However, among all the seismic Category I structures, only the Interior Concrete Structure (ICS) of the Reactor Building has

dominant frequency higher than 9 Hz. Thus, the ICS was investigated in detail.

The original ICS design used a single time history, of which the calculated response spectrum envelopes the SSE spectrum, as input. To identify the margin provided by the envelope process, 36 time histories were used in the investigation. The spectrum of each of the 36 time histories matches the 0.22g hypothetical near field spectrum at 7% damping in the mean. The 36 time histories were used as input, one at a time, to the ICS in the dynamic analysis. Thirty-six sets of floor response spectra were calculated and the mean values were obtained. The comparison of the V. C. Summer SSE floor response spectra and the mean value hypothetical near field floor response spectra at the same equipment damping value indicated that the SSE floor response spectra exceeded the hypothetical near field floor response spectra in almost every frequency region, especially by a large margin in the resonance region. The SSE floor response spectra were exceeded only in the 20 to 30 Hz region by a small amount. We assessed the design margin of the relatively rigid essential equipment required for cold shutdown and concluded that it is more than sufficient to cover the small deviation observed. Thus, we can conclude that the

hypothetical local magnitude $M_L=5.3$ near field event has
no adverse effect on the V. C. Summer Nuclear Station
structural and equipment design.

PROFESSIONAL QUALIFICATIONSCHANG CHEN

My name is Chang Chen. I am Section Manager of Specialty Structures, Power Division, Gilbert/Commonwealth Companies (G/C). I have been an employee of G/C since 1969, working in the area of earthquake engineering, structural dynamics, structural design of nuclear and fossil power plants.

I earned my B.S. degree in Civil Engineering at Cheng Kung University in 1962, my M.S. degree in Civil Engineering at Duke University in 1965, and my Ph.D. degree in Engineering Mechanics at The Pennsylvania State University in 1969. I am a Registered Professional Engineer in the Commonwealth of Pennsylvania. I was a committee member of the American Society of Civil Engineers (ASCE) Seismic Task Group in 1976. I am a committee member of the Institute of Electrical and Electronics Engineers, Inc. (IEEE) Working Group 2.5 on the Seismic Qualification of Electric Equipment, and a committee member of the American Society of Mechanical Engineers (ASME) Working Group on Shells.

From 1963 to 1969, I taught Mechanics and performed research work in Structural Mechanics at Duke University and The Pennsylvania State University.

In 1969, I joined G/C Structural Department. From 1969 to 1972, I developed computer programs for seismic analyses of structure and piping systems. I performed seismic resistant designs of nuclear power plants in the United States and Japan. I also performed aircraft resistant design review of prestressed concrete containment structures.

In 1973, I acted as a consultant to the Atomic Power Department of Taiwan Power Company for the seismic resistant design of nuclear power plants. From 1972 to 1974, I performed seismic resistant design of pressurized water reactor (PWR) plants and high temperature gas-cooled reactor (HTGR) plants in the United States, Japan, and Korea. I also designed the low-tuned or flexible turbine pedestal, pipe whip restraints of high energy lines; participated in the seismology study, standard nuclear plant design, and the preparation of equipment seismic qualification specification.

From 1974 to 1978, as supervisor of Structural Mechanics, I supervised the following work: nuclear and fossil plant stress analysis and design, seismic resistant design of PWR and boiling water reactor (BWR) structures and equipment, missile protection design, pipe whip restraint design, compartment pressurization design, jet impingement design, finite element stress analysis and

thermal stress analysis of reinforced concrete structures, and aircraft impact resistant design using soft shell concepts for Babcock-Brown-Boveri Reaktor GmbH (BBR) of Germany. I also worked on the shrinkage and creep of prestressed concrete, effect of coarse aggregates on the crack propagation of concrete structures, behavior of concrete structures under multiaxial stresses. I performed the platform and cold water pipe analysis of the ocean thermal energy conversion system (OTEC) under random wave and current effects.

From 1978 to 1979, as a Supervising Structural Engineer, I was responsible for technical supervision and personnel administration in the area of structural mechanics and computer application. I was also the manager of Kraftwerk Union (KWU) project for the seismic design review of the ¹³⁰⁰~~13,000~~ MW_e PWR power plants in Iran, and for providing technical support to the KWU Engineering Department. I also supervised the BWR plant MARK III system safety relief valve discharge (SRVD) and loss of coolant accident (LOCA) related hydrodynamic and structural analyses.

From 1979 to present, as the Section Manger of Specialty Structures, I have been responsible for technical supervision and personnel administration of the continuing services of all operating nuclear power plants, computer

applications, applied research and special projects. I am also the manager of the TVA project for design review of Browns Ferry Nuclear Plant MARK I long term torus integrity program. I participated in the study of reservoir induced seismicity, and evaluated its effect on structural and equipment design.

1 MR. KNOTTS: Dr. Talwani, you have not presented prefiled
2 testimony. Could you briefly tell us what your role has been
3 in connection with this seismic review?

4 DR. TALWANI: I teach and do research at the University
5 of South Carolina. I've been doing research in the area of reser-
6 voir-induced seismicity and earthquake prediction since about
7 1974 on contract from the U. S. Geological Survey and National
8 Science Foundation.

9 Since 1979 I have also got a research grant from SCE&G
10 to monitor the seismicity of Monticello Reservoir. I have served
11 as a consultant to SCE&G in preparation to apply to NRC and
12 to appear in these hearings.

13 MR. KNOTTS: Thank you, Dr. Talwani. At this time
14 I would renew our motion that Dr. Talwani's statement of educa-
15 tional and professional qualifications be received into evidence
16 and gound into the transcript as if read.

17 JUDGE GROSSMAN: Mr. Bursey?

18 MR. BURSEY: If Dr. Talwani's presence here, since
19 we don't have any prefiled testimony for him, is to respond
20 during cross-examination to specific points that might come
21 up, I'm not sure what---

22 MR. KNOTTS: That's correct.

23 VOIR DIRE EXAMINATION

24 MR. BURSEY: Dr. Talwani, you said you received a
25 research grant from SCE&G?

dl4da

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. TALWANI: Yes.

MR. BURSEY: What was that for?

DR. TALWANI: We monitored the seismic activity and submitted quarterly reports indicating where the earthquakes had taken place and attempted to give the location and the nature of seismic activity quarterly.

MR. BURSEY: And when did that begin?

DR. TALWANI: In January 1979.

MR. BURSEY: Is that concluded?

DR. TALWANI: No, it's continuing.

MR. BURSEY: Are you presently a consultant for SCE&G?

DR. TALWANI: This is a contract for the university which we submit these reports but I'm also consultant in the preparation of reports and so on and questions to NRC.

MR. BURSEY: And were you involved in the original estimates of seismic activity of the FSAR?

DR. TALWANI: No, I was not.

JUDGE GROSSMAN: Mr. Goldberg?

MR. GOLDBERG: No objections.

JUDGE GROSSMAN: South Carolina?

MR. FINKLEA: No.

JUDGE GROSSMAN: Admitted.

[Insert]

MAY 28 1981

PROFESSIONAL QUALIFICATIONS

PRADEEP TALWANI

My name is Pradeep Talwani. My business address is Geology Department, University of South Carolina, Columbia, South Carolina 29208. I am employed by the University of South Carolina as an Associate Professor in the Geology Department.

I was graduated (first class first) from the Indian School of Mines, Dhanbad, India, in 1962 with a Master of Science in Applied Geophysics. From 1962 to 1968, I worked for the Oil and Natural Gas Commission, India in Gravity-Magnetic survey parties--being the Party Chief from 1965 to 1968.

I joined Stanford University in 1968 and was graduated from there in 1973 with a Doctor of Philosophy in Geophysics.

From September 1973 until August 1977, I was employed by the University of South Carolina as an Assistant Professor. I was promoted to the rank of Associate Professor in August 1977.

During my stay at the University of South Carolina I have been actively engaged in several research projects.

Since 1974, I have been engaged in obtaining the seismic velocity structure of South Carolina in order to better understand the seismicity of the state.

Another area of research that I have been engaged in (since summer 1974) is reservoir induced seismicity (RIS). I have studied RIS at Clark Hill reservoir, Lakes Keowee and Jocassee, and for the past four years Monticello Reservoir. Besides monitoring the seismicity my effort has been to try and understand it. I have presented my work at national meetings of the American Geophysical Union and Seismological Society of America. At these meetings I have also chaired sessions on RIS and earthquake prediction-- another area of research I have been engaged in since 1975.

I have been a consultant to South Carolina Electric & Gas Company since 1978 in the analysis and study of RIS at Monticello Reservoir, and have provided periodic reports on the seismic activity at the Virgil C. Summer Nuclear Station working under a grant provided to the University of South Carolina by South Carolina Electric & Gas Company.

I am a member of the American Geophysical Union, Seismological Society of America, Society of Exploration Geophysicists, American Association for the Advancement of Science, etc. My research work has been published in the Journal of Geophysical Research, Bulletin of Seismological Society of America, Earthquake Notes, Professional paper (on the Charleston earthquake) of the U. S. Geological

Survey, Physics of Earth and Planetary Sciences,
Engineering Geology, Tectonophysics, etc. I have reviewed
research proposals for NSF, NASA, and U. S. Geological
Survey. I have reviewed research papers for several
journals.

1 JUDGE GROSSMAN: At this point Mr. Bursey may proceed
2 with the cross-examination.

3 MR. KNOTTS: Mr. Chairman, there are some exhibits
4 that are associated with the testimony of these gentlemen and
5 may be helpful from the standpoint of Mr. Bursey's cross-examina-
6 tion and the Board's questions if we proceed with those first,
7 but I have no objection to any manner of proceeding.

8 JUDGE GROSSMAN: Could you indicate to me again what
9 the parties have done with regard to the exhibits?

10 MR. KNOTTS: We designated in our memorandum of trans-
11 mittal submitted May 28, 1981, a number of exhibits beginning
12 at page five; the exhibits are listed.

13 And the exhibits associated specifically with these--
14 or the FSAR would encompass virtually all of the exhibits. The
15 exhibits associated with these witnesses would be those noted
16 as f, g, h and I on page six in my memordndum of transmittal.

17 JUDGE GROSSMAN: Have the parties stipulated the admiss-
18 ibility of the exhibits?

19 MR. KNOTTS: We had an oral agreement over the telephone
20 a little more than a week ago, Mr. Chairman. We have memorialized
21 it in writing. I think Mr. Bursey does not feel that he has
22 had enough time to look at the written version of it. So at
23 least for this morning we are proceeding without benefit of
24 a signed stipulation; although I think we still have an agreement
25 in principle.

dl6da

37 414 STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. BURSEY: This morning Mr. Knotts handed me the
 2 written stipulation and I do need more time to better understand
 3 exactly what it is being stipulated to, not as to the authenticity
 4 of the documents. I don't have any doubt that they were authentic.
 5 But as to the manner in which they are entered into the record,
 6 I'm not sure how the stipulation affects that and if you'd like
 7 to go into that now, we could do so and clarify that matter,
 8 or wait and allow me to consult with other people and what it
 9 means to proceed without the stipulation.

10 MR. KNOTTS: Would it help if I explained the nature of
 11 the effect of the stipulation and provided copies to the Board
 12 so that if Mr. Bursey has any questions, he can have the comfort
 13 at least of knowing that the Board has looked at what we've
 14 drafted?

15 JUDGE GROSSMAN: Mr. Knotts, you made an offer of
 16 the exhibits and the Board would like to act on that as quickly
 17 as possible. We are close to the lunch hour now and I think
 18 it would be advisable if you got together with other counsel
 19 and Mr. Bursey and decided where we are or where you are as
 20 far as the exhibits go and then we can rule on your offer after
 21 lunch, taking into account what Mr. Bursey and the other parties
 22 have to say with regard to your offer.

23 So we will recess until 1:30 at this point and we
 24 will resume and discuss as the first order of business the exhibits
 25 that you have to offer.

1 [Lunch recess.]

2 AFTERNOON SESSION

3 1:35 p.m.

4 JUDGE GROSSMAN: The evidentiary hearing is back in
5 session. We had a recess with an offer pending of four exhibits
6 by applicant and the proposed stipulation offered by staff and
7 applicants to Mr. Bursey with regard to these exhibits and all
8 other exhibits to be offered by staff and applicant.

9 Mr. Bursey, have you perused the stipulation and do
10 you intend to sign that stipulation or agree to?

11 MR. BURSEY: No, sir, I would prefer not to sign it.

12 JUDGE GROSSMAN: Okay. I take it then you would like
13 to object or not object to each exhibit as it is offered, is
14 that your position, sir?

15 MR. BURSEY: Yes.

16 JUDGE GROSSMAN: Fine, Now, with regard to the four
17 exhibits that have just been offered, have you seen these exhibits
18 before?

19 MR. BURSEY: Yes.

20 JUDGE GROSSMAN: When did you receive them, by the
21 way?

22 MR. BURSEY: I'm not sure. The service date is early
23 March, or May 28th, as Mr. Knotts' pointing out to me. They
24 came recently in a box of materials that I had gotten on the
25 date of the service and they have recently come into my possession,

d18da

1 but I have seen them.

2 JUDGE GROSSMAN: Okay. Are you familiar with these
3 documents?

4 MR. BURSEY: Briefly.

5 JUDGE GROSSMAN: Well, let me ask you, Mr. Knotts,
6 whether you're offering these documents through any witness
7 here?

8 MR. KNOTTS: I am prepared to do that. To set the
9 record straight, each of these documents that are before us
10 now which were for preliminary purposes listed as items f, g,
11 h and i in the May 28th memorandum, were provided to Mr. Bursey
12 as issued.

13 In addition, I understand that each of these documents
14 was provided to Mr. Bursey on or about May 28th or perhaps the
15 next day. So he's got them not once, but twice.

16 Dr. Alexander, you note in your testimony that a supple-
17 mental seismologic investigation was prepared and was submitted
18 to the Nuclear Regulatory Commission in December of 1980. Do
19 you have a copy of that document before you?

20 DR. ALEXANDER: Yes, I do.

21 MR. KNOTTS: Is that the document the preparation of
22 which you supervised?

23 DR. ALEXANDER: Yes, it is.

24 MR. KNOTTS: And was it prepared and submitted for
25 NRC review?

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

DL9DA

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 564-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. ALEXANDER: Yes, it was.

MR. KNOTTS: I will note, Mr. Chairman, that the document which I have reference to was previously submitted to the Board and the parties as the document listed as item f in our May 28th designation of exhibits.

We would, for the sake of the order of the numbering, like to have this document marked as Applicant's Exhibit 1, if that wouldn't cause confusion.

JUDGE GROSSMAN: So marked.

[Applicant's Exhibit No. 1 was marked for identification.]

MR. KNOTTS: Three copies of the exhibit have been duly provided to the court reporter, Mr. Chairman, and we now offer it into evidence.

JUDGE GROSSMAN: Mr. Bursey, do you have any objections to the offer of this document?

MR. BURSEY: Document f is being referred to now as?

JUDGE GROSSMAN: Applicant's Exhibit 1.

MR. BURSEY: And, Dr. Alexander, you assisted in the preparation of this entire document?

DR. ALEXANDER: Yes.

MR. BURSEY: And the supplement?

DR. ALEXANDER: We haven't gotten to the supplement yet.

d20da

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BURSEY: I beg your pardon. I beg your pardon. You did assist in the preparation of this entire book and you can answer questions relevant therein?

DR. ALEXANDER: Yes, I assisted in the preparation of this document and either myself or members of the panel would be prepared to respond to specific contents, but I have in fact-- I did in fact participate in the preparation of the entire document and have reviewed each part of it in the course of its preparation.

MR. BURSEY: And now, your expertise is in the geologic and seismological factors and not in specific construction that deals with seismological problems, is that right?

DR. ALEXANDER: That's correct.

MR. BURSEY: And so in regard to the projections that a certain ground acceleration level is safe for the V. C. Summer plant, that's not--you can only project the anticipated level and not the safety. You wouldn't purport to be doing that in this document?

DR. ALEXANDER: Well, that's--my expertise is to testify as to what we believe to be the ground motion that could be generated by specific seismic events. The section with respect to the actual plant's design and equipment is addressed by Dr. Chen who has expertise in it. He's a member of our panel.

MR. BURSEY: And you have prepared documents like this for other reactors?

DR. ALEXANDER: No, not specifically, but I have

1 prepared similar integrated studies that are part of the general
2 study of seismic hazards.

3 MR. BURSEY: And the other gentlemen on the panel,
4 this document is not associated with them but you're the sole
5 representative of this particular document?

6 DR. ALEXANDER: No, each member of the panel participated
7 intimately in the preparation of at least parts, individual
8 parts of this document. So those parts to which they were--
9 for which their expertise was appropriate are in fact representa-
10 tive in the preparation of this document.

11 MR. BURSEY: Were you familiar--in the preparation
12 of this document you were familiar with the original, the prelimin-
13 ary safety analysis?

14 DR. ALEXANDER: Yes. The initial background material
15 of course was the initial stage to put together the document
16 material, the relevant previous submissions for this particular
17 site. So, yes, I became familiar with the prior studies at
18 the time I became associated with the project.

19 MR. BURSEY: In area of this document where you have
20 revised the figures that we saw in the preliminary studies, these
21 are your--this is your revision and you're prepared stick to
22 those revisions on ground acceleration and near site magnitude?

23 DR. ALEXANDER: Yes. What's contained in here we're
24 prepared to defend.

25 MR. BURSEY: Judge Grossman, I have questions as to

1 the factual matters contained in here, but I don't doubt that
2 this is an authentic document prepared for Dr. Alexander SCE&G.

3 JUDGE GROSSMAN: Do I understand, Dr. Alexander, that
4 you and the others on the panel will be able to speak to all
5 of the matters that are contained in this supplemental seismologic
6 investigation, Applicant's Exhibit 1?

7 DR. ALEXANDER: That's my belief, that either myself
8 or some member of the panel or people generally involved in
9 its preparation can speak to that.

10 JUDGE GROSSMAN: Do you have any objection to this
11 document being offered?

12 MR. BURSEY: No, sir.

13 JUDGE GROSSMAN: Okay. It's admitted. We will state
14 this, though, that if it runs out on investigation that the
15 panelists cannot speak to certain items that are contained in
16 here, we will entertain motions to strike. However, we would
17 certainly afford an opportunity to begin someone who might
18 be able to speak to that area. However, admitted.

19 [Applicant's Exhibit No. 1
20 was received in evidence.]

21 MR. KNOTTS: Thank you. Dr. Chen, are you familiar with
22 the revised Appendix X dated March 4, 1981 to the Supplemental
23 Seismic Investigation?

24 DR. CHEN: Yes, I am.

25 MR. KNOTTS: Do you have a copy of that before you?

d23da

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

DR. CHEN: Yes.

MR. KNOTTS: I would like to have that document included as listed as item g in my May 28th memorandum marked as Applicant's Exhibit 2.

JUDGE GROSSMAN: So marked.

[Applicant's Exhibit No. 2 was marked for identification.]

MR. KNOTTS: Dr. Chen, are you familiar with the FSAR change regarding the effect of reservoir-induced seismicity transmitted to the NRC on April 15, 1981?

DR. CHEN: Definitely.

MR. KNOTTS: And do you have a copy of that document before you?

DR. CHEN: Yes.

MR. KNOTTS: Now, this is item h in my May 28, 1981 transmittal and I would like to have it marked as Applicant's Exhibit 3.

JUDGE GROSSMAN: So marked.

[Applicant's Exhibit No. 3 was marked for identification.]

MR. KNOTTS: Dr. Chen, were both these documents prepared for and submitted to the NRC for review?

DR. CHEN: Yes, sir.

1 MR. KNOTTS: I would now offer Exhibits 2 and 3.

2 JUDGE GROSSMAN: Mr. Bursey?

3 MR. BURSEY: Dr. Chen, when did you begin to take part
4 in the seismic review investigation, what date?

5 DR. CHEN: Since the beginning, 1971.

6 MR. BURSEY: 1971?

7 DR. CHEN: 1971, 1972, around that period.

8 MR. BURSEY: And so have you been working with the
9 reviews, seismic reviews since that time?

10 DR. CHEN: Intermittent.

11 MR. BURSEY: Intermittently. And so this document
12 number two or g--and which other did he contribute to, counsel?

13 MR. KNOTTS: Exhibit 3, which is h.

14 MR. BURSEY: H.

15 JUDGE GROSSMAN: No, Exhibit 2 is g, and Exhibit 3
16 is h.

17 MR. KNOTTS: Oh, 3 is h, I'm sorry.

18 MR. BURSEY: Dr. Chen, you assisted in the preparation
19 of 2 and 3 or g and h, is that right?

20 DR. CHEN: Yes.

21 MR. BURSEY: In that you were intermittently assisting
22 in the development of those records, when did the data come
23 to you that's in here? Was this given to you by SCE&G or did
24 you develop this?

25 DR. CHEN: I developed both of them myself.

d25da

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

MR. BURSEY: From the first day, from scratch?

DR. CHEN: I wrote them.

MR. BURSEY: And the figures in here, the magnitude figures, the ground acceleration factors and those figures, those figures are the figures that you determined independently?

DR. CHEN: No, sir. The magnitude was determined by the members of this panel.

MR. BURSEY: Were you involved in the preparation of the PSAR, the original projections of seismic activity for the applicant?

DR. CHEN: I did not prepare them myself; I reviewed them.

JUDGE GROSSMAN: Mr. Bursey?

MR. BURSEY: I am prepared to accept these documents for what they purpose to be.

JUDGE GROSSMAN: You have no objection to their admission? Admitted.

[Applicant's Exhibits Nos. 2 and 3 were admitted into evidence.]

MR. KNOTTS: Dr. McGuire, are you familiar with Appendix XI to the Supplemental Seismic Investigations transmitted to the NRC on May 27, 1981?

DR. MCGUIRE: Yes, I am.

MR. KNOTTS: Do you have a copy of that document

1 Before you?

2 DR. MCGUIRE: Yes, I do.

3 MR. KNOTTS: This was item i in my May 28th transmittal
4 designating exhibits. I would like to have it marked as Applicant's
5 Exhibit 4.

6 JUDGE GROSSMAN: So marked.

7 [Applicant's Exhibit 4 was
8 marked for identification.]

9 MR. KNOTTS: Dr. McGuire, was this document prepared for
10 and submitted to the NRC for its review?

11 DR. MCGUIRE: That's my understanding, yes.

12 MR. KNOTTS: Pursuant--strike pursuant.

13 I would now offer Exhibit 4 in evidence.

14 JUDGE GROSSMAN: Mr. Bursey?

15 MR. BURSEY: That's 4/i?

16 JUDGE GROSSMAN: Exhibit 4 was marked as i previously.

17 MR. KNOTTS: While Mr. Bursey is reflecting, I've
18 been reminded that there are corrections to be made in an exhibit
19 and, if the court please, I'll hold off on my offer until those
20 corrections can be made. Dr. McGuire--

21 JUDGE GROSSMAN: Excuse me for one second. I assume
22 Mr. Goldberg and the State of South Carolina have no objections
23 and I'm sorry for not asking you specifically.

24 MR. GOLDBERG: That's correct.

25 MR. BURSEY: Which of the panelists assisted in the

1 development of the estimates of reservoir-induced seismic ground
2 accelerations? Dr. Alexander, do you know?

3 DR. ALEXANDER: The specific estimates for acceleration?

4 MR. BURSEY: Yes.

5 DR. ALEXANDER: The overall background seismicity
6 data was gathered by Dr. Talwani initially. I reviewed it and
7 then the actual estimates of the ground acceleration based on
8 the observations in the site area were done by Dr. McGuire.

9 MR. BURSEY: And the ground motion model, was that
10 done by Dr. McGuire also?

11 DR. ALEXANDER: I would prefer for him to answer as
12 to what he did.

13 MR. BURSEY: Okay.

14 DR. MCGUIRE: I'm responsible for making the ground
15 motion estimates, that's correct.

16 MR. BURSEY: Did Dames & Moore have anything to do
17 with this estimate?

18 DR. MCGUIRE: People in Dames & Moore assisted in
19 those estimates to the extent they helped us determine what
20 the appropriate magnitudes would be. Also, that analysis was
21 developed by an employee of Dames & Moore.

22 MR. BURSEY: So Dames & Moore determined what the
23 appropriate magnitude would be?

24 DR. MCGUIRE: People at Dames & Moore assisted in that
25 determination.

d28da

1 MR. BURSEY: And how did they do that? Were there
2 computerized studies or based on experiential data?

3 DR. MCGUIRE: No, there were no computerized studies
4 done. There was an examination in conjunction with the people
5 on this panel what would the appropriate magnitude which could
6 be induced by the reservoir. And that took into account the
7 geologic factors in which geologists at Dames & Moore participated.

8 MR. BURSEY: And the original magnitude that was projected
9 has since been revised in terms of anticipated magnitude, is
10 that correct?

11 DR. MCGUIRE: I'm not sure which original magnitude
12 you're referring to.

13 MR. BURSEY: Well, there's original projections of
14 2.3 prior to filling the reservoir. Did you assist in the develop-
15 ment of that projection?

16 DR. MCGUIRE: No, I'm not aware of that projection.

17 MR. BURSEY: And what is the specific projection that
18 you assisted in in terms of near-site anticipated ground accelera-
19 tion?

20 DR. MCGUIRE: That's the results of this panel, I
21 think, and are best addressed by Dr. Alexander.

22 BURSEY: Just a minute. Judge Grossman, I'm not sure
23 that we have all the data necessary to determine ground motion
24 models and acceleration factors are going to be accurately addressed
25 in this document. And the inclusion or acceptance of this document

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 doesn't preclude or waive the possibility that we have that
2 we don't have the necessary evidence.

3 JUDGE GROSSMAN: As I indicated before with regard
4 to Applicant's Exhibit 1, to the extent that it appears that
5 the panelists cannot speak to the data included in these exhibits
6 or the positions taken in these exhibits, the Board will entertain
7 motions to strike the exhibits, notwithstanding that they've
8 already been admitted.

9 We will of cours afford applicants an opportunity
10 to being in the persons who can supply whatever foundation is
11 actually lacking. Right now we're assuming that what the witnesses
12 say is so and that is that they can supply the foundation for
13 the information contained inthe document. Is there any objection
14 to the Board's ruling on that, Mr. Goldberg?

15 MR. GOLDBERG: No objection.

16 JUDGE GROSSMAN: Mr. Knotts?

17 MR. KNOTTS: No objection, Mr. Chairman. Would it
18 be reasonable to assume that such motion to strike would be
19 lodged before the witnesses were excused?

20 JUDGE GROSSMAN: Certainly. Mr. Bursey, do you have
21 any objection then to Exhibit 4? If you do have a present objec-
22 tion to it--

23 MR. BURSEY: Jut one further thing for Dr. McGuire.
24 Dr. McGuire, you stated that the conclusion in this particular
25 document that the numbers that the applicant's using in projecting

d30da

1 anticipated seismic events and the ability of the physical facility
2 to withstand it, you prepared this document and what it purports?

3 DR. MCGUIRE: I prepared what is called Appendix XI,
4 that's correct.

5 MR. BURSEY: Thank you.

6 JUDGE GROSSMAN: Admitted.

7 [Applicant's Exhibit No. 4

8 was admitted into evidence.]

9 MR. KNOTTS: Dr. McGuire, did you prepare an errata
10 sheet for Appendix XI, which is now known as Exhibit 4?

11 DR. MCGUIRE: Yes.

12 MR. KNOTTS: Do you wish to adopt that errata sheet
13 as corrections to Exhibit 4?

14 DR. MCGUIRE: Yes, I do.

15 MR. KNOTTS: Mr. Chairman, I guess we should call
16 that 4a. If there are no objections, perhaps that can be admitted.

17 JUDGE GROSSMAN: Any objections to the admission of
18 the errata sheet as 4a?

19 MR. BURSEY: No, sir.

20 JUDGE GROSSMAN: Admitted.

21 [Applicant's Exhibit 4a was
22 marked for identification
23 and admitted into evidence.]

24 JUDGE GROSSMAN: Mr. Knotts, I assumed you had already
25 offered it even though I understand you had reserved it. The

d3lda

1 acoustics in this room are terrible as you have observed.

2 MR. KNOTTS: That's fine. Dr. Alexander, just one
3 or two clarifications that I'd like to ask you about before
4 I turn you over to Mr. Burseley.

5 You mentioned in your testimony that at the time Exhibit
6 1 is prepared, the Supplemental Seismic Investigations, you
7 had of course not reviewed the Safety Evaluation Report because
8 the Safety Evaluation Report came out after the Supplemental
9 Seismic Investigation was submitted, is that correct?

10 DR. ALEXANDER: That's correct, as I stated in my
11 summary earlier, summary of my prefiled testimony.

12 MR. KNOTTS: And you addressed in your prepared testimony
13 the view of Dr. Andrew Murphy as set forth in the Safety Evalua-
14 tion Report?

15 DR. ALEXANDER: Yes, sir.

16 MR. KNOTTS: Did Dr. Murphy's view as there expressed
17 or elsewhere expressed when they came to your attention cause
18 you to change your conclusions in any way?

19 DR. ALEXANDER: No, they did not.

20 MR. KNOTTS: Did Dr. Murphy's views cause you or your
21 colleagues to do anything?

22 DR. ALEXANDER: Yes. When the issue was raised we
23 did further examination of the question and addressed that in
24 subsequent submissions.

25 MR. KNOTTS: And did you carefully consider Dr. Murphy's

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 views?

2 DR. ALEXANDER: Yes, we have.

3 MR. KNOTTS: And is your overall conclusion as stated
4 in your prefiled testimony?

5 DR. ALEXANDER: Yes.

6 MR. KNOTTS: Mr. Chairman, I have no further questions
7 for the panel at this time and they are available for examination
8 starting, I assume, with Mr. Burse, and then the staff would
9 be ordinarily the next and any questions the Board may have.

10 JUDGE GROSSMAN: I think the State of South Carolina
11 would be included.

12 MR. KNOTTS: I beg your pardon.

13 JUDGE GROSSMAN: I assume the order will go, and it
14 will be Mr. Burse, the State of South Carolina, the staff and
15 then Board questions unless there's objection.

16 MR. WILSON: If we might, Mr. Chairman, have following
17 the staff and just prior to the Board. I think that would be
18 a little more productive. Our primary purpose being monitoring,
19 that would help at that point to know whether or not the matters
20 had been covered.

21 JUDGE GROSSMAN: Any objections to that from the staff?

22 MR. GOLDBERG: Not in this order but customarily we
23 would certainly like to have the benefits of everyone else's
24 examination, but in this particular issue, we have no objection.

25 JUDGE GROSSMAN: We will then adopt that order. Mr.

1 Bursey, you may proceed with your cross-examination.

2 MR. BURSEY: Thank you. Before I do that, if I could
3 ask the court to entertain a motion to hear. There've been
4 a number of people that have come up to me and that I've heard
5 saying to other people that didn't know that the limited appear-
6 ances were going to conclude so quickly.

7 And I was wondering--there are people in the room
8 fidgeting and wanting to say something and if we could at this
9 point set aside some time in the morning to take the limited
10 appearances, I think that it would be productive.

11 JUDGE GROSSMAN: For tomorrow morning, is that it,
12 or for this afternoon?

13 MR. BURSEY: Well, I would think tomorrow morning
14 is--again, I should go ahead and project into next week. If
15 we could just do it again in the morning until the time we start
16 next week, there are many people who are concerned that aren't
17 fully aware of the fact they have this opportunity and that
18 it's happening. And I'm sure that you don't want to preclude
19 someone's even limited involvement if it could be done without
20 delaying the hearing.

21 JUDGE GROSSMAN: Well, I think whoever is here now
22 and can make a limited appearance statement and desires to can
23 contact Mr. Paul Hamilton in the back of the room. Mr. Hamilton,
24 would you stand? We will entertain limited appearance statements
25 approximately at a quarter till four this afternoon and so we'll

1 proceed with out business and they may contact Mr. Hamilton
2 and leave their names and we will call them.

3 MR. BURSEY: Thank you.

4 JUDGE GROSSMAN: Proceed, Mr. Bursey.

5 CROSS-EXAMINATION

6 MR. BURSEY: Dr. Alexander, do you know what the original
7 projection of ground acceleration was for the V. C. Summer plant,
8 the first projection that was made

9 DR. ALEXANDER: Could you define what you mean by
10 projection?

11 MR. BURSEY: Preliminary safety analysis had a figure
12 in it. That figure was later revised. I want to know do you
13 know about that first figure?

14 DR. ALEXANDER: I'm afraid I still don't know which
15 specific figure you're referring to.

16 MR. BURSEY: The applicant's projection was 6.3, I
17 believe it was, the figure for ground acceleration. There's
18 two figures. One is ground acceleration and one is magnitude.
19 The figures that the applicant projected originally were revised.
20 Are you aware of that?

21 DR. ALEXANDER: I don't know what you're referring
22 to, magnitude or acceleration or what you're referring to.

23 MR. BURSEY: Both magnitude and acceleration, the
24 original projections by the applicant were revised. Do you
25 know when they were revised and why they were revised?

d35da

1 JUDGE GROSSMAN: Dr. Alexander, I believe the question
 2 was whether you were aware of the original estimates made by
 3 the applicants as to the maximum ground acceleration that would
 4 be encountered at the Summer site?

5 DR. ALEXANDER: I did not participate in making that
 6 estimate so I can't say the basis on which it was made at that
 7 time.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20014 (202) 554-2345

END TAKE

RA E 1 1

MR. BURSEY: Does anyone else on the panel, Dr. Chen, that participated in the original figures?

3 DR. CHEN: As far as I know, the original figure was
4 21 G-- .15 SSE.

5 JUDGE GROSSMAN: What was the second figure you cited?

6 DR. CHEN: .15.

7 MR. BURSEY: Now, it is my understanding, Dr. Alexander,
8 that the projections by the Applicant for ground acceleration
9 and the magnitude were exceeded at the reservoir itself, so what
10 we have is induced seismicity if the facility was greater than
11 anticipated, is that correct?

12 DR. ALEXANDER: I cannot say it was greater than
13 anticipated. There was provision made by virtue of monitoring,
14 as indicated later on, to determine whether there were any effects
15 due to the reservoir loading and those effects were monitored
16 very comprehensibly as I indicated, and the largest event,
17 which has occurred to this time, has been an ML=2.8 event.

18 MR. BURSEY: I believe you anticipated it would be
19 2.8 but did not the record reflect that you didn't anticipate
20 anything larger than 2.5?

21 DR. ALEXANDER: To my knowledge, it did not.

22 MR. BURSEY: What is the high--what was the upper
23 level projection that you anticipated prior to--

24 DR. ALEXANDER: I do not recollect the specific number.
25 Perhaps the panel, if they are in existence, perhaps another

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

E 2

1 member of the panel can supply that.

2 DR. CHEN: I think we are talking about different
3 things. We designed for OBE and SSE, before the fading. After
4 the fading of the water based on our exhibit F, based on our
5 investigation, our SSE value was not exceeded.

6 However, at the request of NRC and ACRS, we did
7 investigate a hypothetical case, that case exceeded our original
8 SSE--

9 JUDGE GROSSMAN: Excuse me, are we talking about the
10 same item, are we talking about ground accelerations now?

11 DR. CHEN: Yes, sir.

12 JUDGE GROSSMAN: The acoustics are terrible here and
13 let me ask you again, did you say that you had originally
14 estimated maximum ground accelerations of .15 G for safe
15 shutdown earthquake?

16 DR. CHEN: Yes, sir.

17 JUDGE GROSSMAN: And .10 G for an operating basis
18 earthquake?

19 DR. CHEN: Yes, sir.

20 JUDGE GROSSMAN: And you are saying now that that has
21 those anticipated maximum ground accelerations were not exceeded
22 by any event near that reservoir, is that what you are saying now?

23 DR. CHEN: Based on our investigation, this report was
24 not exceeded.

25 JUDGE GROSSMAN: I don't understand that qualification,

1 Dr. Chen; what do you mean based on the report it wasn't exceeded?

2 DR. CHEN: Based on the extensive investigation of the
3 site characteristics, our conclusion was in the future anticipated
4 event would not exceed the SSE.

5 JUDGE GROSSMAN: I see. Let me ask you, you are saying
6 now the accelerations were not exceeded at the site, is that it?

7 DR. CHEN: Yes.

8 JUDGE GROSSMAN: I see, they were exceeded but not at
9 the site, they were exceeded at some other place?

10 DR. CHEN: No, that was not--

11 JUDGE GROSSMAN: There was no ground acceleration from
12 any event near the reservoir greater than .15 G at any frequency
13 or .10 G at any frequency, is that correct?

14 DR. CHEN: No, that was not my answer.

15 JUDGE GROSSMAN: Let's get your answer then.

16 DR. CHEN: My answer was, based on our investigation,
17 the estimated maximum induced event, this met .10 and the
18 corresponding G values would not exceed SSE values.

19 JUDGE GROSSMAN: The question as I understood it and
20 as I thought I had rephrased it related to ground shaking and
21 ground acceleration values, not magnitude of earthquakes and the
22 sense of the question I thought was very simple and that was
23 whether the ground shaking accelerations exceeding .15 G or .10
24 G, which were your estimates for SSE and for operating basis
25 earthquake and your answer that no those ground accelerations were

1 not exceeded?

2 DR. CHEN: I think our investigation indicated that
3 magnitude 4.0 corresponded to a G factor value of .14 G which
4 is less than .15 G.

5 JUDGE GROSSMAN: Well, you are computing a value as
6 I understand it from a magnitude of earthquake where I am asking
7 you as to accelerations that actually occurred in the vicinity
8 of the site. Now, it is my understanding from everything that
9 I have read here that there was a 2.8 magnitude earthquake that
10 caused ground shaking at certain locations that exceeded the
11 .15 G and I believe that is what the question was and we seem
12 to be getting a negative answer here.

13 MR. KNOTTS: Mr. Chairman, if I may interject for a
14 moment. The question of Mr. Bursey was not that at all. Mr.
15 Bursey was making a representation which is not in the record
16 regarding some earlier predictions. He didn't show the witness
17 any piece of paper. He didn't show us where we allegedly made
18 such a prediction and here we are trying to put words in Mr.
19 Bursey's mouth and I don't think it is fair to say that in
20 these circumstances that the witness has not accurately answered
21 the questions as they understood them.

22 JUDGE GROSSMAN: Well, it is my recollection that Dr.
23 Chen did testify to a certain estimate that had been made

24 MR. KNOTTS: That is correct.

25 JUDGE GROSSMAN: And that estimate, to repeat for the

1 fourth time was .1 g for safe shutdown earthquake and .10 for
2 operating basis earthquake and the question I thought was very
3 direct as to whether those values had been exceeded by any
4 actual event that occurred and I can't seem to get any response.
5 This is not Board questioning, however, I think the witness
6 ought to be responsive to whatever anyone asks and we can't
7 seem to get an answer to whether those accelerations were
8 exceeded by any event. Now isn't there an answer? Dr. Alexander,
9 you seem to want to answer that.

10 DR. ALEXANDER: Yes, I think given your clarification
11 of the question, I will answer your question. In addition to the
12 seismic stations, there were stromation instruments (sic) for
13 the two sites in the area, one of those recorded 2.8 event
14 that had a distance range of less than, approximately one
15 kilometer. That site was on soil site and the acceleration at
16 the surface on the soil site did in fact exceed .15 g. However,
17 the calculation of what the ground motion would be on the hard
18 rock site below, which is the same as the foundation from which
19 the nuclear plant, the type of rock the nuclear plant was
20 founded did not exceed .15 g. Not to say that the ground am-
21 plification because of the soft material there is such that for
22 a very short interval, I believe .05 seconds, the value exceeded
23 .2 I think or .1... point 1.

24 JUDGE GROSSMAN: The value exceeded .1?

25 DR. ALEXANDER: At the ground, at the hard rock

E 6

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

foundation immediately beneath the soil layer on which the instrument was deployed.

JUDGE GROSSMAN: It seems to me that we are going to be here for a very long session.

The question as I understood is was whether there was any place near the site in which the ground acceleration exceeded a certain value. Now we understand from the material that was submitted that there are explanations by the Applicant and possibly the staff as to why the values were exceeded.

I hadn't understood before this there was any question but that the values were exceeded at the location of the accelerometer. Now, is that--were we incorrect in understanding that?

DR. ALEXANDER: The value .15 was in fact exceeded but the qualification of that is that we anticipated that .15 would be--that an event which would cause a .15 acceleration on the hard rock foundation such as the plant is built upon would--that same acceleration would be larger in a soft material which overlays such a foundation and that in fact was the situation where the observation of a higher acceleration, the data was observed.

JUDGE GROSSMAN: I am not sure, Dr. Alexander, what you are telling me that the accelerometer was placed in an area which you knew would give a faulty reading or whether you are

1 telling me that--or I understood to be the case to begin with--
2 that there are explanations in retrospect as to why there was
3 a high reading at that area.

4 Now, which is it?

5 DR. ALEXANDER: The .15 g basis, prior to any occurrence
6 or observation was also anticipated to be equivalent to .25 g
7 on a soft rock foundation. That was prior to any observation.
8 Now the actual instruments themselves was installed in a site
9 which was, in fact, in a soft material and it wasn't an effort
10 to confuse the issue, and an observation in that particular place
11 exceeded .2 g. The estimate, however of the ground--of the hard
12 rock foundation, that exact same event, was below .15 g.

13 JUDGE GROSSMAN: I see. Okay, you are now coming up
14 with two values for the safe shutdown earthquake. One was for
15 hard rock, which was .15 g and the other one was for soil which
16 was .25 g; is that basically what you're saying?

17 DR. ALEXANDER: To my understanding.

18 JUDGE GROSSMAN: Okay, now, the accelerations that were
19 recorded with regard to that 2.8 magnitude earthquake, exceeded
20 .15 g, is that correct?

21 DR. ALEXANDER: At the point where they observed, yes,
22 sir.

23 JUDGE GROSSMAN: Right, but it did not exceed or did
24 it exceed the .25 g acceleration?

25 DR. ALEXANDER: I believe it did not.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 JUDGE GROSSMAN: Dr. Chen, did you have anything to
2 add to that to clarify it?

3 DR. CHEN: No, sir.

4 JUDGE GROSSMAN: And you are in agreement with what
5 was said then?

6 DR. CHEN: Yes, sir.

7 JUDGE GROSSMAN: Mr. Bursey, you may proceed.

8 MR. BURSEY: Thank you.

9 The magnitude we are talking about, ground acceleration
10 factors, Judge Grossman mentioned magnitude, prior to the filling
11 of Lake Monticello, Applicant projected the magnitude, maximum
12 magnitude anticipated was 2.5 and you have 2.8, and now there
13 is a question that has been raised by the ACRS, and by other
14 concerns, equal with the original design based on underestimated
15 magnitudes and ground acceleration factors is going to adversely
16 affect the facility; I want to know what went into this study
17 to conclude that we should not be worried because you were wrong?

18 MR. KNOTTS: I object to the form of the question
19 because it is incomprehensible.

20 JUDGE GROSSMAN: The objection is sustained.

21 Mr. Bursey, go one question at a time.

22 MR. BURSEY: Okay.

23 JUDGE GROSSMAN: I don't believe that we have established
24 that there was any estimate with regard to magnitude of earthquake
25 in the first place of the value you mentioned, and I think if

E 9 ra

1 you want to establish that, you will have to start off and
2 ask questions with regard to that.

3 MR. BURSEY: Dr. Alexander, do you know what the
4 original projections, maximum expected near-site-- magnitude
5 near-site earthquake was? The first projection?

6 DR. ALEXANDER: No, I do not.

7 MR. BURSEY: Does anyone on the panel know?

8 Do you know, Dr. Alexander, what the present projection
9 for maximum credible--

10 JUDGE GROSSMAN: I am sorry. Could we get a definitive
11 answer that no one on the panel knows about any original estimate
12 with regard to magnitude earthquake?

13 DR. MCGUIRE: Just to clarify the question. I don't
14 think any of us is aware of any previous estimate of magnitude
15 of earthquake near any plant and in that case, ours would be the
16 first estimate of magnitude.

17 MR. BURSEY: Dr. Alexander, is it a fact that there have
18 been seismic events that exceeded earlier projections?

19 DR. ALEXANDER: I do not understand that questions in
20 light of remarks just made.

21 MR. BURSEY: Have there been seismic events near the
22 V. C. Summer plant that exceeded your earlier projections, the
23 Applicant's earlier projections?

24 DR. ALEXANDER: Not to my knowledge.

25 MR. MCGUIRE: Excuse me, perhaps it would clarify if

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 you would refer to what applicant's earlier projection you are
2 talking about? We are confused about that point.

3 JUDGE GROSSMAN: Mr. Bursey, I take it we are still on
4 magnitude of earthquake now and the import of your question is
5 that was there early estimates of magnitude earthquake that have
6 actually be exceeded?

7 MR. BURSEY: Yes, sir.

8 JUDGE GROSSMAN: (Continuing) By events. Could anyone
9 on the panel--Dr. Alexander, answer that?

10 DR. ALEXANDER: To my knowledge, there was not a pre-
11 conceived idea of what the maximum would be there. As a matter
12 of fact, the reason that the network was deployed was to observe
13 the effects of the loading of the reservoir.

14 JUDGE GROSSMAN: At some point, there was an estimate
15 of maximum magnitude earthquake, was that by the applicant?

16 DR. ALEXANDER: In this document here, that was one
17 of the objections to this particular study, that defeated what
18 we did.

19 JUDGE GROSSMAN: When you say this document here, you
20 are pointing to Applicant's exhibit 1?

21 DR. ALEXANDER: Yes, sir.

22 JUDGE GROSSMAN: And you are saying that was to your
23 understanding the first estimate made by the applicants with
24 regard to maximum magnitude earthquake?

25 DR. ALEXANDER: The maximum reservoir earthquake was

1 estimated the first time to my knowledge in exhibit 1.

2 MR. BURSEY: What was that estimation?

3 DR. ALEXANDER: Our estimate is ML 4.0 as I have
4 dictated in the summary of my testimony, prefiled.

5 JUDGE GROSSMAN: I notice you qualify that with
6 reservoir induced earthquake. Was there any estimate with
7 regard to any kind of earthquake, tectonic or otherwise?

8 DR. ALEXANDER: Again in the original site study,
9 the standard approach of taking the largest earthquake known to
10 have occurred in a tectonic province was used and it was an
11 intensity 7, not magnitude. The event in Union County mentioned
12 13 and that was following usual practice in proximity of site
13 and that was in fact the SSE event that was used in arriving at
14 the figures we just mentioned for acceleration and so the answer
15 is yes, the experience in the region was in fact the basis for
16 the initial choice of the SSE and the other event which was
17 considered was the Charleston earthquake which was the basis for
18 the OBE, .1 g and .15 g.

19 JUDGE GROSSMAN: Okay, I think we have left something
20 out here, Dr. Alexander. That is the link between your intensity
21 scale and your magnitude earthquake. I take it from that event
22 7 intensity earthquake of 1913 is projected a maximum magnitude
23 earthquake, is that correct, sir?

24 DR. ALEXANDER: The associated magnitude for intensity
25 7 would be in the range of 5 to 5.3 approximately, magnitude.

1 So, it would be significantly larger than what we
2 estimated the maximum, by a large fraction.

3 JUDGE GROSSMAN: Again, we are asking about original
4 estimates. Now when was that estimate made?

5 DR. ALEXANDER: That was in the very earliest study,
6 the SAR and FSAR, and those numbers have not been altered and
7 indeed that is what we explored in this extensive study was to
8 determine whether those numbers were in fact appropriate and
9 adequate for the design. Our conclusion is that they are.

10 JUDGE GROSSMAN: That is design--for a basis maximum
11 magnitude earthquake of 5.0 to 5.3?

12 DR. ALEXANDER: Maximum at that time, then as originally
13 calculated, that is correct.

14 JUDGE GROSSMAN: Were there any ground accelerations
15 that were associated with the maximum magnitude tectonic event
16 that you just indicated was estimated at 5.0 to 5.3 magnitude?

17 DR. ALEXANDER: The intensity 7 event, which as I
18 indicated correlates to an equivalent magnitude event of
19 approximately 5 to 5.3, because--and why it is not precise is
20 because it requires an empirical association--was used as a basis
21 for the safe shutdown acceleration at the particular site, so
22 the 5 and 5.3 at the time of the event was used as the original
23 and the original basis for the SSE acceleration level, and it is
24 included in our study that those numbers are adequate and
25 appropriate still for this particular site in light of the

P. 13
300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

induced seismic as well as the examination of the Charleston earthquake and all the site conditions that I put into my testimony.

JUDGE GROSSMAN: I am not quite sure I heard any number, and again it may have been the acoustics here but my question related to the ground acceleration that may have been calculated with regard to that basic tectonic event and I don't recall hearing that number.

DR. ALEXANDER: .15 g at the site.

JUDGE GROSSMAN: And that is the same .15 g that you get from a magnitude of four earthquake that is reservoir induced.

DR. ALEXANDER: If it's sufficiently close.

JUDGE GROSSMAN: I see, so that there was some estimate as to the distance between the site and the 5 point here or 5.3 magnitude tectonic event?

DR. ALEXANDER: Let me defer to Dr. McGuire to answer that assumption.

DR. MCGUIRE: I was not involved in the preparation of the SER, but I can answer in generic terms how it is done and that is done by taking, determining what the largest MM intensity in the same tectonic province as the site and using correlations which are obtained from California data to relate that MM intensity to acceleration for intensity 7, you get an acceleration which is on the order of .15 g, so in that specific

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 calculation, the event as obtained from data, stro-motion (sic)
2 records in California, so that particular calculation there is
3 no necessity of assumption of magnitude--to make that calculation.
4 That is the standard way that those SSE accelerations are
5 determined.

6 Now for our study which is reservoir induced, we looked
7 at more details in magnitudes and distances which might be
8 associated with those events.

9 JUDGE GROSSMAN: I see. So, what I understand you are
10 telling me is that your understanding of what's generally done
11 is that from the intensity of the earthquake, a ground shaking
12 acceleration is determined without going to the intermediate step
13 of determining the magnitude earthquake that would be associated
14 with the certain intensity--ground intensity earthquake, is that
15 correct?

16 DR. MCGUIRE: That is correct.

17 JUDGE GROSSMAN: And in this case, there was some
18 calculation made of the magnitude earthquake but that was
19 independent of using it to determine maximum ground acceleration?

20 DR. MCGUIRE: Where the tectonic event of that magnitude
21 determination, I think was just made off the cuff by Dr.
22 Alexander, to give you some perspective on what that magnitude
23 might be, but that was not--as I understand, that was not used
24 in the FSAR to determine acceleration.

25 JUDGE GROSSMAN: I see. So you wouldn't find the

1 magnitude at all in the FSAR, is that correct?

2 DR. MCGUIRE: I would not expect to, no.

3 JUDGE GROSSMAN: You would merely find the intensity
4 of the anticipated earthquake and a ground acceleration figure.

5 DR. MCGUIRE: That is correct.

6 DR. ALEXANDER: I would like to endorse that your
7 conclusion of that is correct. There was no magnitude to my
8 knowledge, evolved in a direct step from the intensity to
9 acceleration and it was only in our evaluation of it locally
10 that we made a further association with magnitude, local
11 magnitude and acceleration.

12 JUDGE GROSSMAN: Thank you. Mr. Burse, you may
13 proceed.

14 MR. BURSEY: Thank you, sir.

15 Dr. Alexander, you mentioned, I believe, eleven
16 thousand reservoirs, there had been 45 suspected of inducing
17 seismicity. How many of that 11,000 were monitored?

18 (Brief pause.)

19 DR. ALEXANDER: May I refer?

20 In general, the answer is that very few reservoirs
21 have been extensively monitored. I indicated in my written
22 testimony, this particular reservoir is probably better
23 instrumented than almost any other so far as having a background
24 level and then a subsequent monitoring of the events, so most
25 of the ones for which there is an association were based on

E 16

1 ability for intensity type estimations as opposed to instrumental
2 recordings as in the case here.

3 MR. BURSEY: So very few of the 11,000 reservoirs have
4 been monitored?

5 DR. ALEXANDER: I can't give you any significance of
6 that, you are saying only 45 of them--only--had there been a
7 significant event, you would not have needed an instrument to
8 tell you that. It would have been widely felt and so on, and
9 that I believe was not observed so that--so the fact that none
10 was observed means at least that if there were such events
11 associated with them, it would have to have been exceedingly
12 small. There is no evidence that there were.

13 After all, the instrumental record doesn't go back
14 too many years. There have been observational--instrumentally
15 observed recordings recently.

16 MR. BURSEY: One of my contentions was that the
17 seismic activity should be monitored after filling the reservoir.
18 Now, the applicant has said that that is an event. You said on
19 page 7 that you felt that had been met adequately.

20 My original request was that it be monitored a year
21 after the facility. In that there has been above anticipated
22 seismic events, I have reviewed my statement that I feel monitoring
23 needs to go on at least another two years if the activity continues
24 indefinitely, do you take issue with that?
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 DR. ALEXANDER: Well, I will say simply that as stated
2 in my testimony, applicant has agreed to continue monitoring
3 through 1982 and at that point, the results to that date will
4 be evaluated and so subsequent monitoring would be decided upon
5 with consultation with NRC and the findings to that point as
6 to whether further monitoring was to be warranted.

7 MR. BURSEY: What would your advice be if we continue
8 to see above anticipated levels of seismic activity, would you
9 advise the applicant to keep monitoring?

10 MR. KNOTTS: I object, Your Honor. We have not yet
11 established on the record that we are seeing above anticipated
12 levels of seismic activity.

13 JUDGE GROSSMAN: Mr. Bursey, could you rephrase that
14 question?

15 MR. BURSEY: Yes, sir. I am frankly taken aback. It
16 is general knowledge and has been admitted in other proceedings
17 there have been events that have exceeded anticipated levels.

18 Now I think we are going to have to speak to that.
19 I will have to stop and go get the evidence I know I can produce
20 but--

21 JUDGE GROSSMAN: I don't think you have established
22 any frame of reference, Mr. Bursey, and if you want to go ahead
23 and establish it, as to what you mean by anticipated levels, you
24 can go ahead and do it. There may be a simpler way--

25 MR. BURSEY: I tried at one point. I asked if the

1 gentlemen were familiar with early projections as to what
2 the anticipated levels were and I didn't get anywhere, but let
3 me try another line of questioning.

4 Dr. Alexander, did the seismicity after filling the
5 reservoir, did it exceed the projections that any of the
6 consultants that you are aware of--yourself or any of the
7 panel--have made for seismic activity in the near area?

8 DR. ALEXANDER: To my knowledge, no one made a specific
9 projection as to what levels of induced activity could occur at
10 that site and there would be no basis to do that kind of,
11 any experience in that area.

12 MR. BURSEY: You mention on page 15 of your pre-filed
13 testimony that, "It is concluded that the cause of the Charleston
14 earthquake is still not known."

15 Then, on page 16, you say, "it is my opinion that there
16 is no observational evidence to indicate that an earthquake
17 comparable to the 1886 event will reoccur in any location except
18 for the Charleston vicinity". If you don't know what caused it,
19 how can you be so sure it can't happen?

20 DR. ALEXANDER: As I indicated, we cannot be sure, we
21 have to evaluate the evidence that exists, and the U. S. Geological
22 Survey, as I noted in my testimony, has conducted for a number
23 of years now intensive investigation into that very question and
24 there's the--the question is still not totally resolved. However,
25 if you will refer to Dr. Devine's statement in appendix E of the

E 19

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SER, you will find basically the same conclusion as I have reached here, is that there is no basis to move the Charleston event any place other than that area and in some areas to which there has been occurring some activity.

JUDGE LENENBERGER: Excuse me, but I don't think I heard you answer Mr. Bursey's question. I think I heard you say that what you have said here agrees with what Dr. Devine says but it seems to me Mr. Bursey asked a rather logical question; how can you conclude that nothing comparable to the Charleston event will occur in this area on one page when on the following page you have said that the Charleston event is not understood. I didn't really hear you answer that.

DR. ALEXANDER: Okay.

JUDGE LENENBERGER: Let's leave Dr. Devine out of it for a moment.

DR. ALEXANDER: Let me tell you exactly what we did. Because, first of all, the data investigations done by the U. S. Geological Survey were the primary basis for our evaluation on this question and basically there are three leading hypothesis being discussed as to the possible mechanism and origin of an event and we looked at each one of these and did not rule out any one of them as being possible; although we did make the judgment that at least one of those, based on observational facts would be less likely; however, we did consider all three in the statistical analysis of what the acceleration would be at

1 the site. In other words, we made the calculation assuming that
2 the Charleston event could in fact occur anywhere within the
3 eastern region and calculated a mean return period for various
4 levels of acceleration, so we did not--we did consider the
5 moving of Charleston about in this whole region, of course
6 at each of these three hypothesis, and judgment as to whether
7 it should be kept in Charleston is indeed a judgment but it is
8 based on some observational evidence that there are active
9 faults at depths in that particular area. There are true the
10 geolinic bodies which would concentrate stress there and so
11 there is a set of conditions there which are not present at
12 other sites to our knowledge in the eastern region and these
13 events in fact wouldn't happen in an earthquake in that particular
14 area, and we did not have any basis to--nor is there any evidence
15 of such areas elsewhere, in the proximity of this site or elsewhere
16 on the east coast.

17 JUDGE LENENBERGER: Thank you.

18 JUDGE GROSSMAN: Mr. Bursey.

19 MR. BURSEY: Dr. Alexander, have you or any of your
20 panel examined the Wateree fault or its implications?

21 DR. ALEXANDER: I believe none of the present panel
22 members did that, although the members I think before who helped
23 prepare this document did in fact look at the field evidence and
24 go into the field with Dr. Secor in that connection.
25

1 MR. BURSEY: And you stated in your earlier testimony
2 that significant efforts to locate the fault as it proceeds
3 towards the plant are being undertaken. Who is undertaking
4 those significant efforts and what all do they entail?

5 DR. ALEXANDER: It is all spelled out in my testimony
6 if you refer to that, and Dr. Donald Secor specifically if you
7 in fact look at the whole section on Wateree Creek, page 16
8 through 19; that spells out exactly what is known about that
9 particular feature.

10 MR. BURSEY: And Dr. Secor is undertaking this
11 investigation for who?

12 DR. ALEXANDER: The U. S. Geological Survey.

13 MR. BURSEY: And have there been arrangements made
14 between the applicant and the USGS that Dr. Secor's work, is
15 he going to be incorporated into your seismic considerations?
16

17 DR. ALEXANDER: It already has been, yes, and will
18 continue to be.

19 MR. BURSEY: I am still a little uncomfortable feeling
20 that over here on the one hand is a professor at the university
21 who is doing some work and you on the other hand saying that I
22 shouldn't worry, the plant--the applicant is going to be fully
23 appraised of all developments, what is the link, what is the
24 establishment, rapport, between you and Dr. Secor?

25 DR. ALEXANDER: Number one, he is required to submit

E 22

1 reports periodically. I don't know whether it is quarterly,
2 semi, or annually, but on one of those basis, he reports to
3 the U. S. Geological Survey his findings and we have received
4 copies of all those and members of the Dames & Moore corporation
5 have been participating in the project, have gone into the field
6 with him on several occasions and there is frequent contact
7 with Dr. Secor as to the course of his investigation, so there
8 is a cooperative basis on which we have learned in a very timely
9 way what he has found in that particular study.

10 MR. BURSEY: Are there any formal contracts or
11 agreements?

12 DR. ALEXANDER: I am not the person to answer that.
13 To my knowledge there is not but I am not the right person to
14 ask that question. To my knowledge, he works only under contract
15 with the U. S. Geological Survey on this question.

16 MR. BURSEY: Can you venture a projection that on page
17 18 in your statement, "The fault has been traced northward to a
18 point approximately two kilometers southeast of Peak", and if
19 you are familiar with where that is, that is not very many
20 kilometers from the plant, not very many at all. I would say
21 less than three miles, a mile and a half.

22 DR. ALEXANDER: I believe it is eight kilometers.

23 MR. BURSEY: If the continuing field work shows that
24 the fault does indeed proceed directly towards the plant, can
25 you project what changes this can necessitate?

1 DR. ALEXANDER: Yes, as a matter of fact I addressed
2 that question, item number 4, page 19 of my written testimony
3 here, and even if the fault were found to project into this
4 area, there is no evidence anywhere where it has been mapped
5 and identified that it is a capable fault. There is no evidence
6 of any geologically recent movement on that feature and so even
7 if it were to be present at the site, it would not have a
8 safety implication.

9 JUDGE GROSSMAN: Excuse me. Mr. Knotts, could you
10 tell me whether Dr. Secor is available for this hearing?

11 MR. KNOTTS: Dr. Secor is not under our control but
12 we have a gentleman available from Dames & Moore who are
13 intimately familiar with Dr. Secor's work.

14 JUDGE GROSSMAN: I notice what seems to be very
15 unusual in this testimony on page 18 that Dr. Alexander has
16 reviewed the findings of Dr. Secor and has reached certain
17 conclusions and, you know there is no way of telling what the
18 basis for those conclusions are, whether Dr. Secor also holds
19 with those conclusions and, of course, we have some leeway as
20 far as hearsay goes, but I don't know how critical the testimony
21 is in the first instance but we would like to know whether we
22 would have an opportunity to talk to Dr. Secor.

23 MR. KNOTTS: If the Board wishes to call Dr. Secor as
24 their witness, I assume the Board can do that but we have available
25 a gentleman from Dames & Moore who are under contract to us.

1 JUDGE GROSSMAN: Could they do any better than Dr.
2 Alexander than just saying that they believe that Dr. Secor
3 believes something or they believe from what they have seen of
4 Dr. Secor's work--in other words, I don't know, is that anymore
5 helpful than having a statement made by Dr. Alexander as to what
6 his conclusions are of Dr. Secor's work.

7 MR. KNOTTS: I don't know what the source of the Board's
8 concern may be. It is pretty standard practice for somebody
9 doing field work to report their conclusions to somebody for
10 analysis, but I will be happy to put the gentleman from Dames
11 & Moore who have actually accompanied Dr. Secor in the field on
12 the stand.

13 JUDGE GROSSMAN: Well, maybe it would be preferable
14 if we had the same work before us that Dr. Alexander looked at
15 in order to arrive at his conclusions. What type of materials
16 did you look at?

17 DR. ALEXANDER: His written reports to the Geological
18 Survey.

19 JUDGE GROSSMAN: Had the staff intended to offer those
20 reports, Mr. Goldberg?

21 MR. GOLDBERG: No.

22 JUDGE GROSSMAN: Isn't the USGS working along with the
23 staff in this case?

24 MR. GOLDBERG: The U. S. G. S. Letter Report is on the--
25 the USGS studies of the Charleston earthquake, which comprise

1 Appendix E to the SER--we don't have any other documentary
2 testimony we would offer on behalf of the USGS.

3 JUDGE GROSSMAN: In other words, you are restricting
4 their role to the Charleston earthquake and not to the Wateree
5 Creek--

6 MR. GOLDBERG: Right.

7 JUDGE LENENBERGER: Mr. Knotts, you said in response
8 to discussion with the Chairman that you didn't understand what--
9 quite what the Board's concern is here.

10 MR. KNOTTS: That's right.

11 JUDGE LENENBERGER: Quite simply stated, it is this,
12 we have testimony that says that there is a gentleman out there
13 trying to see how far the Wateree Creek fault goes and what it
14 looks like and he has done some work but his work isn't complete
15 and the person on the panel that is relaying this to us says
16 he is pretty sure that things aren't so bad but he isn't Dr.
17 Secor and he hasn't seen, nor has anybody seen the final results
18 of Dr. Secor's work, so I think it is very easy to see how the
19 Board could have a concern here. That is an area of ignorance,
20 if you will, and perhaps on further questioning, Dr. Alexander
21 can dispel some of this ignorance--I don't want to get into
22 Board questions right now, but this leaves, and I will say this
23 for Mr. Goldberg's benefit, also, this leaves the Board with
24 a feeling of a large area of uncertainty. Dr. Alexander has
25 expressed the opinion, for example, that even at the Wateree Creek

1 fault, getting close to the site, there is nothing to indicate
2 that it is capable.

3 Well, now, the Board is not at all certain that
4 Part 100 criteria with respect to capability of faults are
5 completely applicable in the region where there is a large
6 reservoir just been filled. Capable faults refer to tectonic
7 things that generally aren't mixed up with reservoirs in Part
8 100, so I think you gentlemen can see sort of the nature of
9 the Board's concerns here.

10 MR. KNOTTS: Judge Lenenberger, I can see what you
11 are saying. I will point out to Judge Lenenberger that we
12 filed are designation of witnesses and our pre-filed testimony
13 on May 28th. Had we known in advance that the Board desired
14 physically to interrogate Dr. Secor we might have been able to
15 make some arrangements to get Dr. Secor here. I am afraid the
16 best I can do at the moment is offer the gentleman from Dames
17 & Moore and we will make inquiries as to the whereabouts of
18 Dr. Secor.

19 MR. GOLDBERG: We will have a geologist on the panel
20 who will answer your questions on the Wateree Creek fault.

21 JUDGE LENENBERGER: Okay.

22 MR. BURSEY: Judge Grossman and Judge Lenenberger, I
23 am not sure the difficult in calling Dr. Secor. He lives in
24 my neighborhood. He works at the university and he has been
25 unwilling to talk to me about Wateree fault, he has stated his

1 unwillingness to talk to me about it. One of his graduate
2 students who was with him when they uncovered the fault and
3 worked with him on it expressed to me a sense of alarm. I
4 don't see why the applicant is unwilling to make a phone call
5 to someone locally if they are relying on this man's judgment
6 and unwilling to present him.

7 JUDGE GROSSMAN: I am surprised. The NRC staff
8 has expressed concern on page 2-39 of it ~~SECOR~~, with regard
9 to the Wateree Creek fault, and has indicated that it considers
10 it prudent for the applicant to continue to monitor the ongoing
11 mapping of the Wateree Creek fault, but nevertheless is not
12 concerned enough to review the investigatory materials of Dr.
13 Secor or to present him as a witness, Mr. Goldberg.

14 MR. GOLDBERG: We are reviewing his materials. We
15 also conclude that we do not believe that that fault represents
16 a hazard to the site and will have a staff geologist to
17 substantiate that position. I am advised we are receiving
18 correspondence from Dr. Secor and will continue to review it
19 in the spirit, when we made that comment.

20 JUDGE GROSSMAN: Have you investigated to see if Dr.
21 Secor is also available?

22 MR. GOLDBERG: I have not.

23 JUDGE GROSSMAN: Could you do that, Mr. Goldberg?

24 Well, let me ask you what the nature is of the
25 testimony that will be presented by your witness with regard

1 to Dr. Secor's work; will the witness for one thing have all
2 the investigatory materials available that Dr. Secor has
3 presented to the USGS?

4 MR. GOLDBERG: May I confer with the witness?

5 JUDGE GROSSMAN: Certainly.

6 (Brief pause.)

7 JUDGE GROSSMAN: Why don't we take a ten-minute recess?

8 (Short recess.)
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Flpw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 JUDGE GROSSMAN: Mr. Goldberg?

2 MR. GOLDBERG: It's my understanding that Mr. Knotts
3 has something to report about Dr. Secor's availability.

4 MR. KNOTTS: It's my understanding, Mr. Chairman, that
5 Dr. Secor, as of about ten minutes ago, thought he could be over
6 here in about twenty minutes, so I assume that means he will be
7 here in about ten minutes from now.

8 JUDGE GROSSMAN: And he will come now if we request it?
9 He's on his way anyway?

10 MR. KNOTTS: That's correct.

11 JUDGE GROSSMAN: Fine.

12 Mr. Bursey, are you prepared to examine him when he
13 comes? I would hope so.

14 MR. BURSEY: You bet.

15 JUDGE GROSSMAN: You may proceed with this panel.

16 MR. BURSEY: Dr. Alexander, you mentioned in your testi-
17 mony that there had been an event that at a location at an
18 accelerometer exceeded at the surface the .15 figure that the --
19 the .10 figure that was a safe shutdown. Can you be more
20 specific as to where that accelerometer was and how far the
21 epicenter of that event was from the facility?

22 DR. ALEXANDER: Which of those do you want me to answer
23 first?

24 MR. BURSEY: Both.

25 DR. ALEXANDER: Will you restate it?

F2pw

1 MR. BURSEY: Where was the epicenter of that event?

2 DR. ALEXANDER: It was approximately one kilometer from
3 the dam site itself, Monticello Reservoir dam.

4 MR. BURSEY: And you're saying that -- what was the
5 magnitude of that event?

6 DR. ALEXANDER: The estimate was M_L 2.8.

7 JUDGE GROSSMAN: Excuse me. Mr. Bursey, I just want to
8 clarify this for the record. I believe the witness answered and
9 accepted everything that you had prefaced your question with as
10 to the values, and I believe the record would indicate that those
11 were not the correct values. He merely answered as to where the
12 location was, the epicenter of the event, but he did not, as I
13 understand it, accept your G values as postulated. Is that
14 correct, sir?

15 DR. ALEXANDER: That's correct.

16 MR. BURSEY: Would you state the G values then, as you
17 accept them, that are in place compared to the event?

18 DR. ALEXANDER: The safe shutdown earthquake acceleration
19 for this site are .15 G on hard rock and .25 G on soil type
20 foundations.

21 MR. BURSEY: And so this event that was a 2.8 magnitude,
22 what was the ground acceleration value for that?

23 DR. ALEXANDER: On the soil site, which is where the
24 instrument is situated, it was approximately .2, approaching .23
25 to .25 G.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F3pw

1 MR. BURSEY: So it was very --

2 DR. ALEXANDER: Excuse me, and that was for an
3 extremely short duration of time that it reached that kind of
4 a value, .06 seconds.

5 MR. BURSEY: But it was close to the Applicant's
6 projected safe shutdown ground acceleration factor?

7 DR. ALEXANDER: For a soil location, that's correct.

8 MR. BURSEY: In preparation of your pre-filed testimony,
9 other than Dr. Secor, what other material did you draw from
10 others that you did not yourself prepare?

11 DR. ALEXANDER: With regard to which question?

12 MR. BURSEY: The pre-filed testimony that is -- (Pause)
13 it's the pre-filed testimony.

14 DR. ALEXANDER: But what part of my testimony are you
15 querying with regard to whom I consulted?

16 MR. BURSEY: Well all of it. We can start at the
17 beginning, but I've determined that with Dr. Secor it has been
18 fairly second hand and now I'd like to go back to the beginning
19 of it and determine what else has been performed by you or by
20 others.

21 DR. ALEXANDER: As I indicated, this report, Exhibit 1,
22 was prepared under my general supervision. The members of this
23 panel and members of the Dames & Moore Corporation assisted in
24 preparing this and indeed did intensive work on individual parts
25 of it. So I was a participant in each part of the whole study as

F4pw

1 presented here, but others assisted in individual parts and I
2 believe the principal individuals who did participate are either
3 members of this panel or are here in the audience, with the
4 exception of Dr. Secor himself, whose reports we have relied upon.

5 MR. BURSEY: So then you're saying that other than Dr.
6 Secor, there is nothing contained in your pre-filed testimony
7 that was drawn from an outside source, it was either prepared by
8 the panel or by other consultants for the Applicant.

9 DR. ALEXANDER: We looked at all available literature,
10 and that would include, for example, the U. S. Geological Survey's
11 work in Charleston, so we have included as part of our synthesis
12 and evaluation here, the available published record in each of
13 the issues to the extent that we have available information.
14 So in that sense, we have used sources that exist in the literature.
15 So far as preparation of the written document itself, members of
16 this panel and myself plus people from Dames & Moore prepared the
17 entire document as you see it here.

18 MR. BURSEY: Can you or anyone else on the panel speak
19 to the seismic design of the dam at Lake Monticello that you --
20 was the dam at Lake Monticello the one that you just referred to
21 as being one kilometer from the epicenter of the 2.8 magnitude
22 event?

23 DR. ALEXANDER: Yes.

24 MR. BURSEY: Would you speak to the seismic design
25 factors of the dam itself?

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F5pw 1

DR. ALEXANDER: I am not myself qualified to speak to that question.

MR. KNOTTS: Mr. Chairman, I have a question regarding the relevance of the inquiry into the seismic design of the dam. The dam is not before us for licensing.

MR. BURSEY: Lake Monticello is referred to by the Applicant as the ultimate heat sink for the facility and I feel that if there has been an event out there, as Dr. Alexander has stated, that did indeed reach what is considered the safe shutdown factor for the plant, our concerns can't be limited or erased by the fact that that is a soil movement a kilometer away from the facility. I'm concerned and I think it's relevant.

MR. KNOTTS: The application will show, Mr. Chairman, and the record for the agency, that the Applicant has provided a surface water pond, which is the emergency source of cooling water and which of course is designed to the seismic standards and we have a gentleman in the audience who can address that issue.

JUDGE GROSSMAN: I believe, Mr. Bursey, in an attempt to connect up his concerns, I will allow that now. No harm done if he can't later on. You may proceed on that line, Mr. Bursey.

MR. BURSEY: Is there anyone on the panel that can speak to the impact of the event that we previously mentioned or anything exceeding that on the Monticello Dam or any other impoundment?

DR. ALEXANDER: As I indicated, I cannot speak to that, as

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F6pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 an authority on the design of dams. I can only remark that to
 2 my knowledge no earthquake in the Tectonic Zones has caused the
 3 failure of a dam, including, for example, the 1971 San Fernando
 4 earthquake, which was much larger than anything we've been discussin
 5 here, it was a six and a quarter event right beneath the dam and
 6 it was an earthen dam, whose design characteristics I'm not
 7 aware of, but this was built more recently by the Corps of
 8 Engineers, to my understanding. Beyond that, I have no basis to
 9 answer your question.

10 MR. BURSEY: Did the Applicant conclude, was it your
 11 conclusion, Dr. Alexander, that the, I believe it's the rebound of
 12 the filling of the reservoir and that you anticipate that period
 13 has passed?

14 DR. ALEXANDER: The effects of the reservoir filling,
 15 according to the observations available to us over the past three
 16 years suggest that that indeed is the case, that apart from the
 17 response initially to the filling, which the induced activity
 18 began to occur and continued to occur until it reached its present
 19 limits both laterally and with depth, that took place over the
 20 first few months. Since that time there has been no further
 21 expansion of the region and the overall level of activity on the
 22 average has steadily declined and continues to do so.

23 MR. KNOTTS: Mr. Chairman, when we get to an appropriate
 24 place, Dr. Secor I am told is now in the room. He has an
 25 appointment at 4 o'clock and if the Board has questions for him or

F7pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Mr. Bursey does, perhaps he could be brought up now.

2 JUDGE GROSSMAN: Yes, I think that would be appropriate.

3 Dr. Secor, would you come forward?

4 Dr. Talwani, since you're the last one there, will you
5 please relinquish your seat?

6 Dr. Secor, please remain standing and raise your
7 right hand.

8 Whereupon,

9 DONALD TERRY SECOR, JR.

10 was called as a witness by and on behalf of the Applicant, and
11 having been first duly sworn, was examined and testified as
12 follows:

13 JUDGE GROSSMAN: Could you state your full name and
14 address, sir?

15 THE WITNESS: Donald Terry Secor, Jr., Route 1, Box
16 251, Newberry, South Carolina.

17 JUDGE GROSSMAN: Mr. Bursey, do you want to proceed
18 with Dr. Secor?

19 MR. BURSEY: Yes, thank you.

20 CROSS EXAMINATION

21 BY MR. BURSEY:

22 Q Dr. Secor, did you examine the documents that South
23 Carolina Electric & Gas is attempting to put into evidence here
24 that cites you and your studies of the Wateree Creek Fault?

25 A I just examined it briefly prior to coming to this

F8pw

1 meeting.

2 Q Have you been previously in communication with SCE&G?

3 A Yes.

4 Q And they worked with you in preparation of this
5 document?

6 MR. KNOTTS: What document is being referred to, Mr. --

7 MR. BURSEY: I'm referring to the document that is Dr.
8 Alexander's pre-filed testimony on page 16 where it begins
9 "Evaluation - Wateree Creek Fault".

10 A No, they did not work with me in preparing this statement.
11 I hadn't seen it until I came here.

12 BY MR. BURSEY:

13 Q There are some conclusions that they have drawn, I'll
14 quote Dr. Alexander: "I have reviewed the findings by Dr. Secor
15 to date and have reached the following conclusions:

16 "(1) Substantial evidence exists indicating the
17 presence of the Wateree Creek Fault in the Chapin quadrangle as
18 presently mapped by Dr. Secor. The fault has been traced north-
19 ward to a point approximately two kilometers southeast of Peak,
20 South Carolina." Is that so far correct?

21 A Yes.

22 Q "Progress of the field work to date has not provided
23 any observational evidence of northward continuation of the
24 fault...."

25 MR. KNOTTS: Excuse me, gentlemen. As a courtesy to

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F9pw

1 the witness, I will provide him with a copy of what is being
2 read from.

3 (Mr. Knotts hands a document to the witness.)

4 A Everything you've said so far is correct.

5 BY MR. BURSEY:

6 Q And is the field work -- where does the field work
7 stand now?

8 A Right now we've basically completed mapping the Chapin
9 and Little Mountain quadrangles and this summer we're working on
10 Monticello and Pomaria.

11 Q You have begun on the east Broad?

12 A Yes.

13 Q Do you have any findings that you think would be of
14 concern to the Board?

15 A I don't believe so. We have not found any evidence
16 of the Wateree Creek Fault nor the location right southeast of
17 Peak that you referred to, so we have no evidence that it extends
18 north into the Monticello quadrangle at present, and we've covered
19 a good bit of that ground already and it doesn't seem to be there.

20 Q Dr. Alexander theoretically projects that if the Fault
21 were to continue on towards the plant, that there is no evidence
22 that it would have any negative seismic impact on the facility.
23 Are you prepared to conclude that now?

24 A That's outside my area of expertise really.

25 Q Can you make any observations as to the potential

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F10pw

1 capability of this Fault?

2 A We have recently determined that a diabased dike,
3 probably of Jurassic Age, intrudes across the fault in the southern
4 part of the Chapin quadrangle, completely across the fault zone,
5 and to me that means that the fault hasn't moved since that time,
6 which is roughly 100 million years. So it looks like the fault
7 has been dead for a long time.

8 Q Have you made any arrangements with SCE&G to procure
9 the data that you develop as your investigation continues into the
10 fault?

11 A I am more or less obligated to file reports with the
12 U. S. Geological Survey periodically and these reports can be
13 obtained by anyone through the U. S. Geological Survey. I have
14 in the past provided the Electric Company with one copy of these
15 reports, as I file them with the U. S. Geological Survey.

16 Q But there have been in the past no arrangements between
17 you and them and there are none for the future?

18 A That's correct.

19 MR. BURSEY: Mr. Grossman, that's all I have right now
20 for Dr. Secor.

21 JUDGE GROSSMAN: Does anyone have any further questions?
22 Mr. Knotts?

23 MR. KNOTTS: Dr. Secor, would you mind telling us for the
24 record a little bit about your educational background? Where
25 did you attend college?

Flipw 1

THE WITNESS: Yes, I have a degree in civil engineering from Cornell, under-graduate degree, a Masters Degree in geology from Cornell and a Ph.D. in geology from Stanford.

MR. KNOTTS: And does your work experience normally take you into the area of mapping faults or possible faults?

THE WITNESS: Yes.

MR. KNOTTS: Thank you. No further questions.

JUDGE GROSSMAN: Mr. Goldberg?

MR. GOLDBERG: No questions.

JUDGE GROSSMAN: Mr. Wilson?

MR. WILSON: Just briefly, Mr. Chairman, maybe I missed something, I was out just a moment on the phone.

Dr. Secor, on the conclusions that Mr. Bursey asked you about on page 18 of Dr. Alexander's pre-filed testimony, based on your investigation and having reviewed these conclusions, did you concur or dispute any of those individually or collectively?

THE WITNESS: No, what he states here seems to have been derived from my first technical report to the U. S. Geological Survey and I still feel that that's accurate.

MR. WILSON: So they are correct derivations?

THE WITNESS: That's right, yes, they are.

MR. WILSON: Thank you, that's all I had, Mr. Chairman.
Thank you.

JUDGE LINENBERGER: Dr. Secor, do we understand correctly

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F12pw

1 that your field of expertise and your involvement in these present
 2 studies have to do with the geology of the area and not to do with
 3 the seismological implications of that -- of those geological
 4 findings? Is that correct or not?

5 THE WITNESS: That's basically correct, yes.

6 JUDGE LINENBERGER: All right, sir. Now you then have
 7 not, yourself, made any -- drawn any conclusions about, or have
 8 you, about the capability of the Wateree Creek Fault. I know
 9 you spoke about the diabase dike intrusion that was observed and
 10 indicated no movement something of the order of a million years
 11 or greater. Do you have any further conclusions about capability
 12 or lack of capability of this fault other than the observation?

13 THE WITNESS: There are some places where capability
 14 and geology come together and one of them is an issue that looks
 15 like it's an old fault, as I stated previously. Also, if a fault
 16 is going to be reactivated, it should have an orientation that's
 17 -- a certain orientation with respect to the stress field in the
 18 rock, if it's going to be reactivated. And I have looked at the
 19 stresses that have been derived from geophysical information
 20 and it doesn't look like the attitude of the Wateree Creek Fault
 21 is particularly favorable for reactivation.

22 JUDGE LINENBERGER: In terms of stress orientation?

23 THE WITNESS: That's correct.

24 JUDGE LINENBERGER: All right, sir. Let's stick with
 25 this dike intrusion for just a moment. I'm not quite sure how to

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F13pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 ask this, but somewhat naively let me ask how does the extent of
2 the dike intrusion into the fault compare with the, let's say,
3 the overall length of the fault? Is the dike intrusion something
4 that could permit the fault to break up and behave subsequently
5 perhaps as two segments of fault?

6 THE WITNESS: The dike itself is a relatively thin
7 sheet of rock, only a few tens of feet thick. It's strength is
8 miniscule, so it doesn't act as a pin which prevents the fault
9 from slipping at all. The only significance of the dike is that
10 it hasn't been misplaced by the fault and therefore it tells you
11 that the fault is older than the age of the dike.

12 JUDGE LINENBERGER: All right. Perhaps another way to
13 ask my question, does the dike extend -- is the extent of the
14 dike comparable to the extent of the fault?

15 THE WITNESS: Their lengths are of the same order, yes.

16 JUDGE LINENBERGER: Same order.

17 THE WITNESS: Roughly ten kilometers.

18 JUDGE LINENBERGER: All right, sir. And the stress
19 pattern orientation that you were referring to that you said is
20 not consistent with reactivation of this fault, has that stress
21 pattern been observed along the whole length of the fault?

22 THE WITNESS: No, the stress data that I'm familiar
23 with comes from around Monticello Reservoir and the fault is
24 south of the reservoir, so they're in different places really.

25 JUDGE LINENBERGER: So it's in the area of the reservoir

F14pw

1 that the stress orientation is, if you will, in a direction that
2 would not be consistent with fault activation?

3 THE WITNESS: Yes.

4 JUDGE LINENBERGER: Will you say a little bit more, sir,
5 about what is left to be done in your study? I gather it is
6 still going on, and what constitutes -- where were your
7 objectives and what will constitute completion of it and what's
8 left to be done? That's three questions there.

9 THE WITNESS: Basically I'm interested in the geology
10 of the Piedmont Province in South Carolina and so I'll probably
11 be doing geology here for the rest of my life. But as far as
12 this project goes, I am in the second year of funding from the
13 U. S. Geological Survey and the objectives this year are to
14 finish the mapping of the Monticello and Pomaria quadrangles and
15 to complete fracture studies and some geophysical measurements
16 that we're making in these areas.

17 I have a proposal that has been submitted to the U. S.
18 Geological Survey for a third year of work to study the northern
19 extension and the southern extension of the Wateree Creek Fault.
20 In particular, if we can trace the Wateree Creek Fault south
21 to the vicinity of Lake Murray where there are some coastal plain
22 deposits, we would have still another geological way of pinning
23 down it's age. So I have requested a third year of funding, but
24 I haven't heard officially whether that's going to be awarded or
25 not.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F15pw 1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 534-2345

JUDGE LINENBERGER: Well finally then, as to the portion of your ongoing program that is left to be done, assuming you get the money you asked for, will the work that is yet to be done have a very direct bearing on the question of specifying the geological nature of the proposed Summer plant site, per se, or is it getting away from the site now?

THE WITNESS: We're getting away from the site basically. We're doing the geology in the critical place right now and as time goes on we'll be working farther and farther away from the site.

JUDGE LINENBERGER: So, so far as efforts that you are doing or have to do that impact the site itself, when will those be available for USGS?

THE WITNESS: The results of this summer's work will be written up and submitted to the USGS in the fall, October-November.

JUDGE LINENBERGER: I'm going to ask you for a professional opinion here. From what you have done to date and the kinds of things you anticipate doing that could have an impact on the site because of the proximity of your efforts, are there any areas of unknowns that cause you personally to have reservations about the Wateree Creek Fault upsetting the conclusions of the USGS and the NRC staff so far about this site?

THE WITNESS: No. I have personal reservations about whether facilities of this sort should be built, but I don't feel like geology is the limiting factor.

F16pw

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

JUDGE LINENBERGER: All right, sir. I think we hear you and I thank you very much for your candor. That's all I have.

JUDGE GROSSMAN: Dr. Secor, the stress orientation that you mentioned, was that based on observations from the two boreholes that the USGS has made in that area?

THE WITNESS: Yes, that's mainly it, plus the first motion data from the seismic studies that Dr. Talwani has made.

JUDGE GROSSMAN: How far is the nearest borehole to the fault that you have so far mapped, to the extent that you have mapped it?

THE WITNESS: The nearest point on the fault is I guess about two kilometers southeast of Peak and I don't recall exactly the distance from Peak up to where the boreholes were, several kilometers but I don't know exactly.

JUDGE GROSSMAN: It seems to me from some of the things that I've read that there have been suggestions made that from the nature of the materials in the boreholes, one could only learn the local stress conditions, that is for a very confined area. Is that your understanding too?

THE WITNESS: Yes, the stresses that have been measured are applicable to the vicinity of the reservoir since the fault is not present there, at least we haven't found it, we don't know what the stresses are like around the fault down in the Chapin area where it has been mapped.

JUDGE GROSSMAN: So you really can't project the stress

F17pw 1 conditions from the bore holes to the fault itself, is that so?

2 THE WITNESS: That's true.

3 JUDGE GROSSMAN: Now even though this isn't your area,
4 you must be aware of the fact that there has been reservoir
5 induced seismicity as a result of the Monticello Reservoir.

6 THE WITNESS: Yes.

7 JUDGE GROSSMAN: Have you any opinion as to whether that
8 seismicity is related at all to the Wateree Creek Fault?

9 THE WITNESS: I don't think it is, because the Wateree
10 Creek Fault doesn't seem to occur in the place where the seismic
11 activity is.

12 JUDGE GROSSMAN: I have no further questions.

13 JUDGE HOOPER: Professor Secor, can I ask you just two
14 questions, and both of them come from a little bit of information,
15 perhaps not enough. One concerns this matter of lineations
16 that continue on from the fault, I believe north. I believe
17 there's some sort of creek bed lineation, is that correct, sir?
18 The basis for speculating that the fault goes on farther north.

19 THE WITNESS: I've heard those speculations, yes.

20 JUDGE HOOPER: They're not yours then?

21 THE WITNESS: No.

22 JUDGE HOOPER: Then you have, as far as what you can
23 say right now is that you're not convinced that these lineations
24 have any relation to the continuation of the fault?

25 THE WITNESS: I'm not convinced. I've walked the creek

F18pw

1 in question and I have not found any evidence of faulting in it.

2 JUDGE HOOPER: Concerning the Chairman's last question,
 3 and I realize that you're not an expert in this area, but I
 4 would appreciate your general opinion, is there any possibility
 5 of an interaction between a non-capable fault in the geological
 6 sense and reservoir induced seismicity, is there any possibility
 7 of this interaction for an old fault and reservoir induced
 8 seismicity, not necessarily, but is it possible for there to be
 9 some amplification along a fault line?

10 THE WITNESS: If you regard a capable fault as being --
 11 a fault that's not capable as one that's been inactive for a
 12 certain period of time --

13 JUDGE HOOPER: That's what I'm saying, that's correct.

14 THE WITNESS: Then I would say that a fault that
 15 wasn't capable, in other words, hadn't moved for certain periods
 16 of time, still might be reactivated by a reservoir if it happened
 17 to be in an orientation with respect to the stresses that were
 18 favorable.

19 JUDGE HOOPER: I understand that some of the largest
 20 magnitude earthquakes that are reservoir induced have been along
 21 old fault lines and that is the reason I'm just asking this
 22 question. So I guess to paraphrase your answer, it would be
 23 possible, not necessarily probable, but possible that the Wateree
 24 Creek Fault could in some way amplify, not necessarily amplify,
 25 but could transmit some of the shaking from a reservoir induced

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 564-2345

F19pw

1 quake.

2 THE WITNESS: I guess that's possible, yes.

3 JUDGE HOOPER: Thank you.

4 JUDGE GROSSMAN: Any further questions?

5 MR. KNOTTS: I have some recross if I may.

6 JUDGE GROSSMAN: Yes, certainly.

7 MR. KNOTTS: Dr. Secor, in response to Dr. Hooper's
8 last question you indicated it was possible that there might be
9 some reactivation of the old fault as a result of reservoir
10 induced seismicity. I thought I heard you indicate earlier that
11 the stress field in the vicinity of the reservoir was not conducive
12 to that. Could you explain or confirm?

13 THE WITNESS: All right. I believe that the stress
14 measurements that have been made in the vicinity of the reservoir
15 indicate that the greatest principal stress is horizontal and
16 the least stress is vertical. These are the conditions that
17 lead to thrust faulting. And thrust faults have inclinations
18 that are generally about 30 degrees, they are moderately inclined.
19 Wateree Creed Fault is practically vertical, so its dip is wrong
20 for it to be reactivated as a thrust fault.

21 MR. KNOTTS: Thanks very much.

22 JUDGE GROSSMAN: But does it appear to be a dip slip
23 fault or a reverse dip fault?

24 THE WITNESS: Its dip is about 80 degrees on the
25 average and the net slip would be such that it would be a reverse

F20pw

1 fault.

2 JUDGE GROSSMAN: I see, but nevertheless it does exhibit
3 vertical --

4 THE WITNESS: Nearly vertical, yes.

5 JUDGE GROSSMAN: Thank you, we have no further questions.
6 Thank you very much for joining us, Dr. Secor.

7 (Witness excused.)

8 JUDGE GROSSMAN: I think at this time we promised the
9 limited appearance presenters that they could offer their
10 statements and we would like it if the panel would relinquish
11 their seats for just awhile and hear these statements, though we
12 are definitely not excusing you.

13 (Panel steps down.)

14 JUDGE GROSSMAN: We do have nine names. I just thought
15 I would let the parties know what to expect.

16 MR. KNOTTS: I'm sorry?

17 JUDGE GROSSMAN: Nine.

18 MR. BURSEY: Judge Grossman, are we going to go back to
19 the seismic considerations this afternoon?

20 JUDGE GROSSMAN: Yes, as soon as this is concluded. I
21 don't know how much time, I believe we'll have some time left.

22 Could the first four speakers, Barbara Bullard, Michael
23 Goodling, Wes White and Elizabeth Level please have a seat at
24 the witness table?

25 If you have not heard from this morning's session, we

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20027 (202) 554-2345

F21pw

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

would prefer that you limit your time to five minutes apiece.

The first speaker will be Barbara Bullard, and could you first give your full name and your address please?

STATEMENT OF BARBARA BULLARD

MS. BULLARD: My name is Barbara Jean Bullard, I live at 1204 Whitney Street, Columbia.

JUDGE GROSSMAN: Could you speak slower and louder please and please repeat it. The court reporter here is attempting to take it down so that it will be printed in the transcript.

MS. BULLARD: My name is Barbara Jean Bullard. I live at 1204 Whitney Street in Columbia.

All I would like to say is that I don't want a nuclear power plant here because there's too much room for error, human error. The same thing that happened at Three Mile Island could very easily happen here and it won't just hurt us, it will hurt generations past us and there's nothing you can do to reverse the action and I don't see how anybody could want one.

JUDGE GROSSMAN: Thank you, Ms. Bullard.

The next speaker is Michael Gooding.

STATEMENT OF MICHAEL GOODING

MR. GOODING: My name is Michael Gooding, I live at 1204 Whitney Street in Columbia, South Carolina.

As a resident of Columbia and a resident of Columbia and a user of SCE&G power, I definitely stand unequivocally opposed to the licensing of the V. C. Summer Plant or any other

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F22pw

1 power plant in the area, and I could list a multitude of reasons
2 why, but we only have five minutes here.

3 One reason is, this technology is something we don't
4 even need to begin with. We waste 50% of the energy we use in
5 this country, so why do we need to build power plants in order to
6 supply maybe 3 or 4% at the most, that is this dangerous. It
7 doesn't make sense. We need to look at who is going to win, who
8 comes out ahead with these power plants. Do the customers come
9 out ahead? No, we pay higher rates and higher rates and higher
10 rates. This is an expensive technology, it's not cheap. Some of
11 these people may tell you it's cheap, but it's not. We see how
12 much it will cost to clean up the Three Mile Island plant, a lot
13 of bucks. It is by no means cheap and it's dangerous, it's dirty.

14 Second of all, another reason why I'm opposed to it
15 is we're making decisions here now that are going to affect
16 future generations that don't even have the chance to be
17 represented. I mean we supposedly live in a democracy here, but
18 these people aren't getting a chance to be represented with these
19 decisions. What are we going to do 20, 50, 60 years up the
20 line when our grand children, children, our great grandchildren
21 come to us and say, listen, great grandad, why didn't you decide
22 no nuclear power. You're killing us now and we can't do anything
23 about it. But SCE&G is going to come out ahead on this because
24 they're going to make big bucks off of it, a lot of money, it's
25 capital intensive.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F23pw

1 Another point is, there are so many parts of nuclear
2 technology that we still don't know how to deal with. Hopefully,
3 sometime during these hearings, someone from SCE&G will respond
4 to, what are they going to do with this reactor 30 years from
5 now when they have to decommission it. They don't know how to
6 decommission it, no one knows how to decommission one of these
7 things. Is it going to sit out there like a little baby nuke,
8 SCE&G's test reactor is, growing over with weeds waiting for
9 some terrorist or someone to come along and blow it up or something
10 or some earthquake to come along? What's going to happen to it?
11 It's just going to sit and sit and sit and be hot as hell.

12 And that's all I've got to say.

13 JUDGE GROSSMAN: Thank you, Mr. Gooding.

14 Wes White.

15 STATEMENT OF WES WHITE

16 MR. WHITE: My name is Wes White and I live at 18 Bluff
17 Road, Columbia.

18 I want to examine what will come out of this reactor
19 based on our experience with past reactors. First off, there will
20 be, based on past experience, from time to time what is called
21 "routine emissions of radiation", as at TMI. And these routine
22 emissions of radiation will, not going into the exact mechanism
23 which will take too much time, cause a certain number of cancers
24 in the surrounding population from runaway cell multiplication,
25 which is a cancer.

F24pw

1 Also, the reactor itself is a danger to the water
2 table in that the reactor, as you all have heard, very conceivably
3 can melt down. There have been some projections about how many
4 melt downs we can expect where the core melts to the floor of the
5 reactor, hits the water table and thus produces a radioactive
6 cloud of steam. It hasn't been all that long since there were
7 no human beings living in the Congaree River valley, say about
8 1730, and though it may be hard for the rest of us to concede
9 here now, that can happen again.

10 And also, as has been pointed out in Canadian Geographic,
11 several months ago, there probably used to be quite a bit of
12 plutonium here on the planet. The planet is possibly five
13 billion years old. I don't think anybody knows but supposedly
14 that's how old it is. Now the plutonium that used to be here
15 has decayed into lead. It's heavier than lead and anything heavier
16 than lead will eventually decay into lead, if I can believe
17 Canadian Geographic. And all the plutonium that used to be here
18 has now been gone for three or four billion years, more like four
19 billion years or more. Now in order to produce steam to make
20 electricity, and incidently to keep a few people rich with
21 electricity that we don't need, what some people are proposing
22 that we do is build this reactor and it's basically a multi-million
23 pound kitchen pressure cooker. I mean if you don't have three
24 doctorates and an MD, that's about the only way you can conceive
25 of it and understand what the thing is.

F25pw

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 And this stuff, this reactor, this pressure cooker,
 2 will produce, to quote the lady who did the Masters' thesis on
 3 the history of the Savannah River installation, it will produce
 4 "a hideous amount of waste" indirectly in that the waste that
 5 is produced by the V.C. Summer reactor will have to be sent
 6 somewhere eventually and when it is sent there, well, here, I
 7 want to quote for the record one sentence, one sentence only
 8 out of the current issue of Newsweek, June 22, 1981, on page 33,
 9 this one sentence states, yes, here it is, under headline, "How
 10 to build a bomb". All right, this one sentence states, "But
 11 with a little atomic alchemy and a lot of undercover tinkering
 12 almost any nuclear reactor can be used to make a bomb."

13 Now my question is, is it worth it for this electricity
 14 and another thing is the waste that will be produced by this
 15 V. C. Summer reactor will, the plutonium in it, which will have
 16 to be sent somewhere, I suppose to Barnwell, that's a very dangerous
 17 idea. We've had experience with that before. In 1958, between
 18 Sevierlux (ph.) and Cherubinx (ph.) some improperly stored
 19 plutonium extract blew sky high and wiped out 100,000 square
 20 kilometers. I think that's 38,600 square miles, 30 villages
 21 of up to 2,000 people apiece disappeared off the -- well they
 22 disappeared off the map, the villages aren't there now, no one
 23 lives there now.

24 And I'm saying that the waste produced by the V. C.
 25 Summer reactor will lead to a situation like this sooner or later.

F26pw

1 It has happened once before, it's going to happen again, sooner
2 or later.

3 Now when it comes to nuclear energy, my proposal would
4 be to wait until we have perfected some sort of fusion technology.
5 I have never heard anyone say anything bad about fusion. There
6 may be all kinds of things bad about it, but we don't know that
7 yet, and that's possibly only 30 years off. There are counter
8 proposals about how to get the energy that we can get from nuclear.
9 I mean other ways to get it. And finally, I think that the
10 nuclear waste that will be produced by the V. C. Summer reactor
11 is a threat to civil liberties. The various versions of the
12 recodification of the criminal code, the great grandson of S-1
13 that's knocking around Congress now, there is occasional mention
14 of nuclear energy in this recondification of the criminal code
15 and I think that the waste that is produced is so dangerous
16 and so -- well let's just say flat out evil, that it will
17 necessitate a -- something more like a police state than what
18 we have now and a lessening of civil liberties.

19 That's all.

20 JUDGE GROSSMAN: Thank you, Mr. White.

21 Elizabeth Lever.

22 STATEMENT OF ELIZABETH LEVER

23 I am Elizabeth Lever, I live at 5420 Knoll Road,
24 Columbia 29203. I'm a licensed practical nurse in a local hospital.

25 I am against the current licensing of the V. C. Summer

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F27pw

1 nuclear plant. I think that the contracts have been enforced
 2 poorly, the contractors' employees are aware that work has not
 3 been up to specifications and these employees are as capable of
 4 reading specifications as the inspectors. Some whistle-blowers
 5 in the area have been -- who have worked at the plant are currently
 6 blackballed.

7 I also feel that I am representing approximately 1,000
 8 people if -- that cannot be here because they are working, who
 9 sympathize with this on the basis that our senators recognize
 10 that my letter to him represents the voice of 1,000 people.

11 I am aware that contracts with the hospitals only
 12 currently cover the employees of South Carolina Electric & Gas
 13 in the event of a nuclear accident. The hospital that I work
 14 at has broad, non-specific plans for care of radiation victims
 15 and emergencies calling for evacuation. For the close proximity
 16 of this plant and others dealing with agents creating radiation
 17 problems, we have almost no knowledge of treatment and care of
 18 radiation burns and sickness being taught in our medical schools
 19 and nursing schools. These hospitals are within 30 miles of
 20 the V. C. Summer nuclear plant: RMH, Richland Memorial Hospital;
 21 Baptist Hospital; Providence Hospital; Lexington Hospital;
 22 Moncrief Hospital and the Veterans Administration Hospital.
 23 There are several smaller hospitals in closer proximity than these.

24 Wind drift - today with the winds from the west of up
 25 to 12 miles an hour with gusts to 19 miles an hour, would affect

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

F28pw

1 all of Lake Wateree, which is within 30 miles of the V. C.
2 nuclear plant. If the winds from the north, most of the Lake
3 Murray communities would be affected by any accident that spilled
4 into the air. If the winds were from the southwest, Great Falls
5 would be affected. If the winds were from the south, the
6 Chester and Sumter National Forests would be affected. And if
7 the winders were from the east, Newberry would be affected. I'm
8 not a meteorologist, but these are just facts.

9 My other question is what effects would be temperature
10 inversion if the phenomena occurred simultaneously with an
11 accident at V. C. Summer nuclear plant with a spill into the
12 air.

13 Thank you.

14 JUDGE GROSSMAN: Ms. Lever, why are these workers being
15 blackballed?

16 MS. LEVER: Because they have been aware of faulty
17 joints in pipes and they are the people that reported that the
18 initial laying of the concrete was not up to standard, that this
19 concrete sublayer had to be pulled and relaid.

20 JUDGE GROSSMAN: Was that done?

21 MS. LEVER: I understand that it was relaid.

22 JUDGE GROSSMAN: Thank you, Ms. Lever.

23 The next speakers are Pam Hudson, Merll Truesdale,
24 Renee Bursey and Jean Fundstein. Would you all please come up
25 here to the witness table?

F29pw 1 (Mr. Truesdale confers with Judge Grossman at
2 the bench.)

3 JUDGE GROSSMAN: Have a seat and we'll handle further
4 speakers. There were four that I read. Pam Hudson, you may
5 proceed.

6 (No response.)

7 JUDGE GROSSMAN: She's not here. Okay. Merll Truesdale.

8 STATEMENT OF MERLL TRUESDALE

9 MR. TRUESDALE: My name is Merll Truesdale and I reside
10 at 1613 Wynnewood Road here in Columbia, South Carolina. For most
11 of my life I have lived here in the State of South Carolina and
12 in Richland County.

13 There are some things that kind of bother me about
14 this plant, the V. C. Summer nuclear power station that is coming
15 up. One is the plant is very close to our water supply, the
16 Broad River. If anything was to happen, such as happened at
17 Three Mile Island or even worse, the water in our area probably
18 would be contaminated from that. I'm just a regular human being
19 who works and everything else, but I know one thing about radiation,
20 that it has half lives and it lasts for a long time. You don't
21 have to be a great mathematician or scientist to realize that. I
22 am concerned about this because my family has been in this state
23 for a little over 200 years. I would like to raise my family
24 here but if this continues I will be forced to move somewhere else.

25 I think this Commission, the Nuclear Regulatory

F30pw

1 Commission, has the obligation to hear the facts and concerns
2 of the citizens of this area concerning this plant and realize
3 that whatever decision you're going to make, which I believe
4 you already have made your decisions somewhat, that we must all
5 really think towards the future because if we don't that's all
6 we have to go on. Our lives might not be worth anything to the
7 South Carolina Electric & Gas as far as dollars, but it means a
8 lot to me. And I cannot accept the risk, nor can I tolerate the
9 risk by having a Three Mile Island or having some boondoggle,
10 even if it doesn't happen, that in 30 years I'm going to have to
11 pay for it when I'm 50. I will not accept that responsibility.
12 And at this point I cannot see any reason why this plant should be
13 licensed. SCE&G makes a fairly good profit off the electricity
14 they have and what they generate.

15 I realize technology has to grow but explore other ends,
16 do not manipulate and exploit the land that you work on, you
17 live on, because in return if you do it will come back to you
18 and it will hit you hard. And maybe that is what is needed.

19 But another thing that bothers me about the plant
20 in itself is within the 10 mile radius if a meltdown does happen,
21 the people in that 10 mile area is already written off. What is
22 going to be in effect is, the people's death warrants are going
23 to be signed very fast and very quick. So I feel like that is
24 very unjust and it's up to you gentlemen to decide about licenses
25 and I hope that you will decide in some prudent manner.

F31 1
En/ of F. 2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 4345

JUDGE GROSSMAN: Thank you, Mr. Truesdale.

Renee Bursay?

glda

STATEMENT OF RENE BURSEY

1 MS. BURSEY: Rene Bursey, Route 1, Box 95, Blue Mountain,
 2 South Carolina 29705. I'm a registered dental hygienist and
 3 I've been practicing in the dental field since 1972. I became
 4 concerned about radiation not because of nuclear power but through
 5 x-rays when I read several reports that low-level radiation
 6 could very well damage the genetic structure of children in
 7 some way. They weren't sure. The report wasn't positive, but
 8 however it was possible.

9
 10 And also that the use of fluoride--fluouride is a
 11 topical substance that's been put on children's teeth in to
 12 help them keep down the caivities--that the use of fluorides
 13 and the ways it bonds with minerals that it might catch some
 14 of these substances that would also cause cancer.

15 And I never really did put that together until I started
 16 hearing about the problems with nuclear power plants and things
 17 like that. And I got to thinking that if children could be more
 18 susceptible to cancer and genetic damage, then low-level emissions
 19 that occur during x-rays, then what would happen in the event
 20 of a nuclear accident.

21 And I haven't seen a whole lot of research on this
 22 and I'm not going to be very comfortable until I do. You're
 23 talking about little kids dying of a very horrible disease.
 24 If it's possible, it should be researched before this plant
 25 gets licensed.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 JUDGE GROSSMAN: Thank you, Ms. Bursey. Jean Pfundstein?

2 STATEMENT OF JEAN PFUNDSTEIN

3 My name is Jean Pfundstein, 2520 River Drive, Columbia
4 29204. I'm a recent person that's moved to South Carolina in
5 the past few years. I grew up in New York State and had Indian
6 Point in my backyard and I really wasn't aware of the nuclear
7 problem until I did come to South Carolina.

8 I have seriously considered not getting up and bothering
9 to say anything today, but I'm looking on this as an opportunity
10 to get up and express, you know, voice my position on nuclear
11 power, and it's subsequent waste coming into South Carolina.

12 I have no statistics or anything else to lay on you.
13 I'll leave that to the scientists and everybody else here in
14 the hearing. Myself personally, I'll never say that nuclear
15 accident cannot happen, but I see a real threat behind nuclear
16 power and this is in the individual and it's twofold. One is
17 ignorance and the other is apathy and I'm afraid I've been guilty
18 of ignorance for most of my life but I'm not apathetic right
19 now.

20 Ignorance describes someone who knows nothing about
21 nuclear power which is kind of inconceivable after Three Mile
22 Island, but not impossible. And apathetic describes someone
23 who does have some kind of awareness and chooses not to act
24 on it. I believe that most people are willing to get involved
25 about nuclear power and alternate energies for the sake of our

1 nation and I've made my choide and I've chosen to turn my own
2 ignorance and other people's ignorance into knowledge and apathy
3 and inaction into action. And I challenge the private citizens
4 of this state--I don't care who you are, whether you're a housewife,
5 a lawyer, doctor, a student--to take an active effort and say
6 no to nuclear power in South Carolina.

7 And for myself and for a grwoing number of many other
8 people, enough doubt has been shed not only on the V. C. Summer
9 plant but on nuclear power in general to question the continued
10 commercial use of nuclear power. And for those that choose
11 not to speak out and make any decisions about nuclear power,
12 don't worry because big business, the utility companies and
13 government will make them for you.

14 I don't know about you, but I will not give up my
15 right to speak out stridently. I will not stand aside to take
16 down my roadblocks. South Carolina right now is my state. The
17 United States is our nation and, more importantly, it's our
18 money going out to fund these nuclear power plants. So we really
19 need to decide on the quality of life that we want to have for
20 ourselves now, for our families and for future generations.
21 And I hope that possibly this will be kept in mind.

22 JUDGE GROSSMAN: Thank you, Ms. Pfundstein. Ms. Bursey?

23 MS. BURSEY: Can I have a minute? I forgot to say
24 something that's real important.

25 JUDGE GROSSMAN: Yes, certainly.

1 MS. BURSEY: I forgot to say one thing that I think
2 is really important, and that is that you don't have to have
3 a nuclear accident to have low-level emissions. That happens
4 all the time. So my question relates to the way we operate
5 our nuclear power plants.

6 JUDGE GROSSMAN: Thank you. Thank you. The next
7 speaker is Anthony Martin and I understand there are two others
8 who would like to speak. Would they come forward, please,
9 and have a seat at the table?

10 STATEMENT OF ANTHONY MARTIN

11 My name is Anthony Martin. I reside here in the city.
12 I don't know a whole lot about nuclear power. I don't know
13 its dangers or the safety measures that are being taken, but
14 I do know some things that I think ought to be pointed out to
15 the taxpayers.

16 In the Summer of 1978 I worked for the Bunson Service
17 Company who made the heating and air conditioning units out
18 there at Jenkinsville. I was the accountant keeping the books
19 for the equipment. And while working there, I became aware
20 of a black market operation going on inside the Jenkinsville
21 plant involving the main warehouse people.

22 It was common knowledge that you could get anything
23 that you wanted. Four hundred dollar drills were being sold
24 for thirty bucks. It was a matter of three or four days before
25 whatever you order was delivered to you. I was just handed

1 some figures a few months ago from some friends who told me
2 that the original estimate for the construction of the Jenkinsville
3 plant was approximately a hundred and ninety million dollars.
4 That figure has been revised to five million dollars. I think
5 the taxpayers ought to be given some kind of accounting of why
6 this gross underestimate was made to begin with.

7 I think one of the reasons is because all the construction
8 workers there and all the companies involved in that project
9 knew that this was kind of a pork-barrel situation. That money
10 was being thrown about by the shovelfuls. Everyone there was
11 aware of it and they were taking advantage of it every day I
12 was there.

13 JUDGE GROSSMAN: Thank you, Mr. Martin. Will the
14 person that's sitting next to you please speak and give your
15 full name and address, sir?

16 STATEMENT OF ABRAHAM SHINGLETON

17 Reverend Abraham Shingleton, Columbia, South Carolina.
18 I'd like to speak against licensing the facility. There are
19 some men who haven't been opened up to the public concern in
20 the nuclear facilities. There is a certain group of people
21 who have been against our people, against our country. One
22 of their divisions is a land division.

23 Some years ago, it concerned the TVA. They had member-
24 ship on the TVA. At this time they have membership in the environ-
25 ment and power. Saul Hill is one. There's a man named Russell

1 Train. These people are members of an organization called the
2 Council on Foreign Relations. In South Vietnam they had people
3 placed to shave points against us whereby they carried out the
4 premeditated murder of our men there.

5 On defense against the Russians, they have certain
6 point-shaving tactics in which they--we don't have missiles
7 to knock down the ICBM missiles out of the sky during an attack
8 against us. These particular plants came insurreptitiously, just
9 thrust in surreptitiously without much public knowledge or discussion
10 On examination it was found that Daniel Construction up here
11 in Greenville, a construction company and builder, Mr. Daniel
12 was a member of this particular organization.

13 There are any number of other people who are--could
14 very easily be using these nuclear power plants as potential
15 targets to be used by terrorists. If somebody like Carter would
16 get in again, Carter being a member of a group called the Tri-
17 lateral Commission, who sided with the Communists to overthrow
18 Central American governments. Now, if we aren't careful to
19 get these people before they continue and one of them gets in
20 again and they could very easily use these facilities as cataclysmic
21 targets our people, either for destruction or for the ensickening
22 potentialities.

23 It's not our norm to allow such facilities to open
24 up with so many dangerous factors that are not ironed out. The
25 one brochure I read--I work and do a lot of construction myself.

g5da

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 I understand a lot of them are crackerbox construction. They
2 used a very frivolous brochure to try to get it across to the
3 public, trying to make a yard look like a mile. But such is
4 not the case.

5 The people, the particular CFR people who have--the
6 particular agencies concerning this and other facets of our
7 governments and our lives, they're the same people that gave
8 the A-bomb secret to Russia after World War II. They carried
9 out the premeditated murder of the fifty thousand, sixty thousand
10 American men in South Vietnam and also the premeditated murder
11 of thirty-five thousand American men in South Korea. Also the
12 South Vietnamese and South Korean are members also.

13 Now, it's expected to be responsible for the FBI and
14 AT&F entrapment procedures against American citizens. They're
15 responsible the crime rate, the attempted mental derangement
16 and degeneration of the people. They're responsible for the
17 smut and pornography. They're responsible for divorce mills.
18 Certain forces behind this, for instance, a Jew named Rothman
19 who is a heavy Seagram's distributor, he's a heavy financial
20 backer of Carter. He's also a heavy pronographic supporter.
21 He is a heavy financial contributor to this particular group
22 of people.

23 They're responsible for putting Communist Castro into
24 Cuba, enslaving the Cuban people. They're responsible for removing
25 prayer from the public schools. Their apparatus, these very

g6da

1 same people that are trying to push these dangerous nuclear
2 devices against the people. They're responsible for trying
3 to pervert the women to female/masculine types or sodomites of
4 the women. Forgive the subject matter; it's shameful.

5 They're responsible for perverting girls in public
6 school in drill teams and trying to truncate them into masculine
7 occupations. They're attempting to pervert young girls with
8 Saturday morning t.v. cartoons. They're a vicious and vile
9 people who are trying to put this across to the public and trying
10 to assuage the public. Trying to get in and then assuage the
11 people. Even now they have power plants going to other countries
12 wo should--going to undeveloped nations. And they'll give them
13 the bombs. It's a very dangerous thing, very, very dangerous
14 thing.

15 JUDGE GROSSMAN: Thank you. The next spaker--

16 MR. SHINGLETON: One more thing, please, sir. I have
17 much information here. However, it is my sincere wish and I
18 think it's the wish to hold the construction implementation
19 of the nuclear power plant until this particular apparatus is
20 brought to justice because it's not being done on the level
21 with the people. And until the people find out the particulars
22 about this skulduggery and the scurrilousness being perpetrated
23 against them, there will not be satisfaction or safety regarding
24 a nuclear power plant.

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 JUDGE GROSSMAN: Thank you. The next speaker?

2 STATEMENT OF RICHARD LANE

3 My name is Richard Lane. I live at 600 Haywood Street.
4 I got here a little bit late to these hearings so I don't know
5 if anybody brought up my point or not. But I was just wondering
6 if this whole plant is necessary from the standpoint of needing
7 the enrgy that it's going to provide.

8 I think anybody here, whethere they're pro- or anti-
9 nculear or in between would agree that there's been an enormous
10 amount of money spent on this plant. It's taken an interminably
11 long time to get it going. We still don't have one little kilowatt
12 of power from it yet and I'm just wondering if this plant is
13 necessary or do we have an alternative to it that we could
14 use rather than--what we've got now is possibly dangerous.

15 I myself am worried about the radioactivity possibly
16 getting in our drinking water. I'm worried about--well, I'm
17 worried about the waste because obviously nobody knows what
18 to do with it yet. and I'm not talking about an alternative
19 like fission which is in the future or solar energy which is--
20 I don't think we know how far away that is right now.

21 What I'm talking about--and I don't know if anybody's
22 brought this up yet or not, but the subject I want to speak
23 on his conservation of energy. And I'm not just going to say
24 something pie-in-the-sky like if we all went out and insulated
25 our houses and built solar collectors and all, we could lick

g8da

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the problem and not need the nuclear plant. What I will say is I can give you an example of what's already been done and it was done in Oregon a few years ago.

I was surprised by these hearings so I don't have every fact with me that I need right now. But my information comes from the Reader's Digest from a couple of months ago and it was an article on conservation and how if we started right now to retrofit our buildings, insulate and start building our new buildings in a way that they would save energy, the amount of energy we would save would more than offset the amount of energy this plant would need to produce.

In other words, in Oregon a few years ago there was-- I believe it was Oregon Power & Light; I'm not sure about that-- but Oregon Power & Light was proposing to build a new nuclear plant for an outrageous cost just like V. C. Summer. And instead they had a referendum and they didn't want to spend all that money if they didn't have to. They had a referendum and most of their customers opted to be given low-interest loans to insulate and, in cases where this was feasible, to retrofit their homes. Retrofitting means establishing solar water heaters, thing like that, where they would be feasible, like if your roof was in the right direction to get enough sunlight during the day.

Those people that were served by Oregon Power & light went ahead and got low-interest loans. The loans did not need

g9da

1 to be paid back until the homeowner sold his home. The loans
2 only went out to people who owned their own homes. And it turned
3 out that for a fraction--I'm not sure how much of a fraction;
4 I think maybe fifty percent, maybe seventy-five percent--of the
5 cost, projected cost of the nuclear plant, the people who were
6 served by Oregon Power & Light retrofitted their homes, insulated
7 and consequently drove down their demand for the electricity
8 to a point where the nuclear plant was no longer needed. The
9 plant was originally designed to offset a future demand that
10 had been estimated by some study group, but for a fraction of
11 the cost, by conservation, they managed to not need the plant
12 at all and did away with the need for hearings and cost overruns
13 and things of that nature.

14 And I'm just wondering, has SCE&G done a study about
15 what they could do for conservation rather than--now, I know
16 they had some nice little ads in the magazines and on billboards
17 about conservation but I don't know that they've done much more
18 than pay lip service to that idea.

19 JUDGE GROSSMAN: Thank you, Mr. Lane, and the last
20 speaker?

21 STATEMENT OF GARY LANE

22 My name is Gary Lane. I live at 301 Palmetto Street,
23 no relation to Richard. I think what aggravates me the most,
24 not this nuclear plant; it's not even needed right now. What
25 is needed for public transportation. And all this money going

gl0da

1 for a nuclear power plant and there's not a dime going for public
2 transportation adequate for all our people, wheelchairs and
3 all that.

4 I went out the SCE&G and asked them couldn't we have
5 wheelchairs put on buses where handicapped people could ride
6 on buses. This is the statement they gave us and they expect
7 us to sit back and watch this piece of junk power plant going
8 up. I worked on construction in the Shore Nuclear Plant on
9 Long Island. It was one of the shittiest operations going.
10 Every once in a while a guy looks around and pays someone to
11 turn the other way while he rewrites the specs that were originally
12 designed there.

13 I've seen it. I walked off that plant. I came back
14 with the people that protested on that plant. I don't want
15 it anywhere. I want it out of here.

16 MR. MARTIN: Could I say something more, please? When
17 I quite working at the V. C. Summer plant, I went back to school
18 at USC. I called the office of this Campaign for Riley because
19 I thought somebody should know what's going on there. And I
20 was informed by the campaign manager that they were all aware
21 of what was going on, that it was a matter of course that these
22 things were going on and there wasn't anything anybody could
23 do.

24 I don't agree. I think it's precisely that kind of
25 attitude that allows these types of things to go on all the

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 time and I think it's time for the public to go out and be counted.
2 Thank you.

3 JUDGE GROSSMAN: Thank you, Mr. Martin. Thank you,
4 ladies and gentlemen. We'll take a five-minute recess and then
5 the seismology panel will come back.

6 [Brief recess.]

7 JUDGE GROSSMAN: Mr. Knotts?

8 MR. KNOTTS: We have an administrative matter to report,
9 Mr. Chairman. The administrative matter is that the documents
10 which were not delivered to Fairfield during the interval between
11 June 5th and today have now been delivered.

12 JUDGE GROSSMAN: Thank you. We've had another request
13 for another limited appearance statement. I really don't think
14 we can handle it in drips and drabs that way and organize the
15 hearing effectively. We will entertain some more limited appear-
16 ance statements on Thursday morning so that anyone who does want
17 to speak can come on Thursday morning, and to the extent that
18 we can accommodate them, we will. But we don't represent that
19 we will hear every one.

20 Okay. I think then we're ready to proceed with the
21 panel. And the Thursday session, by the way, will be at the
22 Carolina Inn rather than here. Do you recall that we're here
23 for two days and then at the Carolina Inn for the remainder
24 of the hearing?

25 MR. KNOTTS: Yes, sir. I took an implication that

gl2da

1 simply was not there. We are going to be at the Carolina Inn
2 starting Wednesday, is that not correct?

3 JUDGE GROSSMAN: Yes, that's correct. Mr. Bursey,
4 you may proceed.

5 CROSS-EXAMINATION (Continued)

6 MR. BURSEY: Dr. Chen, you have in your prefiled testi-
7 mony statements about hypothetical seismic events and built-
8 in conservatism to demonstrate adequacy of plant design. Can
9 you tell me what estimates were used and how you determined
10 your design that you're relying on?

11 DR. CHEN: The estimate was requested by ACRS and
12 ARC staff was at 4.5 to 5.3 magnitude.

13 MR. BURSEY: And how did you determine those estimates?

14 DR. CHEN: How did I determine? That was requested
15 by ARC and ACRS, we didn't determine.

16 MR. BURSEY: You were given those figures by the Nuclear
17 Regulatory Commission?

18 DR. CHEN: That's what they requested us to evaluate,
19 the effect of magnitude 4.5 to 5.3 events on the plant design.

20 MR. BURSEY: And who determined what the safe shutdown
21 factor for ground acceleration should be?

22 DR. CHEN: That was indicated in FSAR.

23 MR. BURSEY: So, when you say it was indicated in
24 the FSAR, you're saying that that's a Nuclear Regulatory Commission
25 figure that you're working with?

gl3da

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. CHEN: No, that's the report prepared by South Carolina. That's the final safety analysis report.

MR. BURSEY: And who prepared that report that concluded that that was the figure for the safe shutdown?

DR. CHEN: You're asking what was the number used for safe shutdown?

MR. BURSEY: No, sir. I'm asking who prepared it and how that determination was reached?

DR. CHEN: Oh. The safe shutdown was determined by the consultant to South Carolina; it's by Dames & Moore.

MR. BURSEY: And do you know how they reached the determination that .10 ground acceleration factor was the safe level in which the plant could--

DR. CHEN: It was not .10.

MR. BURSEY: What is it?

DR. CHEN: It was .15 and .25.

MR. BURSEY: And how was that figure reached?

DR. CHEN: That was based on the seismologist at the site--the seismology of the site.

MR. BURSEY: Obviously there's some interface between the seismological condition of the site and the actual physical apparatus of the facility. Someone must have done some research to determine how you set up your facility to be able to establish .15 ground acceleration factor to safely shut the plant down?

1 Who did that work? What were your models based on?

2 DR. CHEN: Okay. We designed the plant based on the
3 .15g earthquake. Based on that we designed the whole plant
4 and the equipment.

5 MR. BURSEY: So you're saying that the plant was designed
6 around that number?

7 DR. CHEN: In combination with the responsive spectrum
8 specified by NRC also.

9 MR. BURSEY: And that .15 figure came from the consultant
10 Dames & Moore?

11 DR. CHEN: Yes, sir.

12 MR. BURSEY: And can you tell me how they derived
13 that figure?

14 DR. CHEN: Yes, I just indicated it was based on
15 the site seismology investigation.

16 DR. ALEXANDER. I think I'd like to suggest that we
17 ask the people--Dames & Moore are present--to see what they
18 did because they're present here in the audience and would be
19 prepared, I believe, to respond to that question specifically.

20 JUDGE GROSSMAN: Are you suggesting now they take
21 the stand and testify?

22 MR. KNOTTS: That would be agreeable to me if the
23 Board feels it's relevant.

24 MR. BURSEY: That's fine. How many are there?

25 MR. KNOTTS: We have two witness, Mr. McWhorter and

gl5da

1 Mr. Smith.

2 JUDGE GROSSMAN: Will the two witnesses come forward,
3 please? Stand and raise your right hand.

4 Whereupon,

5 JAMES G. MCWHOTER,
6 WILLIAM G. SMITH,

7 were called as witnesses for and on behalf of the applicant
8 and, having been duly sworn, testified as follows:

9 DIRECT EXAMINATION

10 JUDGE GROSSMAN: Could you give your full names, sir?

11 MR. MCWHORTER: Yes, my name is James G. McWhorter,
12 M-c-W-h-o-r-t-e-r. I reside at 153 Hillcrest Avenue in Cranford,
13 New Jersey. And I work for the firm of Dames & Moore, consultants
14 to South Carolina Electric & Gas.

15 JUDGE GROSSMAN: The other gentleman, sir?

16 MR. SMITH: My name is William G. Smith. I reside
17 at 504 Kenridge Circle, Stone Mountain, Georgia, and I am employed
18 by Dames & Moore, consultants to Souther Carolina Electric &
19 Gas Company.

20 JUDGE GROSSMAN: I take it you gentlemen have heard
21 the question that has been posed by Mr. Bursey?

22 MR. MCWHORTER: Yes.

23 JUDGE GROSSMAN: Would one of you proceed and answer
24 that?

25 MR. MCWHORTER: Certainly. It's been an object of

1 some discussion. Mr. Bursey, Dames & Moore did FSAR prep ations
2 in the area of Section 2.51 and 2.52. This Section 2.52, laboratory
3 and ground motion followed regulatory guidelines in standards
4 proposed by the NRC, specifically Guideline 1.70. That specifically
5 requires that the applicant prepare a reasonable estimate of
6 earthquake activity that could affect the plant, and specifically
7 it begins at the regional level looking at the tectonic provinces
8 surrounding the plant for two hundred miles, if any earthquakes
9 have occurred in those provinces, and then either associating
10 those earthquakes with specific tectonic structures, seismographic
11 structures for the specific tectonic provinces.

12 And then those earthquakes are evaluated by various
13 evaluation laws, and the largest earthquake that has the largest
14 effect at the plant site is determined, and then that earthquake
15 becomes safe shutdown earthquake.

16 MR. BURSEY: And what was the date of the conclusion
17 of your first study?

18 MR. MCWHORTER: I believe the PSAR investigation was
19 carried out between January 1971 and whenever the PSAR was filed.

20 MR. BURSEY: And did you at that time postulate any
21 anticipated site events for either magnitude or ground acceleration
22 factors?

23 MR. MCWHORTER: At the time of the PSAR preparation
24 it was before Appendix A of the 10CFR was promulgated, but to
25 the best of my recollection, I did not prepare that. I was

gl7da

1 a geologist working on site. But to the best of my recollection
2 they used similar concepts in arriving at the safe shutdown
3 earthquake. At that time it was called the design basis earth-
4 quake. That particular earthquake has remained the same, the
5 1913 Union County, intensity 7, and that became the design
6 basis earthquake at the time.

7 And during the regulatory process I'm sure most everybody
8 was familiar with the processes. That particular earthquake
9 was discussed quite a bit and I believe the original estimates
10 of ground motion were something less than .15g for design basis
11 earthquake and a .1g acceleration for the operating basis earthquake.

12 But during the regulatory process and conservatisms
13 add on to those by the ARC and ACRS for licensing boards, the
14 final numbers that were arrived at during the construction stage
15 were .10, the operating basis, or .15 for the SSE, design basis.

16 MR. BURSEY: And those figures that you just cited
17 are the ones that the plant was constructed to meet?

18 MR. MCWHORTER: That's my understanding, yes.

19 MR. BURSEY: And yet the recent activity that has
20 resulted in magnitude of 2.8, you feel that's not giving you
21 any concern in that it was--

22 MR. MCWHORTER: I think it's very interesting, as Dr.
23 Alexander pointed out earlier, from an academic standpoint,
24 a scientific standpoint. But, no, it didn't give me any concern.
25 The design of the structures to resist earthquakes is not my

1 expertise, but my understanding is you have to be concerned
2 with sustained acceleration, that the plant is designed to with-
3 stand a not very short duration, .05 seconds of ground motion
4 in excess of .1g.

5 MR. BURSEY: What about short duration, high-frequency
6 of 10HZ?

7 MR. MCWHORTER: I couldn't comment on that, sir.
8 Perhaps Dr. Chen could.

9 MR. BURSEY: Who could?

10 MR. MCWHORTER: Dr. Chen.

11 DR. CHEN: Would you repeat your question again?

12 MR. BURESY: In ground motion of a short duration
13 and high frequency which might exceed the safe shutdown earthquake
14 above 10HZ, this question had been raised in the final Safety
15 Evaluation Report and is of concern. And I'd like for you to
16 address the impact of the shutdown capability of short-duration,
17 high frequency event above 10HZ?

18 DR. CHEN: As Mr. McWhorter mentioned, for that kind
19 of earthquakes, it's interesting from a scientific standpoint,
20 but from an engineering point of view, it's of no significant
21 because of energy content of such a .06 second impulse is minimal
22 as far as the energy input to the structural design is concerned.

23 JUDGE GROSSMAN: Excuse me. Could I interrupt for
24 a second. I've heard you, Dr. Chen, and also Mr. McWhorter
25 refer to the .15g figure and then, almost as an afterthought,

1 mention that .25g figure on soil. Was that an add-on in the
2 FASR or was that part of the original environment.

3 DR. CHEN: That was a part of FSAR..

4 JUDGE GROSSMAN: Okay. So that figure was in there
5 from the beginning, both figures, the .25 and the .15g?

6 DR. CHEN: Yes, sir.

7 JUDGE GROSSMAN: Thank you.

8 MR. BURSEY: Can either of you gentlemen comment on
9 the Brune model? I don't know if I'm saying it right. I under-
10 stand that that was what you used to determine some relationship
11 between magnitude and maximum intensity and peak acceleration.
12 Who is Mr. Brune?

13 MR. MCWHORTER: I'm responsible for that sections,
14 those estimates of peak acceleration. Mr. Brune is a professor
15 at San Diego, University of California San Diego.

16 MR. BURSEY: Can you rely on Mr. Brune's application?
17 Explain a little bit about it is, the Brune model, and why you
18 relied on it?

19 MR. MCWHORTER: It's a conceptual mathematical model
20 of the earthquake rupture. It takes the earthquake rupture
21 as an indicator of the location of a fault surface. It's an
22 appropriate model of the earthquake process for the purpose
23 of determining ground acceleration, strong ground motion at
24 a point that's far afield from that rupture.

25 JUDGE GROSSMAN: Excuse me. Could I ask the reporter

g20da.

1 to repeat that? I couldn't catch the first half of that.

2 [Whereupon, the court reporter read back the last
3 answer.]

4 JUDGE GROSSMAN: Would the witness repeat the answer?

5 MR. MCWHORTER: The Brune model is a mathematical
6 representation of the earthquake source and it treats the earth-
7 quake source at its peak rupture point. It allows--and we use
8 it for the purpose of calculating strong ground motion because
9 it's appropriate for that purpose. It allows you to estimate
10 various characteristics of the strong ground motion far afield.

11 MR. BURSEY: And did the use of the Brune model factor
12 in the reservoir predict the potential of induced seismicity?

13 MR. MCWHORTER: It's an appropriate model for estimating
14 strong ground motion during an earthquake which is caused either
15 by tectonic or by reservoir processes.

16 MR. BURSEY: There's also been some mention of formulas
17 from McGuire & Hanks. Does anybody want to speak to who McGuire
18 & Hanks are and what those formulas are?

19 MR. MCGUIRE: I can speak to that.

20 MR. BURSEY: Do.

21 MR. MCGUIRE: What's the question, please?

22 MR. BURSEY: Well, there's a reference to formulas
23 from McGuire & Hanks. What formulas were used and what are
24 they?

25 MR. MCGUIRE: Are you quoting from my testimony?

g21lda

1 MR. BURSEY: Actually I don't know whether it's from
2 your or Dr. Alexander's. It was something that I came across
3 in the prefiled testimony. It made note that you were using
4 McGuire & Hanks, and I'm not sure what it was, and if you don't
5 know, I'll stop and find it.

6 MR. MCGUIRE: I know what formulas were used. I just
7 wanted to make sure I was putting my answer in the context of
8 the question which is still not clear. But I think to summarize,
9 the formulas there are formulas which tell how to use the Brune
10 model, to calculate various characteristics of ground, motion,
11 strong ground motion on the site, including peak acceleration.

12 MR. BURSEY: And could any one of you--Dr. Alexander,
13 perhaps you could take the point on this. There's numerous
14 references in all of the applicant's filing about built-in con-
15 servatism and the estimates that are going to accommodate for
16 the fact that there has been a suggestion on the part of at
17 least one of the NRC staff that the magnitude potential for
18 that be increased and that the near-field incident, if we were
19 to have one that reached the same shutdown level for the soil
20 service.

21 And the applicant's response is, well, there's built-
22 in conservatism. Can you speak to that issue of built-in conser-
23 vatism?

24 DR. ALEXANDER: Can you be more specific about the
25 context?

g22da

1 MR. BURSEY: For instance, there could be a criticism
2 that though something changes, you don't need to change your
3 studies. You just--the numbers that have been used previously
4 to indicate what levels of safety that we're seeking, that the
5 applicant is arguing, it doesn't matter if factors change; it
6 doesn't matter if we have a greater near-site event that we've
7 anticipated because of built-in conservatism or design.

8 MR. KNOTTS: I'm constrained to object to the form
9 of the question, Mr. Chairman. The witness seems to be having
10 trouble with the context of the question.

11 JUDGE GROSSMAN: I believe the witness really asked
12 you which reference to conservatism or where there was a reference
13 to conservatism that he could respond to.

14 MR. BURSEY: There are numerous references. There's
15 one on page two of Dr. Chen's testimony. "However, the built-
16 in conservatism can be used to demonstrate the adequacy of plant
17 design." And that term, built-in conservatism, is one that
18 I see in a lot of the applicant's figures. And I'm just wondering
19 if you can give me some assurance that I can rest easier. Explain
20 that to me.

21 DR. ALEXANDER: Dr. Chen can explain that particular
22 one because the conservatism shows up in different aspects of
23 the study--seismological, or in this case that you just referred
24 to, to the plant design itself and what it is capable of tolerating
25 and he specifically can answer that question about the

1 conservatism with regard to the plant itself.

2 DR. CHEN: The specific built-in conservatism which
3 you just mentioned, which is one page two of my testimony, was
4 further explained at the bottom of page two in the same testimony
5 and also continued on page three.

6 MR. BURSEY: I can read it, Dr. Chen, but I'd appreciate
7 it if you could explain it to me.

8 DR. CHEN: Okay. I'll be glad to. At the bottom
9 of page two, the conservatism there was about a damping value
10 we used in the dynamic analysis. After taking into account a
11 more realistic damping value, we quantified the original built-
12 in conservatism.

13 And on page three the built-in conservatism displayed
14 here is using the enveloping process of generating the time
15 history. Here, we quantified built-in conservatism by comparison
16 of the original enveloping process with a statistical study.
17 That's the only two built-in conservatism which we have quantified
18 so far.

19 MR. BURSEY: Thank you, sir. Judge Grossman, I had
20 a question that I needed to refer to the supplement of the Safety
21 Evaluation Report, 3.71, and I'm unable to find that in any
22 of the supplements, the supplement additions, the two supplement
23 additions that I have. Skip that number and that cite 3.71
24 raises the question that I had raised earlier about safety shutdown
25 earthquake about 10HZ. A discussion of the effects of these

g24da

1 short duration, high-frequency ground motion on the plant structures
2 is contained in Section 3.7.1 of the supplement to the Safety
3 Evaluation Report. And I've looked for it. I'm sorry. I
4 haven't been able to find it. It's not in either Supplement
5 1 or 2.

6 JUDGE GROSSMAN: I'm sorry. Where is the reference?

7 MR. BURSEY: What I just read is on page 2-32 of the
8 SER. It's Part 4 under conclusions, midway through the page.

9 MR. GOLDBERG: Judge Grossman, that's in Section 3.72
10 of Supplement 1, dated April 1981.

11 MR. BURSEY: That answers my question about the events
12 above 10HZ. I had not been able to find that. It was apparently
13 recited incorrectly in the first SER so I don't have any other
14 specific questions right now. I assume now that the staff or
15 the Board has questions for the panel.

16 MR. KNOTS: Mr. Chairman, is this the appropriate
17 time to enter the qualifications and Mr. Smith into the record?
18 We have those available. They've been distributed now.

19 JUDGE GROSSMAN: Yes, that's fine.

20 [Insert.]

21

22

23

24

25

PROFESSIONAL QUALIFICATIONS

WILLIAM G. SMITH

I am a Senior Geologist with the consulting engineering firm of Dames & Moore as well as Technical Manager of their Atlanta office which has a staff of 55 persons.

I am a graduate of Emory University in Atlanta, Georgia, with a degree in geology and physics. I have also completed over one year of graduate studies.

During my association with Dames & Moore and with various part-time projects, I have performed, or been directly responsible for, numerous investigations which have included studies in the geologic, engineering geologic, foundation engineering, and marine geologic and geophysical disciplines. I have completed assignments as Project Manager of multi-disciplinary projects which have addressed the environmental and socioeconomic disciplines.

I have participated on PSAR and FSAR studies for the Farley Nuclear Plant (Dothan, Alabama), the Duane Arnold Nuclear Plant (Palo, Iowa), Turkey Point Nuclear Plant (Turkey Point, Florida), the proposed South Dade County Nuclear Park (South Dade County, Florida), and the Susquehanna Nuclear Plant (Berwick, Pennsylvania) as well as the Virgil C. Summer Nuclear Facility. My responsibilities on these projects have ranged from Field Geologist to Project Manager for Chapter 2 of the PSAR and FSAR documents. I was also responsible for investigation of subsurface cavities, sinkholes, faults, groundwater regimes and solutioning.

I am registered as a Professional Geologist in the States of Maine and Georgia. I am a member of the Association of Engineering Geologists, the Marine Technology Society, and Sigma Gamma Epsilon.

PROFESSIONAL QUALIFICATIONS

JAMES G. MCWHORTER

I am a Senior Geologist with the consulting engineering firm of Dames & Moore. In this position I participated in studies to identify causal mechanisms of induced seismic activity at the Virgil C. Summer Nuclear Station's Lake Monticello. Analyses included use of in situ stress data, focal mechanism solutions of recorded seismic events, and other geologic observational data. As a member of the project team, I helped prepare the report on Supplemental Seismologic Investigation dated December 1980.

I received a Bachelor of Science Degree in Geology from Clemson University, South Carolina, in 1967. In 1974, I received my Master of Science Degree in Geology from Rutgers University, New Jersey.

From September 1967 through September 1968, I was an Assistant Hydrologist with the United States Geological Survey-WRD Columbia, South Carolina. I participated in the evaluation of ground water resources in various parts of South Carolina, including a comprehensive plan to alleviate salt water encroachment in coastal aquifers and potential sites for underground storage of liquid radwaste at the Savannah River Plant.

From September 1968 through December 1970, I was a Field Geologist for a private consulting geologist, Dr. Bennet L. Smith of Highland Park, New Jersey, while in

graduate school. My responsibilities included: analyzing potential quarry sites by picket line survey; performing field and quantitative laboratory analyses of potential magnetite ore bodies; supervising drilling and geologic investigations for various industrial facilities; participation in a five-year geotechnical maintenance inspection program of all dams and dikes for Jersey Central Power and Light's Yards Creek Pumped Storage facility in northwestern New Jersey.

Representative projects with Dames & Moore between January 1971 and April 1972 included ground water hydrologic and seismic studies; in situ pressure testing of boreholes, permeability measurements; well inventories; analysis of potential radioactive spills on the ground water environment; analysis of geologic subsurface conditions; preparation of PSARs. These projects included work on the Nine Mile Point No. 2 Nuclear Power Plant for the Niagara-Mohawk Company; North Anna Nuclear Power Station Units 3 and 4 of the Virginia Electric and Power Company; The Newbold Island Nuclear Plant for the Public Service Electric and Gas Company of New Jersey; also mapping, rock classification and potential borrow area exploration for the Virgil C. Summer Nuclear Power Plant.

From April 1972 until June 1972, I was Project Seismologist and Ground Water Geologist for PSAR Investigation, Douglas Point Site, Potomac Electric and Power Company. In this position I was responsible for preparation of Sections

2.4.13 (Ground Water) and 2.5.2 (Vibratory Ground Motion) of the PSAR. Analysis included documentation of regional and local ground water conditions, well inventories, analysis of aquifer characteristics, effects of potential radioactive spills on ground water environment for Section 2.4.13 of the PSAR. Responsibilities for Section 2.5.2 (Vibratory Ground Motion) included analysis of local and regional tectonic structures for their potential in localizing earthquakes; documenting historical seismicity; selection of safe shutdown and operating basis earthquakes; preparing final report for inclusion in PSAR.

From June 1972 until August 1972, I was Project Seismologist for PSAR investigation, Atlantic Generating Station, Public Service Electric & Gas. My responsibilities included analysis of local and regional tectonic structures for their potential in localizing earthquakes; documenting historical seismicity; selection of safe shutdown and operating basis earthquakes; preparing final report for inclusion in PSAR.

From August 1972 until October 1972, I was Project Seismologist for PSAR investigation, Summit Site Delmarva Power & Light Company. I was responsible for analysis of local and regional tectonic structures for their potential for localizing earthquakes; selection of safe shutdown and operating basis earthquakes. I wrote the final report on vibratory ground motion.

From October 1972 until March 1973, I was Project Manager and Project Seismologist for Seismic Risk Evaluation, Veterans Hospitals, Veterans Administration. In this

position I was responsible for scoping out and implementing investigation of seismic risk analysis for nine existing Veterans Hospitals in New York State, Vermont, and Massachusetts. I wrote 75% of the final report and supervised two Dames & Moore personnel.

In June 1974, I was Senior Geologist on a site inspection and review of geologic analysis for proposed Nuclear Power Plant Site, Asturias, Spain, for Hydroelectrica del Cantabrico. I was responsible for performing a technical review of the client's independent geologic analysis of proposed site, according to existing U.S. NRC criteria.

From October 1974 until March 1975, I was Project Manager and Senior Geologist for investigation of five proposed sites for Nuclear Power Plants, Oslofjord Region, Norway, for Norwegian Water Resources and Electricity Board. I was responsible for coordinating seismotectonic investigation between Dames & Moore geologists and three participating Norwegian consultants: Norsar, Seismological Observatory at Bergen, and the Norwegian Geotechnical Institute. I wrote (40%) of the final Dames & Moore report, as well as scoped out original program of investigation.

From November 1975 until February 1976, I was Principal Investigator-Seismotectonics for a Nuclear Power Plant Siting Investigation for Comision Federal de Electricidad, Mexico. This investigation required analysis of seismicity and tectonic information for large area of central Mexico for input into computer data management system. I participated in Delphi session with over twenty top Mexican experts

in various disciplines to identify critical importance factors for disciplines involved in the siting study. I also supervised preparation of final seismotectonic maps for the region studied.

From February 1976 through March 1976, I was Principal Investigator-Seismotectonics for Surface Faulting Investigation at ESCOM's Koeberg Nuclear Station, Capetown, Republic of South Africa. I wrote scope of work and was responsible for implementing the program. I wrote 90% of the final report documenting regional seismicity, tectonics, and establishment of Design Earthquakes for the site.

In April 1976, I was Technical Reviewer-Seismotectonics report for Swedish State Power Board's Forsmark-3 Station, Forsmark, Sweden. I was responsible for internal technical review of Dames & Moore report on seismotectonics and vibratory ground motion for PSAR on Forsmark Station.

From July 1975 through April 1977, I was a member of the Technical Advisory Panel, Geologic Investigations, Ramapo Fault System, Indian Point Generating Station, Buchanan, New York, for Consolidated Edison of New York. I was responsible with others for maintaining internal (D&M) quality of investigation of the Ramapo Fault System in satisfying conditions required for operating license by NRC.

From May 1973 until August 1977, I was involved in the Supplemental Geologic and Seismologic Investigation, North Anna Power Station, Louisa County, Virginia, for Virginia Electric and Power Company. This was a detailed fault

investigation for documenting age of last movement of faults discovered beneath reactor containment excavations. As Project Manager, I was responsible for coordinating with client the daily operation of the project, involving up to eight geologists. With the Principal-in-Charge, formulated scope of work for entire investigation. Since 1974, I have been responsible for ongoing micro-earthquake monitoring program (17-station array) at the site. I participated as an expert witness in public hearings. I wrote 50% of final report for geologic investigation and subsequent answers to questions by NRC staff.

From September 1977 through September 1978, I was Manager of geologic and seismologic studies for the Safety Analysis Report of the Esfahan site for Atomic Energy Organization of Iran. This program included detailed faulting investigation, Seismic Hazard Analysis, Selection of Design Basis Earthquakes, geophysics and paleomagnetic analysis of soils samples.

From September 1978 until May 1979, I was Project Manager for a site selection study for a nuclear power plant in Central Chile. In this position I was responsible for supervision of a multidisciplinary team of investigators. The program included Seismic Hazard Analysis, selection of design basis earthquakes, characterization of seismotectonic setting of Central Chile.

In January 1978, I was promoted to my present position.

I am a Certified Geologist in the States of Maine and Georgia. I am a member of the Seismological Society of America and the Association of Engineering Geologists.

g27da

1 Subsequent to the award of my degree, I continued in school
2 for over a year off and on.

3 JUDGE GROSSMAN: At this point we'll recess. I'm
4 sorry. We didn't rule on that. That's admitted and we'll
5 recess. I just want to make sure that everyone is available
6 tomorrow morning including Mr. McWhorter and Mr. Smith and the
7 entire panel.

8 MR. KNOTTS: The entire six-member panel will be here
9 tomorrow.

10 JUDGE GROSSMAN: Okay. Nine-thirty tomorrow.

11 [Whereupon, the above-entitled proceedings was concluded
12 at 5:5 o'clock, p.m., to reconvene at 9:30 o'clock, a.m. in
13 the same place.]

14 -oOo-
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 then?

2 MR. MCWHORTER: Yes, sir.

3 MR. SMITH: Yes, sir.

4 MR. KNOTTS: Do you wish to adopt them as part of
5 your testimony in this proceeding?

6 MR. MCWHORTER: Yes, sir.

7 MR. SMITH: Yes, sir.

8 MR. KNOTTS: Mr. Chairman, we would offer the statement
9 of qualifications of these gentlemen in evidence and ask that
10 they be bound into the transcript as if read.

11 JUDGE GROSSMAN: Mr. Burse, any objection?

12 MR. BURSEY: I have a question for Mr. Smith, if I
13 may?

14 JUDGE GROSSMAN: Proceed.

15 VOIR DIRE EXAMINATION

16 MR. BURSEY: Mr. Smith, your degree is a Bachelor
17 of Science in Geology?

18 MR. SMITH: I majored in geology and physics, double
19 major.

20 MR. BURSEY: And that's a Bachelor of Science?

21 MR. SMITH: Yes, B.S.

22 MR. BURSEY: And you're presently taking graduate
23 studies? It says you've complete one year of graduate studies.
24 Are they ongoing now?

25 MR. SMITH: No, I'm not undergoing studies now.

g25da

1 JUDGE GROSSMAN: I think it's about time to adjourn
2 for the day. We'll do that and I think we'll start then in
3 the morning with Mr. Goldberg's cross-examination and then
4 the State of South Carolina and then we'll on to the Board questions.
5 Is that agreeable to you, Mr. Goldberg? Isn't that the order
6 that we agreed to?

7 MR. GOLDBERG: Yes, at this point we anticipate no
8 questions.

9 JUDGE GROSSMAN: Well, why don't you enter that into
10 that record?

11 MR. KNOTTS: Very well, Mr. Chairman. Mr. McWhorter
12 and Mr. Smith, did each of you prepare statement of educational
13 and professional qualifications for possible use in this proceeding?

14 MR. MCWHORTER: Yes, I did.

15 MR. SMITH: Yes, I did.

16 MR. KNOTTS: And do you have a copy of the statement
17 that you prepared before you?

18 Q MR. MCWHORTER: Yes, sir.

19 MR. SMITH: Yes, sir.

20 MR. KNOTTS: Are there any additions that you wish
21 to make at this time, asking you first, Mr. McWhorter?

22 MR. MCWHORTER: No, I don't.

23 MR. KNOTTS: Any revisions in your statement?

24 MR. SMITH: No, I have none.

25 MR. KNOTTS: Are they true and correct as they stand

TESTIMONY
before the

Advisory Committee on Reactor Safeguards

related to

Virgil C. Summer Nuclear Station

February 26, 1981 and February 27th

Capital Inn, 1901 ^{at} Assembly St., Columbia, S. C.

Introduction:

My name is Ruth Thomas. My address is 1339 Sinkler Road, Columbia, S.C., 29206.

I'm glad to have the opportunity to attend this meeting. I have an interest in the Virgil Summer Nuclear Plant as a customer of South Carolina Electric and Gas Company (SCE&G) and as a resident of a city within 26 miles of the power plant.

I have studied the Summer Plant as well as such related subjects as reprocessing, transportation of nuclear materials and the handling of radioactive wastes. For the past ten years, I have continued to seek out factual information. I have worked with state and national organizations and am presently a member of the South Carolina Environmental Quality Control (EQC) Advisory Committee.

Questions Related to Instrumentation and Plant Controls:

1. What studies are being and have been done of design basis accidents and how to avoid them, since Three Mile Island (TMI)?
2. What design changes have been incorporated into the Summer Nuclear Plant as a result of TMI? As a result of accidents and near accidents at other nuclear power plants?
3. Why wasn't more work done on design basis accidents and how to avoid them prior to TMI?
4. Did the NRC's decision not to follow the recommendations of NRC safety engineer, Demetrios Basdekas, have anything to do with his not being direct enough in his 1976 reports on safety issues? *
5. Was the NRC's principal reason for not following Mr. Basdekas' advice based on the belief that "only a small reduction in risk could result from improvements in plant controls"* or because the NRC thought that nuclear industry was going to voluntarily research design improvements to reduce accident risks?
6. What improvements in instrumentation have been implemented since TMI which assist operators? Will they or have they been carried out at the Summer Plant?
7. Why was one of the instruments critical to the operators at TMI plant located behind him?
8. Who has the final say in such matters as- what alarms are used, limiting the number of alarms, coordinating the arrangement of instruments for easy and effective use?
9. Does an operating group have the last word on the acceptance of design plans?
10. Reports and information regarding the operation and design of nuclear plants contain very little about the role of operators, supervisors, production people in decision-making related to design, control room operation, emergency planning and other important considerations. What changes have been made since TMI in the way of involving such people? At the Summer plant?


* Report to Congress, NRC, NUREG-0438, April 12, 1978

11. At TMI, why wasn't instrumentation provided to show stem travel on remotely operated critical valves rather than instruments which only record a signal from a solenoid?
12. Why weren't TMI owners and operators alerted to this problem by the NRC? By the ACRS? By other utilities? By manufacturers?
13. An anonymous letter to the NRC alerted the agency to stress corrosion cracks in Westinghouse turbines. How can the reluctance of company officials to admit to equipment failures and technical problems related to the nuclear industry be overcome?
14. What central communication system is there for notifying nuclear power plant operators immediately of problems which could affect them? Which could lead to accidents?
15. What backup equipment does Summer plant have to ensure correct air flow across building?
16. Does the Summer plant have instrumentation to measure the liquid in the reactor vessel?
17. Are on-site NRC inspectors experienced production people? If not, what group of production and operating personnel do these inspectors consult with?
18. Has a team of nuclear power plant operators and production personnel looked into failures which could occur and combinations of happenings (equipment failures, human errors, design miscalculations, etc.) in terms of the possible outcomes and in terms of how to prevent a buildup of problems?
19. How are operators, supervisors and nuclear power plant employees being trained to handle emergency situations? At Virgil Summer?
20. How long is the training period?
21. Keeping clean areas in a nuclear plant free of contamination has not been successfully done at a number of facilities.
22. Are operating personnel involved in the development of such procedures?
23. In the case of cracked turbines, such as those of Turkey Point Nuclear Plant, how did the contamination reach the steam generators?
24. How did the clean secondary system at Turkey Point become contaminated?
25. What other nuclear power plants have experienced turbine cracking in addition to Zion Station Unit 1 and Yankee-Rowe?
26. Has there been contamination of turbines at these Zion and Yankee-Rowe plants?

Questions Related to Monitoring, Emergency Planning and the Handling of Radioactive By-Products

27. At TMI, a helicopter was flown over the stack for the purpose of measuring radiation and contamination levels, during the accident. Why was it necessary to obtain data in this way? Would such a method of monitoring be necessary in the event of an accident at the Summer Nuclear Plant?
28. Is there a system of continuous monitoring of the off-gases at the Summer Plant? Is this in the stack?
29. At how many locations is continuous monitoring and continuous printout of radiation and contamination measurements planned? At the fence? $\frac{1}{2}$ mile beyond? 1 mile beyond? In how many directions?
30. How often will the records of the Summer monitoring system be read? Daily?
31. Will these records be available to the public?
32. Will both alpha and beta be measured continuously at the Summer plant?

33. Why has so little progress in emergency planning taken place when such planning started more than ten years ago?
34. How many nuclear plants have written sabotage and air raid procedures?
35. Will the Summer plant be required to have these prior to startup?
36. What separation system has been or is being developed to ensure that no long-lived radioactive materials are mixed in with wastes which are buried at such sites as Chem-Nuclear in Barnwell, S.C.?
37. What plans are there for alternatives to burial of nuclear wastes in the event that land burial operations are closed down? Summer plant plans?
38. What alternatives to transportation of nuclear waste by-products is being studied and considered? By NRC? By utilities? By Summer plant?
39. Explain how the research findings of John Stephen, Jr. and Robert Pond (Trace Elements in Reactor Steels: Implications for Decommissioning, Materials Science Center of Cornell University, August 1977) has changed the plans for decommissioning nuclear power plants? the Summer plant?
40. How would it be possible for instructions to be given on evacuation if there is not continuous monitoring of radiation, contamination and meteorological conditions?


Ruth Thomas

Submitted by,
Ruth Thomas

MEDLOCK & GERGEL
ATTORNEYS AT LAW
1320 RICHLAND STREET
COLUMBIA SOUTH CAROLINA 29201

T TRAVIS MEDLOCK
RICHARD MARK GERGEL

May 12, 1981

TELEPHONE 779-4
AREA CODE 803

GLORIA Y LEEVY
OF COUNSEL

Mr. Jack D. Richardson
Chairman
Regional Advisory Committee
Region IV
Federal Emergency Management Agency
1375 Peachtree Street, N.E.
Atlanta, GA 30309

Re: Criteria for Preparation and Evaluation
of Radiological Emergency Response Plans
and Preparedness in Support of Nuclear
Power Plants, NUREG-0654, FEMA-REP-1, REV1

Dear Mr. Richardson:

Like most Americans, I appreciate the effort on the part of government and private organizations to promote optimum safety to public health in the event of accidents at fixed commercial nuclear power reactors. The regulations referred to above seem a substantial step in that direction, and I urge continued close monitoring and enforcement thereof. I agree that good faith cooperation by industry and active community involvement are essential to implementation of your protective guidelines.

I submit for your consideration the following specific proposals that have been provided me by a concerned citizen who is actively involved, as is your agency, in promoting the public's interest on these issues. I am not knowledgeable in the field and claim no expertise on the subject. Therefore, I must rely upon appropriate government agencies, such as yours, and interested citizens for guidance in the matter.

Please advise me as to whether or not your agency considers the enclosed proposals reasonable and responsible. To me they appear to be so. They appear consonant with the letter and spirit of your guidelines and regulations.


Mr. Jack D. Richardson
May 12, 1981
Page 2

I recommend that you carefully review the proposals with a view toward appropriate implementation. If you disagree with the proposals, please advise me of the basis therefor so that I might be enlightened and have a better understanding on this important public issue.

I copy this to Congressman Holland, in whose District the V.C. Summer Nuclear Station is located, and to Congressman Spence, who represents the District of my residence, which borders Fairfield County. I appreciate the effort and concern on the part of our National Congress relative to public health and safety implications of our developing nuclear energy industry.

Thanking you for your attention to the matters expressed herein, I am

Sincerely yours,



T. Travis Medlock

TIM/mt
Encl.

cc: Honorable Floyd D. Spence
Honorable Ken Holland

RECOMMENDATIONS
Related to
RADIOLOGICAL EMERGENCY RESPONSE PLANS
for the
V. C. Summer Nuclear Station

The nuclear accident at Three Mile Island and the May 1, 1981 radiological emergency exercise related to the V.C. Summer Nuclear Station demonstrated the need for identifying procedures which would improve:

1. Accident Assessment
2. Notification Methods
3. Public Education
4. Public Participation

Based on the need for improvement in these four aspects of emergency planning, the following proposals are made:

(1) That a radiation contamination monitoring system be installed (capable of immediately and continuously measuring and reporting on radiation contamination levels) at numerous stations surrounding the V. C. Summer Nuclear Plant at varying distances from the facility. Quicker and more accurate response to a nuclear accident would be possible if radiological emergency decisions were based directly on data collecting equipment rather than depending on calculated estimates.

(2) That the radiation contamination data together with meteorological data from the V. C. Summer Plant site and the National Weather Bureau be reported into one central office for use in making emergency response decisions. The data serves as a check on what is being reported from the radiation contamination system. The two systems compliment each other.

(3) That frequent bulletins on both radiation contamination level and meteorological conditions be issued to enable people to follow the progress of the drill, simulated accident or an accident in the event of its occurrence.

(4) That the proposed siren system for the V. C. Summer Plant be expanded so that persons in a wider area would hear the warning, including those who would not have telephones, TV and radio available to them, such as persons farming, working outdoors, fishing, hunting, etc. on highways.

(5) That notification regarding emergency instructions for use on radio, television, telephone etc. be prepared and presented by emergency planning experts who are experienced in knowing what to stress, what to repeat, etc.

(6) That a computer dialing system be used which would make it possible to automatically dial a majority of the people living in the affected area. This warning system would be more reliable than radio and television.

(7) That a sufficient number of information centers be available.

(8) That simulated accidents include Columbia, and other high density population areas.

(9) That the personnel of state, county and city offices, colleges, public schools, hospitals, businesses and civic organizations receive training which would help them to answer questions and direct members of the public to the proper authorities.

(10) That residents of Fairfield County and surrounding counties be provided an opportunity, if they so desire, to participate in emergency preparedness exercises and drills and receive training in the following:

- (a) All aspects of evacuation -- knowing the possible routes, how to prepare for evacuation, possible shelters
- (b) Care of animals and livestock
- (c) How to close up buildings to keep out radiation contamination
- (d) Ensuring heat, lighting, cooking sources are available in case of power failures
- (e) Have on hand food and water in sealed containers

(11) That instructions be provided people outside the immediate area affected by the simulated accident so that they would be ready if the situation changed.

(12) That members of the public be represented at exercises and drills and that these observers be chosen on the basis of their knowledge of nuclear subjects from the viewpoint of the general public and on the basis of their demonstrated commitment to the interests of the public. They should not be financially involved with the industry.

(13) That all evaluation and critique sessions of radiological emergency drills and exercises include persons who have been selected as observers on behalf of the general public. (See number 12)

(14) That the meeting at which a preliminary critique of an emergency drill or exercise is presented include statements by observers for the general public, and that public input from those in the audience be transcribed and made part of the final evaluation.

June 22, 1981

An Expression of Concern

We the women of Cedar Creek would like to express our reluctance to accept the risks involved in living near the V. C. Summer Nuclear Generating Plant.

The plant is in sight of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. None of us protested Vietnam or the draft. We watch the ERA question with outside interest. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on (1) no storage of any radioactive waste at the plant and (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

Patricia J. Bianchi
Margaret E. Gardner
Sandra D. Jones
Frances T. Riley
Yvonne L. Seaber
~~Abundant~~
Charlotte Friday

Madeha S. Laver
Lars L. Roy
Jrene O'Neill
Patricia O'Neill
Peggy O. Wilson
Linda B. Laver
Mary Roy Shugart
Mrs. Rose Campbell
Alta B. Seaber

An Expression of Concern
about the V. C. Summer Nuclear Plant

Ruth Blume
Floris Thoma
Carolyn Kaul
Mary A. Savell
Tateana G. DuBard
Eug. H. Riley
Winifred L. DuBard
Charles R. Meete
Sandra J. Bloodworth
Elizabeth F. Suter
Nancy Sayko
Kitty Mae Lever
Deryl B. Dross
Mary Ann Hollis
Ludley H. DuBard
Juday C. Kait
Mittie Jean Henderson
Rebecca D. Thompson
Gudy Fabel
Margaret C. DuBard

An Expression of Concern

We the residents of upper Richland County would like to express our reluctance to accept the risks involved in living near the V. C. Summer Nuclear Generating Station.

The plant is within fifteen miles of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions, it could create the catastrophe which would make our fathers decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. None of us protested Vietnam or the draft. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on

- (1) no storage of radioactive waste at the plant and
- (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

M.E. Blinn
Norman W. ...
Frank ...
J.W. ...
Pat D. Jolly
Francis Jolly
Tom ...

Wm. D. Halls
Mark ...
E. ...
John ...
Clay ...
...

Circus in ...

D - a. Pruitt

Charles ~~Burton~~

Fred E. Raves

Douglas M. Tygett

Carol P. Tygett -

Nell J. Jones

Bill Jackson

Larrence L. Ham

Larrence Byrd

Jewell Byrd

John - + Johnston

James Fleming

John J. Epp

Jim H. Allred

Wayne D. Wall U.S.A. Ref.

John B. Judson

~~John B. Judson~~

Mike Evans

b

An Expression of Concern

We the residents of upper Richland County would like to express our reluctance to accept the risks involved in living near the V. C. Summer Nuclear Generating Station.

The plant is within fifteen miles of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions, it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. None of us protested Vietnam or the draft. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on

- (1) no storage of any radioactive waste at the plant and
- (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

Glenn E. Campbell
Charles D. Muzg
Donald J. Wilson
James H. Tuttle
L. B. Lowe

Ashey C. Taylor
Albert W. Jones
Robert W. Lee
James F. Stimpert
William L. Dubard

John A. Seals Jr
Barney F. Brewster Jr.
A. N. B. a

Travis J. Bianchi

An Expression of Concern

We the women of The FAIRLAWN EXTENSION CLUB would like to express our reluctance to accept the risks involved in living near the V. C. Summer nuclear Generating Plant.

The plant is in sight of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. None of us protested Vietnam or the draft. We watch the ERA question with outside interest. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on (1) no storage of any radioactive waste at the plant and (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

Edith L. Biggel
Helen V. Thomas

and P. Smith

Virginia L. Parry

Margie Brankam

Barbara Stouck

Faye Farmer

Baron Farmer

Charles Smith

Harold Parry

Youtha Burrell
Julia Burrell
Stacey Rose
Keri Rose
Verna Rose
Verna Lee Hatten
Mildred Burrell
Barbara Burrell
Stan Burrell
Ethel Burrell
Fred Burrell
Jessie Myers
Francis Myers

Lara L. Collins	Rt. 5, Box 14 Columbia	29203
Carrie Starn	Rt 2, Box 157 Blythewood	29016
Violet Kiewaldt	Rt. 5, Box 96 Columbia	29203
Nannie Holtz	Rt. 2, Box 156 Blythewood	29016
Myrtle Lever	Rt. 5, Box 344 Columbia	29203
Beaufort Cooper	8444 Parklane Columbia	29204
Edna Johnson	Rt. 5, Box 80 Columbia	29203
Katherine W. Price	Rt 2, Box 158-A Blythewood	29016
Caroline L. Hawkins	Rt. 5, Box 345 Columbia	29203
Mattie Lee Jones	Rt. 1, Box 589, Col., S.C.	29203
Mrs. William Swindler	515 Sunset Dr. Columbia, S.C.	29203
Mrs. R. D. Lambert, Jr.	Rt. 5, Box 270, Columbia S.C.	29203
Ellen Cooper	8244 Parklane Rd. Col., S.C.	29204
Beaufort Cooper	8444 Parklane Rd. Col., S.C.	29204

An Expression of Concern

We the women of Easter Home Makers Club would like to express our reluctance to accept the risks involved in living near the V. C. Summer Nuclear Generating Plant.

The plant is in sight of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. None of us protested Vietnam or the draft. We watch the ERA question with outside interest. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on (1) no storage of any radioactive waste at the plant and (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

Miss E. Hinton
Catherine Jefferson
Mary Higgins
Shirley Wiler
Norman Hawkins
Dodie Guess
Lulea Sanders
Gloria Devaux

An Expression of Concern:

We the women of Rabunwood Club would like to express our reluctance to accept the risks involved in living near the V. C. Summer Nuclear Generating Plant.

The plant is in sight of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. None of us protested Vietnam or the draft. We watch the ERA question with outside interest. But this nuclear plant poses problems which we do not want to pass on to our children - - neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on (1) no storage of any radioactive waste at the plant and (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

Robinwood Club
Extension Homecoming

Lillian Smith

Lucas Election

President M. L. Lee

Emily Broad

Alberta Sargent

Marie Brown

Anne Wells

Ollie Sharpe

Lizzie Boney

Ellen Raines

Grace Jour

Thelma Mc Nitch

Julia Boney

An Expression of Concern

We the residents of the Denny Terrace area would like to express our reluctance to accept the risks involved in living near the V. C. Summer Nuclear Generating Station.

The plant is within twenty miles of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions, it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. None of us protested Vietnam or the draft. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on

- (1) no storage of any radioactive wastes at the plant and
- (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

Country Gardens Garden Club

Mrs. J. H. Alderman
Mrs. Fred Dickson
Bertha Vinson
Mrs. Henry R. Williams
Mrs. J. H. Sheth
Martha S. Lawrence
Mrs. May Dirick
Steve Emery
Mrs. J. J. Wilmer

over

Miss R. M. Webb

Mrs. E. Q. Schickler

Ernest Schickler

Mr. R. M. Webb Sr

Gelbert Webb

An Expression of Concern

We the residents of areas surrounding the V. C. Summer Nuclear Generating Station would like to express our reluctance to accept the risks involved in living near the nuclear plant.

The V. C. Summer Plant is within thirty miles of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions, it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear-Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on

- (1) no storage of any radioactive waste at the plant and
- (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

Ethel T. Abney
Nancy R. Reese
Camela Finson
Anita Bolick
Eleanor Avant

Sara Ward
Ann Anderson
Thelma Fisher
Betty Cain Simmel
Mitchell Taylor
Shirley K. Rawls

Marjorie Lee

Gene Hubbard

Archie C. Suber

Annette Ferguson

William C. S. S. S.

Cayle B. S. S.

Lela B. S. S.

Shirley S. S.

William H. Jackson

~~William H. Jackson~~

Norma Bedard - Corilla

J. C. Cannon

W. J. S. S.

John S. S.

N. S. S.

Open Jeff coat

Robert M. S.

Pamela S. Gladden

Margaret Cameron

Wm. W. S.

Steph. S.

Emily S.

Ron Koenig

Paul Luna

Laura Dennis

Jennie Clayton

Sidney Andriescu

Rose Chai

Sally D. Atwater



An Expression of Concern

We residents of areas surrounding the V. C. Summer Nuclear Generating Station would like to express our reluctance to accept the risks involved in living near the plant.

The V. C. Summer Plant is within thirty miles of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions, it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on

(I) no storage of any radioactive waste at the plant and

tion will ever be



An Expression of Concern

We residents of areas surrounding the V. C. Summer Nuclear Generating Station would like to express our reluctance to accept the risks involved in living near the plant.

The V. C. Summer Plant is within thirty miles of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions, it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on:

- (1) no storage of any radioactive waste at the plant and
- (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

- | | |
|--|--|
| 1. Karen Dilgado | 16. Martha Jones E. Stone |
| 2. Ch. Hanchette | 17. Woody Dennis |
| 3. J. M. Judy | 18. Mona Watkins |
| 4. Nancy Gray | 19. Melinda Radcliffe |
| 5. Al M. Leach | 20. Herbert E. Burk |
| 6. Norma Leach | 21. Judy M. Bunt |
| 7. Cynthia Young | 22. Gene Young |
| 8. Lou Albee | 23. Tom Postle |
| 9. Lecky Reed | 24. Wynne Jo Hayes |
| 10. Sally Turner | 25. Carl Harbuck |
| 11. Robert Sharp W. Wright | 26. Linda Wright |
| 12. Jane W. Leggett | 27. Deborah Wright |
| 13. Ann H. Lavin | 28. Paul B. Wright |
| 14. Ed Bloom | 29. Judy Conrad Rutledge |
| 15. Robert Wright | 30. Celia Ratta |

An Expression of Concern

We, residents of areas surrounding the V. C. Summer Nuclear Generating Station would like to express our reluctance to accept the risks involved in living near the plant.

The V. C. Summer Plant is within thirty miles of us, and spent waste is to be stored at the site. We feel that the plant should not be allowed to go on line until answers are found concerning the eventual storage of this deadly radioactive material for the thousands of years needed for it to break down.

We do not relish the idea that we, our children, and grandchildren are living next to a man-made Pandora's Box. Under certain conditions, it could create the catastrophe which would make our leaders decide there has to be a safer way to produce energy.

We are normally quite easy-going in our outlook on life. But this nuclear plant poses problems which we do not want to pass on to our children -- neither through our genes nor through the deadly wastes for which there is no true means of disposal.

Therefore, we request the Nuclear Regulatory Commission to withhold the operating license for the V. C. Summer Plant contingent on

- (1) no storage of any radioactive waste at the plant and
- (2) an irrevocable guarantee that absolutely no radiation will ever be emitted from the plant.

*addressed
might be good idea*

- | | | |
|---------------------------|-------------------------------|-----------------------|
| 1. Ellen Super | 16. Pam Brown | 33. <i>Mazza file</i> |
| 2. Teresa Kalleweit | 17. Paula Manley | |
| 3. Basil Garcia | 18. Allan Glick | |
| 4. Rick Pate | 19. Mary Schuster | |
| 5. Lynn Rich | 20. Karen H. Dacey | |
| 6. Frank Lee | 21. <i>Angela Davis</i> | |
| 7. <i>ART SHOR</i> | 22. <i>James White</i> | |
| 8. Susan King | 23. <i>Robert Johnson</i> | |
| 9. <i>Myrtle</i> | 24. <i>Janara S. Cannon</i> | |
| 10. Susan Jumper | 25. <i>Phyllis Williams</i> | |
| 11. <i>Elizabeth Hale</i> | 26. <i>John D. Hill</i> | |
| 12. <i>Judy C. Melton</i> | 27. <i>Thomas B. Smith</i> | |
| 13. <i>Becky Ford</i> | 28. <i>Sarah L. Rodriguez</i> | |
| 14. <i>Rita (Jules)</i> | 29. <i>Tom King</i> | |
| 15. <i>Robert Brown</i> | 30. <i>Linda S.</i> | |
| | 31. <i>Hilly Hill</i> | |
| | 32. <i>Robert L. Hopkins</i> | |

This is to certify that the attached proceedings before the

NUCLEAR REGULATORY COMMISSION

in the matter of: South Carolina Electric & Gas Co., Summer Unit 1

Date of Proceeding: June 22, 1981

Docket Number: 50-395-OL

Place of Proceeding: Columbia, South Carolina

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Peggy J. Warren

Official Reporter (Typed)

Peggy J. Warren

Official Reporter (Signature)