

NUCLEAR REGULATORY COMMISSION

ORIGINAL

---

---

In the Matter of:

METROPOLITAN EDISON COMPANY )  
(Three Mile Island Unit 1 ) DOCKET NO. 50-289  
(Restart)

---

---

DATE: June 29, 1981 PAGES: 21,861 - 22,087  
AT: Harrisburg, Pennsylvania

TR02  
50/1

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

8107060317 810629  
PDR ADU14 05000207  
PDR

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

-----x  
:  
In the matter of: :  
:  
METROPOLITAN EDISON COMPANY :  
:  
(Three Mile Island Unit 1) :  
:  
----- :  
:

Docket No. 50-289  
(Restart)

25 North Court Street,  
Harrisburg, Pennsylvania

Monday, June 29, 1981

Evidentiary hearing in the above-entitled  
matter was resumed, pursuant to adjournment, at 9:32 a.m.

BEFORE:

IVAN W. SMITH, Esq., Chairman,  
Atomic Safety and Licensing Board

DR. WALTER H. JORDAN, Member

DR. LINDA W. LITTLE, Member

Also present on behalf of the Board:

LAWRENCE BRENNER, Esq.  
Legal Advisor to the Board

## 1 APPEARANCES:

2 On behalf of the Licensee, Metropolitan Edison  
3 Company:

4 DELISSA A. RIDGWAY, Esq.  
5 THOMAS A. BAXTER, Esq.  
6 Shaw, Pittman, Potts and Trowbridge,  
7 1800 M Street, N.W.,  
8 Washington, D. C.

9 On behalf of the Commonwealth of Pennsylvania:

10 ROBERT ADLER, Esq.  
11 MICHELE STRAUBE, Esq.  
12 Assistant Attorney General,  
13 505 Executive House,  
14 Harrisburg, Pennsylvania  
15 WILLIAM DORNSIFE,  
16 Nuclear Engineer

17 On behalf of Union of Concerned Scientists:

18 ROBERT D. POLLARD, Esq.  
19 Harmon & Weiss,  
20 1725 I Street, N.W.  
21 Washington, D. C.  
22 STEVEN C. SHOLLY,  
23 304 South Market Street,  
24 Mechanicsville, Pennsylvania

25 On behalf of Anti-Nuclear Group  
Representing York:

GAIL BRADFORD

On behalf of Three Mile Island Alert:

LOUISE BRADFORD

On behalf of the Regulatory Staff:

22 JAMES TOURTELLOTTE, Esq.  
23 JAMES CUTCHIN, Esq.  
24 Office of Executive Legal Director,  
25 United States Nuclear Regulatory Commission,  
Washington, D. C.



P R O C E E D I N G S

1

2

(9:32 a.m.)

3

CHAIRMAN SMITH: Good morning.

4

Dr. Little has missed a flight connection. We will go under the quorum rule until she arrives, which will be later this morning.

7

Is there any preliminary business?

8

MR. BAXTER: I have two preliminary matters with respect to the schedule for proposed findings of fact and the plan design procedure issues. At my request, the parties, the NRC staff, the Commonwealth and UCS have agreed to defer reply findings on UCS contention 4, connection of pressurizer heaters to diesel, from the current scheduled July 13 until the second round of replies are due on July 27. That is to accommodate some personal problems on Licensee's counsel team.

17

The second schedule matter is the Board's memorandum and order for June 9 scheduling this hearing session directed the parties to confer about a proposed findings schedule for Board questions on UCS 12, which we are going to hear from the staff on today. And Licensee, the staff, Commonwealth and UCS have agreed to submit proposed findings on July 13 and replies on July 27.

24

CHAIRMAN SMITH: What is the date on UCS 4?

25

MR. BAXTER: The date was July 13.

1 CHAIRMAN SMITH: And now it will be?

2 MR. BAXTER: The 27th.

3 CHAIRMAN SMITH: Okay. Anything else?

4 MR. BAXTER: No, sir.

5 CHAIRMAN SMITH: Any other preliminary business?

6 (No response.)

7 We have a few items. I think it would be better  
8 to take them up at the end of the session on this  
9 contention.

10 Are we ready?

11 MR. CUTCHIN: Yes, sir. I would like the record  
12 to reflect that I served by hand this morning on the Board  
13 members and the parties who had not previously been given  
14 copies a copy of Mr. LaGrange's professional qualifications  
15 and a June 12 letter, which you should find in front of  
16 you.

17 CHAIRMAN SMITH: What was your reference to a June  
18 12 letter?

19 MR. CUTCHIN: There is a June 12 letter from  
20 Licensee to the Office of Nuclear Reactor Regulation,  
21 attention Mr. Stolz. The two documents were laid down in  
22 front of you together. If you cannot readily locate it, I  
23 can provide another copy.

24 Mr. Chairman, the staff has brought today  
25 witnesses at the request of UCS to respond to questions on

1 Board question UCS 12. Dr. Rosztoczy has previously been  
2 sworn. I would call also Mr. Robert G. LaGrange, who has  
3 not yet been sworn.

4 Whereupon,

5

ROBERT G. LaGRANGE,

6 called as a witness by counsel for the Regulatory Staff ,  
7 having first been duly sworn by the Chairman, was examined  
8 and testified as follows:

9 Whereupon,

10

ZOLTAN R. ROSZTOCZY,

11 called as a witness by counsel for the Regulatory Staff,  
12 having previously been duly sworn by the Chairman, was  
13 examined and testified as follows:

14

DIRECT EXAMINATION

15

BY MR. CUTCHIN:

16 Q Gentlemen, do you have before you a document  
17 bearing the caption of this proceeding and entitled "NEC  
18 Staff Supplemental Testimony of Zoltan R. Rosztoczy Relative  
19 to Environmental Qualification of Equipment Important to  
20 Safety (UCS Contention 12)," which consists of seven  
21 numbered pages?

22

A (WITNESS ROSZTOCZY) Yes, we do.

23

Q Was that testimony prepared by you or under your  
24 supervision?

25

A (WITNESS ROSZTOCZY) Yes, it was.

1 Q Did you participate in the preparation of the  
2 testimony also, Mr. LaGrange?

3 A (WITNESS LaGRANGE) Yes, I did.

4 Q Are there any corrections that you wish to make to  
5 this testimony, either of you?

6 A (WITNESS ROSZTOCZY) No, we have no corrections at  
7 this time.

8 Q Is the testimony as filed with the Board and the  
9 parties, then, true and correct to the best of your  
10 knowledge and belief?

11 A (WITNESS ROSZTOCZY) Yes, it is.

12 Q And do you both adopt it as your prefiled  
13 testimony in this proceeding?

14 A (WITNESS ROSZTOCZY) Yes, we do.

15 Q Mr. LaGrange?

16 A (WITNESS LaGRANGE) Yes, I do.

17 Q Mr. LaGrange, did you also prepare a document  
18 labeled "Professional Qualifications of Robert G. LaGrange,"  
19 consisting of one page?

20 A (WITNESS LaGRANGE) Yes, I did.

21 Q Is it a true and correct statement of your  
22 professional qualifications?

23 A (WITNESS LaGRANGE) Yes, it is.

24 MR. CUTCHIN: Mr. Chairman, I would ask that the  
25 document, consisting of seven pages of supplemental



1 testimony on UCS 12, plus the one-page professional  
2 qualifications of Robert G. LaGrange be received into  
3 evidence and bound into the transcript at this point as if  
4 read.

5 I would note here parenthetically that a copy of  
6 Dr. Rosztoczy's professional qualifications was bound into  
7 the record with his previous appearance on November 26th.

8 CHAIRMAN SMITH: How about the attachments to the  
9 testimony?

10 MR. CUTCHIN: I will approach them separately,  
11 sir.

12 CHAIRMAN SMITH: If there are no objections, the  
13 testimony is received and bound into the transcript, and the  
14 professional qualifications of Mr. LaGrange.

15 (The documents referred to, the statement of  
16 Messrs. LaGrange and Roztoczy and Mr. LaGrange's  
17 professional qualifications, together with the four  
18 attachments described below, follow:)

19

20

21

22

23

24

25

insert #1  
6/29

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the matter of )  
METROPOLITAN EDISON COMPANY, )  
ET. AL. )  
(Three Mile Island Nuclear )  
Station Unit 1) )

Docket No. 50-289

NRC STAFF SUPPLEMENTAL TESTIMONY OF ZOLTAN R. ROSZTOCZY  
RELATIVE TO ENVIRONMENTAL QUALIFICATION  
OF EQUIPMENT IMPORTANT TO SAFETY

(UCS CONTENTION 12)

UCS Contention 12 states in pertinent part that "TMI-1 should not be permitted to resume operation until all safety-related equipment has been demonstrated to be qualified to operate as required by GDC 4. The criteria for determining qualification should be those set forth in Regulatory Guide 1.89 or equivalent." GDC 4 requires that structures, systems, and components important to safety be designed to accommodate the effects of and be compatible with the environmental conditions associated with normal operation and postulated accidents. For the purposes of this proceeding the equipment and environmental conditions of interest are those associated with accidents having a nexus to the TMI-2 accident. Thus, the equipment required to safely shutdown the reactor following a loss of feedwater and small break loss of coolant accident must be qualified to perform their safety functions when subjected to the environmental conditions to which they would be exposed during the period in which those safety functions must be performed.

As indicated in my previous testimony following Tr. 6927-A, the criteria against which the electrical equipment will be evaluated and the methods to be used to qualify the equipment are set forth in the DOR Guidelines and NUREG-0588. The Commission has stated that these documents form the requirements which licensees and applicants must meet in order to satisfy the legal requirement of GDC 4.

By letter dated May 1, 1981, the NRC requested information concerning the qualification of electrical equipment required to mitigate the consequences of a small break loss of coolant accident (SBLOCA). The licensee provided their response in an attachment to a May 18, 1981 letter, and references qualification information previously submitted by letter dated January 30, 1981. In response to staff questions, the licensee provided supplemental information by letter dated June 5, 1981.

The licensee's submittal identifies all Class IE electrical items, located in a SBLOCA harsh environment, that are required to bring the plant to a safe shutdown. An analysis was performed to define the most severe environmental conditions, i.e., temperature, pressure, humidity, chemical spray, submergence, and radiation levels, that the equipment located both inside and outside containment could be subjected to. The analysis considered a range of break sizes concurrent with a loss of offsite power, loss of

main feedwater, and a worst case single failure, i.e., the loss of one emergency diesel generator. The environmental conditions defined as a result of this analysis were then used to evaluate the qualification of the required electrical equipment.

The staff has completed its review of the licensee's January 30, May 18, and June 5, 1981, submittals. This review involved an evaluation of the list of equipment identified as required to mitigate the consequences of the SBLOCA, the environmental (service) conditions specified for the equipment, and the qualification information provided for each piece of equipment. The qualification information reviewed was data extracted from referenced documentation which contain detailed information concerning the qualification of the equipment. The staff is in the process of reviewing the supporting documentation referenced by the licensee and other qualification information that may be applicable to equipment installed at TMI-1.

As a result of its review, the staff agrees that the licensee has identified all the equipment, located in a harsh environment, required to safely shutdown the reactor in the event of a loss of feedwater/SBLOCA.

In its review of the environmental conditions specified for the equipment, the staff performed their own analyses and calculations to assess the adequacy of the licensee's specified environmental conditions. The staff determined that, with the exception of the radiation levels in the Auxiliary Building, the most severe environmental conditions that could

result from this postulated event have been specified by the licensee. The staff determined that a reasonable estimate of the radiation doses in the Decay Heat Pump Rooms of the Auxiliary Building, normal plus accident, following a postulated SBLOCA would be greater than specified by the licensee. Therefore, in its review of the qualification information provided by the licensee for the electrical equipment, the staff used its own estimate of the radiation doses in the Auxiliary Building.

Using its own, higher estimate for the radiation doses in the Auxiliary Building, together with the other environmental conditions specified by the licensee, the staff reviewed the environmental qualification information submitted by the licensee. As a result of this review, the staff has determined that all the identified electrical equipment, located in the harsh environment, have been demonstrated to be capable of performing their intended functions following a loss of feed-water/SBLOCA event, with the following exceptions. Two models of Conax Connectors have not been demonstrated to be qualified, two Limitorque motor operators that may become submerged have not been qualified for submergence; several items of equipment use materials that have calculated qualified lives of six years or less and, in some cases, the aging evaluations are still ongoing; the test report referenced by the licensee to demonstrate qualification of Foxboro pressure transmitters indicates that three of eight of the tested transmitters failed during the radiation test and further, the model tested is not the same model used at TMI-1; recent testing

on Limitorque operators with Reliance motors have resulted in failures of the motors under more severe environmental conditions than expected for the event being analyzed at TMI-1 and the applicability of these tests to the valves and for the environmental conditions expected for TMI-1 have not been evaluated.

For the two unqualified models of Conax Connectors, the licensee has committed to replace these with a qualified model prior to restart.

For the two motor operators, the licensee has provided justification acceptable to the staff for interim operation, which demonstrates that these motor operators will be capable of performing their containment isolation functions following this postulated event. The licensee states that these valves will close prior to becoming submerged and that there is sufficient time for the operators to verify this by examination of the position indicator lights, as required by emergency procedures. As soon as the valves close, the valve motors are de-energized. Further, if the limit switches are shorted out by subsequent submergence, the control circuit fuse should blow. However, this results in a loss of the already verified valve position indicator lights. The contactors which energize the actuator motors are located in a motor control center which is not subject to submergence and, therefore, submergence will not cause a change in valve position. The licensee also states

that submergence of any of the electrical components in the motor operators will not affect any other electrical system because of the isolation provided by the motor control center.

The staff recommends that as a condition of restart that the licensee commit to the following or, if not, that the Commission require the licensee to:

1. Replace materials with a qualified life of 1.5 years prior to restart.
2. Prior to criticality, put in a place a maintenance and replacement program that will assure all materials with a qualified life of less than 40 years will be replaced when needed.
3. Consider aging of the materials during the periods prior to installation, during plant operation, and during the periods the plant is not operating in establishing the material replacement schedules.
4. Complete the aging evaluations for the equipment still to be evaluated prior to exceeding 5% power operation and factor the results into the replacement program, if required.
5. For the Foxboro pressure transmitters, reevaluate the referenced test report to justify the acceptance of the test results for demonstrating Foxboro pressure transmitters are qualified for the specified radiation levels. The failures occurred during a test to radiation levels several thousand times greater than the radiation levels expected as a result of

a loss of feedwater/SBLOCA event. Also, provide justification for applying the test results to the transmitter model installed in TMI-1 and provide the results of the above evaluation and justification to the NRC for review prior to exceeding 5% power operation.

6. Evaluate the information made available to them prior to criticality, concerning the recent testing on Limitorque motor operators, and determine whether the results of that testing are applicable to the operators in TMI-1 for the event being analyzed. Prior to exceeding 5% power operation, provide the results of this evaluation to the NRC for review.

Based on the results of its review, the commitments made by the licensee, and the recommended conditions of restart, as discussed above, the staff concludes that the equipment necessary to cope with a loss of feedwater/SBLOCA event will have been demonstrated, prior to exceeding 5% power operation, to be capable of performing their safety functions when subjected to the environmental conditions to which they would be exposed during the period when their functions must be performed, should this event occur.



insert #2

PROFESSIONAL QUALIFICATIONS  
OF  
ROBERT G. LaGRANGE

I am a Senior Mechanical Engineer in the Equipment Qualification Branch, Division of Engineering, Office of Nuclear Reactor Regulation, United States Nuclear Regulatory Commission. My duties and responsibilities involve the review and evaluation of the structural integrity, operability, and functional capability of safety-related mechanical and electrical equipment, mechanical components, and their supports under all normal, abnormal, and accident environmental conditions and in the event of seismic occurrences and other pertinent dynamic loads including the formulation of regulations and safety criteria. I am also responsible for managing and coordinating various outside technical assistance programs and consulting activities related to the equipment qualification aspects of nuclear plants. Prior to my present appointment in the Equipment Qualification Branch, I was an Applied Mechanics Engineer in the Engineering Branch, Division of Operating Reactors. My duties and responsibilities included the review, analysis and evaluation of structural and mechanical aspects of safety issues related to reactor facilities licensed for power operation.

I have a B.S. degree in Mechanical Engineering from the University of Maryland (1972) and have done graduate work at both the University of Maryland and George Washington University.

Prior to my joining the NRC, I was associated with the Electric Power Corporation as a Group Leader in the piping stress analysis group. My duties and responsibilities included performing and supervising stress analyses of nuclear power plant piping, and related activities, with emphasis on seismic analysis.

1           MR. CUTCHIN: Mr. Chairman, I would also like to  
2 ask, I think the attachments that were filed, with the one  
3 exception of the thick pages, would better be bound into the  
4 transcript. So I would not choose to label them as  
5 exhibits, but I will now identify them for the record.

6           Attached to the prefiled testimony was a letter  
7 dated May 1st from Mr. John Stolz of the NRC staff to Mr.  
8 Henry Hukill of Metropolitan Edison, the subject being  
9 "TMI-1 Restart Environmental Qualification." That consists  
10 of a one-page document.

11           BY MR. CUTCHIN: (Resuming)

12         Q     Are you familiar with that document, Dr. Rosztoczy  
13 and Mr. LaGrange?

14         A     (WITNESS ROSZTOCZY) Yes.

15         Q     And does that document reflect the request made of  
16 Met Ed with respect to demonstration of qualification of  
17 equipment to the small break LOCA?

18         A     (WITNESS ROSZTOCZY) Yes, it did.

19         Q     There is also attached to your prefiled testimony  
20 a document dated May 18th, consisting of three pages plus a  
21 component list notes page and numerous pages labeled  
22 "component list," 17 in number. That letter is identified  
23 as L1L-161 and was written by Mr. Henry D. Hukill to the  
24 Office of Nuclear Reactor Regulation, attention Mr. John  
25 Stolz.

1 Does that letter consist of the information  
2 initially reviewed by the staff to determine if the  
3 components list identified was qualified to withstand the  
4 environment associated with a small break LOCA?

5 A (WITNESS LaGRANGE) Yes, it is.

6 BY MR. CUTCHIN: (Resuming)

7 Q Also attached to your original prefiled testimony  
8 was a letter dated June 5th, denoted as L1L-176 from Mr.  
9 H.D. Hukill to the Office of Nuclear Reactor Regulation,  
10 attention Mr. Stolz. Attached to that were two pages of  
11 questions and answers.

12 Were those questions and answers -- were the  
13 answers in response to questions posed by the staff in  
14 connection with a small break qualification review?

15 A (WITNESS LaGRANGE) Yes, they were.

16 MR. CUTCHIN: There's one additional letter, dated  
17 June 12, 1981, identified as L1L-180, from Mr. Hukill to the  
18 office of Nuclear Reactor Regulation, attention John Stolz,  
19 and it includes one additional page of questions and  
20 answers. Were those additional questions and answers also  
21 referred to in your review of the qualification of equipment  
22 for the small break LOCA environment?

23 A (WITNESS LaGRANGE) No.

24

25

1 Q Can you identify the purpose of the additional  
2 questions and answers, then?

3 A (WITNESS LA GRANGE) We had asked those questions  
4 of the licensee in order to clarify some points prior to  
5 writing the testimony. However, we did not receive them  
6 prior to filing the testimony.

7 Q But you did, indeed, did you not, have the  
8 information and this confirmed information you had  
9 previously received?

10 A (WITNESS LA GRANGE) Some of it,

11 MR. CUTCHIN: Mr. Chairman, I would ask that these  
12 documents that have been identified be bound, be received  
13 into evidence and bound into the transcript at this point.

14 CHAIRMAN SMITH: We don't have the letter of June  
15 12.

16 MR. CUTCHIN: I can supply you with additional  
17 copies, sir. That is the letter to which I referred just  
18 before the witnesses took the stand.

19 (Pause.)

20 CHAIRMAN SMITH: Yes, we have it. Okay, so you  
21 want to bind them into the transcript. And what will be  
22 their status as far as evidence is concerned?

23 MR. CUTCHIN: I ask that they be received into  
24 evidence. They are the information that the staff used. I  
25 will identify one additional document which provides the

1 details of the list in the May 18 letter, but I will  
2 identify that as an exhibit and in their totality these  
3 documents will comprise the information that the staff  
4 referred to in its review of the qualification of equipment  
5 to the small break LOCA environment.

6           CHAIRMAN SMITH: I see no problem with your  
7 approach. These documents will be regarded as evidence and  
8 available for proposed findings. They don't seem to fall  
9 into the category of being exhibits or as testimony.

10           MR. CUTCHIN: They are not testimony. They could  
11 have been labeled exhibits, but I thought, because of their  
12 small bulk, it would perhaps be more efficient.

13           CHAIRMAN SMITH: We will receive them into the  
14 transcript as if they were exhibits. This, I think, is a  
15 totally new category of evidence.

16           MR. CUTCHIN: There was one additional document  
17 which was served on the Board and the parties and it was  
18 about one inch thick and each sheet in the package was  
19 labeled a "system component evaluation work sheet." Those  
20 sheets are the references identified in the attachment to  
21 the May 18 letter that was just received in evidence.

22           I do not, Mr. Chairman, have the latest staff  
23 exhibit number, but I would like to have this package  
24 identified as a staff exhibit. I understand that Exhibit  
25 Number 16, Staff Exhibit Number 16 is the appropriate



1 CHAIRMAN SMITH: Mr. Pollard?

2 MR. POLLARD: I have a number of exhibits to  
3 distribute, first, before we begin.

4 (Pause.)

5 CHAIRMAN SMITH: We have the SER but we don't have  
6 the cover letter. That's right, that was off the record.

7 MR. POLLARD: We can go through and explain.

8 I have distributed to the Board and to the  
9 reporter copies of I&E Bulletin 7901B and the three  
10 supplements. I would ask that that be marked for  
11 identification as UCS Exhibit -- I am not sure the next  
12 number -- I believe it is 36.

13 MR. BAXTER: Excuse me, Mr. Pollard, we already  
14 have an identification of UCS Exhibit 36 as the Secretary's  
15 paper on pressurized thermal shock. I think the next one  
16 would be 37.

17 MR. POLLARD: So I&E Bulletin 7901B would be  
18 marked for identification as UCS Exhibit 37.

19

20 (The document referred to was  
21 marked UCS Exhibit No. 37  
22 for identification.)

23 I next distributed to the Board and to the parties  
24 and three copies to the reporter of a document which on the  
25 cover page is listed "Master List, Three Mile Island Unit 1,





1 for identification.)

2 (Pause.)

3 MR. POLLARD: And I have given to the reporter  
4 three copies, and to the Board one copy, of a letter dated  
5 March 24, 1981, to Mr. Henry D. Hukill, Vice President and  
6 Director of TMI-1, from John F. Stolz of the NRC staff. The  
7 subject is environmental qualification of safety-related  
8 electrical equipment. Attached to the March 24, 1981,  
9 letter is a safety evaluation report by the Office of  
10 Nuclear Reactor Regulation for Three Mile Island Unit  
11 entitled "Environmental Qualification of Safety-related  
12 Electrical Equipment."

13 I would ask that this be marked for identification  
14 as UCS Exhibit 40.

15 CHAIRMAN SMITH: Why shouldn't this be a staff  
16 exhibit, as all of the other TMI 1 restart SERs are?

17 MR. CUTCHIN: This is in no way related to the  
18 subject matter within the proceeding in the staff's view,  
19 Mr. Chairman, and that is the primary reason why we put in  
20 these other documents as comprising the basis for our  
21 review.

22 That SER is addressed to the totality of the  
23 equipment that has to be qualified for withstanding any set  
24 of accident conditions and, as was discussed here on April  
25 21, the staff has limited its review in this hearing to



1           MR. CUTCHIN: No, sir. It may well be that the  
2 information that the staff reviewed and addressed in this  
3 more narrowly defined approach that was outlined to the  
4 Board on April 21 does indeed duplicate information that may  
5 be included in that March 24 document, but for the purposes  
6 of this proceeding we thought it was more efficient to put  
7 in the documents that we have just put into the record as  
8 being the totality of the information that the staff used to  
9 do its review in this proceeding rather than including a lot  
10 of other material that we would view as being outside the  
11 scope of this proceeding.

12           DR. JORDAN: But I notice it does identify  
13 deficiencies, for example, and it is not a question of  
14 whether those deficiencies existed as of that date.

15           MR. CUTCHIN: It depends on what accident one is  
16 qualifying the instrumentation and equipment to withstand.  
17 It may well be that a piece of equipment would be viewed to  
18 be, for lack of a better word, not demonstrated to be  
19 qualified to withstand the large break LOCA environment but  
20 may well have been demonstrated at present to be able to  
21 withstand the small break LOCA environment.

22           DR. JORDAN: All right, I understand a little  
23 better now.

24           MR. CUTCHIN: The March 24 document would be the  
25 review to the larger envelope, if you will.

1 DR. JORDAN: All right.

2 CROSS EXAMINATION

3 BY MR. POLLARD:

4 Q Mr. LaGrange, on your statement of professional  
5 qualifications can you tell me what role you have played in  
6 the review of the environmental qualifications of the Class  
7 1-E electrical equipment for Three Mile Island Unit 1  
8 restart?

9 A (WITNESS LaGRANGE) Yes. I reviewed the  
10 qualification information that was submitted by the Licensee  
11 as shown on the system component evaluation work sheets, and  
12 I compared that information against the environmental  
13 conditions that the equipment might see during the accident  
14 to determine whether or not it would be -- that it would  
15 qualify for these conditions.

16 Q And you say in your professional qualifications  
17 that you are responsible for managing and coordinating  
18 various outside technical assistance programs and consulting  
19 activities related to the equipment qualification aspects of  
20 nuclear plants. Can you describe for me some of the tasks  
21 that you are managing and coordinating with respect to the  
22 qualification of electrical equipment?

23 A (WITNESS LaGRANGE) I have none at present.

24 Q Prior to being assigned to the review of the  
25 environmental qualification of the electrical equipment for

1 Three Mile Island Unit 1 did you participate in any  
2 activities involving a review of environmental qualification  
3 of electrical equipment?

4 A (WITNESS LaGRANGE) Yes.

5 Q Can you describe for me, please, what you did?

6 A (WITNESS LaGRANGE) For seven other operating  
7 units I also did the same environmental qualification review.

8 Q With what training did you have, do you feel, that  
9 equips you to do such reviews?

10 A (WITNESS LaGRANGE) I have no specific training  
11 relative to environmental qualification reviews.

12 Q Did you participate in the development of any  
13 standards related to environmental qualification of  
14 electrical equipment?

15 A No, I did not.

16 Q Would it be correct, then, to say, sort of, that  
17 this is on-the-job training; that prior to being told to  
18 evaluate the environmental qualification of electrical  
19 equipment you had no training to prepare you for doing that?

20 A (WITNESS LaGRANGE) I would say that that is  
21 true. However, the job that I have been assigned, comparing  
22 information submitted by the Licensee against environmental  
23 conditions specified with that equipment, in my opinion I  
24 don't think extensive training is required in that area.

25

1 Q With respect to your testimony for today, have  
2 you, the staff, completed the review of Met Ed's response to  
3 I&E Bulletin 79-01B and its three supplements?

4 A (WITNESS LaGRANGE) Yes. I am sorry. I have to  
5 qualify that. Supplement 3 required some information on  
6 cold shutdown concerning equipment to achieve cold shutdown,  
7 and TMI-related equipment has to be installed, and that  
8 review has not been completed.

9 Q Is that the only exception where you have not  
10 completed your review of the responses to Bulletin 79-01B  
11 and its supplements?

12 A (WITNESS LaGRANGE) As far as I know, yes.

13 Q In the environmental qualifications safety  
14 evaluation report --

15 A (WITNESS ROSZTOCZY) Mr. Pollard, may I add to the  
16 previous question? In addition to the part which has been  
17 delayed by supplement 3 to the bulletin, there are also some  
18 other ongoing works, and those are so identified in our SER,  
19 the one that you have marked as Exhibit No. 40, I believe.

20 (Pause.)

21 Q The March 24 SER asks the Licensee to provide the  
22 information identified in sections 3 and 4 of the safety  
23 evaluation to you within 90 days. Has the Licensee done  
24 that?

25 A (WITNESS ROSZTOCZY) It is 90 days from the

1 receipt of the SER, and that 90 days I believe will be up  
2 some time this week. As far as I know, we have not yet  
3 received a response to that SER.

4 Q And do you plan to issue the SER supplement prior  
5 to restart, the environmental qualification SER supplement?

6 A (WITNESS ROSZTOCZY) We expect to issue it.  
7 Whether it will be before restart I am not sure. This  
8 review is being done for all operating plants as one overall  
9 work, and whether it will be completed prior to the restart  
10 I am not sure.

11 Q So do I understand you correctly, then, that for  
12 all of the open items in the March 24, 1981, safety  
13 evaluation on environmental qualification, you believe the  
14 plant is safe enough to restart without resolving those  
15 items?

16 MR. CUTCHIN: Mr. Chairman, objection here. I am  
17 going to object on the basis of the relevance of that answer  
18 to the issues in this proceeding. There has been no showing  
19 that that question is limited to the qualification with  
20 respect to loss of main feedwater followed by a small break  
21 LOCA, and I would like the question so limited.

22 (Pause.)

23 MR. POLLARD: The contention we are addressing,  
24 Mr. Chairman, states in part that TMI-1 should not be  
25 permitted to resume operation until all safety-related

1 equipment has been demonstrated to be qualified to operate  
2 as required by general design criteria 4. When Mr.  
3 Rosztoczy testified last November -- I believe that is at TR  
4 following 6927A -- he referred us to the safety evaluation  
5 report which would be published following the review of the  
6 Licensee's submittals in response to I&E Bulletin 79-01B.

7           At that time there was no such limit to the scope  
8 of the staff's review as to what evidence they were going to  
9 produce with respect to this contention.

10           CHAIRMAN SMITH: Do you think that is a waiver?

11           MR. POLLARD: It seems to me relevant to this  
12 contention whether or not the equipment at Three Mile Island  
13 Unit 1 is in fact qualified in accordance with the  
14 requirements of GDC-4. I do not see why it must be limited,  
15 as Mr. Cutchin suggests, to the small break LOCA.

16           MR. CUTCHIN: Might I address that further, Mr.  
17 Chairman, because there have been intervening events between  
18 the November 26th testimony of Mr. Rosztoczy, the important  
19 one being the abandonment by UCS of that contention. I  
20 believe -- I don't have it in front of me, but in early  
21 December the record could reflect that, or early January it  
22 may have been. But it was after Mr. Rosztoczy had testified  
23 previously.

24           And so the Board in effect adopted portions of  
25 that abandoned contention and, as the staff indicated here



1 in April, that its intention was to address qualification of  
2 equipment only to the extent of that equipment that was  
3 necessary to cope with a loss of main feedwater accompanied  
4 by a small break LOCA. And at that point the contention was  
5 the Board's contention or the Board's question and no longer  
6 the broad UCS contention.

7           MR. BAXTER: Mr. Chairman, I'm sorry to correct  
8 counsel for the staff, but I believe that UCS did abandon  
9 this contention in the summer of 1980, before the proceeding  
10 started. It was in July of 1980. They had asked at that  
11 point that the Board take up this issue, along with UCS 6  
12 and UCS 8, which the Board did.

13           But I don't think that is controlling. There are  
14 some other events, though, that do influence the scope of  
15 the issue in my view. One is the fact that on October 24,  
16 1980, the Commission issued an order imposing technical  
17 specification modifications to this license, and along the  
18 same time frame they issued such orders with respect to  
19 other operating reactors, imposing the requirement that the  
20 Commission's May 1980 order issued in response to UCS's  
21 petition, i.e. that equipment be qualified to NUREG-0588 or  
22 the DOR guidelines by July 30, 1982 or June 30, 1982, be a  
23 condition of this license, and that Licensee be required  
24 also to maintain documentation.

25           So I think to a certain extent that the Commission

1 has taken over this issue since it was first accepted as a  
2 contention by the Board in December 1979, and then  
3 subsequently abandoned by UCS in the summer of 1980, but  
4 taken on as a Board question. So I think it is highly  
5 appropriate for the staff now to try and construe the issue  
6 as they have with respect to events that have an immediate  
7 nexus to the accident. Otherwise, I think we would be  
8 jumping in and attempting to do the generic review that the  
9 Commission obviously has under way as a separate proceeding  
10 to this one.

11           CHAIRMAN SMITH: Well, we were not prepared for  
12 this type of objection. Most of our files are now back in  
13 Bethesda. We're going to have to rely entirely upon the  
14 parties to provide the information we need to rule.

15           Do I understand your comments, Mr. Cutchin, that  
16 you would not be objecting had the contention not been  
17 withdrawn?

18           MR. CUTCHIN: No. I think, Mr. Chairman, it is  
19 more a matter of what is within the scope of this  
20 proceeding. I had misremembered when the abandonment took  
21 place, but I don't think, abandonment or no, it really makes  
22 any significant difference to the scope of the issue to be  
23 heard here. And that is qualification or demonstrated  
24 qualification to withstand environments associated with  
25 clear and close analogues to the TMI-2 accident.

1           And the Board has said time and time again that is  
2 loss of main feedwater, accompanied or no by a small break  
3 LOCA, and that is the limitation.

4           CHAIRMAN SMITH: And then when the Board adopted  
5 the contention, did we narrow it specifically?

6           MR. CUTCHIN: Well, the Board had originally said  
7 equipment within the containment and the auxiliary building,  
8 and I think the scope of the proceeding is what narrowed it,  
9 and I think in April when Mr. Tourtellotte was indicating to  
10 the Board what our intention was with respect to addressing  
11 this contention at the time, he again intimated that we  
12 would limit our testimony to qualification to withstand the  
13 environments associated with clear and close analogues to  
14 the TMI-2 accident.

15           The Board, if I recollect -- I don't remember the  
16 page numbers, but it was on April 21st, if my memory serves  
17 me correct -- indicated at the time that it would have had  
18 no interest in calling witnesses even, perhaps, and that is  
19 when they decided to leave it up to the parties to decide if  
20 they wanted to call witnesses.

21           CHAIRMAN SMITH: He stated on April 21st, on page  
22 19,487, that whatever evidence is presented on this issue  
23 would have to be consistent with the standard used  
24 throughout the area, and that is there must be a close nexus  
25 to the accident.

1 DR. JORDAN: Could you give us a little bit more  
2 in the way of examples of qualifications that are not  
3 included therefore because, in your opinion, they are  
4 outside the scope?

5 MR. CUTCHIN: Well, it may be better, Dr. Jordan  
6 -- I will make an attempt, but then it may be better to ask  
7 the witnesses. But it is my understanding that the  
8 harshness of the pressure and temperature environment over  
9 some periods of time, at least, and the harshness of the  
10 radiation environment to which certain of this equipment  
11 would be exposed is dependent on the basic accident that it  
12 is being qualified to withstand.

13 For instance, if you took the full-blown large  
14 break LOCA with the attendant core damage that might accrue  
15 to the extent of the 50.46 limits, there may be a harsher  
16 environment with respect to radiation, temperature and  
17 pressure.

18 DR. JORDAN: I see. Could I ask -- and perhaps  
19 you will want to refer then to your witnesses -- if the  
20 small break LOCA environment does not include the full  
21 release of gaseous fission products, 100 percent of the  
22 xenons, kryptons, 50 percent of the iodines, does it not  
23 include the flooding that occurred at TMI?

24 I don't see it wouldn't be a harsher environment  
25 if there is a full break LOCA so far as radiation is

1 concerned or flooding is concerned; is that correct?

2 MR. CUTCHIN: Well, it may be correct, Dr.  
3 Jordan. But we can confirm this with the witnesses with  
4 respect to the flooding that would eventually occur. But  
5 with respect to the radiation, the radiation that was  
6 reviewed for here was that associated with one percent  
7 failed fuel. That is clearly spelled out in the testimony.  
8 Because if you have a small break LOCA the temperature of  
9 the cladding never goes above on the order of 1100 degrees,  
10 so you would never get the release of the radioactive  
11 products that you would, say, with the large break LOCA.

12 DR. JORDAN: Now I am completely and utterly  
13 puzzled.

14 MR. CUTCHIN: Maybe we better go to the witnesses,  
15 sir. But I don't see them contradicting me yet.

16 DR. JORDAN: I think this is perhaps a matter  
17 outside of those witnesses' competence right at the moment,  
18 and that is why I am interested, because it was my  
19 understanding that during the TMI-2 accident the radiation  
20 was greatly in excess of that which you would expect under  
21 10 50.46.

22 MR. CUTCHIN: As was the damage to the fuel.

23 DR. JORDAN: As was the damage to the fuel. And  
24 are you therefore claiming at this time that there will  
25 never, can never be -- that it was a Commission policy not

1 to discuss the releases beyond that of 10 CFR 50.46?

2 MR. CUTCHIN: Dr. Jordan, I cannot say what is and  
3 what isn't Commission policy with any clarity. But I guess  
4 for reference I could go back to the Commission's ruling on  
5 the hydrogen issue, and there indeed they said to go beyond  
6 what was required by 50.46 would take some special showings,  
7 and they were never made in this proceeding.

8 DR. JORDAN: I guess I am puzzled because it seems  
9 to me that we have time and again during this proceeding  
10 discussed the radiation levels that would be expected during  
11 a release of all the kryptons and xenons; that this came up,  
12 for example, in the emergency planning preparations. And I  
13 just cannot remember any other places, but it seems to me  
14 that we have not -- and as a matter of fact, it was -- in  
15 adopting this question, I adopted it with the idea that we  
16 must address radiation qualification of equipment similar to  
17 that of the TMI-2 accident.

18 And this is the first time I have heard, or at  
19 least that it sunk into me, that we were now going to go  
20 back to a different standard of radiation. It's entirely  
21 new to me.

22 MR. CUTCHIN: I guess I cannot address that other  
23 than to say I am sorry it was misunderstood. But with  
24 respect to the requirements for demonstration qualification,  
25 I guess all I can say is the Board will have to decide

1 whether it believes that the demonstration of qualification  
2 should have been to a harsher environment than what we have  
3 done. And if that happens, of course, there is much more  
4 work to be done, because, as is demonstrated by the March  
5 24th safety evaluation report, if this Board is going to  
6 take it within this hearing to decide the full qualification  
7 issue we are going to spend a lot more time.

8 DR. JORDAN: I understand. Then one more  
9 question, and we will have to consider this, go into it.  
10 There is no representation, either on the part of the  
11 Licensee or the staff, that the equipment inside the  
12 containment -- and that was the limitation we did put on, as  
13 you recall.

14 MR. CUTCHIN: And the auxiliary.

15 DR. JORDAN: And the auxiliary buildings. That  
16 there was no limitation on that equipment beyond that  
17 required for a release of one percent. And I guess I have  
18 to think back now to a recent amendment 25 by the licensee,  
19 in which they discussed the radiation levels, the shielding  
20 levels, and those shielding levels on equipment and  
21 radiation levels were not based on a one percent release.

22 MR. CUTCHIN: That is correct, sir.

23 DR. JORDAN: And so therefore, I guess, why is it  
24 that we have, when it comes to meeting that particular  
25 requirement of the order that the shielding be adequate to

1 handle a TMI-2 type accident, that the radiation levels in  
2 the auxiliary building and so on be based upon those  
3 releases, why is it different then for the shielding than it  
4 is for the equipment?

5 MR. CUTCHIN: Well, there are a number of  
6 situations, Dr. Jordan, in which the staff, for defense in  
7 depth considerations, insists that a Licensee demonstrate  
8 backup capability. I think this may be one of those. The  
9 shielding analysis is indeed based on large break LOCA  
10 considerations.

11 DR. JORDAN: How about small break LOCA?

12 MR. CUTCHIN: Well, the small break LOCA would be  
13 enveloped by the radiation levels associated with a large  
14 break LOCA.

15 MR. POLLARD: Mr. Chairman, may I address this  
16 point some? In discussion with staff counsel, Ms. Weiss  
17 learned perhaps three or four weeks ago from Mr. Cutchin, as  
18 I understand it, that the staff was considering taking the  
19 position on this contention that they needed to demonstrate  
20 environmental qualification just for a small break LOCA and  
21 just for obtaining a safe hot shutdown condition. It was at  
22 that time, or perhaps even more recently, that it was  
23 brought to our attention -- it was on the 21st, and I think  
24 it was at that time that the Board Chairman said, did you  
25 consult with UCS. And that apparently went away when



1 someone reminded the Board that this contention had been  
2 adopted by the Board, it was no longer a UCS contention.

3           So the first time we finally became aware that the  
4 staff was going to take this position was approximately last  
5 week, when they now told us they were going to adopt the  
6 position that they need not demonstrate sufficient  
7 environmental qualification to bring Three Mile Island Unit  
8 1 to a cold shutdown, that they need not consider the  
9 environmental qualification for a main steam line break, and  
10 that they need not consider the qualification for a high  
11 energy line break outside containment as an issue needed to  
12 be resolved in order to recommend restart.

13           Throughout this proceeding we have, for example,  
14 discussed the extent to which there was safety-related  
15 equipment to bring the plant to cold shutdown. We have  
16 discussed the radiation levels that will be present outside  
17 of containment, assuming that we had core degradation. This  
18 was specified in the requirements of 0737 as to what  
19 radiation level should be used.

20           The staff's SER supplement number 3, issued in  
21 April of 1981, at particularly page 38 and 39, where they  
22 are discussing the environmental qualification requirement  
23 for the emergency feedwater flow transmitters, clearly is an  
24 environment that goes beyond an environment that would be  
25 created at that location caused by a small break loss of

1 coolant accident.

2           It seems to me that, considering the scope of the  
3 contention as written and adopted by the Board, the staff  
4 has made a determination as to whether or not this plant is  
5 safe enough to restart, but only recently have they decided  
6 that they would only examine loss of main feedwater small  
7 break LOCA. It seems to me consistent with the rest of the  
8 testimony in this hearing that we have to explore to what  
9 extent the equipment qualification deficiencies were a  
10 lesson from the Three Mile Island accident. And I don't  
11 think if you have deficient environmental qualification in  
12 terms of your safety equipment that you can justify restart  
13 without considering the equipment qualifications for other  
14 accidents other than a small break LOCA.

15

16

17

18

19

20

21

22

23

24

25

1           CHAIRMAN SMITH: Why?

2           MR. POLLARD: For example, if you are evaluating  
3 the reliability of the emergency feedwater system, which we  
4 went into a great deal in assessing the adequacy of the  
5 defense against Contentions 1 and 2, where we had to either  
6 rely upon emergency feedwater or high pressure injection in  
7 the feed and bleed mode, now, if the equipment in the  
8 emergency feedwater system is not qualified to a high energy  
9 line break in the auxiliary building I think that would  
10 affect the Board's determination of whether or not the core  
11 cooling systems are adequately reliable to allow restart.

12           MR. BAXTER: Mr. Chairman, the issues that UCS  
13 attempts to litigate in this proceeding with this  
14 construction of the contention are the matters that were  
15 brought to the Commission in their generic remedial petition  
16 where they requested, in addition, that plants be required  
17 to demonstrate the environmental qualification of  
18 safety-related equipment, that the Commission, on an  
19 emergency basis, suspend the operation of all nuclear power  
20 plants in the country until this demonstration was made.

21           The Commission specifically has declined to do  
22 that in response to that petition in the order they issued  
23 in May 1980, which, to my knowledge, has not been appealed.

24           Therefore, to argue here that we have to  
25 essentially complete the Commission's entire 7901B review

1 before this Board can consider staff and Licensee  
2 recommendations to restart the unit is essentially to ask  
3 the Commission to reconsider what has already been ruled  
4 upon in response to UCS's filings and contentions in that  
5 area.

6 I would also point out the fact that elsewhere in  
7 the proceeding with respect to other issues we have  
8 discussed emergency planning. We have discussed degraded  
9 cores for the purposes of inadequate core cooling and the  
10 development of procedural guidance to the operators without  
11 considering how we necessarily got there.

12 It is not inconsistent with the assumptions the  
13 staff makes in this testimony. It is repeated and consistent  
14 practice in the Commission that for one regulatory purpose  
15 one assumption is made and for another one another one is  
16 made. We did not assume that the TMI-2 accident happens and  
17 look at the consequences of it to consider the qualification  
18 of all equipment in the plant at this point.

19 DR. JORDAN: I guess I'm a little puzzled, Mr.  
20 Baxter. Are you saying that we should not take a consistent  
21 attitude with respect to the requirements that if the staff,  
22 for example, in requiring that there be level  
23 instrumentation because they think it has a nexus to the  
24 TMI-2 accident, in their view level information would be  
25 valuable?

1           If they say well, if we have nothing but a small  
2 break LOCA -- well, would the Licensee argue, for example,  
3 since it is only a small break LOCA we are talking about and  
4 if we have only a small break LOCA within the limits of 5046  
5 then obviously there is not going to be any core damage or  
6 the need for core cooling, so long as you stay within the  
7 requirements of 5046. And, therefore, it is outside the  
8 scope? Could you argue that way?

9           Are you saying that sometimes we consider  
10 accidents which have a close nexus and other times we should  
11 not consider accidents? This, for example, and now we're  
12 talking about equipment qualifications and radiation levels,  
13 then we abandon the idea of close nexus because it was  
14 obviously much higher radiation levels than we are talking  
15 about under the 5046 levels.

16           MR. BAXTER: I don't associate the concept of  
17 nexus to the accident with carrying forward for the purposes  
18 of all regulatory considerations and analyses the status of  
19 the core at TMI-2 after the damage was done. No, sir.

20           And I don't find that inconsistent with your  
21 considering whether you might want to, as a prudent measure,  
22 recommend additional instrumentation, for inadequate core  
23 cooling, to consider and postulate non-mechanistically what  
24 a degraded core and other situations might look like, that  
25 might be helpful to the operator as opposed to going back to

1 your regulatory loss of coolant accident analysis under  
2 5046, Appendix K, for looking at how equipment will  
3 withstand that kind of environment -- the small break LOCA  
4 environment.

5 DR. JORDAN: All right. One of the lessons --  
6 certainly one of the lessons learned from the TMI-2 accident  
7 was that the equipment was not adequate and there have been,  
8 particularly inside the containment. Now tell me where we  
9 stand legally or the regulatory position with respect to  
10 0737, obviously does address, I believe -- does not 0737  
11 itself address the radiation levels inside of containment  
12 and the requirements and the need for equipment  
13 qualification?

14 MR. CUTCHIN: Dr. Jordan, I think one of the  
15 problems here may be that the short-term versus the  
16 long-term considerations, again. And, with respect to the  
17 example that you used with respect to level transmitters for  
18 the short-term or for restart, there are -- is only needed  
19 to be a showing of reasonable progress toward demonstrating  
20 qualification or providing equipment that was qualified to  
21 that level.

22 So I think that may be part of the problem and  
23 there are lots of inconsistencies on the surface or  
24 apparently inconsistencies in the way we approach these  
25 things.

1 DR. JORDAN: Let's go to 0737. Could we do that  
2 for a moment? It might help us.

3 MR. CUTCHIN: I don't believe I have my copy here.

4 DR. JORDAN: I have my copy. Do you remember what  
5 section it is that discusses equipment qualifications?

6 MR. CUTCHIN: Roman II, capital B, 3, I  
7 understand, sir.

8 DR. JORDAN: No, that is post-accident sampling  
9 capability.

10 MR. CUTCHIN: Then my information was wrong, sir.

11 MR. POLLARD: It is II, B, 2, Design of Plant  
12 Shielding and Environmental Qualification of Equipment for  
13 Space Systems which may be used in Post-Accident Operations.

14 DR. JORDAN: Okay. Yes, precisely.

15 Are you saying that this -- and I have not taken  
16 the time to read it, of course -- are you saying that 0737  
17 applies to operating reactors but that the dates required  
18 are specified and that those dates are beyond restart and,  
19 therefore, it becomes a long-term item, as we have  
20 considered in some other instances?

21 MR. CUTCHIN: I am told, Dr. Jordan, that is one  
22 of the items that was addressed in the separate package of  
23 SERs.

24 (Pause.)

25 MR. CUTCHIN: I am told that it is not one of the

1 ones that was addressed as having to show reasonable  
2 progress toward during our review in the package of 0737  
3 items that we culled out as being outside the order.

4           It is also addressed, I am told, Dr. Jordan, in  
5 Supplement number 3 to NUREG-0680, which was Staff Exhibit  
6 number 14 on page 11 of Table B-2, and the comment there, in  
7 connection with this item, Plant Shielding, is that  
8 equipment qualification of safety-related electrical  
9 equipment was not identified in the order.

10           The Licensee's response to this item will be  
11 evaluated during staff review of NUREG-0737 responses, which  
12 puts it in the category of other operating reactors.

13           CHAIRMAN SMITH: Does the Commonwealth have a  
14 position?

15           One final thing. Would you address or respond to  
16 the comments about the Commission's ruling on hydrogen  
17 certification and what guidance we may take from that, if  
18 any?

19           DR. JORDAN: May I just point out, while he is  
20 thinking about that, that, of course, 0737 does consider 100  
21 percent of the core equilibrium noble gas releases and 25  
22 percent of the hydrogen, which is, as I say, exactly what I  
23 had remembered it to be. So I think all we are talking  
24 about now is whether this is an 0737 item that is outside  
25 the scope of this hearing.



1           MR. POLLARD: Mr. Chairman, I don't know what the  
2 connection is with the Commission's ruling on hydrogen,  
3 because throughout this proceeding we have been looking at  
4 other of the lessons-learned requirements, which clearly  
5 presumed that there had been some core damage with respect  
6 to the radiation levels for developing the shielding design  
7 outside of containment.

8           So I don't know how to address, other than it  
9 seems like it was an isolated ruling of the Commission as to  
10 just whether that particular requirement with respect to  
11 hydrogen would be waived or not.

12          DR. JORDAN: Just one further question before we  
13 do take a break.

14          I am looking now at item 2.1.6.b of the lessons  
15 learned report which has to do with the design review of  
16 plant shielding and spaces for post-accident operations, so  
17 this is certainly one of the short-term lessons learned  
18 items.

19          Now I will turn for the first time to the table of  
20 2.1.6.b, complete design review is a category A item and the  
21 modifications, however, are of category B items. And, are  
22 you saying that the design review has been completed under  
23 the requirements of 2.1.6.b for releases?

24          MR. CUTCHIN: I am told that is correct, Dr.  
25 Jordan.

1 DR. JORDAN: All right. What are the releases?

2 Are the releases those of 0737?

3 MR. CUTCHIN: The ones that are specified in 0737.

4 DR. JORDAN: All right, then, you see I'm  
5 completely puzzled, because that is 100 percent of the  
6 natural gases.

7 MR. CUTCHIN: And that is correct. That is what  
8 was used for the plant shielding design review. It was  
9 reviewed against those numbers.

10 DR. JORDAN: I see, so the shielding review was  
11 done in terms of the 100 percent releases, but the  
12 qualification reviews were not?

13 MR. CUTCHIN: The qualification reviews ultimately  
14 will be, in looking toward the 6/30/82 requirement that was  
15 laid on by the Commission's May 23, 1980 order, but for  
16 purposes of this proceeding and for restart and to put TMI  
17 in the same category, if you will, as other operating  
18 reactors, which, I believe, the Commission indicated should  
19 be done unless the record indicated there was a basis for  
20 doing something different, the staff chose to do the review  
21 for purposes of this limited scope, the modified way or the  
22 narrower way.

23 DR. JORDAN: I now understand better, I believe,  
24 the staff position. Is that essentially the Licensee's  
25 position too?

1 MR. BAXTER: We agree with the staff's position.

2 CHAIRMAN SMITH: Is there anything further?

3 DR. JORDAN: We'll need to take a little break  
4 here and go and discuss this item. Is there anything  
5 further?

6 MR. POLLARD: All plants are being reviewed  
7 against 7901B, and among those requirements are the  
8 requirements to consider high energy line breaks inside and  
9 outside containment and to consider large break LOCAs. And  
10 the question, remember, which engendered all of this  
11 discussion was I simply asked the witnesses, for all of the  
12 open items in the environmental qualification SERs, is your  
13 position these need not be resolved prior to restart.

14 CHAIRMAN SMITH: We'll take a fifteen-minute  
15 recess.

16 (A brief recess was taken.)

17 CHAIRMAN SMITH: The Board is not prepared to make  
18 a ruling. The major problem is that I don't understand the  
19 issue. It is possible that some arguments have been made  
20 that include extraneous arguments which I am trying to force  
21 into the issue, but I can't. So I am going to ask for a  
22 fresh start and summarize your positions again for us.

23 But I just simply am not able to help Dr. Jordan  
24 in making a ruling, because I don't understand the issue.  
25 To me it seemed to be a rather simply one that fell within

1 the consistent rulings that we made a to the close nexus to  
2 the accident. But I've heard so many additional comments I  
3 am just concerned that I am missing something. So start  
4 again.

5           What is the question that is being objected to? I  
6 think it is important that we take time to resolve this  
7 because I think it will affect the entire cross examination,  
8 so what is the question? Whatever the question was, phrase  
9 it again so that we know exactly what it is.

10           Well, withdraw the question and make it now. Bear  
11 in mind that we are going to start afresh. Here is the  
12 question back to us. Do I understand you correctly that for  
13 all of the open items in the March 24, '81, safety  
14 evaluation of environmental qualification -- on  
15 environmental qualification -- you believe the plant is safe  
16 enough to restart without resolving those items? Now does  
17 the question frame the issue correctly that we are to rule  
18 on?

19           MR. POLLARD: I don't believe so.

20           CHAIRMAN SMITH: It's not a short-term-long-term  
21 issue -- a short-term or a long-term issue?

22           MR. POLLARD: I didn't understand your last  
23 comment.

24           CHAIRMAN SMITH: Well, we can take this that the  
25 objection is going to be related to -- I mean, this

1 question, the way the question is phrased, it could be that  
2 you are talking about short-term-long-term allocations.

3 MR. POLLARD: Let me convey my understanding of  
4 the issue which the staff has tried to bring up earlier in  
5 today's cross examination.

6 CHAIRMAN SMITH: Well, first, is this question  
7 focused enough for your purposes? Are you satisfied with  
8 this question?

9 MR. POLLARD: I am satisfied with the question for  
10 where I was in my cross examination plan. I don't think it  
11 is adequate for the discussion that subsequently followed.

12 CHAIRMAN SMITH: All right.

13 MR. POLLARD: I think the staff used this as a way  
14 to bring up the dispute early.

15 My understanding of the dispute between UCS and  
16 the staff is, as I understand their position -- and perhaps  
17 we can do better by cross examining the witnesses on their  
18 testimony -- they believe that this contention can be  
19 adequately responded to by demonstrating solely that there  
20 is enough equipment environmentally qualified to cope with a  
21 loss of main feedwater small break LOCA and bring the plant  
22 to a safe hot shutdown.

23 What I was launching into on my cross examination  
24 was to determine on what basis the staff believes that Three  
25 Mile Island Unit 1 is safe enough to restart without

1 considering the environmental qualification of equipment  
2 needed to take the plant to a cold shutdown in the event of  
3 loss of main feedwater small break LOCA and whether or not a  
4 lesson learned from the accident was that the environmental  
5 qualification is deficiency and, therefore, also to justify  
6 a restart, whether the staff has examined the environmental  
7 qualification of the equipment needed to cope with a large  
8 break LOCA, a main steam line break inside containment, or a  
9 high energy line break outside containment and take the  
10 plant to a safe cold shutdown.

11 CHAIRMAN SMITH: You're talking too fast.

12 MR. POLLARD: I'm sorry.

13 Is that correct, Mac, or can you phrase it better  
14 -- the dispute.

15 MR. CUTCHIN: It is a scope question, in my view,  
16 Mr. Chairman.

17 CHAIRMAN SMITH: Okay. I couldn't pick up the  
18 last minute or so of your comments. I think we're out of  
19 shape.

20 MR. POLLARD: Whether or not to say the plant is  
21 safe enough to restart should the staff evaluate the  
22 environmental qualification of equipment needed to cope with  
23 a main steam line break or a high energy line break outside  
24 containment, in both cases be able to take the plant to a  
25 cold shutdown using environmentally-qualified equipment?

1 DR. JORDAN: Yes, I do understand what you are  
2 asking and I think in some ways that was a simpler  
3 question. Perhaps I was the one that brought it up because  
4 I felt it was broader issue. And I brought it up because  
5 even in the case of a small break accident, which we had at  
6 TMI-2, the radiation levels were very much higher than those  
7 that are assumed in 5486 and 5484.

8 And then I said, further, is it necessary in view,  
9 I would postulate, that in view of TMI-2 small break  
10 accident where there were these large radiation levels, that  
11 provision should be made for coping with them. Well, it  
12 seems to me that the answer -- the reply -- has been yes,  
13 the Commission has indeed made provision for coping with  
14 these levels because the TMI lessons learned, when it talked  
15 about shielding, it required an analysis which involved 100  
16 percent of the fission product release. And that analysis  
17 had to be done by a certain date and, in fact, the Licensee  
18 in his last amendment has made such shielding calculations  
19 on the basis of a release of 100 percent of the fission  
20 products.

21 And then I said, well, if he has to make the  
22 shielding calculation, why doesn't he have to make the  
23 environmental calculations or qualifications? As a matter  
24 of fact, I think he has to do more than make the shielding  
25 calculations. He has to show how the operator can cope with

1 these levels in the auxiliary building, even though those  
2 are -- the levels are very high, and I believe there are  
3 going to be equipment changes made which will allow the  
4 operator to do these operations remotely and not required to  
5 go in. So that, I believe, there is no question but what  
6 this is well within the scope.

7           But now, then, my understanding is that yes, the  
8 shielding calculations will be required as a matter of  
9 restart because it exists as part of the requirement in  
10 0578. However, the equipment qualifications -- the  
11 environmental qualifications for the equipment that must  
12 stand this radiation is not required for restart. It is in  
13 0737. It is one of the items that is a long-term item. The  
14 equipment qualifications will be done, but it will not be  
15 done for restart.

16           Now I do not believe and I suspect the argument  
17 would be we do not have to consider it in this hearing  
18 because it is not one of the mandatory issues. It is only  
19 an 0737 issue and not a NUREG-0678 issue. And, therefore,  
20 you do not have to demonstrate that there is progress --  
21 adequate progress -- because it is not one of the mandatory  
22 issues.

23           Now it was a UCS question that was adopted in this  
24 hearing because of its close nexus and no one, I think, is  
25 questioning that at all. The Board adopted it and the Board



1 adopted it with the idea that, as I stated a little while  
2 ago, that the radiation levels were so high that -- during  
3 the TMI-2 accident -- that therefore it is obvious the  
4 provision must be made. I don't think there's any question  
5 but what everybody agrees that provision must be made for  
6 these very high levels.

7           The Commission will require all plants to make  
8 provision for environmental qualification of these high  
9 levels, but they are not going to do it by September or  
10 whenever one projects for restart.

11           Now whether that -- is my summary an accurate  
12 reflection of the status? And now I would invite the  
13 Chairman to ask you questions on the basis of my summary.  
14 First of all, have I erred in the summary?

15           MR. CUTCHIN: That summary appears to the staff to  
16 be a correct statement.

17           CHAIRMAN SMITH: Part of my problem -- only a part  
18 of my problem is that when there is a crossing over to the  
19 short-term-long-term considerations in this case, the  
20 short-term-long-term considerations in 0737, which are not  
21 within the scope of this hearing, without an identification  
22 of the various categories we should be discussing.

23           Dr. Jordan just discussed what the Commission is  
24 going to require in the long term. I don't know if he means  
25 that that is included in the scope of the hearing. You

1 didn't mean that?

2 DR. JORDAN: I didn't mean that. I believe that  
3 there are many items that are in 0737 that are long-term  
4 items that have been agreed to that are not within the scope  
5 of the hearing, and I presume it is the staff's and  
6 Licensee's position that this is one of them and that when I  
7 adopted the question -- well, we didn't have 0737 at that  
8 time.

9 So that obviously, therefore, the situation has  
10 changed since the Board adopted the question, as a matter of  
11 fact.

12 CHAIRMAN SMITH: Mr. Pollard, is there anything in  
13 the March 24, 1981, SER which is beyond the scope of this  
14 proceeding?

15 (Pause.)

16 MR. POLLARD: I don't know how to answer your  
17 question, Mr. Chairman.

18 CHAIRMAN SMITH: Well, you'd better because  
19 otherwise your question fails on your own statement. I mean  
20 the question which is the issue.

21 Your question, I think, makes the assumption that  
22 all of the open items in the March 24 SER are within the  
23 scope of this proceeding, otherwise the question would be  
24 objectionable for irrelevancy if nothing else.

25 MR. POLLARD: It seems to me the main question UCS

1 has raised in this proceeding, including this contention, is  
2 whether the short-term lessons learned are sufficient to  
3 allow restart. So the question as to is there anything in  
4 the SER outside the scope of the hearing, what I tried to  
5 start questioning on was whether those open items in the SER  
6 have to be resolved before restart and, if not, why not.

7           Now if the answer to that is they think the answer  
8 is it is a legal question that they need not resolve them,  
9 then I guess that is the answer to the question.

10           CHAIRMAN SMITH: Well, what if we should find in  
11 the SER a description of a problem with no relationship to  
12 the accident which would indicate to the Commission and to  
13 the staff that that plant should not be allowed until that  
14 problem is resolved? Would we have jurisdiction to hear  
15 it? I would say no, even though the literal answer to the  
16 question that you are posing is are the short-term items  
17 sufficient to assure the health and safety of the public we  
18 further modify that question as to tests of sufficiency  
19 within the context of the hearing in all the rulings we've  
20 been making ever since we began making rulings, coming close  
21 to two years now.

22           MR. POLLARD: Well, Mr. Chairman, it depends, I  
23 suppose, how you want to determine what the lessons learned  
24 is. If the TMI-2 accident, which happened to be a small  
25 break LOCA, demonstrated that the equipment in Three Mile

1 Island Unit 1 did not meet the requirements of general  
2 design criterion 4, I don't know how, on a technical basis,  
3 you could exclude considering whether those instruments  
4 would also fail for a steam line break.

5           In other words, are we to allow Three Mile Island  
6 Unit 1 to restart by ruling it outside the scope of this  
7 hearing that the equipment does not meet general design  
8 criterion 4 for some other accident other than a small break  
9 LOCA?

10           CHAIRMAN SMITH: Can you point to any parallel  
11 issues that the Board has had when we have ruled the way  
12 that you are asking us to rule?

13           (Pause.)

14           CHAIRMAN SMITH: Would you note, please, that Dr.  
15 Little has joined the Board?

16           (Dr. Little joined the Board at 11:18 a.m.)

17           (Pause.)

18           CHAIRMAN SMITH: We'll perhaps give you another  
19 opportunity to come back to that point. It seems to me,  
20 just looking through this SER -- the problem may very well  
21 be that I just don't understand your point. But looking  
22 through this, for example, I see -- just an example of where  
23 I opened up to page 5 where there is a section there under  
24 aging. While although they stated it does not require an  
25 aging qualification it requires quite a few actions that

1 have to be taken under the consideration of aging.

2           As far as I know there is no relationship to aging  
3 of environmental effects of aging. I mean, the effects of  
4 aging -- the relationship between aging of equipment and  
5 environmental qualification as it relates to the accident.

6           MR. POLLARD: But in fact that item you have  
7 picked is addressed in today's testimony. In fact, they are  
8 proposing a condition on restart dealing with aging.

9           CHAIRMAN SMITH: Okay, then, I want to know why  
10 they include that in their direct testimony.

11           MR. POLLARD: Well, I think we can establish  
12 through the witnesses that in fact aging is directly related  
13 to environmental qualification. What you want to know is,  
14 even if you limit the scope to small break LOCAs, can the  
15 equipment that is 40 years old withstand the small break  
16 LOCA environment as well as a piece of equipment that is  
17 five years old?

18           CHAIRMAN SMITH: Why do we want to know that? Why  
19 do we want to know that in this hearing? We are not talking  
20 about 40-year-old equipment in this hearing. Or are we? I  
21 mean, I don't know.

22           I mean if they put it in the direct testimony they  
23 must have a reason for it but I need some explanation on why  
24 it is.

25           DR. JORDAN: May I ask one question? I notice,

1 for example, in the 7901B supplement number 3, which was  
2 issued on October 24, 1980, requires qualification  
3 information for equipment needed to achieve and maintain a  
4 hot, safe shutdown condition, must be submitted not later  
5 than November 1, 1980. And so be the qualification -- the  
6 information for equipment required to achieve and maintain a  
7 cold shutdown condition must be submitted not later than  
8 February 1, 1981.

9           Now are these dates that have slipped and are no  
10 longer current?

11           MR. CUTCHIN: I'm not sure of the answer to the  
12 second question, Dr. Jordan. The submittal of information  
13 to demonstrate capability to go to a hot shutdown following  
14 the small break LOCA was indeed submitted and reviewed by  
15 the staff in connection with their preparation of testimony  
16 in response to this Board question.

17           DR. JORDAN: All right.

18           MR. CUTCHIN: Whether the other information has  
19 been submitted and reviewed I am uncertain to say. The  
20 witnesses may be able to answer that. I don't know.

21           CHAIRMAN SMITH: Can anyone else be helpful?  
22 Would you like to summarize now your objection? What is the  
23 central point? What is the basic reason in just summary  
24 identification that you would have us sustain the objection?

25           MR. CUTCHIN: It is the staff's position, Mr.

1 Chairman, that the demonstration of qualification of  
2 equipment in this proceeding should be limited to  
3 qualification to withstand accident situations having a  
4 clear and close analog to the TMI-2 accident.

5 CHAIRMAN SMITH: Which is a small break LOCA and  
6 loss of main feedwater.

7 MR. CUTCHIN: A loss of main feedwater accompanied  
8 by a small break LOCA.

9 DR. JORDAN: But accompanied with large amounts of  
10 radiation.

11 MR. CUTCHIN: No, sir.

12 DR. JORDAN: That, you say, is outside the scope  
13 of this hearing? And that is the reason?

14 MR. CUTCHIN: Because I think that is what the  
15 whole hearing is ultimately about -- if this Board and the  
16 Commission don't agree that the prevention of a recurrence  
17 of the TMI-2-type situation has been demonstrated to be  
18 possible.

19 CHAIRMAN SMITH: Well, can you give us a little  
20 bit more than that? Is it because of 5046 that we cannot  
21 consider the radiation levels that actually existed in the  
22 accident, or is that your plain ordinary argument that we  
23 cannot receive evidence because we have to make an  
24 assumption that the accident won't happen again and that is  
25 what we are up here to find out.

1           We have rejected that argument from the very  
2 beginning of the hearing.

3           MR. CUTCHIN: Well, I think, Mr. Chairman, that we  
4 have come up with a scenario, and that scenario being the  
5 small break LOCA and the accompanying environment and for  
6 the small break LOCA that is a design basis event. You will  
7 not get those high radiation levels associated with it.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1           CHAIRMAN SMITH: Well, why not just come up with  
2 the scenario of the accident?

3           MR. CUTCHIN: Of which accident, Mr. Chairman?

4           CHAIRMAN SMITH: Well, you know, there's a very  
5 well-known accident in this vicinity.

6           MR. CUTCHIN: That is correct.

7           CHAIRMAN SMITH: Why can't we use the very  
8 accident that happened as the test for admissibility, I  
9 mean, of the environmental qualification, the very accident  
10 and the very consequences of that accident, other than your  
11 argument that the accident is not going to happen again,  
12 which that is what we are here to decide, not to pre-decide,  
13 not to decide before we receive the evidence.

14          MR. CUTCHIN: The staff has reviewed this  
15 qualification of equipment against a loss of main feedwater  
16 accompanied by a design basis small break LOCA, and the  
17 radiation levels associated with TMI-2 were well beyond  
18 those which would be associated with a design basis small  
19 break LOCA.

20          Now, there is no question that ultimately TMI will  
21 have to demonstrate qualification of equipment to all of  
22 these things which Mr. Pollard seeks to raise.

23          CHAIRMAN SMITH: Why do they not have to  
24 demonstrate environmental qualification for the radiation  
25 levels which were observed in the accident?

1 MR. CUTCHIN: In our view, it is beyond the design  
2 basis associated with a small break LOCA.

3 CHAIRMAN SMITH: Is that the only reason, then,  
4 that you are offering for your objection?

5 MR. CUTCHIN: That is my understanding of the  
6 staff's position and that is a technical position. And so  
7 if the witnesses disagree I would ask them to comment.

8 CHAIRMAN SMITH: You are not pointing to any  
9 regulation?

10 MR. CUTCHIN: I am not pointing to any  
11 regulation.

12 CHAIRMAN SMITH: Do you have any more comments,  
13 Mr. Baxter?

14 MR. BAXTER: The only clarification or addition I  
15 wanted to make to Dr. Jordan's summary is I think it is not  
16 just a difference between NUREG-0578 and NUREG-0737, because  
17 of my remarks earlier about the Commission's generic 01-79B  
18 program as being complementary to the staff's taking on the  
19 scope of this hearing. The 79-01B program goes beyond the  
20 0737 item we have been discussing. That is not all embodied  
21 here. So we're not just talking about 0578 versus 0737. I  
22 think we're talking about a completely different Commission  
23 program, generic and outside of this proceeding, which I  
24 think complements, is not the basis solely but it  
25 complements the interpretation the staff has given to the

1 issue.

2           CHAIRMAN SMITH: Now, you said before we could  
3 take some guidance from the Commission's ruling on the  
4 hydrogen certification. Do you believe that is the case and  
5 why? What guidance can we take from that ruling?

6           MR. CUTCHIN: I had indicated that that was my  
7 argument, Mr. Chairman..

8           CHAIRMAN SMITH: What guidance can we take from  
9 that ruling?

10          MR. CUTCHIN: Because that again is not a design  
11 basis scenario, and for the same reason.

12          CHAIRMAN SMITH: Is that why the Commission ruled,  
13 then, on hydrogen?

14          MR. CUTCHIN: I believe -- and I could stand  
15 corrected -- but the hydrogen released in the TMI-2 accident  
16 scenario was in greater amounts than the amount that is  
17 designed for in 50.46. Now, I am looking at the witness. I  
18 believe --

19          DR. JORDAN: There is no question about that.

20          MR. CUTCHIN: And there clearly the Commission did  
21 not allow in this proceeding inquiry into demonstration of  
22 capability to cope with that amount of hydrogen, absent some  
23 scenario.

24          CHAIRMAN SMITH: That is because there was a  
25 regulation, 50.44, that said this is the amount of hydrogen

1 that you must assume would be released. And they said, for  
2 reasons that they put forth in their opinion, that we were  
3 going to stick by our regulation.

4 But I just asked you if there is a regulation  
5 which would require us to assume lower amounts of radiation  
6 than actually existed during the accident. And you say --

7 MR. CUTCHIN: There is no regulation to which I  
8 can point that limits the amount of radiation other than to  
9 that associated with the credible accident scenarios. And  
10 the staff -- and I'm going to have to call on our technical  
11 witness here -- the amount of radiation to which or for  
12 which equipment must ultimately be demonstrated to be  
13 qualified is higher, a higher amount than what the staff has  
14 reviewed qualification against for this small break LOCA.  
15 And that demonstration will be made over the longer term.

16 CHAIRMAN SMITH: Generically?

17 MR. CUTCHIN: Generically.

18 CHAIRMAN SMITH: You see, this is going to go --  
19 when you start talking about what they're going to do  
20 generically, you take me down the path. When I'm trying to  
21 rule in this case, it just causes me confusion. So when you  
22 do that, start talking generically, because I followed your  
23 reasoning as if it was something that was going to happen  
24 within the staff's responsibilities in this case.

25 But I understand now generically, not as a result

1 of this accident, they're going to require much greater.  
2 Now I'm just worried now, right now, what the relation will  
3 be in this accident. So you are not depending on the  
4 radiation postulations or the radiation calculations of  
5 50.46?

6 MR. CUTCHIN: I guess I don't recall any 50.46  
7 radiation postulations.

8 DR. JORDAN: Mr. Cutchin, I think your argument  
9 for hydrogen would be the same as for radiation. Under  
10 50.46 the amount of damage to fuel elements is limited to  
11 one percent, and therefore the amount of radiation. So long  
12 as we are dealing with a design basis small break LOCA, I  
13 don't think there's any question that we are dealing with  
14 one percent of the hydrogen and one percent of the  
15 radiation.

16 And therefore I think the main thing is, are we in  
17 this hearing only going to be dealing with design basis  
18 accidents, and that has not been the case for many of the  
19 items of 0578. So I would say it hardly stands that we are  
20 restricted to design basis accidents.

21 (Board conferring.)

22 CHAIRMAN SMITH: We'll take a very short break.

23 (Recess.)

24 CHAIRMAN SMITH: The Board is still having  
25 difficulties making this ruling. There have been quite a

1 few problems connected with this contention. It was a very  
2 broad contention when accepted by the Board. It was never  
3 -- I don't believe, and I'm not sure -- it never came under  
4 the requirements of greater specificity, as other  
5 contentions did.

6 I guess the best thing we are going to have to do  
7 is construe the contention the way we meant it to be  
8 accepted, which was, as in anything else, there must be a  
9 close nexus to the accident. The bases for the objections  
10 by the parties are not sufficient. I think they could have  
11 been sufficient, but I don't think they were adequately  
12 argued. But it is not our business to argue for parties.

13 In the first place, the staff's position that hot  
14 shutdown is good enough is an issue that is legitimately  
15 litigable. We would have argued that the main steam line  
16 break and the high energy break outside containment are  
17 outside the scope of the hearing, because they don't have a  
18 close argument -- I mean a close relationship, to the  
19 accident. But the question that is being objected to does  
20 not get to that. That is not part of the question.

21 We were not satisfied with Mr. Pollard's  
22 explanation as to why all of the SER environmental  
23 qualification is relevant to this hearing. Not only were we  
24 not satisfied with it, but we didn't understand it. So  
25 maybe if we understood it we would accept it more. But just

1 frankly, I heard what you said but I don't know what those  
2 words mean. I just don't know what they mean in this  
3 hearing.

4           Therefore, we are going to overrule the  
5 objection. But the Board itself will not allow an endless  
6 inquiry into the SER, environmental qualification of  
7 equipment, unless there's a demonstration on the particular  
8 questions that they are relevant to the accident.

9           Also, we will -- during the lunch break we want to  
10 read again the Commission's decision on hydrogen to see what  
11 guidance that gives us. I don't recall the Commission  
12 saying anything about design basis events. I don't think  
13 that was the basis for it, because I don't think that we  
14 have read it the same way. But I will have to concede, Mr.  
15 Cutchin, it has been a wrong time since I have read that  
16 decision. But I might recommend it to everyone's reading  
17 over the lunch break. If we all don't have copies of it, I  
18 think right away we can Xerox it and distribute it, because  
19 we don't have a copy of it here.

20           MR. CUTCHIN: Neither do I, unless we happen to  
21 have it on microfiche somewhere, Mr. Chairman.

22           CHAIRMAN SMITH: Would your office have it?

23           MR. BAXTER: We will check, Mr. Chairman. I don't  
24 know for sure.

25           CHAIRMAN SMITH: So the sum of our ruling is the

1 objection is overruled. But don't be too heartened by that,  
2 Mr. Pollard, because we are not going to allow an  
3 unrestrained examination into this issue.

4 DR. JORDAN: Into accidents that do not bear a  
5 close nexus. But on the other hand, small break LOCA  
6 accidents that have a close nexus to TMI-2, we will say go  
7 ahead.

8 CHAIRMAN SMITH: Didn't we rule in a similar  
9 situation we would not allow an inquiry into a main steam  
10 line break scenario?

11 MR. BAXTER: It was steam generator tube rupture,  
12 Mr. Chairman.

13 CHAIRMAN SMITH: But we did allow the main steam  
14 line break?

15 MR. BAXTER: Not to my knowledge. I don't think  
16 we had a contention specifically into main steam line  
17 break.

18 CHAIRMAN SMITH: We had quite a few questions on  
19 it, okay. But that is our ruling.

20 MR. TOURTELLOTTE: Mr. Chairman, one of the things  
21 I had indicated earlier in April was that we would not be  
22 reviewing this matter in light of the large break LOCA or  
23 main steam line break, and that we did put on the record in  
24 that case. And at that time the Board agreed.

25 CHAIRMAN SMITH: Well, what we agreed with was



1 that the presentation should be -- the consistent standard  
2 that we have applied in this hearing, and that is there has  
3 to be a reasonable nexus to the accident. We didn't, I  
4 don't think, comment particularly on the main steam line  
5 break and large break LOCA.

6           However, I agree with you that if their inquiry is  
7 into a large break LOCA and a main steam line break and an  
8 objection was made, our ruling would be there probably is no  
9 reasonable nexus to the accident.

10           I just reread the transcript pages I think where  
11 we heard what you had to say, and we agreed that it should  
12 be limited to the accident scenario.

13           MR. TOURTELLOTTE: I was merely bringing to your  
14 attention the fact that I did specifically mention main  
15 steam line break and large break LOCA at the time that I  
16 made that argument.

17           CHAIRMAN SMITH: Okay. I understand.

18           Okay, now you may answer. Do you know what the  
19 question is?

20           WITNESS ROSZTOCZY: Yes, would you please restate  
21 the question?

22           CHAIRMAN SMITH: I have it written here. Perhaps  
23 it's the only copy.

24           Question: Do I understand you correctly, then,  
25 that for all the open items in the March 24, 1981, safety

1 evaluation of environmental qualification, you believe the  
2 plant is safe enough to restart without resolving those  
3 items?

4           WITNESS ROSZTOCZY: The March 24 SER provides a  
5 conclusion and the conclusion basically states that the  
6 Commission established certain requirements and certain  
7 deadlines for meeting these requirements. As long as those  
8 requirements are being met on those deadlines, yes, it is  
9 appropriate.

10           BY MR. POLLARD: (Resuming)

11           Q     Let's take specifically, then, an example on page  
12 3 of an open item. In the third paragraph on that page it  
13 states: "Display instrumentation which provides information  
14 for the reactor operators to aid in the safe handling of the  
15 plant was not specifically identified by the Licensee. A  
16 complete list of all display instrumentation mentioned in  
17 the LOCA and high energy line break emergency procedures  
18 must be provided."

19           Now, with respect to the emergency procedures for  
20 a small break LOCA, has the Licensee provided a list of that  
21 instrumentation which is needed for the reactor operator?

22           (Pause.)

23           A     (WITNESS ROSZTOCZY) This requirement to provide  
24 this list was given to the Licensee as part of the larger  
25 SER, the March SER, and the reply to this is due in 90

1 days. So I will assume that this information will be in the  
2 submittal that we expect this week.

3 Q My question is, does this portion of the open item  
4 have to be resolved prior to restart? That is, must Met Ed  
5 provide you with a list of all display instrumentation  
6 mentioned in the small break LOCA emergency procedures and  
7 must you determine that that equipment is either  
8 environmentally qualified or its failure will not mislead the  
9 operator or adversely affect the mitigation of the  
10 consequences of the accident?

11 A (WITNESS ROSZTOCZY) Yes. But it must provide  
12 this information within 90 days of the receipt of the SER,  
13 and that is definitely ahead of the startup date.

14 Q And by then the hearing will be closed. So you  
15 presume -- you suggest we should leave it to the staff to  
16 decide whether this equipment is adequately qualified, is  
17 that right?

18 A (WITNESS ROSZTOCZY) Yes.

19 Q Now, in your response attached to the testimony,  
20 in the Licensee's list of equipment, the May 18, 1981,  
21 letter to Mr. Stolz, did the Licensee identify there the  
22 equipment -- excuse me -- the display instrumentation used  
23 by the operator to cope with design basis small break loss  
24 of coolant accidents?

25 A (WITNESS ROSZTOCZY) I'm sorry, which letter are

1 we talking about?

2 Q I'm sorry, I didn't understand you.

3 A (WITNESS ROSZTOCZY) You were referring to a  
4 letter. Which letter is this?

5 Q The Licensee's letter of May 18th, in response to  
6 your letter of May 1st.

7 A (WITNESS ROSZTOCZY) Which page?

8 Q I was not referring to a specific page. My  
9 question was, in your review of this response did you  
10 determine the Licensee has identified all of the display  
11 instrumentation needed to cope with a small break loss of  
12 coolant accident?

13 MR. CUTCHIN: Mr. Chairman, I would ask for a  
14 clarification on that. I think it should be limited to  
15 display instrumentation located within the containment  
16 building and the auxiliary building, for the purposes of the  
17 scope of this proceeding.

18 CHAIRMAN SMITH: Is that agreeable?

19 MR. PCELLARD: I tried to ask Mr. Shcily what Mr.  
20 Cutchin said. I didn't catch it.

21 DR. JORDAN: I didn't quite understand you. Let  
22 me define. You would like to limit it to equipment inside  
23 the containment or auxiliary building. But of course the  
24 display equipment is inside the control room and that is  
25 obviously included, because it has to do with equipment that

1 is subject to the environmental qualifications.

2           MR. CUTCHIN: To the environmental qualification  
3 in that portion of the building in which it appears, and  
4 that is -- I'll let the witness answer, but that is ambient  
5 in the control room.

6           MR. POLLARD: My question obviously intended to  
7 apply to all of the equipment that is needed to make the  
8 meter in the control room function. When I say an  
9 instrument, I don't simply refer to the meter. I expect it  
10 also to include the sensors which supply the information to  
11 the meter.

12           WITNESS ROSZTOCZY: I'm sorry, are you waiting for  
13 me?

14           BY MR. POLLARD: (Resuming)

15           Q     Yes.

16           A     (WITNESS ROSZTOCZY) Yes, we have looked at the  
17 May 18th submittal and we compared it relative to the small  
18 break emergency procedures.

19           Q     Can you show me where in the Licensee's response  
20 they refer to the pressurizer level instruments?

21           A     (WITNESS ROSZTOCZY) This part of the review has  
22 been performed in a different division. It was not done  
23 under our supervision. We have the report of their  
24 conclusions and they stated in that they have compared it to  
25 the emergency procedures. I don't know the details, how did

1 they perform it.

2 (Pause.)

3 Q Perhaps I misunderstood. When you were asked  
4 during questions by Mr. Cutchin, did you not testify that  
5 the May 18th letter from the Licensee was a complete list of  
6 all of the equipment needed to cope with a small break loss  
7 of coolant accident?

8 A (WITNESS ROSZTOCZY) Are you referring to earlier  
9 testimony today?

10 Q Today.

11 A (WITNESS ROSZTOCZY) I don't believe such a  
12 question was asked and I don't believe such an answer was  
13 given.

14 (Pause.)

15 MR. BAXTER: Mr. Chairman, I don't know whether we  
16 are testing the witness' knowledge of the document or trying  
17 to find out if the information is there. If it is the  
18 latter, I can identify it.

19 BY MR. POLLARD: (Resuming)

20 Q If we turn to page 3 of your direct testimony  
21 today, you say you have completed -- the staff has completed  
22 its review of the Licensee's January 30, May 18, and June 5,  
23 1981, submittals. Then the next paragraph says: "As a  
24 result of its review, the staff agrees that the Licensee has  
25 identified all the equipment located in a harsh environment

1 required to safely shut down the reactor in the event of a  
2 loss of feedwater small break LOCA."

3           Now, are the pressurizer level instruments among  
4 that equipment?

5           A     (WITNESS ROSZTOCZY) I don't know.

6           Q     You don't know whether the pressurizer level  
7 instruments are required to cope with a small break LOCA?

8           A     (WITNESS ROSZTOCZY) This, as I indicated earlier,  
9 this review has been done in a different division not under  
10 my supervision. I provided no guidance for the review and I  
11 do not know what instrument did they include and which one  
12 they did not include.

13          Q     Mr. LaGrange, do you know?

14          A     (WITNESS LaGRANGE) I could look through the list  
15 to find out. But as Zoltan said, I took input from another  
16 branch, who reviewed this equipment list, and they informed  
17 us that all the equipment required to cope with this  
18 accident had been identified, and we continued the review  
19 from that point.

20           MR. CATCHIN: Mr. Chairman, I might note for the  
21 record that back earlier in the proceeding there were issues  
22 to be litigated with respect to the instrumentation and  
23 instrument ranges necessary to cope with various of these  
24 accidents, and there were witnesses available at that time  
25 to address what instruments and the like were necessary. I

1 will stipulate that these witnesses took a list of equipment  
2 that was provided to them and assessed whether or not that  
3 list of equipment was indeed environmentally qualified to  
4 the small break LOCA environment.

5 DR. JORDAN: Well, I think it's not clear to me  
6 what that list includes. I gather that you gentlemen rely  
7 upon other branches for identifying equipment that would be  
8 necessary to deal with say a small break LOCA accident. You  
9 did not yourselves try to identify what information was  
10 required; is that correct?

11 WITNESS ROSZTOCZY: The identification was done by  
12 the Licensee. The Licensee provided the list and then  
13 another department reviewed this list and checked on it  
14 whether they agreed with the Licensee's identification.

15 DR. JORDAN: All right. That list then was  
16 submitted to you; is that correct?

17 WITNESS ROSZTOCZY: Yes, we received a submittal.

18 DR. JORDAN: All right. Then I guess I am puzzled  
19 as to why you don't know whether the pressurizer level  
20 instrument was included on that list. You say you could  
21 --

22 WITNESS ROSZTOCZY: We could look through the list  
23 and find out.

24 DR. JORDAN: Go ahead and do that.

25 WITNESS ROSZTOCZY: Thank you.



1 MR. CUTCHIN: To save time, if we're not testing  
2 the witness' knowledge of the list, we might start on page  
3 16 of 17.

4 WITNESS LaGRANGE: Yes, the level transmitters are  
5 on page 16.

6 MR. POLLARD: I did not understand that.

7 WITNESS LaGRANGE: I said the level transmitters  
8 are on page 16 of the 17-page submittal.

9 BY MR. POLLARD: (Resuming)

10 Q And do you agree with the Licensee's statement on  
11 that page that those are qualified?

12 A (WITNESS LaGRANGE) Yes.

13 Q And how did you determine that?

14 A (WITNESS LaGRANGE) I compared the qualification  
15 information submitted for those level transmitters against  
16 the environmental conditions that were specified for those  
17 transmitters.

18 Q If I could direct your attention to the January  
19 30, 1981, submittal of the Licensee, under the category of  
20 additional accident monitoring equipment, sheet 5 --

21 MR. POLLARD: For the Board's information, the  
22 same information appears on page 71 of UCS Exhibit 39.

23 (Pause.)

24 BY MR. POLLARD: (Resuming)

25 Q Does that page indicate they have not yet

1 completed the evaluation of the qualification for chemical  
2 spray and also for aging?

3 A (WITNESS LaGRANGE) Yes, it does.

4 Q Then on what basis do you conclude that the  
5 equipment is qualified to operate in a small break LOCA  
6 environment?

7 A (WITNESS LaGRANGE) In a small break LOCA the  
8 containment spray is not actuated; therefore it need not be  
9 qualified to chemical spray.

10 Q Did the spray turn on during the TMI-2 accident?

11 A (WITNESS LaGRANGE) I don't know.

12 Q Did you say you don't know?

13 A (WITNESS LaGRANGE) I don't know, no.

14 Q Let's assume for the moment that the spray did  
15 turn on during the TMI-2 accident. Would that change your  
16 conclusion as to whether or not Three Mile Island Unit 1  
17 should be allowed to restart until you have completed your  
18 evaluation of the containment spray qualification of the  
19 pressurizer level transmitters?

20 A (WITNESS LaGRANGE) As Dr. Rosztoczy stated  
21 earlier, the conclusions in the March 24 SER say that  
22 restart should be permitted and that qualification shall be  
23 demonstrated by June 30, 1982.

24 Q What criteria did you use to decide whether a  
25 particular requirement should be met with respect to

1 environmental qualification prior to restart or could wait  
2 until June 30, 1982?

3       A       (WITNESS ROSZTOCZY) The main requirement, what we  
4 are using, is that there has to be reasonable assurance that  
5 the Licensee is going to meet the June '82 requirement. So  
6 we expect the Licensee to proceed on a timetable that is  
7 consistent with the June '82 final deadline. The 90-day  
8 response was set up keeping this in mind and that is why  
9 they were limited that they had to provide the information  
10 within 90 days.

11       Q       Do you have any technical basis from your  
12 evaluation of the adequacy of the instrumentation for saying  
13 it is safe enough to restart without completing the chemical  
14 spray aspect of environmental qualification for the  
15 pressurizer level instruments prior to restart?

16       A       (WITNESS ROSZTOCZY) We have the technical bases  
17 which are spelled out in the SER.

18       Q       And can you specifically tell me what that is?

19       A       (WITNESS ROSZTOCZY) It is the concluding part of  
20 the SER, I believe the last page.

21               Specifically let me refer you to the very end of  
22 the SER. This is I think the last sentence, starting with  
23 the words, "This conclusion is based on the following," and  
24 then there are one, two, three items listed.

25               DR. JORDAN: That is on page 11?

1 WITNESS ROSZTOCZY: Yes, sir.

2 BY MR. POLLARD: (Resuming)

3 Q Am I correct that the SER identifies what I might  
4 call three categories of deficiencies: one category where  
5 immediate corrective action would be required; another  
6 category where additional information and/or corrective  
7 action is required; and another where the equipment is  
8 conditionally acceptable? Is that correct?

9 A (WITNESS ROSZTOCZY) Yes, that is correct.

10 Q Now could you please tell me what criteria you  
11 used to decide whether a deficiency required immediate  
12 corrective action or not?

13 A (WITNESS ROSZTOCZY) The question is what was the  
14 criteria to decide whether immediate action was required?

15 Q That's right. Your first justification, item one,  
16 says, "There are no outstanding items which would require  
17 immediate corrective action." And what my question is is,  
18 what criteria did you use to decide whether a particular  
19 outstanding item would require immediate corrective action?

20 A (WITNESS ROSZTOCZY) If there was information  
21 available which would show that the given item, the given  
22 equipment, would not perform its function on the expected  
23 environmental conditions, then we would require immediate  
24 action, provided there are no other means to accomplish the  
25 same function.

1 Q Let me see if I can understand your answer, that  
2 if you had documented proof from a test that the pressurizer  
3 level instruments were not qualified to operate in a spray  
4 environment, you would require immediate corrective action  
5 and you would not allow restart under those conditions; but  
6 under the current condition, where you just don't know, you  
7 are willing to allow restart. Would that be a correct  
8 understanding of your position?

9 A (WITNESS ROSZTOCZY) You are using the example  
10 that I believe it is basically correct. If there was no  
11 information available on a given equipment, that goes into  
12 category B. That would be the second category.

13 Q All right. The second category states: "Some of  
14 the items found deficient have been or are being replaced or  
15 relocated, thus improving the facility's capability to  
16 function following a LOCA or high energy line break." My  
17 question there is, does the phrase "are being replaced or  
18 relocated" mean in all instances prior to restart?

19 MR. BAXTER: As to the LOCA, is that the  
20 limitation?

21 BY MR. POLLARD: (Resuming)

22 Q Excuse me. Yes, as to the LOCA.

23 A (WITNESS ROSZTOCZY) The statement, the basic  
24 statement, is that certain changes have already been made,  
25 additional changes are being made. All of these are going

1 in the direction to improve the safety of the plant.

2 Q My question is, though, for those items where they  
3 have been found deficient, are they being replaced or  
4 relocated prior to restart?

5 A (WITNESS ROSZTOCZY) I am sorry, could I ask you  
6 to repeat the question, the early portion of the question?

7 Q Item 2 states: "Some of the items have been found  
8 deficient."

9 A (WITNESS ROSZTOCZY) Yes.

10 Q That is the first thought. The second thought is  
11 that those have been or are being replaced or relocated. My  
12 question is, for those items which have been found deficient  
13 and are being replaced or relocated, is that replacement or  
14 relocation required to take place prior to restart?

15 A (WITNESS ROSZTOCZY) It is not a requirement to  
16 replace or relocate all those equipment where some  
17 deficiency exists at the present time prior to restart. The  
18 statement is that some of these will be accomplished prior  
19 to restart.

20 Q But for those that are being replaced or  
21 relocated, that would be prior to restart?

22 A (WITNESS ROSZTOCZY) No. We expect that  
23 additional information is coming in which will tell us the  
24 resolution of many of the items which have not yet been  
25 spelled out, and my expectation would be that some of those

1 would be done before restart and some would be done after  
2 restart.

3 Q And this is for equipment where you have already  
4 found deficiencies?

5 A (WITNESS ROSZTOCZY) The deficiencies -- you have  
6 to understand I am talking in the second category. The  
7 deficiency could be that simply there is no information  
8 available in some area of the qualification. At the time  
9 when this was written, the Licensee was still trying to get  
10 hold of that information.

11 There are various possibilities. One possibility  
12 is that they do find information which shows that that  
13 equipment will function and therefore it is appropriate to  
14 leave it in the plant. Another possibility is that they  
15 will perform additional qualification and through this  
16 additional qualification they will show that it is  
17 appropriate to maintain that equipment in the plant. A  
18 third possibility is that they will take some kind of  
19 corrective action, which could be protection, like if the  
20 problem is radiation they can put a shield around it, it  
21 could be relocation -- in case of flooding, that is normally  
22 one of the corrective actions -- or it could be replacement  
23 by some other equipment.

24 We are waiting for the Licensee's decision, how is  
25 he going to resolve each of these.

1 Q Okay. For your third basis for allowing restart  
2 you talk about the harsh environmental conditions for which  
3 this equipment must be qualified result from low probability  
4 events. Events which might reasonably anticipated during  
5 this very limited period would lead to less demanding  
6 service conditions for this equipment.

7 How low a probability is required for you to  
8 classify this as a low probability event?

9 A (WITNESS ROSZTOCZY) The qualification, the  
10 overall qualification has been established to limiting  
11 conditions which cover all loss of coolant accidents, all  
12 steam line breaks and all feed line break accidents. And  
13 the testing, normally the qualification is performed against  
14 these limiting values.

15 The statement here is that the fact that  
16 qualification up to all of those limits, to those high  
17 limits, on each of the qualification parameters, the fact  
18 that the qualification doesn't exist to all of them, that  
19 doesn't necessarily mean that they will not function under a  
20 more likely event.

21 The purpose of today's testimony, which is limited  
22 to small breaks and to bundle fuel failure, is to show that  
23 for a more likely type of event like that one all equipment  
24 will be qualified prior to restart, prior to operation of  
25 the plant.



1 DR. JORDAN: I guess I'm a little puzzled by that  
2 last statement. Hasn't that always been the case, that all  
3 of that equipment had to be qualified for the small break  
4 LOCA's, the design basis accidents? Is there something  
5 new?

6 WITNESS ROSZTOCZY: The basic requirement is  
7 general design criteria 4. There's no change in that. It  
8 is the same as it was before. We are just requiring more  
9 thorough proof to show compliance with it.

10 DR. JORDAN: I see.

11 (Pause.)

12 BY MR. POLLARD: (Resuming)

13 Q Do I correctly understand your testimony that you  
14 consider a high energy line break outside containment to be  
15 such a low probability event that you think the plant can  
16 restart?

17 MR. BAXTER: Objection. I understood the  
18 questioning was going to be limited to the Board's direction  
19 to accidents with a close nexus to the TMI-2 accident.

20 DR. JORDAN: This is what he's going to try to  
21 find out.

22 MR. BAXTER: He's asking about the probability of  
23 high energy line breaks.

24 DR. JORDAN: No, he's not. He's asking if that  
25 was the basis for it. He was not asking necessarily the

1 probability of a high energy line break. He may have been.  
2 In that case I'm wrong. But on the other hand, I thought at  
3 the moment that he was just asking for the criteria.

4 MR. BAXTER: The staff I thought has explained  
5 that the criteria was nexus to the accident in terms of the  
6 scope of the testimony that they're presenting.

7 DR. JORDAN: No, no. It is now clear that that is  
8 no longer the case. What the situation is, that the  
9 criteria of the accident has very little to do with the  
10 equipment qualification for restart, and I think that is  
11 what he was talking about, was the equipment qualification  
12 for restart, and that was not based on the TMI-2 accident.  
13 That is, the harsh environment which the equipment will have  
14 to meet after, in a longer term.

15 Am I correct in what I said? If not, please  
16 correct me. You didn't understand?

17 WITNESS ROSZTOCZY: I'm sorry, I didn't follow.

18 DR. JORDAN: Let me summarize. Is it not the case  
19 that restart will require qualification to the design basis  
20 accidents, small break LOCA's and so on, that in the long  
21 term the qualification will have to be to a harsh  
22 environment which is based upon the TMI-2 or a nexus to the  
23 TMI-2? In other words, a higher radiation environment.

24 WITNESS ROSZTOCZY: The Commission order requires  
25 Licensees to show full compliance with the qualification

1 requirement by June 30th, 1982. So they have until June 3,  
2 1982, to show this for the design basis accidents.

3 DR. JORDAN: They have until June '82 to even  
4 demonstrate compliance with design basis?

5 WITNESS ROSZTOCZY: That is correct.

6 DR. JORDAN: I see, and that is because it isn't  
7 that there has been a change in the criteria for  
8 environmental qualification; there has been a change in the  
9 amount of work that you do in making sure that it is  
10 qualified. Has there been a change in the criteria for  
11 environmental qualifications for the design basis  
12 accidents?

13 WITNESS ROSZTOCZY: There is no change in the  
14 basic criteria.

15 DR. JORDAN: All right.

16 WITNESS ROSZTOCZY: There have been some questions  
17 when you go into more details and clarification has been  
18 provided wherever questions were raised.

19 DR. JORDAN: All right. But now then, they have  
20 until 1982 to demonstrate that all of the equipment has met  
21 the design basis criteria, so-called, presumably the  
22 criteria that they have been under all the time?

23 WITNESS ROSZTOCZY: That's correct.

24 DR. JORDAN: Now then, after 1982, then they will  
25 have to demonstrate some time or other compliance with the

1 harsh environments, with greater amounts of release of  
2 radioactivity outside the design basis accident, such as we  
3 had at TMI-2; is that not correct?

4           WITNESS ROSZTOCZY: The design basis requirement  
5 as far as radioactive material release is concerned is 100  
6 percent noble gases, 50 percent halogens, and one percent  
7 solids. So that it is a very restrictive requirement.

8           DR. JORDAN: That's right. So these have always  
9 been the criteria, really?

10          WITNESS ROSZTOCZY: Yes.

11          DR. JORDAN: All right. To let everybody know  
12 that I goofed this morning, the TMI-2 accident and the  
13 releases there were certainly no more than 100 percent of  
14 the noble gases. So therefore there has been an increase in  
15 the amount of release of radioactive materials. All that  
16 has happened now is that we have got to go back and restudy,  
17 calculate the doses for certain, and demonstrate that indeed  
18 the equipment does do this. And they have until July of '82  
19 to make this demonstration. Now is that correct?

20          WITNESS ROSZTOCZY: That is correct.

21          DR. JORDAN: All right. I was a little unclear  
22 and I needed that clarification. Thank you.

23          Now, I don't think that got you over the objection  
24 that you had to your question, and you may want to ask the  
25 question again, and Mr. Baxter may want to re-object, and

1 that's fine. I really got off on the track of something  
2 else.

3 CHAIRMAN SMITH: We suggest it's been so long  
4 since the question that you place it again and then see if  
5 there is objection. Do you recall?

6 MR. POLLARD: I'll see if I can remember the  
7 question.

8 BY MR. POLLARD: (Resuming)

9 Q I believe what I asked you was: Is the technical  
10 basis for your recommending restart the fact that you  
11 consider a high energy line break outside containment to be  
12 a low probability event?

13 MR. BAXTER: I have to renew my objection, Mr.  
14 Chairman.

15 CHAIRMAN SMITH: Overruled.

16 WITNESS ROSZTOCZY: The most limiting of all high  
17 energy line breaks, the one which was established in the  
18 limiting environmental conditions, is, yes, a very low  
19 probability.

20 BY MR. POLLARD: (Resuming)

21 Q Then you say that since it is going to be a very  
22 limited period of time -- implies that you need not consider  
23 this now because it is a short time between now and June of  
24 1982; is that correct?

25 A (WITNESS ROSZTOCZY) Yes, there's a certain time

1 element involved. And for this plant that would be the time  
2 between restart and June '82. I don't know exactly when the  
3 restart is, but I believe we're talking about a few months.

4 Q Have any companies to your knowledge applied to  
5 the NRC to extend that deadline to June of '83?

6 A (WITNESS ROSZTOCZY) There have been a number of  
7 letters received from utilities expressing difficulties to  
8 meet the June '82 deadline. One of the letters was sent  
9 directly to the Commissioners and I believe that letter in a  
10 sense asked for a delay. It was not to June '83, no.

11 Q Do you know how long the delay was for?

12 A (WITNESS ROSZTOCZY) I believe they were asking  
13 for an equivalent delay, at least an equivalent delay of how  
14 much later than February 1st they received our SFR.

15 Q Now, could the same justification number 3 of low  
16 probability be used to justify continued operation of Three  
17 Mile Island Unit 1 on June 30th of 1982 if the equipment  
18 data is still not available?

19 A (WITNESS ROSZTOCZY) I'm sure all circumstances  
20 would have to be considered at that time if it is not in  
21 full compliance, and I am sure that this would be one of  
22 those that should be considered.

23 (Pause.)

24 Q On your direct testimony for today, on page 1 near  
25 the bottom, you talk about the equipment required to safely

1 shut down the reactor following a loss of feedwater and  
2 small break loss of coolant accident. And on page 3 you  
3 state: "As a result of its review, the staff agrees the  
4 Licensee has identified all the equipment located in a harsh  
5 environment required to safely shut down the reactor."

6 In both of those cases, are you referring to hot  
7 shutdown or cold shutdown?

8 A (WITNESS ROSZTOCZY) Hot shutdown.

9 Q And have you completed your review of the  
10 equipment needed to obtain cold shutdown?

11 A (WITNESS ROSZTOCZY) No.

12 Q And you believe that the plant can restart without  
13 completing that review?

14 A (WITNESS ROSZTOCZY) Yes.

15 Q And during the TMI-2 accident, is it not correct  
16 that the ultimate they were trying to achieve was cold  
17 shutdown, was it not?

18 A (WITNESS ROSZTOCZY) Eventually, you always end up  
19 with a relatively cold case. But I believe in the TMI case  
20 the reactor was kept at hot shutdown condition for quite a  
21 while.

22 Q Can you tell me why you believe the health and  
23 safety of the public is adequately protected if Three Mile  
24 Island Unit 1 is allowed to restart without demonstrating  
25 that there is sufficient equipment qualified to bring the

1 plant to a cold shutdown?

2           A       (WITNESS ROSZTOCZY) There is a requirement on  
3 cold shutdown. They have to meet that requirement, and the  
4 deadline for that again is June '82. So we are not saying  
5 that that one is not required. But following an accident  
6 the reactor can be maintained in a safe condition, even if  
7 it is not cooled down.

8           MR. POLLARD: Mr. Chairman, could I have the  
9 witness answer the question that I asked, please.

10           CHAIRMAN SMITH: I thought that that was  
11 responsive.

12           MR. POLLARD: I asked him why he thought that the  
13 health and safety of the public was adequately protected by  
14 allowing the Three Mile Island plant to restart without  
15 demonstrating environmental qualification of the equipment  
16 needed to obtain cold shutdown. And his only answer was  
17 that eventually they are going to require that.

18           CHAIRMAN SMITH: That wasn't his answer. His  
19 answer was more than that. His answer was that he gave the  
20 date on which it would be required. You may not be  
21 satisfied with the answer, but it was a reasonable response  
22 in his mind and I don't think it was totally unresponsive.

23           Ask another question if it doesn't cover  
24 everything.

25           BY MR. POLLARD: (Resuming)



1 Q At the time of restart, the staff does not know  
2 whether the equipment needed to bring the plant to cold  
3 shutdown will in fact survive long enough to achieve that;  
4 is that correct?

5 A (WITNESS ROSZTOCZY) That information has been  
6 requested and the deadline for submitting information was  
7 February 1st. The information has been received and it is  
8 presently under review. So it is my expectation that it  
9 will be reviewed and will be completed prior to startup of  
10 the plant.

11 Q Then prior to restart all of the equipment needed  
12 to obtain a cold shutdown condition will be environmentally  
13 qualified, is that what you just said?

14 A (WITNESS ROSZTOCZY) No, I didn't say that. I  
15 said that the Licensee was requested to evaluate the  
16 qualification of the equipment needed for cold shutdown and  
17 provide his summary information to us by February 1st. The  
18 Licensee has provided such a submittal. That submittal is  
19 presently under review.

20 I am not sure what was the conclusion, what was  
21 the Licensee's conclusion in there, whether they stated that  
22 everything is fully qualified. And our review, whether we  
23 agreed with their conclusion, is not complete yet.

24 Q Is it the staff's position that your review must  
25 be completed prior to restart?

1 A (WITNESS ROSZTOCZY) No.

2 Q In other words, you believe the plant can restart  
3 without you determining whether or not the equipment needed  
4 to obtain cold shutdown is environmentally qualified?

5 A (WITNESS ROSZTOCZY) That is correct.

6 Q And that is independent of what equipment that  
7 is? In other words, it doesn't matter to you whether the  
8 steam dump valves are qualified or the RHR system is  
9 qualified? It doesn't matter?

10 A (WITNESS ROSZTOCZY) It is independent from which  
11 information the Licensee elects to use for going to cold  
12 shutdown, that is correct.

13 Q The Bulletin 79-01B does require at least one path  
14 for going to cold shutdown using environmentally qualified  
15 equipment; is that correct?

16 A (WITNESS ROSZTOCZY) Yes.

17 Q Can you tell me why you believe it is safe enough  
18 for Three Mile Island Unit 1 to restart without the staff  
19 making a determination that that equipment is in fact  
20 qualified?

21 A (WITNESS ROSZTOCZY) I answered this question for  
22 you before. Let me repeat it again.

23 We believe that the plant can be handled safely  
24 without going to cold shutdown.

25 Q Can you tell me then the purpose of imposing that

1 requirement in the bulletin of demonstrating environmental  
2 qualification for cold shutdown?

3       A       (WITNESS ROSZTOCZY) It provides additional  
4 assurance that that option of going to cold shutdown is also  
5 available, and it is the Commission's position that in the  
6 long-term this assurance should be provided. That is why by  
7 June '82 they have to provide qualified equipment for that  
8 purpose.

9           DR. JORDAN: Can I ask just one question? In this  
10 Licensee submittal that you already have, it is possible  
11 that they might have pointed out some equipment that would  
12 not meet the environmental qualifications; is that correct.

13           WITNESS ROSZTOCZY: That is a possibility.

14           (Pause.)

15           BY MR. POLLARD: (Resuming)

16       Q       For your testimony today, am I correct that you  
17 evaluated the environmental qualification for the equipment  
18 needed to obtain a hot shutdown condition in the event of a  
19 loss of main feedwater and a small break LOCA coincident?

20       A       (WITNESS ROSZTOCZY) That is correct.

21       Q       How long did you consider that the equipment had  
22 to operate in the accident environment? In other words, how  
23 long must the plant remain at the hot shutdown condition?

24       A       (WITNESS ROSZTOCZY) For each equipment, we  
25 required on the summary sheet, one of the pieces of

1 information for the given equipment is to specify the time,  
2 how long that that equipment needs to function in order to  
3 perform its intended function.

4 Q And Mr. LaGrange, are you the one that actually  
5 looked at those specific pieces of equipment to determine  
6 that this was met?

7 A (WITNESS LaGRANGE) Yes, I did.

8 Q Can you tell me which accident profile you used  
9 for determining the small break LOCA accident environment?

10 A (WITNESS LaGRANGE) The accident profile was  
11 supplied with the May 18th letter. The accident profile on  
12 containment is given in note 7 on that page of notes. The  
13 accident profile in the auxiliary building was the radiation  
14 levels from the recirc fluids.

15 CHAIRMAN SMITH: What kind of fluid? Your  
16 statement, what type of fluid did you say?

17 WITNESS LaGRANGE: The fluid recirculating in the  
18 pipes.

19 CHAIRMAN SMITH: Recirculating.

20 BY MR. POLLARD: (Resuming)

21 Q This is a specification of the maximum pressure,  
22 temperature and humidity. What I am interested in is the  
23 time frame of those parameters.

24 A (WITNESS LaGRANGE) The staff did some independent  
25 calculations to determine how long these temperatures and

1 pressures would exist.

2 Q And what were the results of these calculations?

3 A (WITNESS LaGRANGE) I don't believe I have those  
4 with me.

5 Q Well, for example, if you were going to evaluate  
6 the adequacy of a piece of equipment that is needed to cope  
7 with a small-break LOCA, how long did you assume that the  
8 temperature lasted?

9 A (WITNESS LaGRANGE) I used the profile supplied  
10 and made my evaluation based on that.

11 Q That is my difficulty, Mr. LaGrange. Which  
12 profile? Is it the profile that came in with the Licensee's  
13 submittal of January 30th?

14 A (WITNESS LaGRANGE) No.

15 Q In other words, we just don't have the profile  
16 here today. Is that what you're saying?

17 A (WITNESS LaGRANGE) I'll have to look through my  
18 papers, if you'll give me a minute.

19 CHAIRMAN SMITH: Would you object to having your  
20 cross-examination interrupted for lunch, or do you want to  
21 pursue this point?

22 MR. POLLARD: The only thing -- that's fine. The  
23 only thing, if I could at least ask him to give me the  
24 profile before we go to lunch, it would be helpful.

25 CHAIRMAN SMITH: Okay.

1 MR. CUTCHIN: Mr. Chairman, if it would speed  
2 things up, we have here at the table a copy of the profile  
3 that we believe he used. If he could confirm that that is  
4 the case, then we could provide Mr. Pollard a copy of that.

5 MR. POLLARD: We don't need to stay on the record  
6 to do this.

7 CHAIRMAN SMITH: Mr. Pollard does not object to  
8 that approach. You might have the answer on the record,  
9 however. Do you want the answer on the record?

10 MR. POLLARD: We can do it after lunch?

11 CHAIRMAN SMITH: All right, let's take a break  
12 until 20 to 2:00, a quarter to 2:00.

13 Ms. Ridgway has a copy of the Commission's order  
14 on hydrogen for the parties.

15 We'll break.

16 (Whereupon, at 12:39 p.m., the hearing was  
17 recessed, to reconvene at 1:45 p.m. the same day.)

18

19

20

21

22

23

24

25

## 1 AFTERNOON SESSION

2 (1:52 p.m.)

3 CHAIRMAN SMITH: Mr. Pollard -- when we adjourned  
4 there was a question and the answer was not yet on the  
5 record.

6 MR. POLLARD: I have received a copy of a graph  
7 plotting temperature and pressure versus time, which I am  
8 told is the profile that the staff used for the Three Mile  
9 Island Unit 1 containment building in evaluating the  
10 environmental qualification of the equipment for a small  
11 break LOCA.

12 You're right, it is not on the record. I don't  
13 know what to do with it, I guess.

14 CHAIRMAN SMITH: Well, you're either going to have  
15 to get a stipulation that it is acceptable or get the  
16 witnesses to say or or something, if you want to refer to it  
17 in the findings. Or, since there is no dispute, Mr.  
18 Cutchin, why don't you reduce what you've provided to Mr.  
19 Pollard to an evidentiary basis.

20 MR. CUTCHIN: We have no problem with having this  
21 bound into the record as evidence of the profile that was  
22 used, if that is the purpose to which he wants to put it.  
23 It is indeed factually true that that is a profile, the  
24 profile against which the equipment was assessed.

25 CHAIRMAN SMITH: Well, I think we'd really better

1 do it directly. Does the witness say that is the case?

2 WITNESS LaGRANGE: Yes. This is the profile I  
3 used, yes.

4 CHAIRMAN SMITH: All right, sir. If that's your  
5 testimony, let's bind it into the transcript right at this  
6 point.

7 (The document referred to follows:)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23


24

25



lay-in #7  
c/29

# TMI-1 44 ft<sup>2</sup> Core Flood Inr Break



1 MR. BAXTER: Could I ask one clarification, Mr.  
2 Chairman? In my copy at least, the words at the bottom of  
3 the page are cut off. Is that "time in hours"?

4 WITNESS LaGRANGE: Yes.

5 MR. CUTCHIN: We will so mark a copy and provide  
6 it to the reporter and to the Board if the Board would like  
7 copies as well.

8 CHAIRMAN SMITH: You will mark a copy, did you  
9 say?

10 MR. CUTCHIN: We will mark a copy so that it reads  
11 clearly at the bottom that it is time in hours, and Mr.  
12 Jacobs will go run a few copies, and we'll provide the  
13 reporter one and the Board copies as well, and the other  
14 parties who have not yet received it.

15 MR. POLLARD: I'm going to ask some questions on  
16 it. You still don't have a copy?

17 CHAIRMAN SMITH: He's making a couple of copies  
18 now.

19 Whereupon,

20 ZOLTAN ROSZTOCZY

21 ROBERT G. LaGRANGE

22 the witnesses on the stand at the time of recess, resumed  
23 the stand and, having been previously duly sworn, were  
24 examined and testified further as follows:

25 CROSS-EXAMINATION

1 BY MR. POLLARD:

2 Q As you point out, in the Licensee's submittal,  
3 note 7, he specifies the reactor building environment peak  
4 pressure of 30 pounds and 245 degrees Fahrenheit. But the  
5 parameters you used are less severe than that, isn't that  
6 correct, that the peak pressure is 25.9 pounds and the peak  
7 temperature 237 degrees?

8 A (WITNESS LaGRANGE) I actually reviewed against  
9 the Licensee's higher numbers. But it doesn't make any  
10 difference, really. There is no equipment that was so close  
11 it would have made a difference.

12 Q Now as far as your evaluation goes, what was the  
13 maximum amount of time you considered that the equipment has  
14 to withstand this environment?

15 A (WITNESS LaGRANGE) It varied depending upon each  
16 piece of equipment. Some equipment operates in the first  
17 minute, some equipment has to be able to perform longer than  
18 that.

19 Q Let me ask the question a different way. When  
20 does the accident end, the small break loss of coolant  
21 accident?

22 A (WITNESS LaGRANGE) I believe we consider it to  
23 end when the temperature reaches the original temperature  
24 inside containment.

25 Q And how long is that?

1           A       (WITNESS LaGRANGE) Well, according to this graph  
2 here, it is about 20.5 hours.

3           Q       So if you have the plant in a hot shutdown  
4 condition, after 20.5 hours then it is all right if the  
5 equipment fails, is that basically your answer?

6           A       (WITNESS LaGRANGE) No, that is not true.

7           Q       For how long must the equipment continue to be  
8 operable?

9           A       (WITNESS LaGRANGE) It varies depending on each  
10 piece of equipment. There is no generic time limit on any  
11 of the equipment. Some of the equipment may be able to  
12 perform its function and then fail such that it will not  
13 affect itself or the function it has performed or the  
14 function of any other equipment.

15          Q       Well, for the long-term continued decay heat,  
16 removal of decay heat, what components are being used?

17          A       (WITNESS LaGRANGE) I couldn't say. The scope of  
18 my review is to look at the information presented and  
19 compare that against the environmental conditions. I did  
20 not distinguish between what components were needed to  
21 perform what function.

22          Q       When you calculated these profiles, how many fan  
23 coolers were running?

24          A       (WITNESS LaGRANGE) This calculation was performed  
25 by another branch. I didn't perform these calculations.

1           WITNESS ROSZTOCZY: If it is any help, Mr.  
2 Pollard, the calculation presumes a single failure as far as  
3 the calculated conditions are concerned.

4           Q     So with one single failure, how many fan coolers  
5 do we have?

6           A     (WITNESS ROSZTOCZY) I don't know, but I believe  
7 the single failure was that one diesel didn't start.

8           Q     So neither of the witnesses, if I understand your  
9 testimony, prepared this profile. So you don't know what  
10 assumptions were made in calculating these pressures and  
11 temperatures?

12          A     (WITNESS ROSZTOCZY) As I mentioned, the basic  
13 assumption was a loss of coolant accident, a small loss of  
14 coolant accident, with one additional single failure. Now  
15 just exactly for this calculation what was that single  
16 failure I am not sure. But I believe it was that one diesel  
17 doesn't start. So any equipment that is attached to that  
18 diesel or gets its power from that diesel was assumed not to  
19 operate in the calculation.

20          Q     Mr. LaGrange, when you said it didn't make any  
21 difference whether you used your profiles or the licensee's  
22 as specified in note 7, isn't it correct that with your  
23 profile the containment spray would not come on, but with  
24 theirs it would?

25          A     (WITNESS LaGRANGE) I didn't look at the submittal

1 to determine whether or not it came on or not. The May 18th  
2 submittal said that the containment spray would not actuate,  
3 and I didn't try to make a determination as to whether or  
4 not it would.

5 Q So you just assumed it would not actuate?

6 A (WITNESS LaGRANGE) In my review I assumed it  
7 would not unless someone else, another branch in NRC, told  
8 me that it would.

9 Q Did you ask anyone else on the NRC staff whether  
10 or not you should assume containment spray comes on, or did  
11 you simply accept the licensee's statement that it would not  
12 come on?

13 A (WITNESS LaGRANGE) I talked to one of the people  
14 involved in preparing the temperature profile, the  
15 temperature and pressure profiles, to ask them what kind of  
16 margin we had relative to that 30 psi. And as you can see,  
17 his calculations showed about 26 psig. And there was really  
18 no further discussion as to the margin that was built into  
19 there.

20 But I just pointed out that the Licensee  
21 calculated about 30 psig and the containment spray was to  
22 operate around there. And I asked him, you know, what fat  
23 was in that calculation. And he said, well, we came up with  
24 26. I said, okay, maybe there is a little margin in the  
25 pressure calculation.

1 Q Do you know what pressure the containment spray  
2 actuates at?

3 A (WITNESS LaGRANGE) I am not sure, but I thought  
4 it was about 30 psig. I don't know.

5 Q Did you evaluate the adequacy of the profiles that  
6 were submitted with the Licensee's January 30th submittal?

7 A (WITNESS LaGRANGE) I did not personally, no.

8 Q Did you, Mr. Rosztoczy?

9 A (WITNESS ROSZTOCZY) Yes, we have checked those  
10 profiles against certain guidelines.

11 Q Against certain what?

12 A (WITNESS ROSZTOCZY) Certain guidelines.

13 Q Certain guidelines.

14 Is it acceptable in calculating those profiles for  
15 the staff to assume that all of the emergency building fan  
16 coolers work -- the containment building emergency fan  
17 coolers, I'm sorry.

18 A (WITNESS ROSZTOCZY) As I mentioned earlier, a  
19 single failure has to be assumed in the calculations.

20 Q But the profile, if you take a look, for example,  
21 at accident profile two submitted with the Licensee's  
22 January 30th response to the Bulletin 79-01B, it makes the  
23 assumption that three reactor building air coolers are  
24 operable. With a single failure of a diesel generator, that  
25 is not possible, is it?

1           A       (WITNESS ROSZTOCZY) All possible profiles have to  
2 be evaluated. So should it be the case that a profile which  
3 does not include a single failure is limiting in some sense,  
4 then that profile still has to be considered.

5           Q       Have you done this evaluation for Three Mile  
6 Island Unit 1?

7           A       (WITNESS ROSZTOCZY) Yes, we have done an  
8 evaluation from that and the conclusion of that evaluation  
9 is given in the SER. The conclusion, I believe, is that we  
10 are not pleased with the temperature calculations. We  
11 require either further justifications on the temperature  
12 calculations or changing them to higher values.

13          Q       And what about for the pressure?

14          A       (WITNESS ROSZTOCZY) The pressure I believe was  
15 acceptable.

16          Q       With three fan coolers operable?

17          A       (WITNESS ROSZTOCZY) The pressure calculations  
18 have been reviewed as part of the normal licensing of the  
19 plant, because it is always part of the containment design  
20 calculations, and as long as they have looked at the proper  
21 spectrum of pressure curves then that is acceptable, which  
22 could include in it, among others, a calculation which has  
23 three fan coolers.

24          Q       These are the profiles which I understand the  
25 Licensee used in his response to 79-01B; is that correct?



1 A (WITNESS LaGRANGE) Yes.

2 Q Have you evaluated those profiles to determine  
3 whether they are an adequate basis for evaluating  
4 environmental qualification?

5 A (WITNESS LaGRANGE) I think Dr. Rosztoczy just  
6 mentioned we do not agree with the temperature.

7 Q I'm asking about the pressure now. I'm sorry.  
8 This is profile number two, which plots pressure versus  
9 temperature. My question is basically, why does the staff  
10 consider this profile acceptable, if in fact it does, when  
11 the profile is based upon the operation of three fan  
12 coolers?

13 A (WITNESS ROSZTOCZY) The staff considers those  
14 acceptable, those profiles, together with the other profiles  
15 in the SER in this plant.

16 Q Acceptable for the environmental qualification  
17 review?

18 A (WITNESS ROSZTOCZY) Yes.

19 Q Even though the Licensee specifically references  
20 this profile as the one that it is using to judge  
21 environmental qualification?

22 A (WITNESS ROSZTOCZY) I'm not sure the Licensee is  
23 referencing only that profile.

24 Q It is the only reference I see on any of the work  
25 sheets for equipment inside the containment building. Can

1 you direct me to some reference to some other profile for  
2 pressure inside the reactor building?

3 A (WITNESS ROSZTOCZY) Yes, I'm sure there are a  
4 number of profiles given in the FSAR.

5 Q I'm talking about the environmental qualification  
6 submittal in response to 79-01B.

7 A (WITNESS ROSZTOCZY) Let us check just minute,  
8 please.

9 (Pause.)

10 A Could you give us the page reference for the  
11 profile

12 Q I'm sorry, I can't. It simply was included with  
13 the January 30th submittal. It is a page labeled "Accident  
14 Profile 2, TMI-1." It is reactor building pressure versus  
15 time for the design basis accident with continuous steam  
16 release with three reactor building air coolers. There's a  
17 figure. It says Figure 14-66, if that helps.

18 (Pause.)

19 A (WITNESS ROSZTOCZY) Mr. Pollard, we are not sure  
20 if this is the only profile referenced in the report or  
21 whether there are others. It is possible. One would have  
22 to look through all of the summary sheets and see if there  
23 are any others.

24 MR. POLLARD: Mr. Chairman, I would just bring out  
25 to you, this is one of the problems I don't know how to get

1 around, when I'm not allowed to put the entire January 30th  
2 submittal on the record. It is very difficult to prove that  
3 something is missing. I can prove what is there, but the  
4 witnesses think there might be some other profile  
5 reference. Now I have never been able to find such a  
6 profile.

7           CHAIRMAN SMITH: Well, you couldn't prove it by  
8 putting it all in the record anyway. You would have to come  
9 up with I don't know how many conformed copies, and then the  
10 Commissioners would have to look at those conformed copies  
11 and then go through all of them to arrive at the conclusion  
12 that you would like for them to arrive at, that a page is  
13 missing.

14           The witness I think can do that much better.  
15 You're talking about the foot-high stack of documents.

16           MR. POLLARD: Well, it's not quite that bad.

17           CHAIRMAN SMITH: I would approach with a  
18 stipulation first, I think would be the most efficient and  
19 reliable way. As a matter of fact, the Board will help you  
20 along that line. If you assert that there is something  
21 missing, we will require the adversary parties to concede  
22 that that is the case or to point out where it is, if it is  
23 done timely. But I think it can be worked out.

24           MR. POLLARD: The stipulation I guess I'm looking  
25 for is in the January 30th submittal. For all of the

1 equipment located inside of the reactor building, the only  
2 profile referenced in the January 30th submittal is in fact  
3 this profile 2, which is based upon the operation of three  
4 air coolers.

5 CHAIRMAN SMITH: What was his answer to it?

6 MR. POLLARD: They say they don't know.

7 WITNESS LaGRANGE: No, for equipment inside  
8 profile 2 is the only --

9 MR. POLLARD: That is the only pressure versus  
10 time profile referenced in the submittal?

11 WITNESS LaGRANGE: That's right.

12 (Pause.)

13 BY MR. POLLARD: (Resuming)

14 Q Would you agree with me in general, if a fan  
15 cooler was not operating, the pressure could in fact go  
16 higher than shown when the fan cooler is operating?

17 A (WITNESS ROSZTOCZY) I assume that is possible.

18 DR. JORDAN: Let me ask one question. Do you know  
19 how many fan coolers there are and how many are connected to  
20 each diesel?

21 WITNESS ROSZTOCZY: No, I do not know. You have  
22 to understand that these calculations were part of the  
23 normal design calculations for the plant when the plant was  
24 designed, and they were reviewed at that stage. It was  
25 stipulated for the purpose of this review that the pressure

1 calculations had been correctly performed and had been  
2 reviewed by the NRC staff as part of the licensing  
3 complement.

4 DR. JORDAN: Would you believe, then, that this  
5 temperature profile would include the failure of one  
6 diesel?

7 WITNESS ROSZTOCZY: We are talking about the  
8 pressure profile?

9 DR. JORDAN: The pressure profile.

10 WITNESS ROSZTOCZY: No, I do not know if that  
11 specific one includes the failure of one diesel.

12 DR. JORDAN: All right.

13 WITNESS ROSZTOCZY: But I would assume that there  
14 is in the SER, the safety evaluation report of the plant, a  
15 profile which does account for the failure of one diesel.

16 DR. JORDAN: But you are not sure that it would be  
17 the same as this pressure profile?

18 WITNESS ROSZTOCZY: That is correct.

19 DR. JORDAN: All right.

20 BY MR. POLLARD: (Resuming)

21 Q On page 11 of the March 24 safety evaluation  
22 report, directing your attention to the first full paragraph  
23 on that page, which states that:

24 "The staff issued to the Licensee sections 3 and 4  
25 of this report and requested, under the provisions of 10 CFR

1 50.54(f), that the Licensee review the deficiencies  
2 enumerated and the ramifications thereof to determine  
3 whether safe operation of the facility would be impacted in  
4 consideration of the deficiencies. The Licensee has  
5 completed a preliminary review of the identified  
6 deficiencies and has determined that, after due  
7 consideration of the deficiencies and their ramifications,  
8 continued safe operation would not be adversely affected."

9 My question is, did either of you perform the  
10 review necessary to write this paragraph of the SER?

11 A (WITNESS ROSZTOCZY) What was the question again?

12 Q Did either of you review the Licensee's submittal  
13 which is discussed in this paragraph of the SER?

14 A (WITNESS ROSZTOCZY) The Licensee provided a  
15 letter reply to our issued so-called FER, and it is  
16 basically a short letter which states that they had reviewed  
17 the safety of the plant and they arrived at this  
18 conclusion.

19 (Pause.)

20 Q Is this the letter you are referring to, Dr.  
21 Rosztoczy?

22 A (WITNESS ROSZTOCZY) Yes, I believe this is the  
23 letter.

24 MR. POLLARD: Mr. Chairman, I would like to have  
25 this letter dated March 12, 1981, from the Licensee to the

1 NRC on the subject of environmental qualification of  
2 safety-related electrical equipment marked for  
3 identification as UCS Exhibit No. 41.

4 (The document referred to was  
5 marked UCS Exhibit No. 41  
6 for identification.)

7 BY MR. POLLARD: (Resuming)

8 Q Now, comparing this letter with the safety  
9 evaluation report, the safety evaluation report says the  
10 Licensee completed a preliminary review. Can you show me  
11 anywhere in this letter where the Licensee says they have  
12 only done a preliminary review, or does the letter indicate  
13 that they have completed their review?

14 A (WITNESS ROSZTOCZY) I believe you are correct in  
15 pointing out that the Licensee did not use the word  
16 "preliminary" in its letter.

17 Q And it did not state that they reviewed the  
18 ramifications of the deficiencies, did they?

19 A (WITNESS ROSZTOCZY) I believe if you read the  
20 letter the intent is there.

21 Q I see, but it's not stated in the letter?

22 A (WITNESS ROSZTOCZY) That paragraph, the paragraph  
23 you are quoting, is not a quotation from the letter. It is  
24 a general paragraph included in the SER of seven different  
25 plants, and expresses the basic meaning of the letter.

1 Q Now, the Licensee concludes --

2 CHAIRMAN SMITH: Excuse me. Doctor, would you  
3 slow down just a little bit in the answers. Your voice is  
4 fading off at the end and dropping out of our hearing range  
5 over here.

6 WITNESS ROSZTOCZY: Certainly.

7 BY MR. POLLARD: (Resuming)

8 Q The Licensee's conclusion that there is adequate  
9 assurance that TMI-1 will operate safely following  
10 authorization for restart was based on what they referred to  
11 as the planned activities under way for restart of TMI-1.  
12 Can you tell me what the Licensee was referring to in the  
13 phrase "the planned activities under way for the restart of  
14 TMI-1"?

15 A (WITNESS ROSZTOCZY) The Licensee has indicated in  
16 his submittal that he is going to replace some equipment  
17 prior to restart, and I assume that is what he is referring  
18 to.

19 Q So without a specific list of what the Licensee  
20 considered as planned activities, you have no way of  
21 determining whether their plans changed, have you?

22 A (WITNESS ROSZTOCZY) The Licensee's submittal  
23 indicated what their plans were.

24 Q Which submittal indicated what their plans were?

25 A (WITNESS ROSZTOCZY) The January 30th submittal.



1 Q Was that in the cover letter or the master list or  
2 the work sheets?

3 A (WITNESS LaGRANGE) Typically, it was a statement  
4 on the component work sheets.

5 Q On the component work sheets, is that what you  
6 said?

7 A (WITNESS LaGRANGE) Yeah.

8 Q If you'll notice in the appendices to the SER,  
9 some of the equipment has a designation that it will be  
10 replaced.

11 (Pause.)

12 Q If we can turn now, I will be using your direct  
13 testimony for today, all right. Now, I mean, on page 3 of  
14 your direct testimony, the first full paragraph, you say:  
15 "The staff has completed its review of the Licensee's  
16 January 30th, May 18th and June 5th, 1981, submittals."

17 Can you tell me specifically what this review  
18 consisted of? When you say "the qualification information  
19 reviewed was data extracted from referenced documentation  
20 which contained detailed information concerning the  
21 qualification of equipment," do I understand this testimony  
22 to be that in order to prepare this testimony you looked  
23 simply at the work sheets that were submitted in the January  
24 30th submittal; is that correct?

25 (WITNESS LaGRANGE) That is correct. The majority

1 of our testimony is based on the information provided on the  
2 work sheets.

3 Q And that you did not review the supporting  
4 documentation referenced on those work sheets; is that  
5 correct?

6 A (WITNESS LaGRANGE) Some of the supporting  
7 documentation has been reviewed, and further back in the  
8 testimony you will note there is some discussion on some  
9 pressure transmitters, that we asked the Licensee to commit  
10 to examining the applicability of that test report. But the  
11 majority of the referenced documentation, we are still  
12 continuing that review and it has not been completed yet.

13 Q In preparing your testimony on your evaluation of  
14 the safety of TMI-1 to restart, did you examine the licensee  
15 event reports or, as they used to be called, the abnormal  
16 occurrence reports for Three Mile Island Unit 1?

17 A (WITNESS LaGRANGE) The ones that were referenced  
18 in the submittal, yes.

19 Q Just those two LER's that were referenced in the  
20 submittal?

21 A (WITNESS LaGRANGE) That's right.

22 Q You made no independent review of previous  
23 abnormal occurrences where equipment on the master list had  
24 failed in the past at TMI-1; is that correct?

25 A (WITNESS LaGRANGE) I did not, no.

1 Q Did you review the Licensee's response to previous  
2 I&E bulletins other than 79-01B?

3 A (WITNESS LaGRANGE) For Three Mile Island, I think  
4 I reviewed the response to 79-14, which was some piping  
5 as-built problems. And I can't really recall any more  
6 responses on I&E bulletins on TMI.

7 Q Am I correct, Mr. LaGrange -- let me back up a  
8 minute -- that you have played a role in supplying to the  
9 Commission the bimonthly progress reports on the review in  
10 accordance with 79-01B?

11 A (WITNESS LaGRANGE) Yes.

12 Q Have you, in your review of Three Mile Island Unit  
13 1, examined the equipment noted as deficient in those  
14 reports to see if it exists in Three Mile Island Unit 1?

15 A (WITNESS LaGRANGE) No, I have not.

16 A (WITNESS ROSZTOCZY) It may be appropriate to  
17 state here that such a review is under way. What we have  
18 done, we took the individual submittals and reviewed the  
19 submittals and issued the SER's. Now we are in the second  
20 phase of the review and we are looking at individual  
21 equipment types, and then we are checking it across the  
22 board with the computerized data system that we developed  
23 from the original submittals, whether these equipment types  
24 have been properly handled in each case.

25 That review is presently under way, as we

1 indicated in the SER.

2 Q But I am correct, am I, that you are offering  
3 testimony today that it is your view that Three Mile Island  
4 Unit 1 is safe enough to restart, and you have not attached  
5 as a condition to that conclusion your need to go back and  
6 look at these reviews of the equipment that has previously  
7 been found deficient in other plants?

8 A (WITNESS ROSZTOCZY) You are correct in that we  
9 are not requiring completion of this review before restart.  
10 But review is going on and it goes on on a time schedule  
11 consistent with the final date.

12 Q Now, in performing your review and examining your  
13 work sheets, did you make your judgments in accordance with  
14 the requirements as stated in I&E Bulletin 79-01B as to  
15 whether or not the submittal was sufficient?

16 A (WITNESS LaGRANGE) Yes.

17 Q Am I correct that I&E Bulletin 79-01B specifies  
18 that you may not simply use the word "analysis" in  
19 describing the method of qualification; is that correct?

20 A (WITNESS LaGRANGE) I think you're referring to  
21 DOR guidelines. I'm not sure 01B specifically says that.  
22 But the use of analysis was examined during the review.

23 (Pause.)

24 Q I'm reading from attachment 3 to I&E Bulletin  
25 79-01B, page 203. Under "qualification method" it says:

1 "Identify the method of qualification. To describe the  
2 qualification method, use words such as 'simultaneous test,'  
3 'comparison test,' sequential test,' and/or 'engineering  
4 mathematical analyses.' Words such as 'tests' and/or  
5 'analyses' when used alone do not adequately identify the  
6 qualification method."

7 Does that help refresh your memory?

8 A (WITNESS LaGRANGE) Yes.

9 Q Now when you examined the work sheets, did you  
10 verify that the Licensee had in fact identified the  
11 qualification method without using simply the word  
12 "analysis"?

13 A (WITNESS LaGRANGE) Yes, I did.

14 Q If you would look then, please, at the section of  
15 the Licensee's January 30th submittal entitled "additional  
16 accident monitoring equipment, sheet 8." For the Board,  
17 that is page 72 in UCS' Exhibit 39.

18 (Pause.)

19 A (WITNESS LaGRANGE) I have it.

20 Q Do you see in there where it says the  
21 qualification for containment spray was analysis?

22 A (WITNESS LaGRANGE) Yes.

23 Q Was that acceptable under the bulletin?

24 A (WITNESS LaGRANGE) No.

25 Q What action have you taken to correct that?

1           A       (WITNESS LaGRANGE) That was noted as a deficiency  
2 and the Licensee was supposed to respond to that in the  
3 90-day response.

4           Q       It was noted as a deficiency where?

5           A       (WITNESS LaGRANGE) In one of the appendices to  
6 the SER.

7                   (Pause.)

8           A       (WITNESS LaGRANGE) It is appendix page B-7.

9           Q       Did you say B as in "boy"?

10          A       (WITNESS LaGRANGE) Yes.

11                   (Pause.)

12          Q       And on the same page of I&E Bulletin 79-01B, where  
13 it says "outstanding items," the last sentence reads:  
14 "Identify in the notes section on page 1 of this attachment  
15 the actions planned for determining qualification and the  
16 schedule for completing these actions."

17                   Now, in evaluating the Licensee's submitted did  
18 you verify that in all cases where there was an open item  
19 that the schedule for completing these actions was given?

20          A       (WITNESS LaGRANGE) No. In many cases the  
21 schedule was not given.

22          Q       And was that noted as a deficiency also?

23          A       (WITNESS LaGRANGE) Well, no, because in response  
24 -- in the 90-day response they were to provide that  
25 information.

1           A       (WITNESS ROSZTOCZY) I'm sorry, it has been noted  
2 as a deficiency in the SER, in the general part of the SER,  
3 not in the appendix.

4           Q       In general, am I correct that as far as the backup  
5 documentation to qualification a simple vendor certification  
6 that a specification has been met is not adequate? Is that  
7 correct?

8           A       (WITNESS ROSZTOCZY) A simple certification alone  
9 without any others, so-called, would not be enough.

10          Q       If we take a look at the reactor building  
11 isolation, sheet 27, which is page 49 in UCS Exhibit 39.

12                   (Pause.)

13          A       (WITNESS LaGRANGE) That was sheet 27?

14          Q       Yes, sheet 27 under reactor building isolation.

15          A       (WITNESS LaGRANGE) I have that.

16

17

18

19

20

21

22

23

24

25

1 Q That is a solenoid valve CAV-139; is that  
2 correct?

3 A (WITNESS LaGRANGE) That is correct.

4 Q Now, the documentation referenced for  
5 qualification for operating time, temperature, pressure and  
6 humidity are two documents, one a record of the conversation  
7 between EDS and ASCO dated 8-13-80 and ASCO catalogue. Now,  
8 do you consider that an adequate documentation reference?

9 A (WITNESS LaGRANGE) First of all, you'll note the  
10 specification of the environment. This equipment only has  
11 to operate in an ambient environment, except for the  
12 radiation qualification, and there may very well be some  
13 information in this ASCO catalogue which shows that this has  
14 been qualified for radiation.

15 But we reserve the right to judge that. When we  
16 take a look at this reference to documentation, we may  
17 indeed find it is not adequate.

18 Q Under the column labeled "qualification method,"  
19 it is blank. Would that indicate that no tests have been  
20 done?

21 A (WITNESS LaGRANGE) They are saying that the unit  
22 has an explosion-proof and watertight enclosure. Therefore  
23 there was no testing done.

24 Q And you consider that an adequate basis for  
25 qualification?



1 A (WITNESS LaGRANGE) At this point, until we take a  
2 more detailed look at the component, yes.

3 Q Well, this component is listed among those that  
4 are required to cope with a small break loss of coolant  
5 accident, isn't it?

6 A (WITNESS LaGRANGE) I would have to  
7 cross-reference the list. I don't know.

8 Q We did this with the lunch hour, so maybe I can  
9 help you find it.

10 (Pause.)

11 Q It's on page 8 of 17, the first top item.

12 A (WITNESS LaGRANGE) Okay, I have it.

13 Q Your testimony today was that the plant was safe  
14 enough to restart and that the equipment needed to cope with  
15 a small break loss of coolant accident was qualified; is  
16 that correct?

17 A (WITNESS LaGRANGE) That is correct.

18 Q And the Licensee says it is qualified --

19 A (WITNESS ROSZTOCZY) One second, please. I think  
20 the testimony really indicated this was based on a review of  
21 the summary sheets and the review of the backup  
22 documentation. The type of documentation referenced on the  
23 summary sheets is still ongoing.

24 Q Well, is basically your evaluation just looking to  
25 see whether the Licensee said it was qualified? Isn't that

1 what your review amounted to?

2 A (WITNESS LaGRANGE) Not entirely, no. There were  
3 several instances where we disagreed with the Licensee's  
4 qualification claims.

5 Q Well, let's see for this particular component,  
6 which is the demineralized water isolation valve. It is  
7 part of the equipment needed for reactor building  
8 isolation. Now, what review did you do to determine whether  
9 or not this equipment is qualified for a small break LOCA  
10 other than simply looking to see if the Licensee said it  
11 was?

12 A (WITNESS LaGRANGE) Okay. Given that the  
13 component is located in the auxiliary building, the only  
14 harsh environment it was to see during this accident was  
15 radiation. So I took the 1.8 times 10<sup>-4</sup> rad and went back  
16 to the evaluation work sheet and saw that the qualification  
17 was above that value.

18 Q You saw that the Licensee said it was?

19 A (WITNESS LaGRANGE) Yes.

20 Q You have not looked at the record of conversation  
21 or the ASCO catalogue?

22 A (WITNESS LaGRANGE) Well, if you notice, the  
23 radiation qualification was actually done by materials  
24 search, and I did take a look at those attached sheets which  
25 listed the different materials and the radiation levels to

1 which they can perform their functions up to.

2       A       (WITNESS LaGRANGE) Mr. Pollard, to help you along  
3 these lines, our requirement was that the Licensee has to  
4 perform a review and provide a summary sheet in terms of the  
5 outcome of his review. Furthermore, he has to collect  
6 together, arrange and maintain in a central file all the  
7 qualifications information that he based his review on.  
8 There was a deadline set for establishing the central  
9 files.

10               So the referenced information on the one that you  
11 are mentioning there has not been submitted to us. We have  
12 never asked for it. It is maintained in the Licensee's  
13 central file. It is our intent to inspect the central files  
14 through the normal NRC inspection process.

15       Q       Would you agree, then, at least for the stage that  
16 review is in now, all that you have done is simply looked to  
17 see whether the Licensee said it is qualified? That is the  
18 extent of your evaluation, is that not correct?

19       A       (WITNESS ROSZTOCZY) The main purpose of our  
20 review is simply to check whether the Licensee has performed  
21 the required review. It was never our intent to review  
22 every plant and every piece of equipment. You have to  
23 understand the number of equipment involved here. When it  
24 is grouped into equipment types, we are talking about a few  
25 hundred equipment types on each plant. And when you

1 multiply that with the number of plants, we are in the  
2 10,000 range.

3           It was never our intent to repeat or duplicate the  
4 Licensee's effort. Our intent is simply to check whether  
5 the Licensee has done the work and whether the Licensee has  
6 done a responsible job.

7           A       (WITNESS LaGRANGE) I think our review went a  
8 little further than what you have suggested. If we had  
9 depended solely on what the Licensee told us, we would only  
10 have looked at the outstanding items column here. And we  
11 did review all the numbers on here, and in many cases elicit  
12 outstanding items where they indicated there were none.

13          Q       Perhaps -- let me use this as an example. The  
14 cable connectors which are still listed as unqualified, and  
15 then it is claimed they are going to be replaced prior to  
16 restart, this would be in the category of the common  
17 systems, sheets 9, 10, and 11, which is pages 82, 83 and 84  
18 of UCS Exhibit 89.

19               Now, do either of you recall Bulletin 77-05 and  
20 77-05A, which specifically requested identification of cable  
21 connectors which must operate in the accident environment?

22          A       (WITNESS LaGRANGE) I do not.

23          A       (WITNESS ROSZTOCZY) I am aware there was such a  
24 bulletin, yes.

25          Q       And do I understand this was not one of the

1 bulletins where you went back and looked at the Licensee's  
2 earlier response?

3 A (WITNESS ROSZTOCZY) That is correct.

4 (Pause.)

5 MR. POLLARD: Mr. Chairman, I have distributed to  
6 the Board and the parties, and we will give the third copy  
7 to the reporter, two letters, one dated December 8th, 1977,  
8 from Mr. Herbein, Vice President of Met Ed, to Mr. Grier of  
9 the NRC, responding to Bulletin 77-05; and another letter,  
10 dated December 15th, 1977, from Mr. Herbein, Vice President  
11 of Met Ed, to the NRC, responding to I&E Bulletin 77-05A.

12 I'd like to have these marked for identification  
13 as UCS Exhibits 42 and 43 respectively.

14 (The documents referred to  
15 were marked UCS Exhibit Nos.  
16 42 and 43 for  
17 identification.)

18 (Pause.)

19 BY MR. POLLARD: (Resuming)

20 Q Have you had a chance to read the letters?

21 A (WITNESS ROSZTOCZY) Partially.

22 Q Partially. Well, perhaps for the purpose of my  
23 questioning we can focus on the first paragraph of the  
24 Licensee's December 15th, 1977, letter where they say in  
25 response to I&E Bulletin 77-05A:

1           "Met Ed expanded its review of the TMI safety  
2 systems to include all connectors which are required to  
3 function to mitigate an accident where the accident itself  
4 could adversely affect the ability of the system to perform  
5 its safety function."

6           And then it goes on to indicate that the only such  
7 connectors are those in the control rod drive mechanisms and  
8 for the neutron detectors. We now see in response to  
9 Bulletin 79-01B that there are in fact many other connectors  
10 which are not qualified.

11           And my question is to you: How do you know that  
12 now Met Ed has identified all the connectors that must  
13 operate in a small break LOCA environment?

14           A       (WITNESS ROSZTOCZY) The only assurance that we  
15 have is we have requested them to review this. We requested  
16 them to provide information in summary form, the first time  
17 they have been required to provide kind of detailed  
18 information on each equipment type and review all equipment  
19 types in the system in that manner.

20           We have received this and our inspectors have  
21 conducted an inspection at Three Mile Island where they  
22 selected some systems or subsystems for inspection and then  
23 they reported and they report what they found. In general,  
24 they found that there was agreement between what they found  
25 in the plant and what has been shown in appropriate

1 drawings.

2 Q Is it your testimony that no inspection was done  
3 following the response to Bulletin 77-05 and 77-05A?

4 A (WITNESS ROSZTOCZY) I wouldn't know that, no.

5 Q So you don't know whether the situation now is any  
6 different than it was when the Licensee responded to the  
7 earlier bulletins?

8 A (WITNESS ROSZTOCZY) Yes, but what I do know is  
9 that the Licensee has since conducted a detailed review of  
10 all the safety-related equipment, identified them and  
11 reviewed the qualification on each of them. Now, whether it  
12 was the result of this qualification review, what they have  
13 done recently, or it was the result of some other steps in  
14 between where they identified other connectors, that I  
15 wouldn't know.

16 But they have a complete account at the present  
17 time and right now we have no reason to believe that it is  
18 not complete as far as connectors are concerned.

19 Q Do you know whether the staff has instituted any  
20 enforcement proceedings against the Licensee for supplying  
21 false information in response to Bulletin 77-05A?

22 MR. BAXTER: Objection, Mr. Chairman. There has  
23 been no clear linkage drawn, I don't believe, between UCS  
24 Exhibits 42 and 43, which request information with respect  
25 to failures of pin and socket type electrical connectors,

1 with the Conax connectors which are the subject of the  
2 staff's testimony.

3           Mr. Pollard is assuming that the bulletin, the  
4 scope of the bulletin, is identical to the scope of the  
5 testimony on connectors that are being discussed, and I  
6 don't believe it has been established. I don't think it's  
7 true.

8           MR. POLLARD: That is not the case, Mr. Chairman.  
9 Bulletin 77-05 dealt with pin and socket type connectors.  
10 Bulletin 77-05A expanded it to include all types of  
11 connectors, and that is why I phrased the question for false  
12 information in response to Bulletin 77-05A.

13           (Pause.)

14           MR. BAXTER: I withdraw the objection.

15           CHAIRMAN SMITH: You may answer.

16           WITNESS ROSZTOCZY: May I have the question again,  
17 please.

18           MR. POLLARD: It may not come out the same way,  
19 but I'll just repeat it.

20           BY MR. POLLARD: (Resuming)

21           Q     Do you know if the staff has taken any action to  
22 institute enforcement action against the Licensee for having  
23 provided false information in response to Bulletin 77-05A?

24           A     (WITNESS ROSZTOCZY) I was not involved in the  
25 77-05 Bulletin reviews and I have no knowledge whether



1 anything of that sort has been done.

2       Q     Do you think in the case of cable connectors,  
3 where the staff in 1977 had asked the Licensee to identify  
4 those connectors which were necessary for operation and then  
5 in 1979 asked again and this time we find more connectors  
6 that need to operate, and in fact we find out that they are  
7 not qualified, would those circumstances cause you to want  
8 to do an additional depth review with respect to cable  
9 connectors or not?

10       A     (WITNESS ROSZTOCZY) I have to answer the question  
11 with some assumptions, because I don't have knowledge of the  
12 requirement in the example and exactly what was required in  
13 '77. But if your assumption that these connectors did fall  
14 under in the '77 bulletin and they were not included in the  
15 response at that time, if that assumption is correct, and if  
16 they were found later, then that would be an indication that  
17 the initial review had not been performed to the depth as  
18 normally one would expect.

19       Q     So what basis do you have for knowing today, for  
20 your testimony, that the connectors that are going to be  
21 used for replacements are in fact qualified?

22       A     (WITNESS ROSZTOCZY) I don't believe that Licensee  
23 has identified yet what connectors it's going to use for  
24 replacement. But before the replacement connectors are put  
25 into the plant, the qualification has to be reviewed by the

1 Licensee and it has to be placed in the central file, in the  
2 Licensee's central file on qualification.

3 (Pause.)

4 A (WITNESS ROSZTOCZY) I'm sorry, I have to correct  
5 my statement. They did provide information on what they are  
6 going to use for replacement.

7 Q My question is, how do you know then those are  
8 qualified??

9 A (WITNESS ROSZTOCZY) They are required to  
10 establish the qualification of those connectors prior to  
11 placing them in the plant and maintain the qualification  
12 information in the central file.

13 Q So for those replacement connectors, do you plan  
14 to do anything more than review the equivalent of the work  
15 sheet, or are you going to look at the backup documentation  
16 for them?

17 A (WITNESS ROSZTOCZY) It is expected that they will  
18 be handled through inspection of the central files. So  
19 there will be kind of periodic inspections of the central  
20 files and some items going to be inspected. It will not be  
21 100 percent inspection.

22 (Pause.)

23 Q On your testimony on page 4, near the bottom of  
24 the page, we had just been discussing the Conax connectors,  
25 and then you go on to discuss two Limatorque motor operators

1 that may become submerged and have not been qualified for  
2 submergence. Are those Limitorque operators referred to  
3 there makeup valves 2A and 2B?

4 A (WITNESS LaGRANGE) MOA 2A and 2B, yes.

5 Q Now, on page 5 you discuss the justification for  
6 these two motor operators that the Licensee has provided,  
7 which demonstrates that the motor operators will be capable  
8 of performing their containment isolation functions  
9 following this postulated event.

10 Did you verify that the emergency procedures  
11 require the operator to check that these valves are closed?

12 A (WITNESS LaGRANGE) No.

13 Q If the emergency procedures did not require that  
14 the operator check that the valves be closed, would that  
15 change your evaluation of the justification for restart with  
16 unqualified valves?

17 A (WITNESS ROSZTOCZY) It certainly would have some  
18 influence on it, yes.

19 Q But you didn't think it was necessary to check the  
20 emergency procedures?

21 A (WITNESS ROSZTOCZY) We do not have the emergency  
22 procedures. They were not required to submit the emergency  
23 procedures together with this. And again, emergency  
24 procedures are being inspected through other procedures. It  
25 was not part of this review.

1 Q All right. Let me go to the aspect of the  
2 Licensee's justification that once these valves are closed  
3 it is implied that they will not have to be opened again; is  
4 that correct?

5 A (WITNESS LaGRANGE) If they do have to be opened  
6 again for any reason, it takes the shift supervisor to make  
7 that determination, and he apparently has procedures he has  
8 to follow to make that determination.

9 Q That is correct, though, that the valve motors are  
10 going to become submerged?

11 A (WITNESS LaGRANGE) They could become submerged,  
12 yes.

13 Q And that your basis for saying this is  
14 nevertheless acceptable must be an implicit assumption that  
15 they don't have to be reopened after they've been submerged;  
16 is that correct?

17 A (WITNESS LaGRANGE) That is correct.

18 Q Suppose I were to tell you that the emergency  
19 procedures specified under certain conditions that these  
20 valves should be reopened. Would that change your  
21 evaluation?

22 A (WITNESS LaGRANGE) Yes.

23 (Pause.)

24 MR. POLLARD: Mr. Chairman, I'm sorry for the  
25 delay. I am just trying to figure out how to -- I don't

1 have extra copies of Licensee's --

2 CHAIRMAN SMITH: Are you following up now --

3 MR. POLLARD: On this question of the makeup  
4 valves, why the staff thinks the justification provided by  
5 the Licensee is acceptable.

6 DR. JORDAN: Do you have copies of the procedures  
7 there?

8 MR. POLLARD: But I have only one and Mr. Cutchin  
9 informs me the staff doesn't have their copies here.

10 CHAIRMAN SMITH: Well, give one to the witness and  
11 see if he agrees that the procedure is as you say it is, and  
12 then have the other one to be circulated among counsel. And  
13 if we need more we'll get more.

14 MR. BAXTER: Which exhibits?

15 MR. POLLARD: Two exhibits, 48 and 51.

16 CHAIRMAN SMITH: You just have a single copy?

17 MR. POLLARD: I only have my copy.

18 CHAIRMAN SMITH: Just give it to the witness and  
19 we'll pause and ascertain whether the procedure is as you  
20 state, if we have to.

21 (Pause.)

22 MR. CUTCHIN: These exhibits are already in  
23 evidence, Mr. Chairman, and they will probably speak rather  
24 plainly for themselves.

25 CHAIRMAN SMITH: It would be helpful if it were

1 right here.

2           MR. CUTCHIN: It will help for the record, but if  
3 it is a matter of reference all he need do is cite back to  
4 those exhibits.

5           (Pause.);

6           CHAIRMAN SMITH: We'll take our mid-afternoon  
7 break of 15 minutes.

8           (Recess.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           MR. POLLARD: The discussion Mr. Sholly and I had  
2 was whether or not we should go through this on the record  
3 or just do it in proposed findings. So I will just put on  
4 the record what I see in the emergency procedures and then  
5 if we have any questions for the witnesses to respond to  
6 we'll see.

7           CHAIRMAN SMITH: I think for readability when we  
8 are reading the record maybe if you'll point to the part of  
9 the exhibits that you rely on and use your own judgment.

10           I'm just thinking about readability.

11           MR. POLLARD: That is why I thought I would  
12 summarize what I think the emergency procedure show.

13           Licensee Exhibit 48, which is 1202-6B, Loss of  
14 Reactor Coolant, Reactor Pressure, Small Break LOCA, Causing  
15 Automatic High Pressure Injection, at page 16 there is a  
16 table number 1 of indications the operator should check  
17 following initiation of HPI. And it lists makeup valve 2A  
18 and makeup valve 2A. It is an obvious typing error. I  
19 assume it probably should be makup valve 2B, since they are  
20 opposite sides of the indication panel.

21           Then, when you turn to table 2 of the same  
22 procedure, on page 16, it lists, on the righthand side under  
23 items L and M, makeup valves 2A and 2B. So we have an  
24 inconsistency. It appears on Table 1 the valves are  
25 identified as being on the left side of the status light

1 panel and on the right side, whereas on table 2 they are  
2 both on the right side.

3           The procedure that I was going to use on the  
4 requiring operation of makeup valves 2A and 2B during an  
5 accident, after they might be submerged is Licensee Exhibit  
6 51, which is 1202-39, Inadequate Core Cooling (No LOCA).  
7 And the discussion we had at the witness table during the  
8 break was whether or not using this procedure the valves  
9 would be submerged.

10           And I think I'm going to have to study it some  
11 more myself, since the procedure itself does call for  
12 opening of the PORV and controlling pressure that way, which  
13 I assume would eventually lead to some water in the  
14 containment building.

15           But the specific place where it refers to use of  
16 these valves would be on pages 4 and 5, where the operators  
17 are instructed to throttle HPI and to establish letdown flow  
18 to gain reactor coolant system pressure flow. And the  
19 makeup valves 2A and 2B are the letdown cooler isolation  
20 valves located inside containment.

21           CHAIRMAN SMITH: So they have to be open.

22           DR. JORDAN: At least they have to be open for the  
23 procedure.

24           MR. POLLARD: They have to be open for that  
25 procedure 1202-39. I have to admit at this point it is not



1 clear in my mind whether or not following this procedure  
2 would lead to the valves being submerged, and I would just  
3 admit that after having that pointed out to me I cannot  
4 proceed along this line of questioning. I'll just have to  
5 study it and do what I can in findings.

6 CHAIRMAN SMITH: Mr. Baxter?

7 MR. BAXTER: We are engaging a little bit in  
8 proposed oral findings, I guess. I cannot respond to all  
9 Mr. Pollard's comments. I note that both of the procedures  
10 that are being discussed, at least the attachment to  
11 Licensee's Exhibit 48 and all of Licensee Exhibit 51, are  
12 not limited to small break loss of coolant accidents that  
13 are indeed in inadequate core cooling procedure for events  
14 beyond the design basis.

15 MR. POLLARD: That reminds me of another question,  
16 Mr. Baxter's explanation.

17 BY MR. POLLARD: (Resuming)

18 Q In deciding whether or not Three Mile Island Unit  
19 1 should be allowed to restart, did you evaluate the  
20 environmental qualification of the instrumentation added to  
21 detect inadequate core cooling?

22 A (WITNESS ROSZTOCZY) One of the requirements that  
23 we have is that new instrumentation or new equipment has to  
24 be installed in the plant because of the lessons learned  
25 from Three Mile Island, must meet the appropriate

1 environmental qualification requirements. As part of the  
2 February 1 submittal, the Licensees were required to provide  
3 qualification information on those equipment which have  
4 already been installed at that time.

5 Equipment which will be installed after February 1  
6 of 1980, the qualification has to be established prior to  
7 installation of that equipment.

8 Q Well, perhaps we could take an example of this,  
9 which is where I was going next anyway. Does the PORV block  
10 valve have to be qualified for restart?

11 A (WITNESS ROSZTOCZY) The PORV valve is not a new  
12 equipment. I thought your question was relating to new  
13 equipment which has to be installed.

14 Q Well, perhaps it was more generally related to  
15 lessons learned, whether or it was new equipment or old  
16 equipment.

17 (Pause.)

18 A (WITNESS ROSZTOCZY) I am not sure if the PORV  
19 block valve is on the list, but identification had to be  
20 made of those equipment they need to safely handle the  
21 plant, and if it was on the list then yes, it is required.

22 Q When you say the list are you referring to the  
23 Licensee's May 18 letter?

24 A (WITNESS ROSZTOCZY) The Licensee's January 30  
25 submittal.

1 Q The PORV is clearly on the January 30 submittal. I  
2 think I can establish that. But my question was, for  
3 restart?

4 A (WITNESS ROSZTOCZY) No, I --

5 Q Licensee's May 18 letter provided the list of  
6 equipment that was required for restart.

7 A (WITNESS ROSZTOCZY) Correct.

8 Q And have you evaluated the May 18 letter and the  
9 list attached to it to make sure that all equipment  
10 necessary to cope with a small break loss of coolant  
11 accident has been included on that list?

12 A (WITNESS ROSZTOCZY) This is what we discussed  
13 earlier and we told you that this evaluation has been done  
14 but it was done in a different division and we just have the  
15 final statement that they agree with the data that was  
16 provided. Now if you want to check we can check whether the  
17 block valve is on that list.

18 Q I can do that outside the hearing, but I just want  
19 to make sure that when you say the list you are referring to  
20 the list in the Licensee's May 18 letter.

21 A (WITNESS ROSZTOCZY) That is correct.

22 Q So it is the staff position that equipment not on  
23 that list does not need to be qualified prior to restart?

24 A (WITNESS ROSZTOCZY) That is correct. The  
25 equipment which is not on that list must be qualified by

1 June '82. Should restart come after June '82 then obviously  
2 it has to be qualified.

3 Q So it would futile for me to keep asking more  
4 questions about whether a particular piece of equipment is  
5 qualified because someone else looked at that?

6 A (WITNESS ROSZTOCZY) I'm sorry, I didn't follow  
7 that.

8 Q What I asked you -- I asked you does the PORV  
9 block valve have to be qualified prior to restart, and you  
10 said if it was on the list it does. If it's not it doesn't.

11 A (WITNESS ROSZTOCZY) That's correct.

12 Q So that if I asked you about the saturation meter  
13 or the emergency feedwater flow indicators or the positior  
14 indicators for the PORV and the safety valves, all you are  
15 going to tell me is if it's on the list, yes, and if it's  
16 not on the list, no.

17 A (WITNESS ROSZTOCZY) Yes, that is part of it. The  
18 other part of it is what I told you earlier, that if it is a  
19 new equipment, something new that is being put into the  
20 plant, if it was put into the plant prior to February 1,  
21 1980, then it should be part of the February 1 submittal and  
22 will be evaluated through the review of that submittal.

23 If it is being put in after February 1 then the  
24 qualification has to be established before it is installed  
25 in the plant.

1 Q Well, we have -- I think we have on the record  
2 that the saturation meter has to be installed prior to  
3 restart. Well, let us assume that it does.

4 DR. JORDAN: Let's assume it does.

5 CHAIRMAN SMITH: It is endlessly on the record,  
6 over and over again.

7 BY MR. POLLARD: (Resuming)

8 Q Then you have reviewed the qualifications, then,  
9 for the inputs to the saturation meter, is that correct?

10 A (WITNESS ROSZTOCZY) No, that is not correct. The  
11 requirement is that prior to being installed it has to be  
12 properly qualified for the environment that it has to  
13 function in. And the information to establish this  
14 qualification has to be placed in the central files. The  
15 only way we would check on this is to inspect the central  
16 files.

17 Q Let's take a look at the work sheet on additional  
18 accident monitoring equipment -- sheets 8 to 15. An example  
19 of that is at page 72 of UCS Exhibit 39.

20 (Pause.)

21 Q Now on page 16 or 17 of Licensee's May 18 list it  
22 lists RC-5-A-TE-1 all the way through RC-5-B-TE-4, which are  
23 all listed as reactor coolant inlet temperature RTDs and the  
24 Licensee says these are qualified.

25 My question to you is, looking at the work sheet,

1 let's take, for example, work sheet 8, it identifies the  
2 function as for calculation of TSAT and it identifies the  
3 service as reactor inlet temperature. Do you believe that  
4 information is accurate?

5 A (WITNESS LaGRANGE) I didn't really review that  
6 information for its accuracy.

7 Q Well the Bulletin required the Licensee to  
8 identify the function and the service, right, but you did  
9 not consider that information in deciding whether or not this  
10 submittal was sufficient?

11 A (WITNESS LaGRANGE) No, I looked at the  
12 qualification information. I can make a determination as to  
13 whether or not it appears to be qualified regardless of what  
14 its function and service is.

15 Q Would it concern you that the TSAT meter does not  
16 in fact receive input for the reactor inlet temperature?

17 A (WITNESS LaGRANGE) Not if all the other  
18 information on here is correct. I can still make that  
19 determination as to whether it is or is not qualified.

20 Q Well, let's suppose the TSAT meter receives its  
21 input from reactor outlet temperature. Wouldn't that affect  
22 your determination of whether this list of equipment is  
23 adequate to justify restart?

24 A (WITNESS LaGRANGE) I don't know. I did not  
25 review that list and I do not know what --

1 Q Someone -- the staff is so huge you never have t  
2 right witness on the stand.

3 DR. JORDAN: I think it has been established that  
4 these people did not decide what goes on the list and that  
5 is another place.

6 BY MR. POLLARD: (Resuming)

7 Q Do you know what -- well, I suppose there's no  
8 point in asking. You don't know what instrument supplies  
9 the pressure input to the TSAT meter, then, do you?

10 A (WITNESS LaGRANGE) I don't know.

11 Q Do you know whether the TSAT meter and its inputs  
12 have to be qualified for restart?

13 A (WITNESS LaGRANGE) If it's listed here on the May  
14 18 submittal I assume it does.

15 Q Did you in the course of your review for your  
16 testimony look at the extent of environmental qualification  
17 for the in-core thermocouples?

18 A (WITNESS LaGRANGE) Could you repeat that?

19 Q Did you look at the extent of environmental  
20 qualification of the in-core thermocouples?

21 A (WITNESS LaGRANGE) If they are listed in the May  
22 18 submittals.

23 Q Did you review the adequacy of the Licensee's  
24 calculation of the flood level in containment following the  
25 small break loss of coolant accident?

1 A (WITNESS LaGRANGE) No.

2 Q You simply assumed that the flood level they  
3 stated was, in fact, the flood level?

4 A (WITNESS LaGRANGE) Yes.

5 Q Did you look at the margin between the stated  
6 flood level and the location of the equipment?

7 A (WITNESS LaGRANGE) In most cases no. I either  
8 have an indication of above flood level or below flood level.

9 Q Would you find it acceptable for restart, assuming  
10 a piece of equipment is on the May 18, for it to be located  
11 1.38 inches above the calculated flood level?

12 A (WITNESS LaGRANGE) I don't believe we're adding  
13 any margin onto the calculated flood level, so I would have  
14 found that acceptable, yes.

15 Q Am I correct that the calculated flood level  
16 originally was five feet, nine and three-quarters inches and  
17 the Licensee now claims he has recalculated it to 5.66 feet  
18 or five feet, 7.92 inches?

19 A (WITNESS LaGRANGE) Yes.

20 Q Do you think that three significant figures is a  
21 reasonable way to specify flood level? Do you think you can  
22 determine flood level that accurately?

23 A (WITNESS LaGRANGE) Well, I assume there are  
24 probably a lot of conservatisms in the calculation of that  
25 flood level, but I would find it hard to believe that you



1 can get it right down to three digits.

2 Q Were you aware that the flood level during the  
3 TMI-2 accident was something like eight or nine feet?

4 A (WITNESS LaGRANGE) Yes, I have heard that, yes.

5 Q And you nevertheless think that less than six feet  
6 is adequate for Three Mile Island Unit 1?

7 A (WITNESS LaGRANGE) I really did not review the  
8 flood level, how they calculated it.

9 Q But nevertheless you conclude the plant is safe  
10 enough to restart?

11 A (WITNESS LaGRANGE) I concluded, based on the  
12 levels specified, that the only two items of equipment that  
13 may be submerged were the two motor operators. And I took a  
14 look at those for submergence.

15 A (WITNESS ROSZTOCZY) Mr. Pollar in this case the  
16 assumption is that it is safety restart provided the flood  
17 level would be maintained below the specified value.

18 Q That was going to lead to my next series of  
19 questions. Do you think, then, it would be appropriate to  
20 have a licensing condition in this Board decision that the  
21 emergency procedures shall specify that under no  
22 circumstances should the containment level be allowed to  
23 exceed 5.94 feet or 5.66 feet, whatever the case may be?

24 A (WITNESS ROSZTOCZY) I'm not sure that is exactly  
25 the best way, but something of that sort I think would be

1 appropriate.

2       Q     Well, you see, the thing that concerns me, Mr.  
3 Rosztoczy, is during the TMI-2 accident there is testimony  
4 on this record that the operators decided not to go into  
5 their recirculation mode and, as best I can understand the  
6 Licensee's submittals to date, if they have calculated this  
7 flood level on the assumption that as soon as there is  
8 enough water, or shortly thereafter, to provide net positive  
9 suction into the pumps that they will go into recirc.

10           What my concern is, that if we have another  
11 accident similar to TMI-2 and the operators decide for some  
12 reason that it is not safe or they choose not to go into  
13 recirculation, the flood level is going to be substantially  
14 higher than 5.66 feet and we have some equipment which is  
15 not qualified for submergence that is not very far above the  
16 calculated flood level.

17           And so what I am trying to probe, and perhaps I  
18 have the wrong witnesses again, is how you accounted for  
19 this problem, which occurred during the TMI-2 accident, in  
20 your evaluation of TMI-1 in order to conclude that this  
21 plant is safe enough to restart.

22       A     (WITNESS ROSZTOCZY) I think I answered that. We  
23 took the calculated flood level. We based our evaluation on  
24 that flood level, and specified in our SER that our  
25 conclusions are dependent on maintaining this flood level

1 and the actual flood level for every plant has been put into  
2 the SER that you could not find in SERs before.

3           And it remains to some other means, which is  
4 beyond my responsibility, to assure that that flood level  
5 would not be exceeded.

6       Q     Well, am I correct, then, that as far as your  
7 testimony goes that if the flood level were to exceed  
8 whatever the Licensee has specified you are unable to say  
9 whether or not the plant is safe enough to resume operation?

10      A     (WITNESS ROSZTOCZY) That is correct.

11      Q     Now with respect to this flood level I noted in  
12 the environmental qualification safety evaluation report at  
13 page 5 that originally the Licensee failed to identify that  
14 makeup valves 2A and 2B were below the flood level. Can you  
15 tell me of any action the staff took other than simply  
16 telling Met Ed to look again after you discovered that the  
17 valves were in fact below the flood level and had not been  
18 reported to be so by Met Ed?

19           I mean, did you just simply tell them to go back  
20 and look again, or did you do anything else?

21      A     (WITNESS ROSZTOCZY) We identified in our SER that  
22 those are above and we required them to address it and take  
23 corrective action. Have we taken any other steps? I am not  
24 aware of any other steps.

25      Q     Okay, decay heat valves DHV-1 and DHV-2 are listed

1 on licensee's May 18 submittal at page six of 17. So as far  
2 as your evaluation is concerned, decay heat valves 1 and 2  
3 are required to be environmentally qualified prior to  
4 restart, am I correct?

5 A (WITNESS LaGRANGE) That is correct.

6 Q Now did you or did anyone on the staff attempt to  
7 verify what other equipment might be necessary in order for  
8 decay heat valves 1 and 2 to be operable in the post-LOCA  
9 environment?

10 A (WITNESS LaGRANGE) No. I just have to say once  
11 again that review was not done by us.

12 Q I know, but you're here as the staff witness, so  
13 the question I'm asking is, do you know whether anyone on  
14 the staff has done any evaluation to determine whether this  
15 May 18 list of equipment is complete? That is, is there no  
16 other equipment that is required to be environmentally  
17 qualified in order to put the plant into safe shutdown  
18 condition following a small break LOCA?

19 A (WITNESS ROSZTOCZY) The answer is yes. The  
20 Division of System Integration has done that review.

21 Q And they have concluded that this list is adequate?

22 A (WITNESS ROSZTOCZY) Yes.

23 Q Okay.

24 (Pause.)

25 Q If you could turn, please, to the decay heat

1 removal work sheets. It is on sheet 3 and sheet 4. I'm  
2 sorry that is on the Licensee's January 30 submittal.

3 A (WITNESS LaGRANGE) Okay, we have --

4 Q If you give me a moment, I have to find the page  
5 reference in my exhibits. That is page 41 on UCS Exhibit  
6 39. It covers decay heat valve.

7 Once again, if I look into the service, on the  
8 left, under equipment description it says service, decay  
9 heat removal pump A discharge valve. Did you attempt to  
10 verify whether or not this is the decay heat removal pump  
11 discharge valve?

12 A (WITNESS LaGRANGE) No.

13 Q Okay, just to save time, let me have you assume  
14 that this is in fact a valve inside containment on the  
15 suction line for the decay heat pumps which is used for the  
16 normal decay heat removal path. In the restart report,  
17 Licensee's Exhibit 1, that is figure 302-640. And on  
18 restart figure 302-640, next to decay heat valve 1 there is  
19 an indication which says this valve is interlocked with  
20 RC-3A pressure switch 2 and decay heat valve 2 is  
21 interlocked to RC-3A PS 5.

22 Now perhaps you will recall, Dr. Resztoczy that on  
23 suction valves the staff requires them to be interlocked and  
24 they can't open if reactor coolant pressure is too high, is  
25 that correct?

1 A (WITNESS ROSZTOCZY) It's possible.

2 Q Well, we worked together on this and I can't even  
3 get you to agree.

4 DR. JORDAN: We all know that is the case.

5 BY MR. POLLARD: (Resuming)

6 Q My concern is I see nowhere in the Licensee's May  
7 18 submittal or the January 30 submittal the fact that these  
8 pressure switches must be qualified. Now if decay heat  
9 valves 1 and 2 are required to be operable for your  
10 testimony and recommending to this Board to allow Three Mile  
11 Island to restart, and these pressure switches must be  
12 operable in order for those valves to be opened, then is it  
13 not fair to conclude that you are not yet in a position to  
14 determine whether or not Three Mile Island Unit 1 should be  
15 allowed to restart?

16 A (WITNESS ROSZTOCZY) If your assumptions are  
17 correct then you have a concern there and what we can do is  
18 bring your concern to the attention of those who have done  
19 the systems review.

20 Q Well, you see the difficulty is -- well, would I  
21 be correct, then, and perhaps you can help me write my  
22 findings, that if these pressure switches are in fact  
23 interlocked with these valves and those pressure switches  
24 are not on the Licensee's list of May 18, that then the  
25 plant should not be allowed to restart until you have

1 determined the environmental qualification of those pressure  
2 switches?

3       A       (WITNESS ROSZTOCZY) If the Licensee's May 18  
4 submittal is incorrect in some respect like, for example, it  
5 is not complete, it didn't include some pressure switches  
6 that it should have included, then yes, it would be our  
7 position that the Licensee should correct this and should  
8 provide the appropriate information for those items which  
9 are on the list.

10       Q       I'm sorry if I keep asking the same question, but  
11 I forget sometimes. Neither of you two made an attempt to  
12 determine whether the May 18 list was complete, that is,  
13 that it included all of the equipment which had to be  
14 environmentally qualified to achieve safe shutdown following  
15 a small break LOCA?

16       A       (WITNESS ROSZTOCZY) That is correct. That review  
17 was done in another department.

18       Q       But there was someone on the staff whose  
19 responsibility that was?

20       A       (WITNESS ROSZTOCZY) That is correct.

21       Q       So it is not just the Licensee's error.

22       A       (WITNESS ROSZTOCZY) That is correct.

23       DR. JORDAN: Mr. Pollard, while you are at that  
24 figure, refresh my memory. Those two valves normally closed  
25 valve and require operator action after the pressure is

1 reduced. Those valves must be opened.

2 MR. POLLARD: That is correct. These are valves,  
3 the section valves on the RHR system which are interlocked  
4 so that they cannot be opened if the reactor coolant system  
5 pressure is too high. And I don't know if it is true for  
6 Three Mile Island Unit 1, but the staff position was that  
7 the interlock should also close the valves if they are open  
8 and reactor coolant system pressure starts to increase above  
9 the limit.

10 DR. JORDAN: Are they manually operated valves?

11 MR. POLLARD: They are manually controlled  
12 valves. The operator would have to take steps to open the  
13 valves and the interlock is there to prevent him from  
14 opening them if the pressure is too high.

15 DR. JORDAN: Good. That helps. Thank you.

16 MR. POLLARD: What my concern is, if the pressure  
17 systems fail he may never be able to open the valves.

18 DR. JORDAN: I understand your concern. It was  
19 just an aside.

20 MR. CUTCHIN: Mr. Chairman, I would note again for  
21 the record that the witnesses have said that they reviewed  
22 for the capability to take the plant to safe shutdown being  
23 defined as hot shutdown. And these valves, I believe, are  
24 used to take the plant to cold.

25 MR. POLLARD: I believe the witnesses have also



1 testified that the May 18 list by the Licensee is supposed  
2 to include only that equipment necessary to cope with a  
3 small break LOCA and I keep getting that answer from these  
4 witnesses. If it is on the list it has to be qualified. If  
5 it is not on the list it doesn't have to be qualified.

6 CHAIRMAN SMITH: Your last question and answer  
7 poses a premise for the witnesses that there is an error  
8 both by the Licensee and by the component of the staff which  
9 reviewed it.

10 MR. POLLARD: Yes.

11 CHAIRMAN SMITH: And they seemed to accept that  
12 premise in their answer, is that your understanding?

13 MR. POLLARD: That was my understanding.

14 CHAIRMAN SMITH: Is that your understanding?

15 MR. POLLARD: The witness qualified it by assuming  
16 all of the things I stated were true, that in fact these are  
17 the pressure switches, that in fact they must operate in  
18 order for the valves to operate. I think he qualified it to  
19 that extent.

20 MR. CUTCHIN: So the record reflects, Mr.  
21 Chairman, that if there was an error it is an error  
22 involving both the Licensee and the staff.

23 CHAIRMAN SMITH: Thank you.

24 BY MR. POLLARD: (Resuming)

25 Q The master list for the decay heat removal system,

1 at page 202, identifies a junction box inside containment,  
2 junction box J-21, is that correct?

3 A (WITNESS LaGRANGE) I'm sorry, Mr. Pollard, where  
4 is that?

5 Q I'm sorry. Perhaps I went backwards. I'm on the  
6 master list for the decay heat removal system which consists  
7 of two sheets. On sheet one there is a junction box J-20  
8 located in the primary containment and sheet 2 is a junction  
9 box J-21 located inside primary containment.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           CHAIRMAN SMITH: Could you give us the exhibit  
2 number?

3           MR. POLLARD: I don't think I have it in my  
4 exhibit, Mr. Chairman. This is one of the sheets from the  
5 Licensee's January 30th submittal. I'm just trying to  
6 establish orally what is in that page. It may be in my  
7 Exhibit 39.

8           CHAIRMAN SMITH: Well, if it is not intended to  
9 be, okay. I just thought that we were referring to an  
10 exhibit.

11           (Pause.)

12           DR. JORDAN: Have you found the list?

13           WITNESS LaGRANGE: Oh, yes, I have.

14           BY MR. POLLARD: (Resuming)

15           Q     As far as I can determine, there is no work sheet  
16 for those junction boxes. Can you describe for me what a  
17 junction box is?

18           A     (WITNESS LaGRANGE) No.

19           Q     And on other master lists, I can give you an  
20 example if you wish, but do you recall seeing identification  
21 of components called terminal boxes?

22           (Pause.)

23           Q     You can find that an example on emergency  
24 feedwater master list, sheet 3 of 3. There are several  
25 terminal boxes listed.

1 A (WITNESS LaGRANGE) Okay.

2 Q By the way, that is page 13 of UCS Exhibit 39.

3 Can you tell me what a terminal box is?

4 A (WITNESS LaGRANGE) Not in great detail, no.

5 Q On the Licensee's May 18th submittal, I see I  
6 cannot find any indication of either a component called the  
7 junction box or the terminal box.

8 MR. CUTCHIN: That may be, Mr. Chairman, because  
9 on his page 13 they are listed as outside containment. Does  
10 that mean they are in the aux building? I think we should  
11 establish where they are.

12 MR. POLLARD: Mr. Cutchin, I don't know whether  
13 you have any objections or not. But other components on the  
14 Licensee's May 18th list, some are inside the reactor  
15 building and some are in the auxiliary building.

16 MR. CUTCHIN: My only point, Mr. Chairman, is from  
17 Exhibit 13 alone and anything that has been said so far,  
18 there has been no establishment as to their location other  
19 than outside primary containment. I think unless it can be  
20 shown either through the mouths of these witnesses or by  
21 other evidence that they are in the auxiliary building, we  
22 are spending a lot of time here developing a record that is  
23 rather useless.

24 (Pause.)

25 MR. POLLARD: I'll move on, then, for the time

1 being. I assume from the Board's silence I must do  
2 something.

3 CHAIRMAN SMITH: Well, there's no objection.  
4 There's nothing for us to rule on.

5 BY MR. POLLARD: (Resuming)

6 Q So as I understand you, Mr. LaGrange, you don't  
7 know or cannot describe what a junction box is and what a  
8 terminal box is, and to the best of your recollection you  
9 have reviewed no information on the environmental  
10 qualification of those components; is that correct?

11 A (WITNESS LaGRANGE) Unless a terminal box is the  
12 same as a terminal block.

13 Q Okay. On the Licensee's letter of May 18th, on  
14 page 17 of 17, they do list terminal blocks.

15 CHAIRMAN SMITH: Terminal blocks?

16 MR. POLLARD: It says "terminal block being  
17 located in the auxiliary building" and that refers us back  
18 to the 79-01B submittal, volume 1A, common, sheet 2.

19 BY MR. POLLARD: (Resuming)

20 Q Now, from your review of this work sheet, have you  
21 decided that you agree with the Licensee that terminal  
22 blocks have been adequately qualified?

23 A (WITNESS LaGRANGE) For the small break LOCA,  
24 yes.

25 Q Could you tell me, please, what a comparison test

1 is?

2       A       (WITNESS LaGRANGE) A comparison test was a  
3 listing of the different materials that make up the terminal  
4 block, and they compared the radiation and thermal aging  
5 qualification information available from various sources for  
6 that material to determine what they would be qualified  
7 for.

8       Q       Now, in your review of the qualification of these  
9 terminal blocks, did you have occasion to look at the type  
10 of enclosure that the terminal blocks are installed in?

11       A       (WITNESS LaGRANGE) No.

12       Q       And this work sheet does indicate that the  
13 terminal blocks are inside containment, does it not?

14       A       (WITNESS LaGRANGE) Yes.

15       Q       Do you think whether or not a terminal block is in  
16 enclosure will affect whether or not it is adequately  
17 qualified?

18       A       (WITNESS LaGRANGE) I think it would depend on the  
19 details of the enclosure.

20       Q       Can you describe for me an acceptable enclosure?

21       A       (WITNESS LaGRANGE) It would depend again on what  
22 parameter you were trying to claim qualification for because  
23 of the enclosure. If you have a watertight enclosure,  
24 obviously you may be qualified for submergence. If you have  
25 a thick enough enclosure, perhaps you could qualify for

1 radiation. Containment spray, chemical spray; if it was a  
2 watertight enclosure, you may be able to qualify or exempt  
3 the qualification for containment or chemical spray.

4 Q To your knowledge has the NRC done any research to  
5 determine what size of an opening in an enclosure is an  
6 acceptable opening?

7 A (WITNESS LaGRANGE) Not to my knowledge, no.

8 (Pause.)

9 MR. POLLARD: Mr. Chairman, I have distributed to  
10 the Board and the parties, and also loaned a copy to the  
11 witnesses, of a report numbered NUREG/CR-1682, entitled  
12 "Electrical Insulators in a Reactor Accident Environment,"  
13 which was printed in January of 1981, prepared by Sandia  
14 National Laboratories for the U.S. Nuclear Regulatory  
15 Commission. Now I ask that this be marked for  
16 identification as UCS Exhibit 44.

17 (The document referred to was  
18 marked UCS Exhibit No. 44  
19 for identification.)

20 BY MR. POLLARD: (Resuming)

21 Q Have either of you seen this report before?

22 A (WITNESS LaGRANGE) I haven't.

23 A (WITNESS ROSZTOCZY) I haven't, either.

24 Q In your capacity, Mr. LaGrange, of overseeing  
25 technical assistance contracts for equipment qualification,

1 how do you go about sharing with your other colleagues on  
2 the staff the results of the research that NRC is doing?

3       A       (WITNESS LaGRANGE) My technical assistance  
4 contracts are not research-related. Mine are more casework  
5 review being done for specific plants, in which case the  
6 technical contractor is assisting me to perform our review  
7 for input to the safety evaluation report. I have never  
8 been involved in something that would result in something  
9 like this document here, that would have to be shared with  
10 other people.

11       A       (WITNESS ROSZTOCZY) I'm not sure that question is  
12 relevant to this report, in the sense that this is not a  
13 technical assistance contract. What we are talking here,  
14 this is one of the research contracts. And the way  
15 information is being disseminated in our organization is  
16 that reports like this are available to our people. We  
17 receive copies of it.

18               I didn't say that I didn't receive a copy. It is  
19 very likely that I was on a distribution list and I have  
20 received a copy of this report. And they are routed to the  
21 individuals who are handling these type of previews. They  
22 read it as part of the normal daily routine, their normal  
23 duties, and then they feed it into our normal work. This is  
24 one way how it is being done.

25               Another way how it is being done is that



1 periodically we meet with the contractor who has performed  
2 the test or who had provided the report and we ask them to  
3 present the result to us, and we try to have always a number  
4 of people there from the equipment qualification area, who  
5 then listen to the presentations and thus learn about these  
6 details.

7           In addition to this, the research part of our  
8 organization, when some significant information has been  
9 gathered or came out of that research contractor, then they  
10 write what's called a research information letter. And then  
11 this research information letter is sent to the other  
12 divisions to have them -- and they review and their  
13 understanding of the information that was gathered.

14       Q     Mr. LaGrange, were you the one who reviewed the  
15 Licensee's data on environmental qualification of the  
16 terminal blocks or did someone else do it?

17       A     (WITNESS LaGRANGE) No, I reviewed that  
18 information.

19       Q     And you did not receive a research information  
20 letter on this report?

21       A     (WITNESS LaGRANGE) I haven't seen it, no.

22       A     (WITNESS ROSZTOCZY) Again, let's clarify that  
23 statement. What Mr. LaGrange has done, he has performed a  
24 review for a given submittal on a given plant. And that  
25 review across the board covers all equipment types and it

1 covers only the summary sheets and the information provided  
2 on the summary sheets. It does not cover the backup  
3 information, the referenced information that established the  
4 qualification.

5           As I mentioned to you earlier, the testing  
6 reports, the backup reports, are being reviewed separately.  
7 When we conduct those reviews, those are done more along  
8 equipment types as opposed to individual plants. The  
9 outcome of those reviews for a given equipment type is  
10 summarized in a summary sheet that is fed into the  
11 computer. We have a computer assist him.

12           And we have an ongoing program, a program we just  
13 started after we finished these SER's, to cross-reference  
14 these and see if a certain type of equipment, like terminal  
15 blocks, have been properly qualified and have been properly  
16 identified in the various plant submittals.

17           Now, this part of the review is done by different  
18 people, and among those are some who are specifically  
19 keeping information on a certain equipment type. If you are  
20 interested in terminal blocks, for example, we have a  
21 gentleman working for us at the Franklin Research Institute  
22 who is following information on those, and we will be  
23 turning toward him whenever we have a question about  
24 terminal blocks.

25           Q     Well, what I am trying to get at is to understand

1 how you could prepare testimony saying Three Mile Island  
2 Unit 1 is safe enough to restart without knowing whether or  
3 not the terminal blocks located inside containment, which  
4 are used in various systems needed even for just safe  
5 shutdown or hot shutdown following a small break LOCA --  
6 when I have a report published in January 1981 which states,  
7 if you just look at the abstract: Terminal blocks are  
8 probably the weakest links in a reactor's electrical system,  
9 and concern about their presence in a safety-related  
10 circumstance is fully justified.

11 On page 14 of the report --

12 MR. CUTCHIN: Mr. Chairman, is he going to pose a  
13 question on this or is this an effort to get material into  
14 the record that can be arguably cited as evidence? Because  
15 if so, I object to these readings because there's no way to  
16 establish the truth of the matters stated within this  
17 document.

18 MR. POLLARD: What I was going to do was read  
19 selected segments from the report and ask the witnesses in  
20 view of such statements, do they think that they need to  
21 reassess the environmental qualification of the terminal  
22 blocks for Three Mile Island Unit 1.

23 CHAIRMAN SMITH: What are you going to do about  
24 the problem that Mr. Cutchin referred to? You're not, I  
25 don't think, going to --

1 (Pause.)

2 CHAIRMAN SMITH: You're going to end up with his  
3 question -- your question and his answer, but your question  
4 will not be citable, will not be a basis for findings.

5 MR. POLLARD: Well, first of all, I think if I can  
6 demonstrate to these witnesses that these kinds of  
7 statements -- they might at least raise reasonable doubts in  
8 these witnesses' minds that they ought to go back and look  
9 at that.

10 CHAIRMAN SMITH: You can try that.

11 MR. POLLARD: The second thing I am going to do,  
12 at the end when I move to have my exhibits introduced into  
13 evidence, if there is an objection as to we can't establish  
14 the truth of this, we have a stipulation in the past that we  
15 used for other exhibits that this is not to be for the truth  
16 of the matter, but for the fact that such a report was  
17 written and received by the agency.

18 And I will cite it in my findings as evidence that  
19 the staff's evaluation has not been adequate since these  
20 witnesses say they are not familiar with the report. They  
21 don't know -- they are the ones that looked at the  
22 qualification of the terminal blocks. They are ready to  
23 allow this plant to restart in the face of a lengthy  
24 research report which I think I can demonstrate shows that  
25 the probability of failure of terminal blocks inside

1 containment is relatively high.

2           CHAIRMAN SMITH: Well, you won't be able to use  
3 the report.

4           MR. BAXTER: Mr. Chairman, excuse me. As Mr.  
5 Pollard said, the report goes to terminal blocks inside  
6 containment. The terminal block, at least the one we  
7 referred to on page 17 of 17 in Licensee's May submittal, is  
8 in the auxiliary building.

9           MR. POLLARD: And it references me back to this  
10 work sheet, where the work sheet says it is inside  
11 containment.

12           We also have the problem, which I tried to  
13 straighten out but couldn't, when we have listed separately  
14 on the master list junction boxes, terminal boxes, and the  
15 a work sheet on terminal blocks, and I tried to get the  
16 witness to tell me what was a junction box and terminal box,  
17 and he can't. So I am somewhat at a loss as to why we have  
18 different terminology in the same submittal.

19           MR. CUTCHIN: Which is my very point, Mr.  
20 Chairman. It has very little evidentiary value.

21           CHAIRMAN SMITH: And what he hopes -- well, let's  
22 proceed. Let's take it a question at a time. I understand  
23 what your approach is going to be, and you have been warned  
24 that your questions themselves will not be citable as  
25 evidence of the statements made in those questions. Put I

1 understand where you're going and what your approach is, and  
2 you hope to end up by demonstrating that whether the  
3 statements in the Sandia report are true or not, the failure  
4 of the witnesses to inquire into such a matter is an  
5 indication of inadequate analysis and review. Is that your  
6 point?

7 MR. POLLARD: Yes, sir.

8 CHAIRMAN SMITH: Let's see what happens.

9 MR. BAXTER: Mr. Chairman, I don't mean to cut  
10 off, but I am advised that the work sheet Mr. Pollard refers  
11 to is in error and that there are no terminal box and safety  
12 circuits in the TMI-1 containment building any more. So I'm  
13 just concerned that we're wasting an awful lot of time about  
14 a report that really does not apply.

15 CHAIRMAN SMITH: Would that make a difference in  
16 your inquiry?

17 DR. JORDAN: This puzzles me a little bit, because  
18 I notice that the report specifically reference the TMI-2,  
19 the weepholes and so on of the terminal blocks. This is  
20 Appendix A I was looking at.

21 MR. BAXTER: Well, we've done a lot of work since  
22 the accident, Dr. Jordan.

23 MR. POLLARD: I've also tried to establish on the  
24 record that Licensee's submittals have been in error in the  
25 past, and the staff has not looked. So the Licensee may be

1 in error in saying the terminal blocks are inside there.

2 MR. BAXTER: We have absolutely no evidence that  
3 they are, either.

4 CHAIRMAN SMITH: We have some evidence that they  
5 are.

6 MR. BAXTER: The work sheet I am advised is in  
7 error. But the evidence that we have and the staff's  
8 testimony says that it is in the auxiliary building.

9 MR. POLLARD: That was the Licensee's submittal.

10 MR. BAXTER: That's right, but that's the only  
11 thing in evidence right now.

12 CHAIRMAN SMITH: All right. They are in the  
13 auxiliary building. They are in the auxiliary building.  
14 Assuming that is the case, what does that do to your  
15 position?

16 MR. POLLARD: I don't think it does anything to my  
17 position if I succeed in getting my Exhibit 39 introduced,  
18 because there are other terminal boxes located inside  
19 containment on master lists.

20 CHAIRMAN SMITH: Okay, it's back to you.

21 MR. POLLARD: I didn't mean 39. It might be 38,  
22 the master list. I'm sorry.

23 Mr. Chairman, maybe I don't have to go through and  
24 ask the witnesses questions. Perhaps I could now offer into  
25 evidence UCS Exhibit No. 44 and see what's going to happen.

1 DR. JORDAN: But do you have already in evidence  
2 from your exhibits thus far -- do you believe you have in  
3 evidence that there are terminal blocks important to safety  
4 inside the containment building?

5 MR. POLLARD: Not until I introduce the other  
6 exhibits into evidence.

7 DR. JORDAN: That is where you're going?

8 MR. POLLARD: Eventually, yes, sir.

9 CHAIRMAN SMITH: The other exhibits that you've  
10 already identified?

11 MR. POLLARD: Yes, sir.

12 CHAIRMAN SMITH: I see no shortcut to it. You  
13 might as well begin, whichever way you wish.

14 MR. POLLARD: Well, did I have an objection that  
15 was sustained that I cannot read these sentences?

16 CHAIRMAN SMITH: No, we said that you can read  
17 sentences and base questions on them. But the sentences you  
18 read in the form of questions will not be available to you,  
19 or at least they will not be available to the Board for  
20 findings.

21 Then you will offer the exhibit, I guess, and then  
22 somebody is going to object. And then we will find out  
23 whether the, object to the exhibit on the basis that we  
24 can't cross-examine the authors on the merits of your  
25 statements, and you will say, why, I offer it for the fact



1 that the report was made, and we're going from there. I can  
2 just see -- I think I can see the whole afternoon ahead of  
3 us. So you might as well get on your way.

4 MR. POLLARD: I expect the same thing to happen as  
5 happened with UCS 18, which is the letter from Dr. Hanauer  
6 talking about what he learned from the accident, where we  
7 introduced that not for the truth of the matter but for the  
8 fact that it was written and it said this.

9 CHAIRMAN SMITH: Have you gentlemen read this  
10 report that he's referring to?

11 WITNESS ROSZTOCZY: No.

12 CHAIRMAN SMITH: Were you aware of its existence?

13 WITNESS ROSZTOCZY: We are aware of the program  
14 that generated the information and we are aware that there  
15 are topical reports written on the program, period. I have  
16 not read this specific report. Yet I am aware that such  
17 reports are being issued.

18 CHAIRMAN SMITH: Are you aware that they say that  
19 terminal blocks are a big problem?

20 WITNESS ROSZTOCZY: We are aware that terminal  
21 blocks have been a problem for a long time. It has been  
22 considered years ahead of 79-01B Bulletin, what we are  
23 discussing here. And it has been reviewed. At that time  
24 the finding was that there were many terminal block types  
25 where were unacceptable for in-containment use and there

1 were also a good number of them which were acceptable. So  
2 those which were unacceptable had to be replaced or removed  
3 from the plants, and as far as I know those have been  
4 accomplished.

5           CHAIRMAN SMITH: So you don't believe you can just  
6 classify terminal blocks as a category of problems or  
7 non-problems? It has to be analyzed?

8           WITNESS ROSZTOCZY: I don't believe this report is  
9 new in the sense of it bringing attention to terminal  
10 blocks. The attention that terminal blocks have received  
11 initiated the program, an NRC program to provide additional  
12 information on terminal blocks. They are just reporting on  
13 the information that they gathered.

14           Whether it has any application relative to TMI-1  
15 as it stands today I do not know. I think that depends on  
16 that one item which was brought up earlier and whether that  
17 item is inside containment or outside. If it is outside,  
18 then it is possible that the report has no relevance to  
19 TMI.

20           MR. POLLARD: No relevance prior to June 30th,  
21 1982?

22           WITNESS ROSZTOCZY: No. If the TMI-1 as it stands  
23 today has no safety-related terminal blocks inside  
24 containment, then the report probably has no relevance to  
25 it.

1 BY MR. POLLARD: (Resuming)

2 Q To restart. But eventually aren't you going to  
3 look at the high energy line break outside containment and  
4 then it would be relevant, wouldn't it?

5 A (WITNESS ROSZTOCZY) That is correct.

6 Q That's all I was asking.

7 A (WITNESS ROSZTOCZY) Yes, that's correct.

8 (Pause.)

9 CHAIRMAN SMITH: So what is your plan now?

10 MR. POLLARD: I will just continue the way I was  
11 going, I guess.

12 BY MR. POLLARD: (Resuming)

13 Q On page 15 of the report, under conclusions and  
14 recommendations, it says: "One of the main conclusions is  
15 that in a typical small steam break accident, insulators do  
16 not cause problems if they are clean and protected by a  
17 tight box having at worst a small weep hole."

18 In other sections of the report it identifies a  
19 small weep hole as being 6 millimeters or less in diameter.  
20 On page 17 there's a restatement of what was in the  
21 abstract, in the last paragraph:

22 "Terminal blocks are apparently the weakest link  
23 of the electrical system inside a reactor containment  
24 building. The concern for their use in safety-related  
25 circuits is absolutely justified. While details could only

1 be ascertained by a circuit analysis, pre-accident  
2 replacement of the blocks in safety-related circuits at  
3 Three Mile Island doubtless prevented some circuit  
4 breakdowns and therefore made the accident less severe."

5           In another section of the report -- I can find it  
6 if you wish -- the report states that for the design basis  
7 LOCA about 14 percent of the protected terminals are  
8 expected to break down within the first ten minutes. The  
9 Sandia data also suggests that in the face of a design basis  
10 LOCA up to 30 percent of the unprotected terminals would  
11 experience electrical breakdowns.

12           Now, if these statements were true --

13           CHAIRMAN SMITH: Now wait. You just said in  
14 another section of the report, but did you give that page  
15 number in the report?

16           MR. POLLARD: No.

17           CHAIRMAN SMITH: Is there any reason why you  
18 wouldn't do that?

19           MR. POLLARD: Just to save time, if I can't get  
20 the report into evidence.

21           CHAIRMAN SMITH: We have not ruled that.

22           MR. POLLARD: I will find those pages for you.

23           CHAIRMAN SMITH: Well, if it is not important to  
24 your plan, okay. But -- if you don't need it, why take the  
25 time on it.

1 BY MR. POLLARD: (Resuming)

2 Q If the statements I read to you were true, would  
3 that cause you to go back and reassess the environmental  
4 qualification of the terminal blocks for Three Mile Island?

5 A (WITNESS ROSZTOCZY) The statements were kind of  
6 unqualified statements, in that they didn't differentiate  
7 between different type of terminal blocks. My understanding  
8 is that some of the terminal blocks were defective and they  
9 were inappropriately installed, but there were others which  
10 are appropriate. So to put all of them together and kind of  
11 make it 30 percent or 40 percent statistics is not a  
12 productive approach.

13 If we would learn from any source that the  
14 terminal blocks which are still in the plants and which will  
15 remain in the plants after June '82 do not measure up to the  
16 qualification standards, then yes, we would have a very  
17 serious concern.

18 Q Well, on page 16 of the report it states what:  
19 "Our investigation finds no clear difference in behavior for  
20 different terminal block models." So that at least for the  
21 objection you raise, the report also deals with that.

22 I guess what concerns me is the staff is spending  
23 money doing these research contracts, you are here  
24 testifying that Three Mile Island Unit 1 is safe enough to  
25 restart, and here seems to be a rather detailed study done

1 by one of your contractors which says terminal blocks are  
2 one of the weakest links. And it is not a report that  
3 you've heard about.

4           You appear not to want, now that I brought it to  
5 your attention, to go back and reassess, and I am having  
6 difficulty understanding why.

7           A       (WITNESS ROSZTOCZY) Please don't misunderstand  
8 the statements that we have made. We are very aware of the  
9 program. This is a relatively recent report and there were  
10 some questions about whether we had this report. But we are  
11 aware of the program, we are aware of all of the information  
12 that is coming in. These are an important program, and as a  
13 result of these programs and some other similar programs and  
14 other information a good portion of the terminal blocks has  
15 already been removed from the plants.

16           So this is not something that has been taken  
17 lightly. It is not something that produced no results. It  
18 produced some very important results in the plants and those  
19 results improved the safety of the plants.

20           But this review, the review of the terminal  
21 blocks, was really done a number of years ago. And whatever  
22 the outcome was for a given plant and whatever the  
23 determination was, that is what the plant had to live with.  
24 Because this has been done, it has been done relatively  
25 recently, meaning a few years ago; therefore, we don't

1 expect to see many problems with the terminal blocks in the  
2 present, the ongoing review.

3           Nevertheless, through this cross-checking approach  
4 that I mentioned earlier we are going to check who has  
5 terminal blocks still in the plant and whether those  
6 terminal blocks are properly qualified for the location  
7 where they are employed.

8           (Pause.)

9           Q       Now, at page 6 of your testimony and continuing, I  
10 guess, on page 7, you recommend as a condition of restart  
11 that Licensee commit to certain things, or if not that the  
12 Commission require the Licensee to do them. The first  
13 question I have is: Suppose the Licensee does commit to do  
14 the following things; do you think that that mitigates the  
15 need to have a condition specified in this for decision? In  
16 other words, how could you enforce a Licensee commitment?

17           A       (WITNESS ROSZTOCZY) I believe those two are equal  
18 in standing. If the Licensee is committed to do certain  
19 things prior to restart and we agree to the restart based on  
20 those commitments, it accomplishes think than if we require  
21 it as a licensing condition.

22           CHAIRMAN SMITH: You're falling in a legal bind  
23 here.

24           MR. POLLARD: I just wanted to bring it up once  
25 more, because we talked about this, about commitments and

1 whether the staff's evaluation was based on commitments, and  
2 I just wanted to point that out with that one question.  
3 This witness seems to think they are equivalent.

4           CHAIRMAN SMITH: Are you aware that in earlier  
5 stages of the hearing we asked the staff about that  
6 problem?

7           MR. POLLARD: Yes, and that was when Ms. Weiss was  
8 here and I believe I read the transcripts of that portion.  
9 So it's just the one question, Mr. Chairman, just to point  
10 it out, and I am moving on.

11           BY MR. POLLARD: (Resuming)

12           Q       How, condition number one you said, the  
13 replacement, deals with a qualified life of 1.5 years prior  
14 to restart. How did you decide on 1.5 years, since this  
15 plant was originally licensed in 1974; isn't that correct?

16           A       (WITNESS ROSZTOCZY) In the licensing submittal,  
17 there have been certain qualification times which have been  
18 mentioned and there has been some mention with 1.5. So we  
19 simply said all of those. This was the shortest mentioned,  
20 so we said all of those which had been identified as 1.5  
21 automatically need to be replaced, because obviously by now  
22 the plant is beyond the 1.5 years.

23           Q       It's close to being beyond six or seven years,  
24 isn't it?

25           A       (WITNESS ROSZTOCZY) That is I believe one of the



1 follow-up points.

2 Q Which one?

3 A (WITNESS ROSZTOCZY) Number two.

4 A (WITNESS LaGRANGE) Number two and three,  
5 actually.

6 Q I guess maybe I'm not making myself clear. It  
7 appears to me that the time that restart is now envisioned,  
8 there will be equipment whose qualified life is less than  
9 six or seven years. And my only question is why in  
10 recommendation one doesn't it say at least the six years and  
11 to replace material with a qualified life of six years or  
12 less prior to restart?

13 A (WITNESS LaGRANGE) Because it is not clear to us  
14 -- and we haven't done any evaluation to determine -- what  
15 assumptions were used in calculating that six-year qualified  
16 life. This plant has been down now for some time and I  
17 don't know what the temperatures are, where this material  
18 is, and if the thermal aging evaluations were based on  
19 higher temperatures than seen right now you may be able to  
20 extend that six years to seven, eight, nine years. I don't  
21 know.

22 So we put in that item 3. And also, that the  
23 aging of the materials during this period should also be  
24 considered, and if it turns out that they have to be  
25 replaced prior to restart then they should be replaced prior

1 to restart.

2       A       (WITNESS ROSZTOCZY) Mr. Pollard, we understand  
3 your concern and we share your concern. The purpose of  
4 putting items 2 and 3 there is exactly that, to take care of  
5 these items.

6       Q       But item 3 just says "consider."

7       A       (WITNESS ROSZTOCZY) What item 3 brings attention  
8 to is that you cannot simply take the number of years that  
9 the plant has operated and compare that to the qualified  
10 life, because the equipment ages even when the plant is not  
11 operating. So we are bringing it to the Licensee's  
12 attention that when they establish the appropriate  
13 replacement schedule they have to account for those years  
14 also when the plant was not operating.

15           At the same time we acknowledge that -- and I am  
16 sure you are acknowledging the same also -- that they might  
17 age with a different rate during the time when the plant is  
18 down, depending on the temperature conditions or radiation  
19 conditions. So it is not a one to one exchange. It has to  
20 be accounted for in an appropriate manner, and that is the  
21 intent of items 2 and 3.

22       Q       Well, did you determine how long Three Mile Island  
23 Unit 1 had operated at power?

24       A       (WITNESS ROSZTOCZY) I don't know the exact  
25 number, but I assume the Licensee knows it exactly.

1 Q Well, it would seem to me that it must be longer  
2 than one and a half years?

3 A (WITNESS ROSZTOCZY) That is correct. That is why  
4 item one is straightforward. If something was qualified  
5 only -- my recollection is -- and Bob can correct me on  
6 this, but my recollection is that there were some items  
7 which were qualified for one and a half years and there were  
8 some items which were qualified for six years, and then  
9 items which go beyond six years. And there were no or very  
10 little in between one and a half or six.

11 So the conclusion is all of those which were  
12 qualified only for one and a half need to be replaced prior  
13 to restart; those which were qualified for six years have to  
14 be looked at carefully, whether their six-year equivalent  
15 life has already been exceeded or would be exceeded prior to  
16 the next time when conveniently you can replace it,  
17 something like the next refueling.

18 And if the answer is yes, then that has to be  
19 replaced also prior to restart. If the answer is no  
20 because, let's say, the item ages -- or the aging when the  
21 plant is not operating is minimal for a given item and it  
22 still has enough life left to operate until the next  
23 refueling, then it can stay until the next refueling.

24 (Pause.)

25 Q Item 4 of your staff proposal is to require the

1 Licensee to complete the aging evaluations for the equipment  
2 still to be evaluated prior to exceeding five percent power  
3 operation. Is there any doubt on the staff that the staff  
4 ought to review the results of that before exceeding five  
5 percent?

6 A (WITNESS ROSZTOCZY) It is left to us to decide to  
7 what extent do we wish to review that. This comes back to  
8 the same problem that I think we discussed a few times  
9 today. There is just no way we could review every piece of  
10 equipment in the plant. So the only thing that we are doing  
11 is an inspection or auditing type of checking on the  
12 utilities.

13 The requirement is that they have to complete it,  
14 they have to document it, and they have to keep it at the  
15 appropriate place in the central files. It would be left to  
16 us to decide whether we want to have, for example, an  
17 inspection prior to restart. Obviously, there would be an  
18 inspection some time in the future. Would the first  
19 inspection take place before restart or after restart; that  
20 has not been decided.

21 DR. LITTLE: Just a moment. When you were saying  
22 "us" do you mean you and Mr. LaGrange or "us" to be the  
23 staff.

24 WITNESS ROSZTOCZY: Us the staff, and I am using  
25 it especially in this area, I am using it in a broad sense,

1 because inspections are being done by the Inspection and  
2 Enforcement part of NRC as opposed to NRR, that we  
3 represent.

4 (Pause.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q Mr. Rosztoczy, when you were here and testifying  
2 in November you told us then that your evaluation of Three  
3 Mile Island would be based upon the response to Bulletin  
4 79-01-B. And now we learn that your evaluation is going to  
5 be based on simply that required to cope with the loss of  
6 main feedwater, small-line-break LOCA. Was this position  
7 first suggested to you by the Licensee?

8 A (WITNESS ROSZTOCZY) I am sorry, the statement  
9 that you introduced the question with is not correct. I  
10 have stated in November that we are going to review the  
11 Licensee's November 1st submittal and evaluate it and write  
12 an SER on that. We have done just exactly that. And that  
13 one is the SER which was issued in March. So everything  
14 that I have said we will be doing we have done, and that was  
15 issued in March.

16 In addition to that, for Three Mile Island, we  
17 also requested additional information on the small break.  
18 The additional information was provided more recently. The  
19 submittal discussed here, the May 18th submittal, we have  
20 evaluated this also, and we placed some additional  
21 requirement on TMI-1, in terms of the restart, saying that  
22 the small-break items must be completed prior to restart.  
23 So, if anything, the requirement for Three Mile Island 1 are  
24 somewhat more stringent than for the other plants.

25 Q Well, you did not send out the request for this

1 more stringent information, as you call it, until May 1 of  
2 1981; is that correct?

3 A (WITNESS ROSZTOCZY) That is correct.

4 Q When did you decide? My original question was:  
5 Is this a position the Licensee suggested to you?

6 A (WITNESS ROSZTOCZY) No, I am not aware of any  
7 suggestion from the Licensee. It was basically initiated by  
8 the discussions which went on here as part of this hearing,  
9 some part of some other testimony on limiting the testimony  
10 to small breaks. It was the outcome of that discussion and  
11 that evaluation as some part of some other testimonies. You  
12 quoted earlier, I think, the pages or the transcript parts  
13 which address those. I am not sure exactly when it took  
14 place.

15 But following those discussions then we decided to  
16 prepare an additional testimony on small breaks, and that is  
17 what we have provided today.

18 MR. POLLARD: Mr. Chairman, I would like to at  
19 this time like to move to have my exhibits accepted into  
20 evidence. Since I anticipate some objection, should I go  
21 one by one, or shall I just name them all at once and catch  
22 all the objections at once?

23 CHAIRMAN SMITH: I am sure we can do it quickly.  
24 We will start with 37. Are there any objections to UCS 37?

25 (No response.)

1 CHAIRMAN SMITH: Are there any objections to UCS  
2 38?

3 MR. BAXTER: One moment, Mr. Chairman, please.

4 CHAIRMAN SMITH: Would the parties like to have a  
5 short break to review their position on the exhibits?

6 MR. BAXTER: At least part of the UCS Exhibit 38  
7 includes material that was filed for cold shutdown, which  
8 is, therefore, at least beyond the scope of the direct  
9 examination that these witnesses were given today. And we  
10 would object.

11 CHAIRMAN SMITH: That is 38?

12 MR. BAXTER: Yes. I have no objection to 37.

13 MR. CUTCHIN: Nor does the Staff have any  
14 objection to 37, sir. But with respect to 38, the Staff  
15 would also object to any equipment listings beyond the scope  
16 of the direct testimony.

17 MR. POLLARD: Mr. Chairman, perhaps I  
18 misunderstood the Board's earlier ruling was that although  
19 we could be limited to accidents with a close nexus to the  
20 TMI-2 accident, I thought you went on to say that would  
21 include cold shutdown.

22 MR. BAXTER: I do not recall any such ruling.

23 CHAIRMAN SMITH: No. What we ruled is that  
24 whether environmental qualification of equipment for hot  
25 shutdown compared to cold shutdown, it is an issue which is



1 legitimately within the scope of the hearing and can be  
2 argued as to sufficiency. Now, we have never ruled about  
3 the scope of examination. And this is what is before us now.

4 MR. POLLARD: I did ask the witnesses whether or  
5 not they had done an evaluation of the environment and  
6 evaluation of equipment to go into cold shutdown, and they  
7 said no, they have not.

8 What I am trying to introduce now is the Licensee's  
9 submittal which lists the equipment which they believe is  
10 necessary in order to achieve cold shutdown.

11 MR. BAXTER: One of the problems, Mr. Chairman, we  
12 were not presented with this exhibit before this afternoon.  
13 The January 30 submittal is a very lengthy one. Even if I  
14 accepted the purpose of Mr. Pollard's offer, I have not had  
15 the opportunity to review it and compare it against what we  
16 filed.

17 Are you going to agree that it is a characteristic  
18 or favor representation of what we filed on cold shutdown?

19 CHAIRMAN SMITH: So how should that aspect of the  
20 problem be handled?

21 MR. POLLARD: Mr. Chairman, all I have tried to do  
22 is -- the Licensee provided UCS with a copy of its January  
23 30 submittal. Since it was not available in the public  
24 document room, for UCS Exhibit 38 I simply Xeroxed every  
25 single page I had that was labeled "Master List," and I

1 segregated them to a master list which is identified versus  
2 the master list for cold shutdown.

3           Now, I am certainly willing to have the Licensee  
4 go back and verify whether or not there are additional pages  
5 which I either did not receive or inadvertently were not  
6 copied as a part of this exhibit. I do not have any problem  
7 with giving them some time to verify that this is a complete  
8 list.

9           CHAIRMAN SMITH: So there are two bases. Let us  
10 address the first one. The first one is that we ruled that  
11 it would be in the scope of the hearing to address the  
12 adequacy of hot shutdown compared to cold shutdown. We also  
13 then ruled that you may contend with these witnesses the  
14 reasons why they are content with hot shutdown rather than  
15 cold shutdown. And you did. And you did not seem to be  
16 satisfied with that.

17           Now, had these proposed exhibits or the proposed  
18 pages on the exhibit support your position that cold  
19 shutdown is the correct standard for short term.

20           MR. POLLARD: They have the Licensee's  
21 determination of what equipment is needed to achieve cold  
22 shutdown.

23           CHAIRMAN SMITH: All right.

24           MR. POLLARD: And I believe with that information  
25 on the record, you will be able to show that this equipment

1 is not qualified. So all I am using this for is for the  
2 purpose of establishing that the Licensee agrees at least  
3 that this piece of equipment is necessary in order to take  
4 TMI-1 to cold shutdown.

5 MR. BAXTER: That is not true. That is not true,  
6 Mr. Chairman. What we are responding to is a bulletin  
7 request that we provide information of one path to cold  
8 shutdown, one path to cold shutdown.

9 DR. JORDAN: One what?

10 MR. BAXTER: Path, p-a-t-h.

11 DR. JORDAN: All right.

12 MR. BAXTER: So the filing does not represent  
13 Licensee's opinion as to what equipment is necessary to get  
14 to cold shutdown.

15 CHAIRMAN SMITH: That is correct. That is in your  
16 exhibits.

17 MR. POLLARD: I do not understand the difference  
18 between what is necessary by listing the equipment that  
19 compromises the path that is used to get to cold shutdown,  
20 how that is different than what is necessary to get to cold  
21 shutdown.

22 MR. BAXTER: I am sorry. It is the difference  
23 between identifying a path to cold shutdown versus -- and  
24 this is equipment that is necessary to get to cold  
25 shutdown. I cannot get it any better than that.

1 MR. POLLARD: Excuse me. A path which is  
2 environmentally qualified, and this is the equipment which  
3 he identified as to what would be environmentally qualified  
4 to get to cold shutdown. There may be other paths, but it  
5 is not environmentally qualified.

6 CHAIRMAN SMITH: Or there may be other  
7 environmentally qualified paths that they elected not to  
8 produce in response to the inquiry.

9 MR. POLLARD: That may be.

10 CHAIRMAN SMITH: But we do not know. But we do  
11 know that as far as this record is concerned there is one  
12 and only one path demonstrated, and that is the one that is  
13 attached to Exhibit 38, and you would like to be able to  
14 have a record which will support conditions imposed by the  
15 Board requiring that at least that pathway be  
16 environmentally qualified.

17 MR. POLLARD: Yes, sir.

18 CHAIRMAN SMITH: And I think that is a legitimate  
19 aspiration. Now, the question is how does he go about it.  
20 I do not really believe that he has accomplished much by way  
21 of these particular documents in his cross examination of  
22 this panel. That is the route by which they could have come  
23 in, the cold shutdown pathway.

24 MR. POLLARD: All I could get out of these  
25 witnesses is that they have not evaluated the cold shutdown

1 pathway. I do not know how much further I could go.

2 CHAIRMAN SMITH: Right. So how can we or should  
3 we accommodate Mr. Pollard in his objective, and, if so, how  
4 can we?

5 MR. BAXTER: Given Mr. Pollard's representation  
6 that he has reproduced everything that we put in our master  
7 list, I do not object to the admission, but I agree with  
8 your observation, Mr. Chairman, that the fact that we  
9 provided a list in response to a request for one does not  
10 establish at all that cold shutdown should be the required  
11 endpoint that we need to qualify equipment to go there.

12 CHAIRMAN SMITH: He wants this solely for remedy,  
13 so he will have an evidentiary basis to recommend a finding  
14 by the Board, a remedy, relief.

15 MR. CUTCHIN: But, Mr. Chairman, he has done very  
16 little, if anything, today to demonstrate that in order for  
17 the plant to be safe you have to show how to get it to cold  
18 shutdown. And that was the latitude I thought the Board  
19 allowed earlier today.

20 An additional problem is this is a master list of  
21 all equipment to be qualified, and not in my view -- at  
22 least I have not been told that yet -- that it represents  
23 that master list of equipment that is necessary to go either  
24 to hot or to cold following a small-break LOCA. I am sure  
25 it includes that, but I am not sure that it is limited just

1 to that.

2           And that was the subject of the Staff's direct  
3 testimony and is the purpose which the Staff thought was  
4 served by identifying, by having the Licensee identify in  
5 that May 18 letter, the systems list of equipment and for  
6 culling out those pages from the Licensee's January 30  
7 submittal which provided the details referred to in the  
8 17-page attachment to the May 18th letter and that comprised  
9 the totality of the staff's direct testimony on the systems  
10 and equipment. And I think we are creating confusion, if  
11 nothing else.

12           CHAIRMAN SMITH: How do you intent to establish on  
13 the record that hot shutdown is insufficient?

14           MR. POLLARD: Do you mean how am I going to argue  
15 on my findings?

16           CHAIRMAN SMITH: Yes. There does seem to be a  
17 missing link. I understand what your objective is, and it  
18 is an appropriate one. But the only thing you have had so  
19 far today from these people is that they require only hot  
20 shutdown and you ask them the reason, and they say, "Well,  
21 cold shutdown will follow in a short period of time," and  
22 that is it. But you have not, as far as I can see today or  
23 any other time in this hearing, offered evidence through  
24 cross examination or affirmatively that the correct standard  
25 should be cold shutdown.

1 DR. JORDAN: We have had a fair amount of  
2 testimony with respect to Board Question 6 as to how the  
3 licensee will achieve cold shutdown. In fact, one of the  
4 particular items I was after was how would they achieve cold  
5 shutdown, for example, if they were using only the  
6 feed-and-bleed mode. I have assumed here -- and perhaps  
7 again I have made a mistake today -- I have assumed when the  
8 Staff asked for the equipment required for cold shutdown and  
9 environmental qualifications for that that they meant that  
10 the licensee should be prepared to take the plant to cold  
11 shutdown but this was --

12 MR. BAXTER: That is not our view.

13 MR. CUTCHIN: That is not our view, Dr. Jordan.

14 But the point is it may be safe to go to hot  
15 shutdown for some period of time and that ideally later one  
16 must eventually carry the plant to cold shutdown. But there  
17 has been no demonstration that I am aware of or that I  
18 recollect that hot shutdown is an unsafe situation and show  
19 that it is then necessary from the standpoint of safety to  
20 demonstrate the ability to go to cold shutdown in a short  
21 period of time using fully qualified equipment. It may be  
22 that there is plenty of time to repair, maintain, or  
23 whatever, before one goes to cold.

24 DR. JORDAN: There has been, of course,  
25 discussions about this. And as you say, the only question

1 is how long. You do not have to go to cold shutdown  
2 instantly, but you do have to prepare to go to cold  
3 shutdown; you cannot stay indefinitely in hot shutdown. And  
4 so you do have to have equipment for going to cold shutdown.

5           Now, Mr. Pollard did quiz these witnesses as to  
6 how long the equipment that was qualified for hot shutdown  
7 was prepared to stay, was prepared to operate. And we did  
8 not get a number out, whether it was one month or one year  
9 or five years, from these witnesses. And so there is no use  
10 of continuing with that.

11           But we all do know that you have to go to cold  
12 shutdown. And I guess I am a little startled if anyone is  
13 claiming that you do not have to or that you do not have to  
14 use qualified equipment for doing it.

15           MR. CUTCHIN: No, sir, we are not. The only thing  
16 is that it has not yet been demonstrated on this record, in  
17 my view, that a long-term, however long, remaining at hot  
18 shutdown is an unsafe condition. And I guess that we are  
19 getting nowhere on this.

20           CHAIRMAN SMITH: Well, let me ask another  
21 question. Will the Staff be taking the position in this  
22 hearing that as one of the long-term necessary actions that  
23 the Licensee demonstrate the ability to go to cold shutdown  
24 using environmentally qualified equipment?

25           MR. CUTCHIN: That is a requirement of 79-01-B,



1 that the Licensee demonstrate one pathway.

2           CHAIRMAN SMITH: I understand.

3           MR. CUTCHIN: But I guess I am not able to say  
4 what our position in this hearing is going to be with  
5 respect to 79-01-B.

6           CHAIRMAN SMITH: Well, soon you are going to be  
7 asked to report.

8           MR. CUTCHIN: I understand. But the Staff in its  
9 testimony so far has taken the position by his direct  
10 testimony that demonstration of a capability to go hot  
11 shutdown is sufficient for restart.

12           CHAIRMAN SMITH: For short-term restart. Are you  
13 going to leave the Board dangling as to whether it is a  
14 necessary and sufficient long-term action? Will we ever  
15 know what the Staff believes as far as the order to this  
16 Board in this hearing.

17           MR. CUTCHIN: I think by omission if we do not  
18 take the position that it is a necessary long-term  
19 requirement, one can conclude that it is not viewed to be  
20 for purposes of the hearing. There are a number of things  
21 that the Staff is going to require of Licensee after this  
22 hearing is over, perhaps, that have not been litigated in  
23 this hearing. And I think it goes back again to the  
24 question of on what long-term items must the Board under its  
25 charge make a finding of reasonable progress. And I view

1 that to be a very limited list. I am not sure if the Board  
2 agrees with me. But I view it to be those with respect to  
3 which the Commission has at some time or other issued  
4 immediately effective orders.

5           MR. BAXTER: Mr. Chairman, I have a letter from  
6 the Staff to all operating plant licensees and applicants  
7 and CP holders which I was going to distribute as part of my  
8 cross examination which I think contains their position on  
9 cold shutdown versus hot shutdown for environmental  
10 qualification of equipment. If it would help the Board, I  
11 will hand it out now.

12           CHAIRMAN SMITH: I do not know if it will help us.  
13           While he is doing that, what is your cross  
14 examination look like now?

15           MR. POLLARD: That was why I was trying to move  
16 these into evidence. I have more or less given up on my  
17 cross-examination plan.

18  
19  
20  
21  
22  
23  
24  
25

1 MR. ADLER: Mr. Chairman, if it should help for  
2 planning I should note that Mr. Pollard has covered the  
3 Commonwealth's plan, so we have no more cross examination.

4 CHAIRMAN SMITH: I think that the problem  
5 presented by this discussion is a complicated one. I don't  
6 think that we have evidence in this hearing that I am aware  
7 of that would enable this Board to impose a long-term  
8 condition for "cold shutdown" -- I don't know whether we do  
9 or not, but I'm not aware of it -- in view of the problem  
10 that we discussed about the meaning of necessary to protect  
11 the public health and safety or to provide reasonable  
12 assurances that the public health and safety will be  
13 protected.

14 I mean we have had a long debate about what those  
15 standards are in this proceeding. Nevertheless I have some  
16 intuition that the evidentiary record ought to contain a  
17 pathway that the Licensee will depend upon for cold shutdown  
18 and if it comes out in the overall findings and decision  
19 that it is irrelevant, then so be it. But I just, for  
20 reasons I cannot really articulate, I just really believe  
21 that that should be in the evidentiary record and it may not  
22 be useful to us as a decision at all.

23 MR. CUTCHIN: Well, can we establish, then, that  
24 by admitting this to evidence it will be admitted for that  
25 purpose alone?

1           CHAIRMAN SMITH: It certainly is not admitted for  
2 the purpose that we must have that pathway. But it seems to  
3 me if the Licensee would like to have in this record the  
4 fact that they have indeed identified a cold pathway -- I  
5 mean a pathway for cold shutdown. Of course it goes both  
6 ways. You can't rely on it either.

7           Go ahead, Mr. Baxter.

8           MR. BAXTER: I was just going to remind you that I  
9 withdrew my objection at the same time I endorsed your  
10 assessment that I wasn't sure how much worth it was going to  
11 be.

12          CHAIRMAN SMITH: I'm sorry. Yes.

13          MR. CUTCHIN: And I'm willing to modify mine that  
14 if it is being admitted for the purpose of demonstrating  
15 that there are items of equipment needed to go cold shutdown  
16 that are not on the list to go hot shutdown and that they  
17 are purported to be listed within this document I will  
18 withdraw one objection to it.

19          I still have an objection with respect to whether  
20 or not this master list includes items of equipment  
21 necessary to go to hot shutdown following accidents other  
22 than a small break LOCA, are included. And that, I think,  
23 would confuse the record.

24          CHAIRMAN SMITH: All right, what are we going to  
25 do about that?

1 DR. JORDAN: We could invite the staff to go  
2 through the list and pull them out.

3 MR. CUTCHIN: I think that is not a very good  
4 suggestion, Dr. Jordan, because if we could agree -- maybe  
5 we don't have a disagreement. I don't know what Mr.  
6 Pollard's position is, but if we could agree that it is  
7 being admitted solely for the purpose of addressing the cold  
8 shutdown situation I will withdraw an objection.

9 MR. POLLARD: It is not being admitted solely for  
10 cold shutdown. But, of course, the bulk of it in fact is  
11 the master list is for hot shutdown.

12 MR. CUTCHIN: But for the whole panoply of  
13 accidents, not just for the small break LOCA. That is my  
14 problem.

15 MR. POLLARD: If I can continue, Mr. Chairman, we  
16 have also had testimony today from these witnesses that the  
17 May 18 licensing letter contains a list of equipment which  
18 is necessary for hot shutdown from a small break LOCA. Do I  
19 don't see what the problem is.

20 Their position is quite clear as to what they  
21 think is needed. I think between the restart report and the  
22 piping and instrumentation diagrams and the analysis in the  
23 restart report I will be able to demonstrate in findings  
24 that that list of May 18 is not adequate even to obtain a  
25 hot shutdown condition for a small break LOCA.

1           Now I have to have something in the record that I  
2 can cite. I would have preferred to put the Licensee's  
3 entire January 30 submittal on the record, but the Board had  
4 already indicated that was too big. I never understood that,  
5 given the size of the Licensee's restart report, which is an  
6 exhibit, but I accepted it.

7           So what I had tried to do --

8           CHAIRMAN SMITH: Well, you should be very  
9 fortunate that we accepted it otherwise. If you had  
10 depended upon that you would have had a very difficult time  
11 addressing this issue in proposed findings. You don't think  
12 for one minute this Board is going to independently --

13           MR. POLLARD: I was not arguing against accepting  
14 the restart report. I was just trying to understand why the  
15 Board did not want me to offer the whole Licensee submittal.

16           CHAIRMAN SMITH: And I am telling you you should  
17 be grateful we did not accept it and allow you to rest on  
18 that, because this Board would never go through the hundreds  
19 and hundreds of pages in that document.

20           MR. POLLARD: That is exactly why I prepared the  
21 exhibits for today. I made one exhibit out of the master  
22 lists and I made another exhibit out of a few pages from  
23 work sheets so that we would not have to offer, once again,  
24 the whole Licensee submittal.

25           CHAIRMAN SMITH: All right, don't we have them by

1 cross-check on the May 18 letter with the master list, UCS  
2 Exhibit 38 with respect to hot shutdown, the purpose and the  
3 scope of the use of UCS 38?

4 MR. POLLARD: We have a piece of evidence as to  
5 what the staff thinks is necessary, but we do not have yet  
6 any argument as to whether more is necessary, and that is  
7 why I wanted the master list put in.

8 CHAIRMAN SMITH: I see. So you want the master  
9 list in because elsewhere in the record you are going to  
10 argue that other components perhaps not even mentioned today  
11 --

12 MR. POLLARD: That is correct. I gave one example  
13 of this pressure switch on the RHR suction valves as an  
14 example of why I thought there was a piece of equipment that  
15 clearly, based upon the staff's testimony, clearly is needed  
16 even to obtain safe shutdown from a small break LOCA and it  
17 is not on the Licensee's May 18 list.

18 I would like to be able to argue that other  
19 equipment --

20 CHAIRMAN SMITH: Okay. Some reasonable  
21 accommodation to Mr. Pollard's objectives will be required.  
22 Otherwise I think we could have a very, very long hearing on  
23 that.

24 MR. CUTCHIN: I will withdraw the objection in  
25 toto, Mr. Chairman.





1 identification was received in  
2 evidence.)

3 MR. BAXTER: I would appreciate from Mr. Pollard,  
4 Mr. Chairman, a description of the selection of the 84 pages  
5 of system component evaluation work sheets out of the  
6 lengthy January 30 submittal. I know we had 84 pages, but  
7 we've never had a representation as to the selection of them  
8 or what was left out and why and what was included and why.

9 MR. POLLARD: Before I try to answer the question,  
10 let me make sure I understand it. Do you want me to go  
11 through each page and tell you why I selected each page?

12 CHAIRMAN SMITH: I would hope not.

13 MR. BAXTER: I would hope that there's some  
14 grander scheme and plan than on a page-by-page.

15 CHAIRMAN SMITH: As I have heard you ask so often,  
16 Mr. Pollard, what standards did you apply in selecting these  
17 pages?

18 MR. POLLARD: I tried, when I went through the  
19 Licensee's January 30 submittal, I compared that submittal  
20 with the requirements of I&E Bulletin 7901B and its  
21 supplements. I also was considering the staff's March 24,  
22 1981, safety evaluation report on environmental  
23 qualification.

24 And, for example, if we take an example on the  
25 first sheet on my Exhibit 39, you will recall I asked these

1 witnesses as to how did they decide whether a particular  
2 deficiency needed to be immediately corrected or could be  
3 postponed and be corrected. I also recall that the  
4 Commission's decision of May 23, 1980, said that when they  
5 found a piece of unqualified equipment corrective action had  
6 to be taken, that you couldn't just automatically wait until  
7 June 30 of 1982.

8           So this first one I chose is to illustrate the  
9 importance of these pressure switches which are the listed  
10 deficiencies in the safety evaluation report that they are  
11 not qualified for the main steam line rupture detection.  
12 Excuse me, that they are used to detect main steam line  
13 rupture and isolate feedwater.

14           MR. BAXTER: Mr. Baxter, I really wasn't looking  
15 for an expression of the argument Mr. Pollard would make  
16 from all this once he got it into evidence. What I am  
17 hearing is that they were all sort of good things for his  
18 purposes.

19           MR. POLLARD: That's right.

20           MR. BAXTER: As opposed to what I was hoping it  
21 might be, the work sheets from all of the equipments listed  
22 in the attachment to the staff testimony, for example,  
23 something that's rather an objective basis for a large  
24 submittal.

25           I would have to object to the selection on a

1 personal interest basis of some work sheets out of a very  
2 lengthy submittal made in response to the 7901B program,  
3 which goes beyond the testimony that these witnesses talked  
4 about, including the cross examination.

5           CHAIRMAN SMITH: You would have objected to the  
6 entire -- to receiving the entire report?

7           MR. BAXTER: Yes, I would.

8           MR. POLLARD: Mr. Chairman, I don't know -- I'm  
9 sure the Licensee would prefer to have control over UCS  
10 exhibits. There's no doubt in my mind. I picked examples  
11 of where I thought I could illustrate deficiencies in the  
12 staff's review, both with respect to how the information was  
13 provided, with respect to failure to comply with the  
14 requirements of the Bulletin, with respect to the number of  
15 times the Licensee has referenced telephone conversations,  
16 the purchase catalogues of various manufacturers, where  
17 their evaluation of the aging of different materials differs  
18 substantially from the appendix attached to the I&E  
19 Bulletin, where they have made mistakes in identifying the  
20 function of a component or the service of a component.

21           MR. BAXTER: What Mr. Pollard is failing to  
22 appreciate, I think, it is not a failure -- it is not a  
23 matter of me controlling his exhibits and him not being able  
24 to express his interest here. We are talking about him  
25 trying to get in exhibits through other witnesses, not

1 offering testimony that has been available for some time for  
2 us to study and cross examine on.

3           The witnesses are not sponsors of this evidence.  
4 It is just 84 pages that we were all handed this afternoon  
5 at the hearing. And I grant that there are 84 pages, but  
6 there has been very little examination on the totality and I  
7 don't see any basis for putting them into evidence.

8           CHAIRMAN SMITH: Your own description of the use  
9 of them doesn't help you very much because the justification  
10 for putting this in as an exhibit now is their use in cross  
11 examination of these witnesses and a demonstration that the  
12 witnesses' testimony is somehow inconsistent with the pages  
13 from the exhibit.

14           So I think your problem there is the timeliness of  
15 this submission. Now what would you have to say about  
16 that? I think as far as cross examination alone, as I  
17 understand your purposes, except for certain selected pages,  
18 that you have not established the need for these exhibits.

19           MR. POLLARD: Mr. Chairman, if that is going to be  
20 the nature of the objection then I will begin to question  
21 these witnesses on these important -- can I give you an  
22 example?

23           They have said they have evaluated a path to get  
24 to safe hot shutdown for a small break LOCA. I have  
25 included in here sheets which demonstrate the Licensee

1 itself has not yet determined whether some of those  
2 components are qualified. If the whole problem in getting  
3 this exhibit introduced is that I have not asked these  
4 witnesses a question on every page we can certainly do  
5 that. But I know that that would run over until tomorrow.

6 I am having some difficulty understanding, to be  
7 honest with you, what the objection is. This is a submittal  
8 by the Licensee in response to Bulletin 7901B. Then the  
9 staff has come in with testimony saying they are only going  
10 to look at a portion of the information which the Licensee  
11 submitted.

12 I am coming before you and saying I also would  
13 like to look at a portion of the information the Licensee  
14 submitted, and to argue from these examples. As I explained  
15 to you on the phone I tried to minimize the number of  
16 sheets. Where I had ten components that were identical I  
17 only put one sheet in this exhibit, because the deficiency  
18 is the same on all of the same components.

19 Now I don't know how I can argue in my findings  
20 that the staff's evaluation of environmental qualification  
21 is insufficient to support restart without being able to  
22 have on the record more information which the Licensee  
23 submitted to the staff which the staff chose not to consider.

24

25

1 CHAIRMAN SMITH: So this is both partially  
2 information germane to the cross examination and partially  
3 in rebuttal to the Staff's testimony?

4 MR. POLLARD: That is right.

5 CHAIRMAN SMITH: So we have to measure timeliness  
6 from that milestone.

7 MR. BAXTER: Mr. Chairman, I am not being  
8 facetitious when I say that no would ever argue that it is  
9 easy to make a case on cross examination. But I do not  
10 think that should detract from our wanting confrontation and  
11 timely opportunity to confrotn the ev' ence hat is being  
12 offered.

13 CHAIRMAN SMITH: Do you agree that the problem is  
14 timeliness?

15 MR. BAXTER: That is certainly a big problem,  
16 yes. I have not had the opportunity to even comb through  
17 all 84 pages let alone even talk to anyone about them.

18 MR. POLLARD: Mr. Chairman, if I had not offered  
19 an exhibit, I would have been allowed, would I not, to have  
20 cross examined these witnesses on the Licensee's January 30  
21 submittal; is that correct?

22 CHAIRMAN SMITH: It would seem to me that it would  
23 be.

24 MR. POLLARD: ~~There~~ would be no timeliness --

25 MR. BAXTER: There might be relevance arguments.

1           MR. POLLARD: There certainly would not be  
2 timeliness arguments. I could ask a question as long as it  
3 was in the scope of the hearing on any page submitted in  
4 that January 30 submittal. I mean both Licensee and the  
5 Staff have had this since January. I did not even get it  
6 until last month -- or, rather, this month.

7           CHAIRMAN SMITH: Well, that does not go to  
8 timeliness.

9           MR. POLLARD: Well, my point being, suppose I did  
10 not offer the exhibit, we would not have a timeliness  
11 argument because I could have questioned on any page. Now  
12 that I have offered this, the actual pages which I  
13 questioned on, we are having a timeliness argument.

14          CHAIRMAN SMITH: You are not having a timeliness  
15 argument on those pages that you have examined the witnesses  
16 on. You are having a timeliness argument problem, if any --  
17 and I do not know -- in coming up with this as a part of  
18 your affirmative case-in-chief. That would be a big problem.

19          Now, my inquiry is: Since you have identified as  
20 rebuttal information, what should be the milestone on which  
21 we measure timeliness? You do not have any timeliness  
22 problem so far as cross examination of witnesses on these  
23 papers, and you did on some of them. Now we are addressing  
24 the others.

25          I agree that you could probably have solved the

1 problem, at least to the extent that you wanted to, by  
2 taking each one and examining them, and if it is relevant,  
3 probably succeed. And we appreciate your effort to cut it  
4 short.

5           Now, when did you first decide that you wanted  
6 these papers in evidence? When you received the  
7 supplemental testimony?

8           MR. POLLARD: Perhaps Mr. Baxter can help refresh  
9 my memory. Did I get the January 30 submittal from you  
10 before or after I got the Staff's testimony?

11           MR. BAXTER: I cannot recall. I gave it to you as  
12 soon as I heard you were in need of it.

13           CHAIRMAN SMITH: Well, these particular pages, you  
14 anticipated the need for the January submittal in advance of  
15 the Staff's testimony. You talked about it along time ago.  
16 And I am talking about these particular pages. When did you  
17 identify these pages?

18           MR. POLLARD: After we got the Staff's testimony.

19           CHAIRMAN SMITH: And now you are offering them to  
20 the extent that you did not use them as cross examination,  
21 you are offering them in rebuttal to the Staff's testimony?  
22 Otherwise, I do not think you have any basis to offer them.

23           MR. POLLARD: Well, if you say that is the only  
24 basis --

25           CHAIRMAN SMITH: I cannot identify any.



1 MR. POLLARD: I intend to use them in our  
2 findings, discussing the adequacy and the weight that ought  
3 to be accorded to the Staff's testimony today.

4 CHAIRMAN SMITH: I would say that the timeliness  
5 to be measured with respect to your use of this exhibit as  
6 rebuttal evidence has to go from a reasonable time from  
7 having received the Staff's testimony and heard from them  
8 with a recognition that you need these exhibits for your  
9 rebuttal case. We do not know what that is. When was this  
10 testimony?

11 MR. BAXTER: June 16.

12 CHAIRMAN SMITH: This is timely. No, that does  
13 not -- if it is indeed legitimate rebuttal documents -- we  
14 have not read them either, I do not know what this stuff  
15 is. I only read the few that he pointed out to us.

16 MR. BAXTER: Even 24 hours or 48 hours would make  
17 a big, big difference than 30 minutes or 40 minutes that we  
18 had today.

19 CHAIRMAN SMITH: I think to that we have gone over  
20 the first part of it. Now, I think it is timely.

21 Now, the question is it is your opportunity now to  
22 address the documents, and you have not had any occasion.

23 MR. BAXTER: That is correct.

24 MR. CUTCHIN: Mr. Chairman, if we are viewing  
25 these as to the matter of an affirmative case, and this

1 Intervenor has abandoned this Contention --

2 CHAIRMAN SMITH: Not affirmative.

3 MR. CUTCHIN: I keep hearing you use that word.

4 CHAIRMAN SMITH: I said forget affirmative. He is  
5 out of time on affirmative. But he is possibly in time -- I  
6 think he is -- on rebuttal.

7 I think the best way to approach this is to allow  
8 the parties adverse to Mr. Dollard's position to review this  
9 exhibit and to come back in with objections as to whether it  
10 is appropriate rebuttal. And if there are some other  
11 problems tht are involved with it that you seem to

12 conservatively want to check, but I think that you should  
13 have a time before this exhibit is in the record forever.

14 MR. BAXTER: One other problem, that maybe I am  
15 missing something, but I would think that rebuttal evidence  
16 would require some kind of witness.

17 CHAIRMAN SMITH: Not necessarily. This is an  
18 exhibit from your corporate files. And I do not think so.  
19 You may want surrebuttal, I do not know. But this is your  
20 document.

21 MR. BAXTER: It is selections from my document,  
22 yes.

23 CHAIRMAN SMITH: You cannot put the whole thing in.

24 MR. BAXTER: And the only explanation we got on  
25 the selection process were they were pages UCS would like to

1 use in its prepared findings.

2 CHAIRMAN SMITH: That is right.

3 (Pause.)

4 CHAIRMAN SMITH: We are going to receive it. We  
5 are going to receive it with the observation that you have  
6 not had the opportunity to address the significance of it.

7 MR. BAXTER: And no opportunity, Mr. Chairman, to  
8 ascertain what use is going to be made of it. Normally, at  
9 least, if you have a witness you can try and find out what  
10 the heck the argument is.

11 MR. CUTCHIN: And he has clearly, Mr. Chairman,  
12 gone beyond making his case on cross, because you have, I  
13 understood, said you have no problem with respect to those  
14 pages he used on cross examination, and now he is putting on  
15 -- and maybe I am wrong -- but if it is viewed as rebuttal  
16 or whatever, it has the nature of an affirmative case, and  
17 he does not have a contention on which he can put in that  
18 kind of evidence.

19 CHAIRMAN SMITH: Mr. Pollard was ewll on his way  
20 of listing the many reasons why he wanted to use these  
21 documents, and he was interrupted. He was requested to come  
22 up with a "grand scheme," as you called it. I suppose he  
23 could have identified, he could have done this, if he had  
24 anticipated properly; he could have put the various reasons  
25 he wants to use it and identify the documents that fit into

1 that reason.

2           He is holding a very significant threat over our  
3 heads; and that is, go through these documents with these  
4 witnesses and he will accomplish much of what he wants, or  
5 he can go on and on and on and take up each document and  
6 explain why it is being offered into evidence.

7           And I think you are entitled to that. But there  
8 certainly has to be a more efficient way to handle this, and  
9 nobody seems to be eager to solve our problem. We could  
10 perhaps require Mr. Pollard to forthwith -- he is going to  
11 be done, perhaps, this evening -- to submit to the parties a  
12 listing of these exhibits, pages, and the purpose for which  
13 he depends upon them for rebuttal and what they indicate to  
14 him.

15           I agree that proposed findings is too late to  
16 learn what use he is going to make of the 84 pages.

17           MR. BAXTER: The only reason I interrupted, Mr.  
18 Chairman, is it gives me much more detail than I wanted. If  
19 he said we selected those pages which we thought included  
20 some documentation is inadequate and those are the only ones  
21 we picked. But that is all I was looking for. So at least  
22 there would be some understanding of why it was there or it  
23 represented one particular accident or it represented one  
24 particular kind of defect.

25           CHAIRMAN SMITH: Dr. Little pointed out also we

1 cannot wait until proposed findings to find out what there  
2 is about each one of these documents. There are many  
3 categories of information on each one of them which you  
4 think supports your position on rebuttal and the significant  
5 item on the page. Even though this is much smaller than the  
6 original document, it still has the potential for the  
7 mischief that we identified before, and that is, we receive  
8 -- there are only 84 pages here, but there is an awful lot  
9 of information. It is like a roadmap contains a single page  
10 but it can tell you an awful lot.

11           There is a lot of information here, and the same  
12 problem exists so that you cannot offer into evidence a  
13 large bulk of information, then selectively go through it  
14 without notice to the parties, the reports, the parts that  
15 you are going to rely on in your proposed finding. And I  
16 see that you are prepared to do this, even on cross  
17 examination or by taking each one up. And I do not sense a  
18 sandbagging effort here, but you are going to have to  
19 address it in some manner that the parties know the purpose  
20 for which these exhibits are accepted.

21           MR. CUTCHIN: Could I suggest a possible  
22 alternative for exploring them here?

23           CHAIRMAN SMITH: Yes, please.

24           MR. CUTCHIN: It is not clear to me also, because  
25 I have not had the opportunity to go thorough this list of

1 sheets, but the Staff, before these witnesses come off, will  
2 offer also Staff Exhibit 16 into evidence, which includes  
3 all of those worksheets that were referenced by the Licensee  
4 in his May 18 letter.

5           Is there any way -- or maybe Mr. Pollard could  
6 tell us now -- are any, are many, are none of these sheets  
7 duplicative of what is in Staff Exhibit 16? I just do not  
8 know.

9           CHAIRMAN SMITH: Well, some have to be.

10          MR. POLLARD: Some are duplicates.

11          MR. CUTCHIN: Could we have a feel of the bulk?  
12 Could we know those that are you going to look to? Because  
13 I do not think I am going to have any problem getting my  
14 exhibit into evidence.

15          CHAIRMAN SMITH: You hope, I assume, Mr. Pollard,  
16 to conclude this evening and not be here tomorrow?

17          MR. POLLARD: That is correct.

18          CHAIRMAN SMITH: And the same way with everybody,  
19 I think.

20          MR. CUTCHIN: We are prepared to stay as long as  
21 necessary, Mr. Chairman.

22          MR. POLLARD: Is there perhaps some alternative  
23 where the Board is going to be sitting the rest of this  
24 week, is it?

25          CHAIRMAN SMITH: And next week.

1 DR. JORDAN: I presume there would be time for the  
2 Licensee to ask questions tomorrow morning and others that  
3 you would not necessarily have to stay for that. I might  
4 have questions tomorrow morning, but I was not necessarily  
5 assuming that we had to finish everything tonight.

6 MR. POLLARD: The other problem was I prepared  
7 this exhibit before the Board rulings which occurred today,  
8 essentially saying you are not going to hear in this  
9 proceeding, for example, environmental qualification of  
10 equipment outside containment except as it relates to  
11 radiation.

12 So there is some question in my mind now -- and  
13 perhaps I should pursue further with these witnesses -- what  
14 equipment is in fact used to go hot shutdown, because many  
15 of the pages I have included in my proposed exhibit deal  
16 with equipment that is used or utilized by emergency  
17 feedwater or to remove heat from the steam generators; for  
18 example, the atmospheric dump valves are not qualified.

19 Excuse me, one of the sheets here pertains to the  
20 atmospheric dump valves, which shows the Licensee has not  
21 yet accumulated information to show whether those are  
22 qualified. All of the steam supply valves for the  
23 turbine-driven feedwater pump are in a similar situation.

24 I suppose whether or not we are going to be able  
25 to use some of the pages in this particular exhibit depends

1 upon whether or not we prevail on the issue of whether or  
2 not just looking at hot shutdown for small-break LOCA is  
3 necessary and sufficient to allow restart. That is a  
4 separate problem.

5           So what I am sort of trying to conclude here is is  
6 there any way that the Board could help me envision how I  
7 could go back and consult with Ms. Weiss on the sheets to be  
8 included in this exhibit, then give it to the Licensee and  
9 see if they have any objection, or the Staff, knowing that  
10 what I am aiming for is to develop an exhibit which conforms  
11 with the Board's rulings from which I can argue that the  
12 Staff's evaluation for restart is inadequate.

13           CHAIRMAN SMITH: Well, this is what we would have  
14 recommended to the parties, that you go back and negotiate  
15 and discuss and see if you cannot work out, in view of what  
16 we had to say. But since you will have to depend upon the  
17 Board ultimately to rule, this may be your last chance  
18 unless you are prepared to come back up in the event of a  
19 failure, or it is always a possibility, I suppose, that for  
20 this extremely limited argument -- and it would be an  
21 argument that we could convene in Bethesda and resolve it  
22 there if we had to -- no part of hearing has been except  
23 here, I would like to keep that record intact. But we would  
24 not bring everybody back up for the rule.

25           We could also rule on papers. But then there is



1 the problem that involves the timing and the need to get  
2 this record closed and proposed findings going.

3           Maybe we are just borrowing trouble. Why don't  
4 you just see if you cannot work out with the parties an  
5 acceptable basis to have this evidence put in, bearing in  
6 mind our rulings concerning the appropriateness of rebuttal  
7 and the cross examination and the timeliness which we  
8 ruled? I mean you are not timely for an affirmative case;  
9 you are timely for a rebuttal. You do not have to argue but  
10 the relevance of pages that were correctly identified or  
11 discussed in cross examination.

12           Now, with those rulings, would that be helpful for  
13 you to come up with something?

14           MR. POLLARD: Yes. I would accept that  
15 opportunity to go back and try to work it out with the  
16 parties. My concern is how much time do we have and how and  
17 when shall we get back to the Board. Can we do this by a  
18 conference call? Because I know I am not going to be able  
19 to do this by myself without consulting with Ms. Weiss.

20           CHAIRMAN SMITH: Well, do you have a suggestion?  
21 We are going to be busy up here through Wednesday this week,  
22 and then we are going to start again Tuesday.

23           MR. POLLARD: So Thursday you will be in  
24 Washington?

25           CHAIRMAN SMITH: Thursday we will be scattered.

1 We will be back here a week from Tuesday, but we will not be  
2 available as a Board until Tuesday. Dr. Little will be in  
3 Washington. I will not be available until Tuesday.

4 MR. POLLARD: Why don't I consult with Ms. Weiss  
5 first thing in the morning and we can get back, perhaps with  
6 a phone call to Mr. Brenner and if your other assistant is  
7 still around. We could get back to you tomorrow on how we  
8 suggest to proceed.

9 CHAIRMAN SMITH: If you wish.

10 Mr. Baxter.

11 MR. BAXTER: That is fine with me, Mr. Chairman.  
12 I am just still trying to grasp the concept of rebuttal here  
13 where there is no direct by UCS.

14 I make inquiry: Would it be an appropriate  
15 element in the discussion among the parties to consider  
16 after we have Mr. Pollard's discussion of the use that will  
17 be made of this document, because that will sort of be  
18 direct, as far as I can see, for the first time by him.

19 CHAIRMAN SMITH: That is a very narrow view of  
20 rebuttal. No matter what the parties have done in the past,  
21 they are bound by the evidentiary record, and they are  
22 reflected by it.

23 MR. BAXTER: I am just not familiar with rebuttal  
24 on the basis of cross examination alone. But the question I  
25 was going to get to ultimately was whether as the proponent

1 or, as we are often reminded, the party with the burden of  
2 proof, we would have the opportunity for surrebuttal?

3 CHAIRMAN SMITH: I agree. If you demonstrate the  
4 need for it. I just wonder if these papers are really going  
5 to be worth what we are going through on it. But since we  
6 do not know, since we have not read them, we do not know.  
7 We will just have to wait and see.

8 Why don't you, after we adjourn this evening or  
9 whenever, try to work out something that satisfies their  
10 objections and then get back to the Board?

11 MR. POLLARD: I am going to have to do that  
12 tomorrow, because I am quite clear I have to consult with  
13 Ms. Weiss. I have not the slightest idea of what most of  
14 this discussion has been about.

15 CHAIRMAN SMITH: All right, now, are ready for UCS  
16 Exhibit 40; that is, the SER? Are there any objections on  
17 that one?

18 MR. CUTCHIN: Mr. Chairman, I guess I am going to  
19 have to be the one to rise to the occasion again. I object  
20 to it as being, in some respects, redundant of what is  
21 included in the direct testimony and much broader in scope  
22 and, therefore, arguably irrelevant to the issue that is  
23 within the scope of this proceeding. Again, I will create  
24 confusion.

25 CHAIRMAN SMITH: It is broader in scope, as is

1 NUREG-0737, which is a Staff document, and it would be  
2 virtually impossible to keep that out, I don't think.

3 MR. CUTCHIN: I do not believe 0737 is in evidence.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           CHAIRMAN SMITH: That it is cited all over the  
2 place by the staff.

3           DR. JORDAN: There is some citing about 0737. I'm  
4 a bit worried about how -- does that mean we have to take  
5 out all of those cites?

6           MR. CUTCHIN: We have extracted major portions of  
7 that for testimony, but I'm unaware of its having been put  
8 into evidence, nor has 0578, for that matter. But that  
9 really has nothing to do here. My objection is it is a  
10 staff SER and the staff has narrowed its review to what it  
11 perceives to be the scope of this proceeding and has offered  
12 direct evidence on this subject, and I think it'll be  
13 confusing.

14          CHAIRMAN SMITH: Confusing isn't the test.

15          MR. CUTCHIN: It is redundant and it is well  
16 beyond the scope of the proceeding.

17          DR. JORDAN: But there is much in it that is the  
18 basis, it seems to me, for the staff's testimony, that I  
19 find out really for the first time some of the reasons why  
20 staff said the things they did. Without this I would have  
21 had a real problem.

22          CHAIRMAN SMITH: I think Dr. Jordan has resolved  
23 that dispute, so your objection is overruled. It is, of  
24 course, received in evidence solely to demonstrate that  
25 there is such a document. But it is not received in

1 evidence -- we don't by receiving it in evidence, we do not  
2 thereby conclude that the items set forth in the SER were  
3 within the scope of this proceeding. Our rulings will be  
4 the traditional way we've made them.

5 All right, how about the next one. 41, the Sandia  
6 Laboratory.

7 MR. POLLARD: That was the Licensee's letter of  
8 March 12, 1981, from Mr. Hukill to Novak responding to the  
9 staff's request to review the deficiencies and conclude  
10 whether or not the plant is safe enough to restart.

11 MR. CUTCHIN: No objection from the staff.

12 MR. BAXTER: No objection.

13 MR. POLLARD: 42 is the December 8, 1977 --

14 CHAIRMAN SMITH: 41 is received.

15 (The document referred to,  
16 previously marked for identi-  
17 fication as UCS Exhibit No.  
18 41, was received in  
19 evidence.)

20 MR. POLLARD: I should wait for that.

21 42 is the December 8, 1977, letter, Met Ed's  
22 response to Bulletin 77-5.

23 MR. BAXTER: I would not object to either of UCS  
24 Exhibits 42 and 43, which are Licensee's responses to I&E  
25 Bulletins 77-05 and 77-05A, if UCS would stipulate to the

1 receipt, as soon as we can obtain copies, of the I&E  
2 Bulletings themselves to which the letters are responding.

3 MR. POLLARD: They want to offer the bulletins  
4 into evidence?

5 CHAIRMAN SMITH: The letters respond to a bulletin  
6 and they want the full context of the letter, the  
7 bulletins.

8 MR. BAXTER: We will provide them as soon as we  
9 get them.

10 DR. JORDAN: As soon as you get them?

11 MR. BAXTER: Obtain a copy.

12 MR. POLLARD: I have no objection to that  
13 proceeding.

14 CHAIRMAN SMITH: All right, so we receive 42 and  
15 43 received.

16 (The documents referred to,  
17 previously marked for  
18 identification as UCS Exhibit  
19 Nos. 42 and 43, were received  
20 in evidence.)

21 MR. POLLARD: 44 was the Sandia report.

22 MR. BAXTER: I object to that on the basic grounds  
23 of no opportunity to confront the evidence that's being  
24 offered, Mr. Chairman, both in terms of content, relevance,  
25 and timeliness of the receipt of the document.

1           MR. CUTCHIN: The staff would have a similar  
2 objection to its being received for the truth of the matters  
3 asserted therein.

4           MR. POLLARD: First as to timeliness, I have been  
5 trying for -- since at least June 20th, when I knew of the  
6 existence of this document, to get it. It is not available  
7 in the Washington public document room. I obtained my first  
8 copy of this report Friday afternoon, last Friday, whatever  
9 the date of last Friday was. So I could not have produced  
10 it any sooner, because I made the copies before I left the  
11 office on Friday and I took them home with me to bring them  
12 here today.

13           Second of all, we discussed earlier, and I hope  
14 the Board can assist me, I am offering it into evidence not  
15 for whether or not the statements in it are true, but for  
16 the fact that the report was in fact sent to the NRC staff  
17 and it says the things it says, whether or not they are  
18 true.

19           MR. BAXTER: I find that a very unworkable  
20 distinction to be made, Mr. Chairman. I understand we  
21 sometimes receive ACRS letters just for the purpose that  
22 they were written. But to say this entire lengthy report is  
23 only going to stand for the fact that these words were said,  
24 I think the Board is going to have a terribly difficult time  
25 sorting out the use that is made of them in proposed



1 findings.

2           CHAIRMAN SMITH: I think that if we would  
3 stipulate that the sections read by Mr. Pollard to the  
4 witnesses were indeed from a Sandia report, which indeed was  
5 issued and contracted for by the NRC, we will accomplish his  
6 purposes.

7           MR. BAXTER: Yes, we probably would. The problem  
8 is that I haven't had the opportunity to review it and ask  
9 the witnesses to read all the good statements that  
10 undoubtedly are in here somewhere. And that is where  
11 timeliness comes in.

12           And I'm not saying necessarily that Mr. Pollard  
13 has been negligent in trying to get it. That does not help  
14 me in trying to confront the evidence that is being offered  
15 today.

16           CHAIRMAN SMITH: You want to offer the good  
17 statements in support of your position and Mr. Pollard wants  
18 to establish a very narrow thing, and that is he wants to  
19 argue, I think -- what is your point?

20           MR. POLLARD: My point is that when this kind of  
21 report exists and these witnesses are unaware of it and they  
22 come in here and testify that Three Mile Island 1 is safe  
23 enough to restart, I think it reflects on the weight --

24           CHAIRMAN SMITH: The thoroughness.

25           MR. POLLARD: -- the thoroughness of the review

1 and therefore to what extent should this Board rely upon the  
2 staff testimony.

3 MR. BAXTER: But Mr. Pollard got to ask the  
4 witnesses that point, and I think he got to ask them several  
5 times, and he showed them parts of the abstract and asked  
6 them why they hadn't considered it. That's different than  
7 putting the whole document into evidence.

8 CHAIRMAN SMITH: When I said a moment ago that  
9 your objections and Mr. Pollard's purposes would be  
10 involved, that he was indeed reading from the Sandia report  
11 --

12 MR. BAXTER: I'm sorry, I must have misheard you.  
13 I will stipulate that he was reading from the Sandia report  
14 and let the cross-examination stand without the whole  
15 document.

16 CHAIRMAN SMITH: It was such a report, that he was  
17 accurately reading from it?

18 MR. BAXTER: Yes.

19 CHAIRMAN SMITH: Does that satisfy your problems?

20 MR. POLLARD: I think it does.

21 CHAIRMAN SMITH: All right. With that  
22 stipulation, then --

23 MR. CUTCHIN: Staff will agree to that as well,  
24 sir.

25 CHAIRMAN SMITH: All right. Then let's accept the

1 stipulation then. Then what is the status? Do you offer  
2 the exhibit or do you want it in the rejected exhibit file?

3 MR. POLLARD: I think I want it in the rejected  
4 exhibit file, not withdrawn.

5 CHAIRMAN SMITH: Well, the Board sustains the  
6 objection on the basis that, as far as it being a prime  
7 exhibit is concerned, it simply is correct there's no  
8 opportunity to confront the authors. As far as its need is  
9 concerned for your purpose, that has been satisfied by the  
10 stipulation.

11 (The document referred to,  
12 previously marked for identi-  
13 fication as UCS Exhibit No.  
14 44, was marked as rejected  
15 and placed in the rejected  
16 exhibit file.)

17 CHAIRMAN SMITH: And that's it. That's your final  
18 exhibit. But it will be placed in the rejected exhibit  
19 file, UCS Exhibit 44.

20 MR. CUTCHIN: Mr. Chairman, it has come to my  
21 attention that for the sake of completeness, since the Board  
22 has received into evidence the March 2., '81, SER, there was  
23 a revision to appendices B and C of that document which was  
24 served on the parties on April 23rd. I happen to have only  
25 one copy here, but there are -- and I can cite the pages.

1 It consists of a changed page to B-1, B-2, B-6, B-8, and  
2 includes an attachment 1, which is a letter on the Foxboro  
3 Company's letterhead. I also understand there is a page C-4  
4 as well, which I omitted reading here.

5 I think for the sake of completeness of the  
6 record, if we are taking in the SER it should be taken in  
7 including the revision pages 2, and they are both in the  
8 record for whatever use can be made of them.

9 MR. POLLARD: If it will help, I have sufficient  
10 copies for the reporter, if the staff wishes to make this a  
11 staff exhibit. I see no need for it one way or another. If  
12 the staff wants it in as evidence, I have no objection. I  
13 have copies.

14 CHAIRMAN SMITH: I think it correctly should be  
15 attached to your exhibits.

16 MR. POLLARD: Attached to my exhibits?

17 CHAIRMAN SMITH: Yes. Your exhibit would not get  
18 in on its own merits, anyway. It got in because of Dr.  
19 Jordan's observation.

20 We can even make it a Board exhibit, as far as  
21 that's concerned, if you prefer. If we do, it should be one  
22 complete exhibit.

23 We have never given a lot of weight as to the idea  
24 of who was actually sponsoring an exhibit. It comes up so  
25 rarely. Exhibits have to depend largely on their intrinsic

1 probative value.

2 MR. CUTCHIN: I was only interested in having the  
3 record clear as to what the status of that document was.

4 CHAIRMAN SMITH: Rather than confuse the record,  
5 your UCS Exhibit No. 40 should include the amendments.

6 MR. POLLARD: So the reporter should attach to UCS  
7 Exhibit 40 the letter dated April 23rd from Mr. Stolz to Mr.  
8 Hukill, whose subject is revision to appendices B and C of  
9 the Three Mile Island Unit 1 equipment qualification safety  
10 evaluation.

11 MR. CUTCHIN: And its attachments.

12 CHAIRMAN SMITH: Yes.

13 (The documents referred to  
14 were marked as attachments to  
15 UCS Exhibit No. 40 and  
16 received in evidence.)

17 CHAIRMAN SMITH: Anything further, Mr. Pollard?

18 MR. POLLARD: I have nothing further.

19 CHAIRMAN SMITH: I suggest we adjourn for this  
20 evening.

21 MR. CUTCHIN: Are we going to bring these  
22 witnesses back for tomorrow?

23 DR. JORDAN: Yes, I think we should bring them  
24 back. Licensee has a few questions and I would like to --  
25 in view of what has been said today, I need to go back now.

1 But I am sorry --

2 MR. CUTCHIN: That's no problem. I just wanted to  
3 be sure whether they were leaving, so I would introduce my  
4 exhibit before they left.

5 CHAIRMAN SMITH: Mr. Pollard, do you recognize we  
6 are going to continue with these witnesses? This has come  
7 up before. It's your choice if you're not present.

8 MR. POLLARD: Yes, Mr. Chairman, I understand. I  
9 do not plan to be here tomorrow.

10 CHAIRMAN SMITH: Then we will adjourn until 9:00  
11 a.m.

12 (Whereupon, at 5:48 p.m., the hearing was  
13 recessed, to reconvene at 9:00 a.m. on Tuesday, June 30,  
14 1981.)

15 \* \* \*

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

\_\_\_\_\_

in the matter of: METROPOLITAN EDISON COMPANY (TMI UNIT 1)

Date of Proceeding: June 29, 1981

Docket Number: 50-289 (Restart)

Place of Proceeding: Harrisburg, Pa.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Alfred H. Ward

Official Reporter (Typed)

*Alfred H. Ward*

Official Reporter (Signature)



msa 4  
6/29

Metropolitan Edison Company  
Post Office Box 480  
Middletown, Pennsylvania 17057

Writer's Direct Dial Number

May 18, 1981  
LIL 161



Office of Nuclear Reactor Regulation  
Attn: Mr. John F. Stolz, Chief  
Operating Reactors Branch No. 4  
U. S. Nuclear Regulatory Commission  
Washington, D.C. 20555

Dear Sir:

Three Mile Island Nuclear Station, Unit 1 (TMI-1)  
Operating License No. DPR-50  
Docket No. 50-289  
Equipment Qualification for Small Breaks

This letter is in response to your letter dated May 1, 1981 which requested information on environmental qualification for equipment needed to respond to design basis small break loss of coolant accidents (SB LOCA). Break sizes between 0.01 FT<sup>2</sup> and 0.5 FT<sup>2</sup> have been addressed considering a loss of offsite power, loss of Main Feedwater, and a worst case single failure. The adverse environmental parameters associated with the worst case SB LOCA have also been addressed. The qualifications of the various equipment has been referenced from our response to IE Bulletin 79-01B dated January 30, 1981 (LIL 026).

Sincerely,

H. D. Hukill  
Director, TMI-1

HDH:CWS:hh  
Attachment  
cc: L. Barrett  
H. Silver  
R. Jacobs

Acc 5/11

8105220177

P



Equipment Qualification  
for Small Break Loss of Coolant Accidents (SB LOCA)

The essential systems and components list consists of those Class IE electrical items, located in a SB LOCA harsh environment that are required to bring the plant to a safe shutdown. The following systems, or portions thereof, from the response to IE Bulletin 79-01B are required:

- Main Steam
- Makeup and Purification
- Decay Heat Removal
- Reactor Building Isolation
- Reactor Protection
- Engineered Safeguards Actuation
- Reactor Building Emergency Cooling
- Core Flood
- Nuclear Services Closed Loop Cooling
- Additional Accident Monitoring Equipment

The following systems from the response to IE Bulletin 79-01B are required but are not located in a SB LOCA harsh environment:

- Emergency Feedwater
- Decay Heat Closed Loop Cooling
- Reactor Building Emergency Cooling River Water

The analysis has considered the worst single failure in addition to the loss of offsite power which results in a loss of Main Feedwater. The worst single failure is the loss of one emergency diesel generator. This results in only one reactor building fan coil unit being available for cooling.

The Component List Sheets are arranged by system. The equipment qualification is based upon our January 30, 1981 response to IE Bulletin 79-01B. The attached table makes appropriate reference to the submission for each component. The building location is shown for each component including the common equipment. The only harsh environments resulting from the small break LOCA are those in the Reactor Building and the Auxiliary Building. The most severe small break LOCA harsh environment is shown for each component on the Component List Sheets. For components located in the Auxiliary Building the only harsh environment is radiation. The remarks column provides qualification information in addition to that previously submitted. Where there is no comment or reference in the remarks column, the SER of March 24, 1981 indicated no deficiency that would be applicable for those small break LOCA's.

The evaluation has considered break sizes in the range from 0.01 FT<sup>2</sup> to 0.5 FT<sup>2</sup>. The lower limit of 0.01 FT<sup>2</sup> insures that emergency feedwater will be activated, since it is required for breaks smaller than 0.02 FT<sup>2</sup>. The most severe credible small break is that of the largest Reactor Coolant System branch line with a cross-sectional area of less than 0.5 FT<sup>2</sup>. The sleeved 14 inch diameter core flood line which has a break area of 0.44 FT<sup>2</sup> is the largest such line. This break results in a reactor building peak pressure of slightly below 30 PSIG. The Reactor Building Spray System will not activate until 30 psig is reached so chemical spray on the equipment is not considered. The Reactor Building pressure and temperature resulting from this 0.44 FT<sup>2</sup> break are assumed as an upper bound for qualification requirements for the equipment.

The calculation of the accumulated radiation dose is based on the degree of fuel failures predicted for a 0.44 FT<sup>2</sup> break (i.e., no fuel failures beyond those assumed in the FSAR for worst case normal operation is predicted to occur by licensing basis SB LOCA analyses). A methodology similar to that of Appendix D to NUREG 0588 was then used to evaluate the equipment radiation exposure due to the small break fuel failures. The 40 year integrated dose was added to the 180 day post accident dose to obtain the total dose.

COMPONENT LIST NOTES

- Note 1 - SUBMERGENCE - Valve will perform its function of containment isolation prior to becoming submerged.
- Note 2 - RADIATION  
DEGRADATION DCR Guidelines Appendix C, Table C-1 were used in the evaluation conducted. Other documentation was also reviewed where DOR Guidelines did not address specific materials or where more definitive data was available elsewhere. Review was based upon 80% retention of the appropriate property based upon the prudent engineering judgement of the materials function. The January 30, 1981 submittal contains supplemental pages to each Systems Component Evaluation Worksheet where a materials evaluation was done stating the material, the documentation reference, and the radiation valve from that reference.
- Note 3 - REFER TO LER 80-17 - Qualification of motor brakes for certain Limitorque operators.
- Note 4 - RELOCATION - Equipment was relocated to an elevation above the calculated Flood Level. New transmitters LT-775, 776, 788 and LT-789 are being installed for control room and remote shutdown panel indication. These Rosemount 1153D type transmitters are undergoing NUREG-0588 Cat. #1 qualification program (NRC EQ Branch participation).
- Note 5 - MODEL PL-14B2 - Used on Rosemount narrow range RC pressure transmitters.
- Note 6 - MODEL SA-1000 - New electrical seal assemblies are being installed on the other 79-01B listed transmitters, RTD(s), and pressure switches located inside containment. Qualification to 75 PSIG, 340°F, 100% humidity and  $2 \times 10^4$ R per Conax Bulletin SA-1000/IPS-409/IPS-325.
- Note 7 - RB ENVIRONMENT - 30 PSIG/245°F/100% humidity/ $5.4 \times 10^4$ R.
- Note 8 - FOXBORO TRANSMITTER  
POTENTIAL DEFICIENCIES - The Foxboro transmitters used at TMI-1 are the 4-20 mA type and are not subject to the concern identified by NRC letter dated April 23, 1981 or IE Circular 81-06 for 10-50mA type transmitters.

COMPONENT LIST

<u>System</u> Main Steam		<u>COMPONENT LIST</u>					
<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>	
SP6A-PT1	OTSG Discharge Press Transmitter	RB	EDS Vol. I MS Sheet 9	Note 7	Note 8	Yes	
SP6A-PT2	OTSG Discharge Press Transmitter	RB	EDS Vol. I MS Sheet 10	"	"	"	
SP6B-PT1	OTSG Discharge Press Transmitter	RB	"	"	"	"	
SP6B-PT2	OTSG Discharge Press Transmitter	RB	"	"	"	"	

COMPONENT LISTSystem Make-up and Purification

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
MU-P1A	Pump Motor	AB	EDS Vol. I MU Sheet 1	3.5 x 10 <sup>4</sup> R	-	Yes
MU-P1B	Pump Motor	AB	" 2	"	-	"
MU-P1C	Pump Motor	AB	" 3	"	-	"
MU-P2A	Pump Motor (Aux. Oil)	AB	" 4	"	-	"
MU-P2B	Pump Motor (Aux. Oil)	AB	" 5	"	-	"
MU-P2C	Pump Motor (Aux. Oil)	AB	" 6	"	-	"
MU-P3A	Pump Motor (Main Oil)	AB	" 7	"	-	"
MU-P3B	Pump Motor (Main Oil)	AB	" 8	"	-	"
MU-P3C	Pump Motor (Main Oil)	AB	" 9	"	-	"
MU-P4A	Pump Motor (Gear Oil)	AB	" 10	"	-	"
MU-P4B	Pump Motor (Gear Oil)	AB	" 11	"	-	"
MU-P4C	Pump Motor (Gear Oil)	AB	" 12	"	-	"
MU-V-2A	Let down cooler outlet Valve Motor Operator	RB	" 13	Note 7	Note 1	"
MU-V-2B	Letdown cooler outlet Valve Motor Operator	RB	" 14	Note 7	Note 1	"
LSA/MUV-3	Letdown cooler outlet Valve Limit Switch	AB	" 15	1.8 x 10 <sup>4</sup> R	Note 2	"

COMPONENT LIST

System    Make-up and Purification

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
LSB/MUV-3	Letdown cooler outlet Valve Limit Switch	AB	EDS Vol, I MU Sheet 16	1.8 x 10 <sup>4</sup> R	Note 2	Yes
SV/MUV-3	Letdown cooler outlet Valve Solenoid Valve	AB	"                    17	"	Note 2	"
MU-V-12	Pump Suction Valve Motor Operator	AB	"                    18	1.8 x 10 <sup>4</sup> R	-	"
MU-V-14A	Pump Suction From BWST Valve Motor Operator	AB	"                    19	1.8 x 10 <sup>4</sup> R	-	"
MU-V14B	Pump Suction From BWST Valve Motor Operator	AB	"                    20	1.8 x 10 <sup>4</sup> R	-	"
MU-V16A	Pump discharge Valve Motor Operator	AB	"                    21	1.8 x 10 <sup>4</sup> R	-	"
MU-V-16B	Pump discharge Valve Motor Operator	AB	"                    22	"	-	"
MU-V-16C	Pump discharge Valve Motor Operator	AB	"                    23	"	-	"
MU-V-16D	Pump discharge Valve Motor Operator	AB	"                    24	"	-	"
SV/MUV-18	Charging line isolation valve-Solenoid Valve	AB	"                    25	"	Note 2	"

COMPONENT LIST

System Make-up and Purification

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
LSA/MUV-18	Charging Line Isolation Valve - Limit Switch	AB	EDS Vol. I MU Sheet 26	1.8 x 10 <sup>4</sup> R	Note 2	Yes
LSB/MUV-18	Charging Line Isolation Valve - Limit Switch	AB	" 27	"	"	"
LSA/MUV-20	Seal Isolation Valve Limit Switch	AB	" 28	"	"	"
LSB/MUV-20	Seal Isolation Valve Limit Switch	AB	" 29	"	"	"
SV/MUV-20	Seal Isolation Valve Solenoid Valve	AB	" 30	"	"	"
MU-V-25	RCP Letdown Cooler Isolation Valve Motor Operator	RB	" 31	Note 7	-	"
LSA/MUV-26	RCP Letdown Cooler Isolation Valve - Limit Switch	AB	" 32	3.5 x 10 <sup>4</sup> R	Note 2	"
LSB/MUV-26	RCP Letdown Cooler Isolation Valve - Limit Switch	AB	" 33	"	"	"
SV/MUV-26	RCP Letdown Cooler Isolation Valve - Solenoid Valve	AB	" 34	"	"	"
MU-V-36	Recirculation Valve Motor Operator	AB	" 35	1.8 x 10 <sup>4</sup> R	-	"
MU-V-37	Recirculation Valve Motor Operator	AB	" 36	"	-	"



COMPONENT LIST

System Make-up and Purification

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
PS480A	Pressure Switch Lube Oil	AB	EDS Vol. 1 MU Sheet 37	3.5 x 10 <sup>4</sup> R	Note 2	Yes
PS480B	Pressure Switch Lube Oil	AB	"	"	"	"
PS480C	Pressure Switch Lube Oil	AB	"	"	"	"

COMPONENT LIST

System Decay Heat Removal

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Design Environment</u>	<u>Remarks</u>	<u>Qualified</u>
DH-P1A	Pump Motor	AB	EDS Vol. I DHR Sheet 1	1.8 x 10 <sup>4</sup> R	-	Yes
DH-P1B	Pump Motor	AB	" 2	"	-	"
DH-V-1	Drop line Valve Motor Oper.	RB	" 3	Note 7	-	"
DH-V-2	Drop line Valve Motor Oper.	RB	" 4	"	-	"
DH-V-3	Suction Valve Motor Oper.	AB	" 5	1.8 x 10 <sup>4</sup> R	-	"
DH-V-4A	Discharge Valve Motor Oper.	AB	" 6	1.8 x 10 <sup>4</sup> R	-	yes(Note 3)
DH-V-4B	Discharge Valve Motor Oper.	AB	" 7	1.8 x 10 <sup>4</sup> R	-	"
DH-V-5A	BWST Suction Valve Motor Operator	AB	" 8	1.8x 10 <sup>4</sup> R	-	"
DH-V-5B	BWST Suction Valve Motor Operator	AB	" 9	1.8x 10 <sup>4</sup> R	-	"
DH-V-6A	RB Sump Pump Suction Valve Motor Operator	AB	" 10	1.8 x 10 <sup>4</sup> R	-	yes
DH-V-6B	RB Sump Pump Suction Valve Motor Operator	AB	" 11	1.8 x 10 <sup>4</sup> R	-	"
DH-V-7A	MU System Discharge Valve Motor Operator	AB	" 12	1.8 x 10 <sup>4</sup> R	-	"
DH-V-7B	MU System Discharge Valve Motor Operator	AB	" 13	1.8 x 10 <sup>4</sup> R	-	"

COMPONENT LIST

System Reactor Building Isolation

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
LSA/AHV-1A	RB Purge Valve Limit Switch	AB	EDS Vol. I RBIS Sht.1	3.5 x 10 <sup>4</sup> R	Note 2	Yes
LSB/AHV-1A	RB Purge Valve Limit Switch	AB	" 2	"	"	"
SV/AHV-1A1	RB Purge Valve Solenoid Valve	AB	" 3	"	"	"
SV/AHV-1A2	RB Purge Valve Solenoid "	AB	" 4	"	"	"
CA-V-1	Pz Sample Valve Motor Oper.	RB	" 11	Note 7	-	"
LSA/CAV-2	RCS Sample Valve Limit Valve	AB	" 13	3.5 x 10 <sup>4</sup> R	Note 2	"
LSB/CAV-2	RCS Sample Valve Limit Valve	AB	" 14	"	-	"
SV/CAV-2	RCS Sample Valve Solenoid "	AB	" 12	"	-	"
CA-V-3	Pz Water Sample Valve Motor Operator	RB	" 15	Note 7	-	"
CA-V-4A	SC FW Isolation Valve Motor Operator	RB	" 16	"	-	"
CA-V-4B	SG FW Isolation Motor Operator	RB	" 17	"	-	"
CA-V-13	RCS Letdown Sample Valve Motor Operator	RB	" 24	"	-	"
LSA/CAV-189	Demin. Water Isolation Valve Limit Switch	AB	" 25	1.8 x 10 <sup>4</sup> R	Note 2	"
LSB/CAV-189	Demin. Water Isolation Valve Limit Switch	AB	" 26	"	"	"

COMPONENT LISTSystem Reactor Building Isolation

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
SV/CAV-189	Demfn. Water Isolation Valve Solenoid Valve	AB	EDS Vol. I RBIS Sht.27	1.8 x 10 <sup>4</sup> R	Note 2	"
AH-V-1B	RB Purge Valve Motor Oper.	RB	" 5	Note 7	Note 3	"
AH-V-1C	RB Purge Valve Motor Oper.	RB	" 6	"	"	"
IC-V-2	IC Closed Loop Isolation Valve Motor Operator	RB	EDS Vol. I RBIS Sht.40	"	-	"
20/ICV-3	IC Return Isolation Solenoid Valve	AB	" 41	1.8 x 10 <sup>4</sup> R	Note 2	"
33/ICV-3	IC Return Isolation Limit Switch	AB	" 42	"	"	"
LSB/ICV-3	IC Return Isolation Limit Switch	AB	" 43	"	"	"
WDG-V-3	RB Vent header Isolation Valve Motor Operator	RB	" 54	Note 7	-	"
SV/WDG-V4	RB Vent header Isola. Valve Solenoid Valve	AB	" 55	3.5 x 10 <sup>4</sup> R	-	"
LSA/WDG-V4	RB Vent header Isola. Valve Limit Switch	AB	" 56	"	Note 2	"
LSB/WDG-V4	RB Vent header Isola. Valve Limit Switch	AB	" 57	"	"	"
WDL-V-303	RCS Drain tank Outlet Isola. Valve Motor Operator	RB	" 58	Note 7	-	"
LSA/WDL-V304	RCS Drain Isolation Valves Limit Switch	AB	" 59	3.5 x 10 <sup>4</sup> R	Note 2	"

COMPONENT LISTSystem Reactor Building Isolation

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to ISE 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
LSB/WDL-V304	RC Drain Isolation Valve Limit Switch	AB	EDS Vol. 1 RBIS Shc. 60	3.5 x 10 <sup>4</sup> R	Note 2	Yes
SV/WDL-V304	RC Drain Isolation Valve Solenoid Valve	AB	" 61	"	"	"
SV/WDL-V534	RB Sump Outlet Isolation Solenoid Valve	AB	" 64	1.8 x 10 <sup>4</sup> R	"	"
LSA/WDL-V534	RB Sump Isolation Limit Switch	AB	" 62	"	"	"
LSB/WDL-V534	RB Sump Isolation Limit Switch	AB	RDS Vol. 1 RBIS Sht. 63	"	"	"
LSA/WDL-V535	RB Sump Isolation Limit Switch	AB	" 65	"	"	"
LSB/WDL-V535	RB Sump Isolation Limit Switch	AB	" 66	"	"	"
SV/WDL-V535	RB Sump Isolation Solenoid Valve	AB	" 67	"	"	"

COMPONENT LIST

System Reactor Protection

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
RC3A-PT1	RC NR Pressure Transmitter	RB	EDS Vol. 1A RPS Sht.1	Note 7	Note 2	Yes
RC3A-PT2	RC NR Pressure Transmitter	RB	" 2	"	"	"
RC3B-PT1	RC NR Pressure Transmitter	RB	" 3	"	"	"
RC3B-PT2	RC NR Pressure Transmitter	RB	" 4	"	"	"
RC4A-TE2	RC Outlet Temp RTD	RB	" 5	"	-	"
RC4A-TE3	RC Outlet Temp RTD	RB	" 6	"	-	"
RC4B-TE2	RC Outlet Temp RTD	RB	" 7	"	-	"
RC4B-TE3	RC Outlet Temp. RTD	RB	" 8	"	-	"
PS-672	RB Pressure Switch	AB	" 13	3.5 x 10 <sup>4</sup> R	Note 2	"
PS-673	RB Pressure Switch	AB	" 14	"	"	"
PS-674	RB Pressure Switch	AB	" 15	"	"	"
PS-675	RE Pressure Switch	AB	" 16	"	"	"

COMPONENT LISTSystem Engineered Safeguards Actuation

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
PS-283	RB Pressure Switch	AB	EDS Vol. IA ESAS 2	3.5 x 10 <sup>4</sup> R	Note 2	Yes
PS-284	RB Pressure Switch	AB	" 3	"	"	"
PS-286	RB Pressure Switch	AB	" 5	"	"	"
PS-287	RB Pressure Switch	AB	" 6	"	"	"
PS-289	RB Pressure Switch	AB	" 8	"	"	"
PS-290	RB Pressure Switch	AB	" 9	"	"	"
RC3A-PT3	RC WR Pressure Transmitter	RB	" 10	Note 7	"	"
RC3A-PT4	RC WR Pressure Transmitter	RB	" 11	"	"	"
RC3B-PT3	RC WR Pressure Transmitter	RB	" 12	"	"	"
PT-282	RB Pressure Transmitter	AB	" 1	3.2 x 10 <sup>5</sup> R	"	"
PT-285	RB Pressure Transmitter	AB	" 4	"	"	"
PT-288	RB Pressure Transmitter	AB	" 7	"	"	"

COMPONENT LIST

System Reactor Building Emergency Cooling

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
AH-E1A	RB Cooler Fan Motor	RB	EDS Vol. IA RB 1	Note 7	-	Yes
AH-E1B	RB Cooler Fan Motor	RB	2	"	-	"
AH-E1C	RB Cooler Fan Motor	RB	3	"	-	"



COMPONENT LIST

System Core Flood

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
CF-V-2A	CF Sample Isolation Valve Motor Operator	RB	EDS Vol. 1A CF Sht.3	Note 7	-	Yes
CF-V-2B	CF Sample Isolation Valve Motor Operator	RB	" 4	"	-	"
CF-V-3A	CF Vent Valve Motor Operator	RB	" 5	"	-	"
CF-V-3B	CF Vent Valve Motor Operator	RB	" 6	"	-	"
LSA/CFV-19A	CF Makeup Valve Limit Switch	AB	" 7	3.5 x 10 <sup>6</sup> R	Note 2	"
LSB/CFV-19A	CF Makeup Valve Limit Switch	AB	" 8	"	"	"
LSA/CFV-19B	CF Makeup Valve Limit Switch	AB	" 9	"	"	"
LSB/CFV-19B	CF Makeup Valve Limit Switch	AB	" 10	"	"	"
20/CFV-19A	CF Makeup Valve Solenoid Valve	AB	" 11	"	"	"
20/CFV-19B	CF Makeup Valve Solenoid Valve	AB	" 12	"	"	"
LSA/CFV-20A	CF Sample Isolation Limit Switch	AB	" 13	"	"	"
LSB/CFV-20A	CF Sample Isolation Limit Switch	AB	" 14	"	"	"

COMPONENT LIST

System Core Flood

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
SV/CF-V20A	CF Sample Isolation Solenoid Valve	AB	EDS Vol. 1A CF Sht. 17	3.5 x 10 <sup>4</sup> R	Note 2	Yes
LSA/CFV-20B	CF Sample Isolation Limit Switch	AB	"	"	"	"
LSB/CFV-20B	CF Sample Isolation Limit Switch	AB	"	"	"	"
SV/CF-V20B	CF Sample Isolation Solenoid Valve	AB	"	"	"	"

COMPONENT LIST

System Nuclear Services Closed Loop Cooling

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Env ronment</u>	<u>Remarks</u>	<u>Qualified</u>
NS-V-4	RCP Cooler Isolation Valve Motor Operator	AB	EDS Vol. 1A NSCIC Sh.	3.5 x 10 <sup>4</sup> R	-	Yes
NS-V-15	RCP Cooler Inlet Isolation Valve Motor Operator	AB	" 5	"	-	"
NS-V-32	Non-nuclear Equip. Cooler Isolation Valve Motor Oper.	AB	" 6	"	-	"
NS-V-35	RCP Cooler Isolation Valve Motor Operator	RB.	" 7	Note 7	Materials list not yet received from Limatorque for evaluation for rad- iation affects, how- ever, radiation dose for SB LOCA is not high enough to be of concern.	"

COMPONENT LIST

System# Additional Accident Monitoring Equipment

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
SP1A-LT2	OTSG Level Transmitter	RB	EDS Vol. 1A AAME/RCS Sheet 1	Note 7	Note 4	Yes
SP1B-LT2	OTSG Level Transmitter	RB	" 2	"	"	"
RC1-LT1	P2 Level Transmitter	RB	" 5	"	-	"
RC1-LT2	P2 Level Transmitter	RB	" 6	"	-	"
RC1-LT3	P2 Level Transmitter	RB	" 7	"	-	"
RC5A-TE1	RC Inlet Temp. RTD	RB	" 8	"	-	"
RC5A-TE2	RC Inlet Temp. RTD	RB	" 9	"	-	"
RC5A-TE3	RC Inlet Temp. RTD	RB	" 10	"	-	"
RC5A-TE4	RC Inlet Temp. RTD	RB	" 11	"	-	"
RC5B-TE1	RC Inlet Temp. RTD	RB	" 12	"	-	"
RC5B-TE2	RC Inlet Temp. RTD	RB	" 13	"	-	"
RC5B-TE3	RC Inlet Temp. RTD	RB	" 14	"	-	"
RC5B-TE4	RC Inlet Temp. RTD	RB	" 15	"	-	"
SP1A-LT4	OTSG Level Transmitter	RB	" 3	"	Note 4	"
SP1B-LT4	OTSG Level Transmitter	RB	" 4	"	"	"

COMPONENT LIST

System Common Equipment

<u>Plant ID No.</u>	<u>Description</u>	<u>Location</u>	<u>Reference to I&amp;E 79-01B Submittal</u>	<u>Harsh Environment</u>	<u>Remarks</u>	<u>Qualified</u>
	Heat Shrink Tubing	RB	EDS Vol. 1A Comm. Sheet 1	Note 7	-	Yes
	Elec. Penetration Assy.	RB	"	"	-	"
	Instrument Cable	RB/AB	"	"	-	"
	Power & Control Cable	RB/AB	"	"		"
	Conax Connectors	RB	"	"	Note 5 and 6	"
	Terminal Block	AB	"	3.5 x 10 <sup>4</sup> R	Note 2	"

**Met-Ed / GPU**

Metropolitan Edison Company  
Post Office Box 480  
Middletown, Pennsylvania 17057

Writer's Direct Dial Number

June 5, 1981  
LIL 176

Office of Nuclear Reactor Regulation  
Attn: John F. Stolz, Chief  
Operating Reactors Branch No. 4  
U. S. Nuclear Regulatory Commission  
Washington, D.C. 20555

Dear Sir:

Three Mile Island Nuclear Station, Unit 1 (TMI-1)  
Operating License No. DPR-50  
Docket No. 50-289  
Environmental Qualification Questions

The attached questions and answers confirm conversations between our respective staff's over the past week regarding clarification of our submittal of May 18, 1981 (LIL 161).

Sincerely,

*H. D. Hukill*  
H. D. Hukill  
Director, TMI-1

HDH:EGW:lma

Attachment

cc: R. Jacobs  
D. DiIanni



8106090 400

P

Metropolitan Edison Company is a Member of the General Public Utilities System

*Acys  
3/1*

Q1. For the isolation valve identified by Note 1, what are the effects after submergence?

A1. There is no affect on the contactors which energize the actuator motor. Since the contactors are located in the MCC and are not submerged they will not cause a change in valve position.

If the limit switches on the actuator are shorted by submergence the control circuit fuse should blow. This would result in a loss of valve position indicator light. This would not be a problem because the valve position is verified by the operator long before the loss of the light occurs.

The submergence of any of the electrical components in these motor operators will not affect any other electrical system because of the isolation provided by the MCC.

Q2. What is the basis for the qualification of the motor brakes in Note 3?

A2. By analysis of the materials in the motor brake that are affected by radiation. The SB LOCA could occur after 20 years of full power operation, and still have the brake operate satisfactorily.

Q3. At what level are the relocated SG level transmitters referred to in Note 4?

A3. The bottom of the transmitters are 5'9 3/4" or more above the reactor building floor.

Q4. Are the cables supplying the SG level transmitters subject to submergence?

A4. No. They feed from above.

Q5. What is the basis for the qualification of the Conax connectors referred to in Note 5?

A5. These connectors use the same materials as those in Note 6, therefore they are qualified to the same environments.

Q6. Will the Conax connectors in Note 6 be used to replace those in Vol. IA, Common, Sheets 10 and 11 of the 79-01B Submittal? If so, when will they be installed?

A6. Yes. These are the replacement connectors and they will be installed prior to restart.

Q7. To what radiation level is the Limitorque operator for NS-V-35 qualified?

A7. A minimum of  $2 \times 10^7$  rads total integrated dose.

Q8. How was the flood level in the reactor building decreased from 5.94 ft. to 5.66 ft.?

A8. By using a more realistic, but still conservative model of the steam generator exterior configuration.

Q9. What dose rate was used in the reactor building to determine the normal integrated dose? How was it obtained?

A9. The dose rate used was 100mR/hr. It was obtained by actual plant measurements taken over a 4 1/2 year period.

Q10. What is the dose rate on the Decay Heat Removal Pump for SB LOCA conditions?

A10. An approximation of the dose was determined by comparing the source terms calculated in accordance with NUREG 0737 Item II.B.2, and representative source terms available in the GAISSAR Chapter 12. This comparison yielded a  $10^4$  difference. The corresponding NUREG 0737 dose rate calculated was reduced by the same factor of  $10^4$  for the initial post-accident rate.

The resultant initial dose rate was 4 Rad/hr to the pumps. This rate would then decay over the next 180 days in the same fashion as the NUREG 0737 source. At the end of 180 days the dose rate would be 4 mR/hr.

Q11. What would be the effect of a beta dose of  $2.2 \times 10^5$  rads on equipment inside containment?

A11. No effect. The electrical equipment required to bring the plant to a safe shutdown is in conduit or metal enclosures.



insert 6  
6129



Metropolitan Edison Company  
Post Office Box 480  
Middletown, Pennsylvania 17057

Writer's Direct Dial Number

June 12, 1981  
L1L 180

Office of Nuclear Reactor Regulation  
Attn: John F. Stolz, Chief  
Operating Reactors Branch No. 4  
U. S. Nuclear Regulatory Commission  
Washington, D.C. 20555

Dear Sir:

Three Mile Island Nuclear Station, Unit 1 (TMI-1)  
Operating License No. DPR-50  
Docket No. 50-289  
Environmental Qualification for Small Break LOCA

The purpose of this letter is to confirm information transmitted by telephone June 5 to June 11, 1981 for clarification of our submittal dated May 18, 1981 (L1L 161).

Sincerely,

*H. D. Hukill*  
H. D. Hukill  
Director, TMI-1

HDH:CWS:lma

Enclosure

cc: R. Jacobs  
D. DiIanni



A001  
5  
1/1

8106180330

Question: What radiation levels are expected in the vicinity of Valves DH-V-4A/B and DH-V-5A/B during normal operation and during DH System operation?

Answer: General area dose rates in the vicinity of DH-V-4A/B and DH-V-5A/B are less than 100mr/hour\* (and usually much less than 100mr/hr) during either normal operation or DH System operation. This is based on routine radiation surveys taken since TMI-1 began operation.

Question: Will GPU review the results of the Westinghouse tests on Reliance motors used on Limitorque actuators? Will GPU advise the NRC if those test results are applicable to TMI-1 and the effects, if any?

Answer: All information that GPU has reviewed to date indicates that the Reliance motors used in TMI-1 Limitorque actuators are qualified as specified in our 79-01B submittal.

GPU will review and comment to the NRC on the Westinghouse reports after the NRC makes the reports available to GPU.

Question: Do the failures on Foxboro transmitters, described in test report T3-1068, affect the qualification of the TMI-1 transmitters? Are these the same type of units?

Answer: All units in this report continued to function up to  $7.6 \times 10^7$  R. This is orders of magnitude above the SB LOCA radiation for TMI-1. The TMI-1 transmitters are of the same type as those tested.

Question: When will the B & W Report "Evaluation of Aging of Class IE Controls and Instrumentation in B & W 177FA Scope of Supply" be completed?

Answer: B & W has stated that the report should be published by July 15, 1981. The report is being sponsored by the B & W Owners Group and its publication is under control of B & W and the Owners Group.

Question: Will all components that have exceeded their qualified life expectancy be replaced before Restart? Will a program to replace components, as needed, be in place by Restart?

Answer: Yes. The only such components identified to date are neoprene cover seal gaskets. In addition, a procedure will be implemented by criticality to replace components as needed.

\*100 mr/hr may be briefly exceeded for up to 24 hours following a shutdown involving a large crud burst.