

Safety Goal Project
(45 FR 71023)

NUCLEAR REGULATORY COMMISSION

ORIGINAL

THIS DOCUMENT CONTAINS
POOR QUALITY PAGES

In the Matter of:

WORKSHOP ON FRAMEWORKS FOR DEVELOPING
A SAFETY GOAL



THIRD PLENARY SESSION

DATE: April 3, 1981

PAGES: 1 thru 108

AT: Palo Alto, California



ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

8104210150

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 - - -

4 PUBLIC MEETING
5 WORKSHOP ON FRAMEWORKS FOR
6 DEVELOPING A SAFETY GOAL
7 THIRD PLENARY SESSION

8
9 Rickey's Hyatt House
10 4219 El Camino Real
11 Palo Alto, California
12 Friday, 3 April 1981

13 The meeting was convened at 8:10 a.m., pursuant to
14 notice, with George Sege, Program Chairman, Office of Policy
15 Evaluation, presiding.

16 PRESENT:

17 Messrs. Beyea, Bradburn, Bridenbaugh, Burstein,
18 Charnoff, Cochran, Derby, Eisenbed, Ernst, Hutt, Joksimovic,
19 Kouts, LaPorte, Lave, Levine, Lewis, Malsch, Lowrance,
20 MacLean, Maxey, Mazur, O'Donnell, Okrent, Paige, Perrow,
21 Salisbury, Sheldon, Slovic, Starr, Temme, Wald, Zebroski, et
22 al.

23 * * *

P R O C E E D I N G S

1
2 MR. SEGE: Good morning, ladies and gentlemen. We
3 are about to begin the third plenary session of the NRC
4 Safety Goal Workshop. The session will be devoted to the
5 final reports of the panel chairmen, and subsequently to a
6 discussion of those goals and to the discussion of the
7 cross-cutting issues of the workshop.

8 Before we begin with the panel reports, I would
9 like to turn the floor over to Walter Kato, who has some
10 announcements.

11 (Discussion off the record)

12 MR. SEGE: Thank you, Walt. We are now ready to
13 proceed to the report of panel A, quantitative safety goals,
14 Dr. Herman Kouts.

15 DR. KOUTS: Well, George has asked that these
16 reports be structured in a special way, and I will try to
17 adhere to this as well as I can, although it is not going to
18 be possible to do this altogether without being repetitious,
19 so I will depart from this to some extent.

20 So I will first of all go through what I consider
21 to be the highlights, or what we consider to be the highlights
22 of the outcome of our discussions.

23 Let me tell you at the outset that yesterday
24 afternoon, Hal Lewis, being bored with the rate and content of
25 process, decided it would be worth summarizing the session,

1 and he did so, and most or a good part of what I am going to
2 give is Hal Lewis's contribution, and you might recognize some
3 of the fingerprints here.

4 Highlights. There should be thought of quantitative
5 safety goals. This was important, because that was the
6 purpose of our panel. There should be quantitative safety
7 goals in order to enhance the protection of the public, not
8 directly, but through making the regulatory process less
9 capricious and more objective.

10 The standards must be clearly understood to be
11 subject to political test. A standard can enforce
12 quantitative analysis and rules and subsystem standards and
13 these are objectives to be met.

14 It can provide a de minimus basis for deciding what
15 measures are important enough for safety and what measures
16 are not significant.

17 The goals should at their center consist of a
18 qualitative state desired to be achieved, related to safety
19 of the people. This should be supplemented by quantitative
20 features which implied achieving the qualitative goals.
21 Somewhere, but not necessarily as part of the goals, there
22 must be instructions on how to use these quantitative limits
23 in a reasonably unambiguous way.

24 Several proposals of safety goals for nuclear
25 power plants have been made. Included have been offerings by

1 individuals and groups with varied backgrounds and other
2 objections.

3 These proposals address different statements of
4 qualitative objectives, and they are accompanied by
5 discussions of a variety of criteria that are said to have
6 been used in arriving at the quantitative goals, yet the
7 outcome, as the quantitative limits, is remarkably similar.

8 The limits are set on different quantities and in
9 different cases; there is an overall consistency. This is at
10 first surprising, because the guiding criteria has many
11 arbitrary features, and it reflects a greater degree of
12 concurrence than would be expected of work done in separate
13 isolated monastic cells.

14 Regardless of this broad community, and of how this
15 broad community of agreement may have been arrived at, it is
16 heartening because most of the job of structuring rational
17 safety goals with a broad consensus seems already to have
18 been achieved.

19 However, there is less agreement on the way safety
20 goals should be used. This may be as important a question or
21 perhaps an even more important one than the goals themselves.

22 The goals should include requirements related to
23 hazard status or substatus so that not only a final grade be
24 achieved, and then Hal's comment here is that every
25 professor knows the difficulty attached to giving only a single

1 grade.

2 The goals should also include quantitative
3 components related to individuals highly at risk, and to the
4 aggregate risk to society. They should include a component
5 related to financial impact on society.

6 A limit on anticipated frequency of partial core
7 damage -- this is very particular in conclusions -- a limit
8 on anticipated frequency of partial core damage is not very
9 useful at this time, because no one knows how to calculate
10 that probability as reliably as would be needed.

11 The goals should respond to the question of how
12 safe is safe enough, and should imply such a judgment. And
13 this is not a unanimous view, but is almost unanimous, and
14 ALARA type complements should not be included.

15 The licensing process should be deterministic,
16 with the deterministic requirements justified through
17 demonstration that they assure meeting the safety goals.
18 Both the subsystem and the whole plant analysis can
19 contribute to this, but it is recognized that in the present
20 state of the art, a large element of judgment would still be
21 involved, as well as recourse to operating experience.

22 The one exception to the deterministic rule should
23 be that an applicant for a license should be free to propose
24 a new system or a new subsystem and to prove by analysis that
25 it better achieves the goal.

1 The numbers associated with the goals require
 2 political consensus, but the development of the techniques of
 3 calculation requires much more technical work. In particular,
 4 there may be some subgoals for which the calculation is now
 5 beyond the state of the art. This is a conflict. There is a
 6 conflict requiring resolution here, between desirability and
 7 complete feasibility. Hal says C'est la vie. That is the way
 8 it is in life anyway.

9 The goals should guarantee that as far as cost
 10 goes, the public benefit of nuclear power is greater than the
 11 risk, which is part of the overall cost, but this risk and
 12 cost should not be so unevenly distributed that any
 13 individual is unreasonably exposed to risk.

14 It is recognized that this tradeoff between public
 15 benefit and individual cost is inherent in any complex
 16 society, and the issue here is no different than elsewhere,
 17 and no simpler either.

18 The goals should be dynamic, to respond to progress
 19 in technology. The grandfathering of plants already
 20 approved should be normal policy in the absence of overriding
 21 safety considerations to the contrary.

22 This last point is especially true, because the
 23 more quantitative goals that we are discussing here will be
 24 addressed principally in plants that will not come into
 25 existence and operation for more than a decade, and they must

1 be applicable to conditions that we can foresee as possibly
2 important then.

3 Political consensus and public acceptance are
4 essential to the end product, but the responsibility of the
5 Nuclear Regulatory Commission and not to satisfy them.
6 These are not always compatible objectives, nor are they
7 always conflicting. Hal's comment there is if doctors were
8 licensed through a public hearing, we would have more
9 charming quacks than we do now.

10 These are the points that we agreed on, or these
11 are the highlights of the points that we agreed on.

12 One issue which is strongly at debate, and may
13 require greater resolution or may not require greater
14 resolution; this is the conceptual basis underlying
15 quantitative limits.

16 Now, I pointed out earlier that there is a greater
17 degree of coherence in the quantitative limits that people
18 establish than there is in the basis that they use for
19 getting there. Some favor one basis, some favor another.

20 Probably most in our panel agree that cost benefit
21 or risk benefit analysis would be the preferable basis for
22 setting quantitative limits included in safety goals, but we
23 are not all very sure that analysis of this kind could be
24 useful in the reports.

25 There is one suggestion as to means to settle

1 outstanding issues, and I will simply quote Hal a point here,
2 which is that a finer group than this should meet at a finer
3 place than this to flesh out the recommendations.

4 MR. SEGE: Thank you very much, we now turn to
5 Panel B, Dr. Lester Lave.

6 DR. LAVE: You will be pleased to know that in the
7 sweepstakes among the panels, that Panel B decided unanimously
8 that it won the award among the three panels.

9 I would like to spend a couple of minutes updating
10 the outline that I put on the board yesterday, going through
11 the following -- or the comments that -- the areas that we
12 hadn't gone through, and then try and follow the outline a
13 bit.

14 We left off yesterday with some of the points about
15 what it is that can be quantified, and the additional
16 points that I would like to make from our discussion are
17 some, I think, both philosophical and then then would entail
18 both, and how it is that one can predict a macro event such
19 as a major accident one expects to occur very rarely, and how
20 well one can know that the probability of that is stated.

21 And basically we talked about the use of monitoring
22 of micro-events such as component failures, plus some
23 modeling, in order to better validate the models and to
24 update the forecasts of macro events such as accidents, and
25 there is an interactive process here which can enhance safety

1 to a large degree and enhance our knowledge about safety. We
2 talked about the necessity for centralized data collection and
3 analysis, that is, that if each individual nuclear facility
4 were to try and go on the basis of its own experience, then
5 there would be a vast waste of data.

6 And finally, although sabotage itself cannot be
7 modeled with probability, one can try and get some upper
8 bounds on the effect of sabotage and other kinds of events
9 that really are unpredictable events.

10 The point is that after all this, there still will
11 be some level of uncertainty which remains. There still will
12 be some confidence intervals, if you want, and in particular,
13 there will be some ignorance of unexperienced events, some
14 of which can't even be clarified, particularly in the
15 micro-data and of modeling so far.

16 But the key to the process is trying to collect
17 data to learn and have a feedback process, sort of what one
18 might think of as educated bootstrapping, and I think that in
19 our look at what it is that is doable, it is certainly clear
20 that some of the accident probabilities are inherently things
21 that cannot be known with vast confidence, but there is a
22 process by which one can know them better, perhaps acceptably
23 well.

24 We did at some point yesterday, after being urged
25 more than a dozen times, take a look at the name of the panel,

1 and try to do something about that.

2 Basically we decided with using qualitative safety
3 goals or qualitative statements, is that they are nearly
4 always vacuous. Peter Hutt reminded us of the Congressional
5 language, that qualitative statements that have been part of
6 the federal statutes for more than a hundred years, they are
7 enduring goals, and yet if you were to ask or to be asked to
8 translate them into some particular judgment at some time,
9 you would be hard-pressed to come up with any kind of
10 consistent judgment.

11 And so we thought about the complementary nature of
12 qualitative and quantitative goals, and in particular, it
13 seems clear that Congressional goals or Congressional
14 statements in legislation almost by definition have got to be
15 qualitative in nature.

16 That is, a statement like no undue risk, and so on.
17 Unless the Congress is going to get into the business of
18 equipping itself to deal as technical experts in narrow
19 detail and confront issues on a continuing basis, which the
20 Congress doesn't have the expertise and time to do, then
21 Congress is going to be forced to stay with more or less
22 bland generalizations.

23 However, once one gets to the agency level, we
24 thought that there should be a combination of process goals,
25 qualitative goals, and quantitative goals. The process goals

1 are ones for trying to get input from both the general public
2 and from experts to involve people more generally, and to air
3 value conflicts.

4 These are all, you will remember from your list of
5 the attributes that regulators should consider, there are a
6 vast number of attributes that regulators have to consider,
7 and the question is how should these be raised well, and we
8 had decided that these process goals were ways of raising them.

9 We thought that there was an advantage, in
10 contradiction with Panel A, I guess, of various qualitative
11 goals at the agency level, such as ALARA or good practice or
12 licensing.

13 That is that, in the midst of having any
14 quantitative goals, those quantitative goals only make sense
15 if the system is operating the way that you desire it to
16 operate, and we thought that there was a good, strong role
17 for qualitative goals in the midst of all that, and finally
18 down to quantitative goals, the problem here is that
19 quantitative goals should change whenever there are changes in
20 technology or changes in income or changes in the health
21 status of the population, or changes in value.

22 That is, that the quantitative numerical goals are
23 going to be goals which cannot last for decades or centuries.
24 They will have to be reexamined all the time, and the agency
25 cannot be in any way defensive about reexamining them. Okay.

1 In talking about the implementation of goals, we had
 2 a long session on what is a goal and what is a decision rule
 3 or a standard, and it turns out that that divided along
 4 disciplinary lines, with the engineers telling us what exactly
 5 a decision rule standard was, and all the rest of us being
 6 ignorant. I won't go into that now, but those of you who are
 7 engineers would know.

8 One of the things that the panel wanted to
 9 emphasize was the difference between design and performance
 10 standards. That is, that in general, standards should be
 11 emphasizing the bottom line of what you are trying to
 12 achieve, rather than trying to set out a specific process for
 13 getting there.

14 That is, that if your goal is to be stated, for
 15 example, in terms of the number of accidents of various sorts,
 16 then that is the way the quantitative goal ought to be stated,
 17 rather than trying to tell people in detail how to do things.

18 Now there were a series of major qualifications to
 19 that, about, for example, licensing procedures for
 20 operators, whether they should be licensed at all, but none-
 21 theless, the discussion emphasized that performance standards
 22 were to be preferred wherever there was a choice.

23 We spent some time talking about consistency of
 24 goals at various levels. You think about the complex
 25 hierarchy I have, with Congressionally stated qualitative

1 goals, agency process qualitative and quantitative goals, and
2 then various kinds of decision rules or standards and it is
3 clear that there is no easy one-to-one relationship between
4 goals at various levels, and one needs to have some fairly
5 sophisticated model for making sure that these goals at various
6 levels are consistent, and that they can be revised
7 consistently when there are new data which come along. It
8 is very important that the system be one which can change with
9 new data.

10 We spent some time talking about the problem of
11 how it is that you get the system to operate as desired. I
12 think the characterization was that the life of a reactor
13 operator is 99.9 percent boredom, and 0.1 percent terror, and
14 there was some discussion about how it is that you get a
15 system to perform that way, when you have somebody who is
16 highly trained to -- sitting around on his rear end most of
17 the time with absolutely nothing to do, but then having to
18 jump forward in the right minute and not only do what is
19 right, but to decide whether he or she should be using some
20 standard mode or have to think for yourself.

21 If you put yourself in that situation and have some
22 analyses that you might have, about, for example, what happens
23 when you are driving your car and have a small accident or
24 run into a snowstorm, you see how difficult it is. I think
25 it is sort of good luck to -- what it is we are going to do

1 from reactor operators.

2 The point was made that there is a lot that can be
3 learned from the training of pilots and radar operators at
4 DEW line and so on, in trying to figure out how you do these
5 things.

6 And we spent some time talking about this business
7 of processes for identifying and involving stakeholders.
8 One of the first points that is made is you don't have to
9 worry about Congress. It will decide how it wants to be
10 involved.

11 That is, you go along the way you want and Congress
12 will call you up whenever it is that it wants to get into it.
13 The point was that there are a series of questions, or pieces
14 of information that have got to be gathered by the process of
15 involving stakeholders.

16 For example, what attributes are important for the
17 particular problem that you have got in mind, what are the
18 distributional inequities that come from that, are the goals
19 being met? We tend often to pooh-pooh what it is that the
20 public can do in this, but one example from air pollution
21 control is that a major amount of the enforcement is done by
22 the public, looking for smoke plumes in the sky.

23 One needs to have a background of public input and
24 discussion on the business of going from somewhat vacuous
25 qualititative goals to very specific quantitative goals. That

1 is not a matter for a few experts to sit around in the room
2 and decide. Rather, that is a series of complex judgments the
3 public has to be involved in.

4 And finally, when the sum of public and other
5 involvement about the adequacy of the process itself.

6 We have tried to talk about the nature of the
7 process that would help and this wonderful word of felicitous
8 came back again, and we wanted felicitous processes, that is,
9 processes which give people information which is in a helpful
10 format, and is of the right degree of explicitness. It is
11 easy to overwhelm people, even trained scientists, with data
12 in the wrong format being given in the wrong way, and have
13 them simply find it too difficult to process that kind of
14 information.

15 And finally, there was a lot of emphasis here from
16 the experience of various other agencies that it is very
17 important in the process however apprehensive the regulators
18 might be not to patronize the public or other individuals who
19 are involved, to sugar-coat information. The problem is, any
20 time you try and sugar-coat it, there are at least a half-
21 dozen people out there who are willing to jump up at a moment
22 and say, don't you really mean to say, and then state it much
23 worse than you would have ever done to begin with.

24 Well, at this point, I will go to the format that
25 we were asked to conform with very briefly. I will try and

1 give you a summary of the summary. But first, let me remind
2 you, I was told that the Roman emperor Justinian thought that
3 earthquakes were caused by sodomy, a statement that most
4 scientists are not very concerned about, but I understand there
5 is lots of concern around San Francisco.

6 The point of the observation is that it is very
7 hard to make good decisions unless you get your facts straight,
8 and so a lot of our process is trying to get the facts
9 straight.

10 So here we go with the summary of the summary, and I
11 do not ascribe consensus on my panel to all of these notions.
12 I have one tin ear, and the other one is turned off, and so
13 what I heard in the panel discussions is the following:

14 First of all, we applaud the process of increasing
15 specificity and of a more open systematic process. We think
16 that that is salutary. We think that not only is it good for
17 the public out there, but in particular it will be good for
18 the NRC and the nuclear industry.

19 We agreed that there was an exemplary safety record
20 to date for nuclear power. I think the agreement ended at
21 that point as to what were the implications for the future, but
22 at least on that, we seemed to have agreement. We agreed that
23 the nuclear industry was not paranoid by thinking that it had
24 lots of enemies out there. In fact, virtually every high
25 technology industry and many industries that are not high

1 technology have lots of enemies out there. The nuclear
2 industry is not unique and there is a great deal that can be
3 learned from looking at the experience of other industries,
4 many of whom have suffered more, or at least longer, than the
5 nuclear industry.

6 We wanted to emphasize a multidimensional array of
7 attributes and distributional effects that are involved, and
8 try to emphasize that the key part of all this is that there
9 must be tradeoffs that are made.

10 If somebody goes in in a sophistic way to think that
11 all that must be done is to provide power or save lives, then
12 they are having too simple a picture of all this. It is
13 really in the nature of tradeoffs that have to be emphasized
14 most.

15 We wanted to emphasize that there are disadvantages
16 as well as advantages to being systematic, specific and open.
17 As a practitioner in this arena, I believe that the
18 disadvantages can be mitigated, and that that is something we
19 ought to do, but one cannot rush in blandly here and believe
20 that all is going to be right with the world if only we allow
21 everybody access.

22 As I said a little earlier, much can be learned about
23 the accident probabilities and consequences. It is
24 important to do some systematic data collection and model in
25 feedback, and so on, but there will be residual uncertainty.

1 That residual uncertainty is more or less major now, and
2 should diminish over time as we get more operating experience.

3 The points, again made earlier, were the
4 complementarity of qualitative and quantitative safety goals,
5 consistency of goals at various levels, specifying how it is
6 done versus performance standards, and a felicitous process
7 for getting information to use. Thank you.

8 MR. SEGE: Thank you, Dr. Lave. We now turn to the
9 last panel, Panel C, on economic, political, and social
10 considerations, Dr. Paul Slovic.

11 DR. SLOVIC: Well, I am going to focus on the
12 second day of deliberations primarily, except where we went
13 back to some of the discussions of the first day and tried to
14 clarify them.

15 This is a rough view of the major topic areas that
16 we discussed over the two days. We talked about distributional
17 questions, spatial and temporal equities, the treatment of
18 kinetic risks, problems of scale, and that is the number of
19 reactors and how that impacts on the goal process, the level of
20 risk that should be targeted, the problem of risk aversion,
21 the problems of the incentive systems and the question of
22 process and verification.

23 I wouldn't at all ascribe equal weighting to these,
24 and some of these are rather specific technical problems.
25 Others, such as the process question, are very major

1 philosophical questions on which we recognize it may depend.

2 I will try to go through these one at a time, and
3 summarize the views on each of them.

4 With regard to distributional questions, as I
5 mentioned yesterday, we basically agreed that where there is
6 an inequitable distribution of risks and benefits in the
7 present, that some principle of compensation may be the way
8 to address these inequities.

9 We had a greater problem with the intergenerational
10 equities. We agreed that that was very difficult. We
11 debated this kind of weight question -- as I mentioned
12 yesterday. I won't go into that now.

13 One thing that I left off yesterday was the issue
14 of whether or not by making these standards tough enough and
15 reducing the risk level, in the goal process, this could kind
16 of get around some of these questions. That is, if your
17 target levels are low enough and that they are met, does that
18 make the problem of equity well, sort of disappear, and some
19 felt that this would, but basically there was some
20 skepticism here and a feeling that really that you didn't
21 really know how low is low enough to -- you know, so that you
22 can not have to worry about these equity issues, and so it
23 was left as an issue that these would be faced.

24 With regard to genetic risks, there was concern
25 about the treatment in the ACRS proposal of using early and

1 delayed deaths as surrogates for genetic risks. There was
2 mixed feeling as to just, you know, whether this was
3 appropriate or not.

4 Some felt that this was adequate and that the
5 report was complex -- that the system of quantitative goals
6 as identified in the ACRS report was pretty complex and
7 needed to be simplified and this would be one adequate way to
8 do that. I think there was a little wider feeling, that the
9 more explicit treatment of genetic effects should be attempted.

10 There was some disagreement as to the fine points of
11 that treatment, whether or not it should be done in a
12 strictly quantitative way or not.

13 We spent quite a while on problems of scale, some
14 of which I touched upon yesterday. We talked about the
15 problems of moving from a system of 70 or 150 reactors up to
16 500 or 1,000, and we asked, well, what are the problems that
17 this might pose for the implementation of safety goals, and
18 we sort of classified these into several different categories.

19 First, the institutional issues, dealing with
20 whether or not one can maintain the desired standards of
21 safety and sort of offset the slippage in the design,
22 licensing, monitoring, and emergency response capabilities in
23 the face of a large-scale system of reactors.

24 Also, questions of the training and availability of
25 personnel, and the demands on the regulatory system of large

1 scale nuclear power.

2 There was a question of vulnerability due to an
3 increasing dependence on nuclear power, and the relevance of
4 the mix of energy technologies. There was a question of a
5 contextual effects. There was a very subtle one, which we
6 didn't go into in detail, except to point out that it could
7 be very important, and an example of this would be as the
8 scale increases, the frequency of accidents of various types
9 will increase, and what are the implications of this for, you
10 know, economically, psychologically, and so forth.

11 There was a feeling that this needed to be
12 considered in the treatment of safety goals.

13 While there was agreement that this was important,
14 there was lack of agreement as to what specifically the
15 effects of scale would be, and I am saying we had quite sharp
16 disagreements as to just what the effects of increased scale
17 would be.

18 Finally, with regard to what might be the
19 implications of scale effects, of course, this depends on
20 what you think the implications are, but there was some
21 feeling that this would have implications for how you design
22 plants, for the regulatory load, that is, if you felt that --
23 if you anticipated a large-scale system, you would try to do
24 things that would ease the load on the regulatory process, the
25 sheer number of watchers and so forth, and also you would try

1 to set things up in a way that would minimize the demands on
2 the emergency response capabilities, which might be overtaxed
3 by large scale bases.

4 With regard to level of risks, we really didn't get
5 involved in the question of what the actual level of numbers,
6 or what the numbers should be, but rather the question of
7 should the goals be stricter for nuclear power. As you might
8 expect, there was a debate on this matter. Some people felt
9 that there should be uniform standards. Others felt that
10 because nuclear power was a newer technology and there were
11 certain political problems involved, the standards should be
12 stricter.

13 The question of uncertainty was brought up, and that
14 was argued both ways, some saying that because of the
15 uncertainties in risk estimates we should have stricter
16 standards and others saying there are certain aspects of
17 nuclear risks which are better known, than say, aspects of
18 risks from for example fossil fuels, and this would argue in
19 the other direction, so you can see that we reached no
20 consensus here on this problem.

21 The question of risk aversions also received some
22 discussion. We debated the assumption in the ACRS report of
23 increasing aversiveness of a large number of deaths, this
24 alpha greater than one. We discussed the philosophical basis
25 for risk aversion, and the philosophical economic basis, some

1 of the reasons for it would be uncertainty and vulnerability
2 and the possibility of higher order of effects. In fact, I
3 think it leads to some desirable incentives for mitigation
4 and prevention.

5 Others disagreed and argued that a linear function
6 with alpha equal to one is really more appropriate because
7 it minimizes the expected losses, so we -- I think while most
8 people felt that increasing alpha greater than one was
9 justified, there was disagreement there.

10 There was concern, really, about the effects of
11 second errors consequences here, that in fact that maybe this
12 isn't a good model for the impact, that you could have small
13 accidents that lead to large-scale economic and social
14 disturbance, and if this is the case, this would have
15 important implications for the level of safety, and then this
16 led in turn to a debate as to whether these secondary or
17 higher order consequences, this ripple effect, really was
18 within the responsibility of the NRC, that is, where do you
19 draw the line on what constitutes health and safety risks,
20 you know, do you go into these economic considerations? We
21 did not resolve that.

22 Finally, it was pointed out that there is an attempt
23 in the present NRC ACRS proposal to treat some of these ripple
24 or large scale secondary consequences via the ALARA provision,
25 which could bring in prevention if it is justified on a cost

sic

1 basis, but there was an uneasiness that this might be an
2 awkward way to address this question.

3 There was a concern about the incentive systems.
4 This was, I think, similar to what I saw on Channel 2. There
5 is a feeling that we really need to look at systems for
6 evaluating risk assessments that, you know, risk assessments
7 should be judged just like other forecasters might be, and
8 there was an allusion to weather forecasters, who have scoring
9 systems and this sort of thing, and this leads to a concern
10 that there really should be ways -- there should be an attempt
11 to make risk assessment more readily evaluated, and there
12 should be awards for good performance in this regard. This
13 also relates to the question of feedback that Lester brought
14 up.

15 And this also carries over to the development of
16 incentive systems for evaluating and awarding operating
17 performance in the plants themselves. It was felt that this
18 was an important issue. It hasn't received much attention,
19 but it needs consideration.

20 Last but not least, I think we had gotten into our
21 most exciting discussion of the few days in the last two
22 hours, where we treated the question of process, and I guess
23 you could say that when it comes to setting safety goals, some
24 people feel that the process would be the most important
25 consideration, and this ties in with the question of

1 verification. How do you know that your goals are being met?
2 Won't the question of trust and public acceptability be
3 intimately linked with this? There was some concern that
4 unless process is given adequate attention here and built
5 into the goal fabric that nothing would change. You would
6 have these goals, but it would really have no effect on
7 anything. This was hotly debated, I should say, in the group.

8 There was -- it was pointed out that in the ACRS
9 proposal, there is a call for a third party review, and this
10 led to a lot of discussion about well, this is fine, but who
11 does it? How do you choose these people, and with regard to --
12 just to contrast with Lester's summary, with regard to well,
13 sure, you want public input here, but because it is a complex
14 process, you can't have the public making this review directly.
15 It has got to be experts.

16 And then the question is, as I am sure you have
17 heard many times, whose experts, how do we select them? You
18 know, do we have a Presidential Committee do this, what is the
19 role of intervenor groups, should there be an industry funding
20 for intervenor groups, you know, to participate in this
21 review.

22 I think there was general agreement that this was
23 an extremely important issue that was vital to the successful
24 implementation of the safety goal process.

25 I think I will stop at this point.

1 MR. SEGE: Thank you, Paul. I want to thank all
2 three of the panel chairmen for very informative reports. It
3 can be a short line -- a life for these summaries.

4 We are now going to proceed with the discussion of
5 the reports. The format that I am proposing is that we first
6 cover comments that refer specifically to Panel A, to Panel B
7 and to Panel C and then proceed into a wider discussion,
8 involving comments not closely tied to a particular panel or
9 applied across panels. First comments on Panel A and I see
10 Dr. Okrent's hand up.

11 DR. OKRENT: Okay. I have, I think, four questions.
12 I think I heard Dr. Kouts mention that the panel thought there
13 should be some kind of a limit on financial impact. I wonder
14 if he would be able to tell me whether that was thought to be
15 a dollar value or some expected value or however they were
16 going to frame it.

17 A second point was that the panel was against an
18 ALARA. I wonder what the basis was for judging that. Did
19 they not want groups to see whether there remained cost-
20 effective improvements, even if one met the deterministic
21 requirements that they said should be the basis for
22 licensing.

23 The third is that they said that they thought
24 licensing should be deterministic, that these deterministic
25 requirements should be so set up that one would meet the

1 quantitative safety goals. I guess my question is, how would
2 it be decided that these deterministic requirements did meet
3 the goals, who would decide, and how would it be judged that
4 these were adequate for all plants and so forth, and then the
5 fourth one was, I think it was stated that it was proposed
6 that there not be a limit on partial core damage, and I think
7 the reason that was stated was that this was a very hard thing
8 to calculate, and I would be curious to hear why they think
9 that is a harder thing to calculate than other things like,
10 for example, full core melt, or the likelihood of containment
11 function in a certain way given core melt, or so forth.

12 MR. SEGE: Dr. Kouts.

13 DR. KOUTS: I will try my hand at these. Then I
14 would like to ask other members of the panel to add to this
15 as they see fit, because there is --

16 MR. SEGE: Excuse me, Dr. Kouts. I think that the
17 recorder is straining to hear you. I would like to make a
18 general announcement that the microphone set-up here is not
19 the best possible, so would everyone please speak loudly and
20 also would you please identify yourselves for the reporter as
21 you start speaking, or if I identify you by name when I call
22 on you, make sure the reporter knows who you are, especially
23 if you are not sitting behind your own nametag that is
24 visible to the reporter. Dr. Kouts, excuse me.

25 DR. KOUTS: Yes, I say, I will try my hand at them,

1 and then I will ask other members of the panel to chip in and
2 give their expanded views.

3 First of all, on whether or not there should be a
4 dollar value associated with property damage, well, that was
5 the one suggestion that was made, and I expect that it is more
6 reasonable to evaluate property damage in terms of dollars than
7 it may be to estimate other kinds of damage, such as damage to
8 human beings.

9 I think there would be not very much deviation of
10 views on this. Dollars is a reasonable judgment for how you
11 measure.

12 DR. OKRENT: Would this be like \$5 billion is the
13 largest accident possible, or --

14 DR. KOUTS: No, we didn't talk about limits or
15 exactly how the dollar limit should be set. We only -- there
16 was only a fairly general agreement that there ought to be
17 some limit on the physical impact, the impact on say
18 possessions or aspects of life associated with accidents of
19 this kind. There should be a limit like this.

20 DR. OKRENT: All right, the reason I asked is we
21 thought about this and found it hard to figure out how to put
22 an upper limit, and if you didn't put an upper limit, then you
23 get to an expected value, and we ended up trying to put it in
24 the ALARA, so if you had a good formula, I would be interested
25 in hearing it, but that is all right.

1 DR. KOUTS: No, we have no formula, nor did we
2 enter this meeting expecting to find formulae for any of the
3 numbers, any of the limits that might be chosen.

4 Now, on the question of why we are opposed to an
5 ALARA concept. I think there is a dominant view that we are
6 after a safety goal which is addressed to the question of how
7 safe is safe enough, and when you have determined how safe
8 safe enough is, then you should be content with that degree
9 of safety.

10 If you go beyond this, you are introducing
11 uncertainty into the regulatory system, and you are
12 undermining the goal -- you are undermining one of the
13 features that you demand of a safety goal, which is that it
14 makes the regulatory process more rational. It introduces an
15 irrational aspect into the system.

16 DR. COCHRAN: Did you apply that to the radiation
17 protection standards workers, for example, also? I want to
18 know what the difference is in the personnel --

19 DR. KOUTS: Whether there should be an ALARA
20 concept applied to workers?

21 DR. COCHRAN: Should there, or if there should,
22 advise me of the distinctions.

23 DR. KOUTS: Well, I don't know. We didn't even go
24 into that, but maybe the same argument would apply there.

25 MR. O'DONNELL: A point of clarification on this.

1 The objection to the ALARA, was it based on ALARA
2 as a qualitative concept, or if ALARA was expressed in terms
3 of a quantitative cost-benefit approach?

4 DR. KOUTS: It is an overlay on a system which first
5 of all judges whether or not you meet criteria which are based
6 on how safe you should be.

7 Now, once you have decided how safe you should be,
8 you then go back and say, can I get safer than that even for
9 some kind of expenditure, and the view was that this is
10 already at diminishing returns, because you are already safe
11 enough, and that has been your judgment.

12 MR. O'DONNELL: Well, I was voicing an opinion on
13 that. It seems to me if you say a number that is going to be
14 an absolute value that -- beyond which you do nothing, your
15 tendency would be to set it much lower than you would if you
16 had something like the cost-benefit curve.

17 DR. KOUTS: That may well be. That may well be.

18 MR. O'DONNELL: And you would probably end up
19 doing things to meet that absolute standard which are in fact
20 not cost-effective, which would not be required, if you had
21 an ALARA cost-benefit curve.

22 DR. KOUTS: That may well be, but it may be a more
23 rational process.

24 Would any on the panel like to add to this?

25 MR. LEVINE: Well, I felt that if a safety goal were

1 to be proposed, one should do cost-benefit analyses about that
 2 goal, that is if that once the goal were expressed if the
 3 regulatory people wanted to change it, they would have to do
 4 cost-benefit to justify the change, or if a particular plant
 5 was felt not to meet the safety goal, the cost-benefit might
 6 provide a way of saying it didn't have to meet the safety
 7 goal.

8 DR. COCHRAN: Could you comment on my question?

9 MR. LEVINE: No.

10 MR. SEGE: Let me ask members of the workshop
 11 again if you will identify yourselves by name as you
 12 participate in the discussion, to help the reporter make an
 13 accurate technical record. That was Dr. Cochran asking the
 14 last question.

15 DR. KOUTS: Should I go on?

16 DR. OKRENT: Please.

17 DR. KOUTS: Okay. Now, on the question of how the
 18 safety goals can be applied within a deterministic framework,
 19 okay --

20 DR. OKRENT: Excuse me, the point was, how would
 21 you decide that the deterministic requirements met the safety
 22 goals and who would decide it?

23 DR. KOUTS: Yes, that was my interpretation of what
 24 you meant. How would it be decided. First of all, who would
 25 decide it? I think the regulatory -- the people who are

1 responsible for applying regulation do this. It is their
2 responsibility to make whatever application is concerned in
3 whatever decision process is to be used.

4 How do you determine whether a certain deterministic
5 process meets a safety goal? Well, this sort of thing is
6 already in practice. That is, there are analyses which are
7 done on probabilistic bases, having as some objective, like
8 don't increase whatever level of risk is implied by WASH-1400,
9 how do you do this for a particular system or subsystem of
10 the unit that you are considering, and one example has been
11 for instance diesel power.

12 How many diesels and how reliable should diesels
13 be in order to make sure that the supply of electric power,
14 at least the supply of backup electric power will be adequate
15 to keep risk down to a certain level.

16 This is a deterministic application of a kind of
17 safety goal, and this is the kind of process which is had in
18 mind. Now, would others like to add to that?

19 MR. SALISBURY: I might throw in that we -- I think
20 a number of people said that to have a deterministic approach
21 would be perhaps a transition period. A lot of us just
22 didn't have enough competence in the pure probabilistic
23 analysis to make an abrupt transition, just using that for
24 determining whether a safety goal is met. We would like to
25 have a period of verification in one sense where you are using

1 it as a backup to the normal licensing process, and to give it
2 time to prove itself and to build up confidence that it might
3 in fact be able to replace the deterministic licensing.

4 DR. OKRENT: Well, by the way, in fact that very
5 position was the way we talked about it in Panel C, but the
6 thrust of my question was the following, as Slovik indicated
7 in Panel C, there was a lot of discussion about process. And
8 there was at least -- well, there was a considerable element
9 in the group that thought that there needed to be assurance
10 in the public, a lot of assurance that in fact not only were
11 there goals but that they were really being met, and so to
12 some extent, my question came from that perspective. The
13 other was, it seems to me if you have the deterministic
14 requirements, unless you do full-fledged probabilistic
15 analysis, you don't know if they have met the goals you have
16 set, so from both of these points of view is why I raised the
17 point.

18 DR. KOUTS: I think on that point, you may be
19 correct, but you may be only partly correct. It may not be
20 necessary to do a probabilistic analysis on every plant. You
21 may be -- maybe you can get by with an analysis on a subset
22 of plants.

23 DR. OKRENT: I agree with that.

24 DR. KOUTS: Okay. But if you applied the process,
25 that is, doing a risk-benefit analysis or a risk analysis on

1 every plant, in order to be sure that it met the goal, this
2 would be a completely different process than the one we have
3 in mind.

4 After all, we are at present in a licensing system
5 which relies on deterministic methods. Now, we are talking
6 about possibly in the future using a risk analysis basis for
7 determining what to do in regulatory matters.

8 Perhaps we are talking about a transition period,
9 and perhaps there has to be a transition period. After all,
10 we are here, and we want to get there, and somewhere in
11 between we have to be in between. It seems to most of those
12 on the panel that the best early application of quantitative
13 safety goals is to establish that the deterministic
14 requirements that have been placed in the regulatory structure
15 so far are really rational and do correspond to rational
16 safety goals. Hal?

17 DR. LEWIS: Well, I was just going to amplify
18 essentially what you said, you know, and perhaps talk about
19 how one might make a transition. Clearly, I don't think
20 anyone is proposing that the way you license a plant tomorrow
21 or in the near future be to simply impose on the applicant the
22 requirement that he demonstrate that he meets, you know, if
23 you like, the Okrent list of probabilities or certain hazard
24 states.

25 You know, what I would like to see is first an

1 effort to force the NRC to justify the present deterministic
2 standards through probabilistic risk assessment, and go
3 through that and continue to license plants deterministically.

4 Then, permit licensees to begin to deviate by
5 providing probabilistic justifications for deviations from
6 the deterministic standards, so that for example if the
7 deterministic standard requires that you have three framistands
8 or call a diesel generator or whatever, to meet a quantitative
9 safety standard, and it becomes possible for somebody to come
10 in and demonstrate, if you like, by a probabilistic
11 assessment, that he can get away with two because something
12 else is stronger, and gets away with it, then that will be-
13 come the practice rather than the exception, and I see the
14 Panel walking into the tank nosefirst through that
15 procedure.

16 DR. OKRENT: Well, in fact, I don't disagree, but
17 I have just one related question. Panel 2 mentioned a
18 preference for performance goals rather than design
19 requirements, and Tom Hickford recently indicated in an
20 article he thought that was the way to go, but in a sense,
21 you just said put in three framistands, not provide a set of
22 framistands that will do the following, so you are heading
23 in fact toward design requirements in what I have heard, it
24 seems.

25 DR. KOUTS: Well, what we have is requirements for

1 three framistands. Now, the first think we can do is find
2 out whether that is a reasonable requirement.

3 DR. OKRENT: I was just making an observation.

4 DR. KOUTS: Okay. Okay, now let us turn to this
5 question of the limit on partial core damage, and maybe one
6 good way to answer that is to deal with the TMI situation,
7 which after all, was partial core damage. It certainly was
8 not a total core melt.

9 That certainly was a function of the specific
10 details of the accident. Certainly a function, for instance,
11 of how much the makeup system was throttled back, or the
12 high-pressure injection system was throttled back in the
13 course of the accident, over what period of time that took
14 place.

15 So, you could make a curve of degree of core damage
16 against that specific aspect of the accident, and you could
17 in fact take into account other aspects of the accident,
18 like how long was it before they realized that the block
19 valve was closed, or at what time did they turn off the main
20 coolant pumps, things of that sort. You have a great number
21 of possible inputs to a calculation which determines what
22 degree of core damage occur .

23 Now, on the other hand, there is a great continuum
24 which would lead to complete core damage, and another great
25 continuum that would lead to no core damage at all. In between,

1 there is a narrow, very difficult calculable range. If, after
2 all, they had turned off the high pressure injection system
3 entirely, and had walked away and nothing had ever been done
4 after that, we know what the consequence would have been.
5 That is calculable. We can't calculate the in-between states
6 as well, and since we can't calculate them as well, it
7 becomes not as useful to have criteria which involve such
8 calculations.

9 DR. COCHRAN: Do I understand you to say that in
10 talking about the frequency of these events, that it is much
11 more difficult to calculate the frequency of person
12 throttling back partially as opposed to throttling it back
13 all the way, or not throttling it back at all, or something
14 like that?

15 DR. KOUTS: No, I didn't really say that. If you
16 are trying to distinguish, however, between a state which is
17 ten percent damage to a core and 30 percent damage to a core,
18 that is very hard to calculate.

19 DR. COCHRAN: I am trying to find out whether we
20 know any more about the probability of a 30 percent or less
21 than 30 percent core damage than we know about full core
22 damage, and if you don't know how the operator is going to
23 operate in terms of this 30 percent figure, why do you feel
24 more comfortable, or do you feel more comfortable in knowing
25 the frequency of events that will lead to a full core melt?

1 DR. KOUTS: Maybe the word comfortable is not the
2 best word to use there. I certainly would feel that a
3 calculation of total core damage, probability of total core
4 damage is more reliable, is closer to a correct value, if
5 there is a correct value, than one for partial core damage.

6 DR. COCHRAN: It is not obvious to me.

7 DR. KOUTS: Well, that is my conclusion. Would any
8 on the panel like to add to this?

9 DR. BEYEA: One of the problems may be the
10 definition of the intermediate hazard state might be able to --
11 it might be possible to change the definition to just say core
12 uncovered, or some such statement which relatively well-
13 defined. But I too find it difficult -- you know, as a nuclear
14 critic, I too find it very difficult to deal with hazard
15 state one. It seems very imprecise. I would have a very
16 difficult time trying to estimate how you would do such a
17 calculation.

18 DR. ZEBROSKI: If I may, what you can say about
19 the difference between minor damage, which is loss of
20 hermeticity, and major damage, which is -- or like TMI with
21 great oxidation and melting, and melting of the vessel and
22 melting of the containment, we can, if you look at the
23 dynamics of these deterministically, you find anywhere from
24 hours to tens to hundreds of hours difference between these
25 different states, and I think it is totally fatuous to assume

1 that absent everybody dropping dead for long periods of time,
2 that no recognition or action to recover during these long
3 dynamic processes would occur.

4 Therefore, I think there is a very large difference
5 in probability of gross core melting versus damage which
6 has produced a lot of radiation signaling.

7 DR. KOUTS: That is very true, yeah.

8 DR. COCHRAN: But, well, you are talking about a
9 difference in the probabilities as opposed to the
10 uncertainties. I thought we were talking about how well we
11 know the uncertainties of bars and not how well we know the
12 probabilities. That is not true.

13 DR. KOUTS: Well, what Ed has done is pointed out
14 another source of uncertainty in calculation of partial core
15 damage, that I didn't bring up, and this is the effect of
16 operator actions as they may determine the outcome in partial
17 core damage, and Ed's point is that in fact, if an accident
18 begins to develop, and time begins to pass, and you feel that
19 you are getting near the edge, somebody always does something,
20 and this leads to a very difficult to predict degree of core
21 damage. That is my last point -- my point, it is not the
22 last.

23 DR. ZEBROSKI: If the aim is to predict core damage
24 on an absolute scale, you are right. If the aim is to say
25 that there is a ratio between the likelihood of enormous

1 radiation signals coming out from loss of hermeticity, and
2 a further process continued for tens of hundreds of hours
3 without further action, I think that ratio is large and
4 determinable and must be of the order of hundreds.

5 DR. KOUTS: Yeah, I would buy that.

6 MR. SEGE: Mr. O'Donnell?

7 MR. O'DONNELL: Well, it would seem to me that
8 there are uncertainties in this intermediate range, but my
9 understanding of the current methodology is that they are
10 normally resolved in a -- so it is a conservative approach,
11 that is, if you have an accident sequence in which you --
12 leads to inadequate high pressure injection into the core,
13 you assume that that condition remains in effect, and
14 therefore will lead to the ultimate consequences of full core
15 damage, rather than trying to predict the intervention that
16 would terminate or reverse that sequence prior to reaching
17 that end, so I think the state of the art at present is such
18 that many of these uncertainties are resolved in a
19 conservative manner.

20 DR. KOUTS: Well, that is the situation now, in
21 fact, and that is why in WASH-1400, one does deal only with
22 one hazard state, which is complete core melt.

23 MR. O DONNELL: Another point, I think, on this, that
24 the reason to have a hazard state in the first place, it
25 seems to me, to be one of being sure that you are putting

1 some tension on accident prevention, and primarily to
2 somehow divorce the mitigation and the prevention aspects of
3 safety, and the concern with the large scale core melt events
4 is that those are the ones that seriously challenge the
5 mitigation effects, therefore you want to make sure that you
6 have put a limit on those types of things that are going to
7 challenge your containment feature.

8 The partial core melt events, such as TMI, really
9 don't provide a serious challenge to the containment features
10 anyway. Therefore, it doesn't seem necessary to have that
11 additional intermediate state as a goal.

12 MR. SEGE: Vojin?

13 DR. JOKSIMOVIC: I would like to add on point that
14 it was our consensus that we need not do PRA studies for all
15 the plants. While that may or may not be true, and I say
16 that because I have yet to see plants which are identical, we
17 have to monitor performance of every plant in order to
18 ensure the goals are met.

19 DR. KOUTS: Is that adequate?

20 Mr. SEGE: Do we want to consider the next
21 questions?

22 DR. OKRENT: I think he has covered it.

23 MR. SEGE: Have you had a chance to complete your
24 response?

25 DR. LEWIS: I wonder if I could just -- if you are

1 finished with Panel A's questions, add one extra comment on
2 the ALARA question, on which Beyea and I have -- and the
3 reason I am not an enthusiastic supporter of ALARA has two
4 parts.

5 One is the one you mentioned, which is that if you
6 have done the job well, you ought not then start niggling at
7 its fringes. You should just keep asking yourself whether
8 you have done the job well and keep improving the way you do
9 it, but the other one is a somewhat different one, which
10 never got mentioned, and that is that I have a problem with --
11 in the mechanism for setting quantitative safety goals,
12 because I would like to set the overall goals purely in
13 terms of a tradeoff between the risks and the benefits, of
14 the electricity, but I find myself in a minority of not very
15 far from one on our panel, and in particular, I know that
16 there are many people who believe that one ought also to
17 take into account comparison with alternate means of
18 generating the same electricity, and I find something
19 logically inconsistent if you go the route of setting the
20 overall goals in comparison with alternate means of making
21 the electricity and not do risk benefit, and then do your
22 incremental goals through cost-benefit analysis, it just seems
23 to me to be an incongruity, and I would be much more agreeable
24 to an ALARA if one were to do the original job in a pure
25 and solid way, but that is my personal view, which is

1 probably not shared by anybody else.

2 DR. KOUTS: Oh, I think, as I said, in the course
3 of that summary I made, I think generally we would agree with
4 your view that risk benefit analysis should be the basis for
5 whatever is chosen, but we are not so sure you can do it.

6 DR. LEWIS: I was just reminding Dave that he often
7 recommends doing comparative analyses.

8 DR. OKRENT: Well, if I can comment, I think
9 society would prefer that an ALARA approach be used if it
10 is practical, because I think they would think it is a
11 mistake not to use something that is cost effective, in
12 other words, if you can reduce the risks still further in a
13 cost effective way, even if you have met some threshold
14 level of acceptability, and you sometimes see that in the
15 laws that Congress passes, so my hunch is that that is the
16 way society feels, and I do agree with the statement made
17 earlier. If you don't have it, I think the pressure will be
18 to push your acceptance limits lower. I will leave it at
19 that.

20 MR. SEGE: I think Dr. Cochran wants to add
21 something on this subject.

22 DR. COCHRAN: Well, I just wanted to disagree with
23 Lewis's approach because of the inequities in the distribution
24 of the benefits and the costs, such as with the utilization
25 of the electricity on the one hand and the people sitting

1 next to the plant on the other. But I think it is primarily
2 for that reason that setting overall or some sort of basic
3 limits would be a mistake to do benefit cost analysis --

4 MR. SEGE: Any further discussion on the subject
5 of what is reasonably achievable? Dr. Eisenbud?

6 DR. EISENBUD: I think that this is very much
7 related to another item that Panel A had on their checklist,
8 which incidentally I found rather complete, and that is the
9 need to develop a definition of diminimus dose. I don't
10 have any objection to the concept of ALARA, I think it makes
11 sense. I do object to the extent to which it is carried out.

12 I think frequently it is carried to extremes far
13 below -- probably quite a debate as to what we could agree is
14 a diminimus level. In other words, we shouldn't be concerned
15 quantitatively with whether an exposure is more or less.

16 And this brings me to another problem, a matter
17 which wasn't on the list, which I perceive may be a great
18 problem someday, and it has to do with the fact that if the
19 TMI accident were slightly different than it was, there would
20 have been contamination of land to a low degree, and to an
21 extent which I would believe was diminimus, at least it would
22 probably be far less than the contamination of land that we
23 experienced during weapons tests, and about which we know a
24 good deal about the doses which people have ultimately
25 absorbed from this contamination.

1 Now, there have been experiences, and mostly in
2 connection with the weapons programs, where land has been --
3 become contaminated, and in the absence of criteria, land has
4 actually been scooped up and treated as a waste, to very
5 very small -- involving very small amounts of radioactivity.

6 I suppose the most notable example being the
7 incident in Palomares, Spain, where a bomb dropped out of an
8 airplane and scattered plutonium on the landscape, and the
9 question arose as to well, by what standards can they say that
10 the land is not contaminated, because with the radiation
11 techniques that are available, you can measure a very small
12 amount of plutonium, and I don't recall the figures, but I
13 do know that they actually bulldozed very very large areas
14 of land and shipped the soil to this country and treated it
15 as a low-level waste.

16 Now, there may be circumstances where this is
17 justified, on a high enough level, but I would say that
18 perhaps the most urgent quantitative criteria we need is a
19 definition of what the diminimus dose is in relation to
20 exposure to workers, exposure of the public, and in particular,
21 the contamination of land.

22 MR. SEGE: Thank you. Any further comments on
23 Panel A?

24 DR. OKRENT: Well, I just wanted to note that in
25 Panel C, as Dr. Slovic noted, there was a discussion that

1 genetic effects were thought to be something that should be
2 specifically called out in criteria, and one of the reasons
3 that was given was that while there may be debate on whether
4 or not there is some small amount of -- with regard to
5 somatic effects that you could discount, that the genetic
6 effects would be, the theory was, linear, and so forth.

7 And in that sense, somatic effects would not be a
8 surrogate as we assume, and in fact if one followed the
9 route just suggested, it would sort of reinforce that point,
10 it seems to me, that you would have to spend -- to account
11 down to very small effects for the genetic parts. I am not
12 sure you get rid of the question.

13 MR. SEGE: Perhaps we can revisit this issue when
14 we come to Panel C. Dr. MacLean had a comment.

15 DR. MacLEAN: Just a point of clarification,
16 something that I didn't understand. If it was -- and ask
17 Dr. Kouts to explain this to me. If the consensus on Panel
18 A was that the responsibility of the NRC is to protect the
19 public, not to satisfy it, then could you explain to me what --
20 or why you thought that the quantitative goals should be
21 subject to political tests, and what you meant by this?

22 DR. KOUTS: Well --

23 MR. SEGE: If I may, can I try a response and see
24 if Dr. Lewis and yourself agree with it? I assume that what
25 Dr. Lewis and you had in mind was that when there is a

1 conflict between protecting the public and satisfying it that
2 protection takes precedence, but ordinarily there should be
3 no such conflict and that adequate protection also can
4 provide adequate satisfaction to the public. Is that correct?

5 DR. LEWIS: Well, that is correct, but I also meant
6 something different, and that is that in the end in democracy,
7 which hopefully we will continue to have for a long time,
8 the performance of any public agency is ultimately subject to
9 political consensus and acquiescence, and to public scrutiny.
10 That is the way we live.

11 But that in my personal view, that does not mean
12 that a regulatory organization such as NRC, which has the
13 responsibility to protect the public ought to cater to the
14 public in carrying out its duty, and I have -- if you would
15 like to be precise -- a specific example, which is contentious
16 and I hope it won't make -- which is the venting of the TMI 2
17 containment, in which it was clear to every expert early on
18 that the protection of the public consisted of venting that
19 containment, getting in there as quickly as possible and
20 making sure that nothing worse happened.

21 But in catering to uninformed public views, the NRC,
22 to its shame, in my view, dallied and dallied and dallied. It
23 is in that context, I believe, that the overall performance
24 of an agency, and therefore the ultimate safety goal,
25 requires political consensus, but the performance of the

1 agency in the small should not be designed to please people.

2 In fact, I regard it as a dereliction of duty if
3 it were to be designed to please people. It was that point
4 that I meant, but then again, I may be alone on Panel A with
5 that idea.

6 DR. BEYEA: Yes.

7 DR. JOKSIMOVIC: No, you are not alone.

8 DR. LEWIS: Yes --

9 MR. SEGE: Dr. Beyea, did you have something?

10 DR. BEYEA: Well, that is just a new example that
11 was not discussed. That example was not discussed in our
12 panel. Had it been, I would have taken violent exception to
13 it. I think that the agency --

14 MR. SEGE: What would you have said if it had been
15 discussed?

16 DR. BEYEA: Well, I think that the agency had to
17 move very carefully. It was a question of imposing risks at
18 some level on the neighboring population, and that population
19 was very very much concerned about what would happen. I think
20 the Governor of Pennsylvania took a good course of action,
21 and asked nuclear critics to also evaluate the danger. I
22 think NRC could have taken such a tack early on and sped the
23 process up. It is now doing that at Three Mile Island, and is
24 now involving nuclear critics also in the process.

25 I can't see that the NRC or any agency can be

1 confounded for being concerned about imposing risks on some
2 subset of the population.

3 DR. LEWIS: It has been established that the Panel
4 is not unanimously --

5 MR. SEGE: Yes, apparently so. I wonder if members
6 of other panels would care to comment about this, on this
7 issue? Dr. Eisenbud?

8 DR. EISENBUD: I have one more comment, if I may.

9 As I said earlier, I thought that the checklist
10 which you read off was excellent. I think that the report
11 would eventually be more valuable --

12 MR. SEGE: Excuse me, Dr. Eisenbud, but if you
13 will leave the topic of the possible conflict in protecting
14 and satisfying the public -- I thought that we should perhaps
15 exhaust that topic and then let me recognize you again after
16 that.

17 DR. EISENBUD: Sure. I am sorry.

18 MR. SEGE: Mr. Hutt?

19 MR. HUTT: I think it might be useful to look at
20 what some other government agencies currently do in the health
21 and safety field. Food and Drug Administration goes through
22 a yearly process in setting its priorities and it takes
23 three issues into account.

24 The first question it asks is where is the largest
25 source of risk in the American food and drug supply, and it

1 sets out in a true risk assessment basis what the actual
2 sources of risk are. The second question it asks is, where
3 is the largest source of concern expressed by the American
4 public. There is almost no congruity between number one and
5 number two.

6 In fact, quite frequently, one finds literally
7 things that the public is concerned about that FDA finds
8 almost no source of risk and vice versa.

9 And the third question that it asks is where can
10 the agency be most effective in terms of reducing risk, which
11 isn't necessarily where the biggest source of risk is, because
12 if one concludes, for example, that the largest source of
13 risk is in the most popular food consumed by the public, you
14 can't do very much about that.

15 So that the agency therefore puts all of these
16 together, and there is no magic formula for doing it, in
17 order to determine how to set its priorities, but I don't
18 think anyone ought to confuse those three points, and the
19 way that FDA does its business has, I think, some relevance
20 for NRC.

21 MR. SEGE: Thank you. Mr. Maclean?

22 DR. MACLEAN: Okay, this did come up and was
23 discussed a lot in Panel C, and off -- and sometimes the
24 comparisons were made with other regulatory agencies, and
25 I would point out that it seems to me that the political

1 climate is such that the NRC has special problems that perhaps
2 some of the other regulatory agencies do not have, and it is
3 important to take these seriously.

4 MR. HUTT: May I just ask what they are, what the
5 differences are?

6 DR. MACLEAN: There is the difference in credibility,
7 I think --

8 MR. SEGE: Let me ask for the purpose of
9 convenience of discussion, we separate the issue of
10 credibility from the issue of protection versus satisfaction.

11 DR. MACLEAN: Right. The only point I would make
12 on this is if you separate -- if the claim about the
13 necessity to satisfy the public is that if you interpret that
14 as regulatory agencies ought to be acting so that the public
15 in some sense is made happy, then clearly that is not their
16 responsibility, but if you consider satisfaction of the public,
17 if you interpret that to mean that the responsibility of the
18 NRC is to satisfy the public that it is protecting the public,
19 rather than to put protection -- if that is the interpretation
20 of satisfaction, then I think there is a very serious
21 philosophical difference about whether satisfying the public
22 that it is being protected is more important than protecting
23 the public, according to what a group of well-intentioned
24 experts might believe, and it may be, I think, that you can
25 defend the position that satisfying the public in that sense

1 might lead to policies that experts think do not protect it as
2 well as other policies do, and then it is really debatable
3 about whether you want to give the public what is good for it
4 or you want to give the public what it deserves.

5 DR. KOUTS: I think it is clear that the intent of
6 that particular sentence was more narrow than you feel it
7 could range. It was certainly meant in the connotation of
8 bread and circuses in Rome in the early part of the Christian
9 era, and the impact of that on the Roman Empire.

10 MR. SEGE: Maybe we should take just one more
11 comment and then take a break and come back. I believe Ms.
12 Sheldon had a comment on the issue of protection versus
13 satisfaction.

14 MS. SHELDON: I did. I have just changed it on the
15 basis of Dr. Kouts' last remark. Having been involved in a
16 number of the circuses in this field, I guess I would say that
17 in spite of that, there are questions of due process involved.
18 That is what I know about as a lawyer. And then you are
19 going to visit risks upon members of the public -- there has
20 to be, or at least the agency is moving in that direction,
21 some concern for doing that in a fashion or through a
22 process which does give due process, does provide for
23 fundamental fairness and for meeting the requirements of law,
24 so that -- and that in turn, to follow up what Dr. Beyea is
25 saying, does involve critics as well as the well-intentioned

1 experts who think they are doing good for the public, so it
2 is -- when I hear that kind of remark, it makes me unhappy,
3 because regardless of the problems that we have in the
4 process, the answer is not to throw it out, but to recognize
5 our fundamental principles that we are talking about in a
6 democracy and in the legal system. Decisions have to be made
7 according to those, and we have to work on that rather than
8 abandon it altogether, which is that, I believe that is the
9 direction that we are moving with fast-tracking licensing,
10 with developing safety goals that may be used in place of the
11 licensing process, or to make it easier to get these things
12 accomplished.

13 I am all for efficiency, and doing away with
14 meaningless exercises, a lot of which I have been involved
15 in, but I am at the same time not inclined to substitute
16 public judgment in all areas for experts from within who
17 talk only to each other.

18 MR. SEGE: Professor Perrow, can your comment wait
19 until after the break?

20 DR. PERROW: It is germane to this.

21 MR. SEGE: Okay, well why don't we take your comment
22 now.

23 DR. PERROW: I would just like to underline that
24 point. I am profoundly depressed by what I have heard just
25 in the last couple of minutes here, starting with Dr. Lewis's

1 remarks, because I thought the industry and its experts were
2 learning something from TMI and it had had a salutary effect,
3 and I am now very puzzled whether it did or not, because what
4 we have heard now is a reassertion of the experts know best.

5 Now, the experts, all the experts agreed there
6 couldn't be a TMI and then there was one. Then we have these
7 people here who are subject to this trauma, which I thought
8 we were now learning about also, that there are, in the
9 risk-benefit calculations there are certain public traumas,
10 a cost to the public even if they are not directly irradiated
11 from this, that we should take into account.

12 So we have this unpredicted accident and the
13 trauma, and then the response is, well, the experts know best,
14 and so we can release the krypton, and why is the NRC in there
15 involving the public in this decision? This disturbs me that
16 we haven't learned that the public has to be involved, that
17 the experts are not always right, that there is enormous
18 trauma visited upon these people. They are bearing the costs
19 that none of us bear, that don't live there, and they are
20 even bearing the rate cost. They are paying for a small part
21 of that one billion dollar cleanup. I had hoped we had
22 learned something.

23 MR. SEG. . . Dr. Kouts would like to respond to that.

24 DR. KOUTS: I would like to respond to Ms. Sheldon,
25 and simply say that I did not detect that there were any

1 opponents of due process on our panel, and there was no
2 proposal --

3 MR. SEGE: Would you speak up, please? I think we
4 are losing some of your words.

5 DR. KOUTS: I did not detect that there were any
6 opponents of due process on our panel, nor did I hear any
7 remarks directed in a direction of -- placed in a direction
8 averse to due process.

9 I think if you searched, you might find some view
10 that -- a view of opposition to the way due process is
11 sometimes used, that is all.

12 DR. COCHRAN: Herb, did your panel think that
13 safety goals should encompass process goals?

14 DR. KOUTS: Process goals?

15 DR. COCHRAN: Goals to improve the process --

16 MR. SEGE: Dr. Cochran, let me ask if you will hold
17 that until after the break.

18 MR. LEVINE : I would like to make a comment just
19 before the break. It is incorrect to interpret the statement
20 that Lewis made by saying it would deny due process. I would
21 like to be more explicit than Herb Kouts was in answering the
22 due process question.

23 I think what Lewis's point is that the experts
24 should make their decision on the best expert basis they have
25 and then subject it to public scrutiny. I think that is

1 exactly what Hal said. He did not imply that the experts
2 should make the decision and then not let the public be
3 involved. I think that is an incorrect reading.

4 MR. LEVINE: I think as Joe McCarthy would say,
5 one point of order, what Saul says is right. Obviously, but
6 I would go further. I believe the experts should have their
7 deliberations in full view of the public. I have no problems
8 with that, and can indeed take input from the public. The
9 experts are now always right, but the public is often wrong,
10 too, and I believe that in the end, the agency with
11 responsibility for what is done ought to make its decisions
12 on the basis of its responsibility, its responsibility is to
13 protect the public and as Mr. Hutt has said, often what the
14 public demands and what is in the best view of the agency best
15 for the public are in public.

16 Clearly some accomodation has to be made. I would
17 like to make the accomodation as close to doing the job to
18 which people have sworn oaths, which is to protect the
19 public, as can possibly be the case, and I could give
20 examples.

21 I purposely picked the TMI event, because I knew
22 that would raise hackles, and I was right. It did raise
23 hackles, but to take examples out of other fields, take an
24 example out of medicine, the public apparently would be
25 happier if Laetrile were widely used in the treatment of

1 cancer, and I think most expert opinion is that that would be
2 bad for the public. I know people who have died by going to
3 chiropractors when they should have gone to doctors with their
4 serious illnesses. There are plenty of places where we err
5 in the direction of satisfying the public in areas in which
6 it is really not expert, and I would like to see a
7 regulatory agency take its responsibility seriously; not
8 deny due process, obviously expose what it does as well as it
9 can, but still carry out its job.

10 DR. LAVE: Don't forget that there are times when
11 people died because they went to doctors instead of going to
12 chiropractors.

13 MR. SEGE: There is a brief announcement that Walt
14 Kato wants to make before the break and after the break we
15 will turn to Dr. Cochran's comment.

16 (Brief recess)

17 MR. SEGE: The third plenary session of the NRC
18 Safety Board workshop will resume. Dr. Cochran?

19 DR. COCHRAN: If the agenda before -- were to come
20 up with a rational explanation of why Hal's tail is really a
21 leg, I would think the group could sort of focus on whether
22 the agenda was the right one.

23 And I have -- most of the discussion except for
24 some that we perhaps had in yesterday's Panel C was sort of
25 focussed on the implicit assumption that there were these sort

1 of safety goals on the one hand, and process on the other.

2 If one accepts the possibility that the Kemeny
3 Commission admonishment was correct, that the reactors could
4 not be operated safely unless there was a fundamental shift
5 in attitude on the part of utilities, vendors and the
6 regulators, or something to that effect, then I think one
7 would have to agree that process is really important in terms
8 of achieving a safe operation of reactors, and the attitude of
9 the regulators is important, and that the efforts of your
10 organization, of your group should be expanded to look very
11 carefully at what sort of process and attitudinal changes
12 should be occurring to not only improve the safety of the
13 operations but the acceptability of the -- as Dr. MacLean
14 put it -- the acceptability of the way the regulatory
15 agency performs, by the public, acceptability by the public.

16 I would like to see if we could get some sort of
17 consensus amongst the three panels that the process is an
18 integral part of the safety goals process, and is not a
19 separate issue that is not germane to the program that you are
20 undertaking.

21 MR. SEGE: Dr. Kouts?

22 DR. KOUTS: Yes, Tom, I think that is quite
23 reasonable and in fact that was in one of the conclusions that
24 I stated. Should I read that part again?

25 DR. COCHRAN: Sure.

1 MR. SEGE: I would like us to proceed to Panel B
2 very soon, to make sure that we do reasonable justice to the
3 topics that need to be discussed in Panel B and C while there
4 is time still available.

5 Are there any comments that refer so specifically to
6 Panel A that they need to be made at this time? Dr. Eisenbud?

7 DR. EISENBUD: Just a short comment, and I would
8 hope that the final report in discussing the items on the
9 list that Dr. Kouts gave us would address the question of the
10 extent to which the present system of establishing
11 quantitative safety goals was either deficient or in accord
12 with the recommendations.

13 For example, the first one, which notes there should
14 be quantitative safety goals, well, of course there are some
15 now, and it would be more meaningful, I think, if the report
16 would discuss what needs to be done to the system now in
17 place, if there is a system in place.

18 This is also true, there is a statement that the
19 goals should respond to new knowledge, and I think the
20 present system is very deficient in that respect, and that
21 recommendation should address what the situation is at the
22 present time in the present system.

23 MR. SEGE: Dr. Kouts?

24 DR. KOUTS: Yes, you are right, Merrill. It has got
25 to be stated that way, and it was my plan. I had already seen

1 this defect in the way these words were put together, and that
2 will be changed in the formal language.

3 MR. SEGE: Tom, Mr. Cochran?

4 DR. COCHRAN: George, you just acted as though my
5 efforts were just a passing comment, and they may be out of
6 order, in which case we can do this later, but I still want to
7 see if I can get a consensus. I see that Herb seems to
8 suggest that it is the consensus perhaps of Panel A that the
9 process and now it is attitudinal issues should be part of the --
10 of your programs, which I don't really see much work done in
11 that area, but maybe I am mistaken, but I would like to see
12 if that is the consensus of the entire group, and not just of
13 Panel C or Panel C and Panel A.

14 MR. SEGE: Dr. Kouts.

15 DR. KOUTS: I think you went the second time a
16 little beyond where you went the first time, and I wouldn't
17 say that Panel A arrived at something which included
18 attitudinal process.

19 What we said was that somewhere, but not
20 necessarily as part of the goals, that there must be
21 instructions on how to use these quantitative limits in a
22 reasonably unambiguous way, which means that the process
23 of applying the goals has to be spelled out also, not
24 necessarily as part of the structure of the goals themselves,
25 though. Maybe in a different document.

1 MR. SEGE: Tom, I believe that your comment
2 captures our issues, that cut across Panels B and C, as well
3 as Panel A, so let me suggest that we proceed with the
4 discussion on the reports from the other two panels, and then
5 after that discussion if you feel that the issue of consensus
6 on this subject should be taken up again, please bring it up
7 at that point, and then we will revisit it, okay?

8 Mr. Ernst, I believe, has a comment that refers to
9 both Panel A and Panel B, and that may be a good way to
10 bridge the transition between the discussions of the two
11 panel reports. Mr. Ernst.

12 MR. ERNST: Thank you, George. Also Panel C, I
13 think, and the only reason I asked to make a statement now is
14 I did run a verification process on the -- problem, and it
15 shows what credibility of information does to you. You sort
16 of decide you want to check and audit yourself, and I will have
17 to be leaving at 11:05, I guess, to catch that 1:15 plan, for
18 anybody else, because apparently that is the only limo, and I
19 am not sure you would be through Panel A or B and C by then.

20 Maybe a need for me making this statement is less
21 necessary now because of the last couple of minutes. I do
22 want to agree with Tom that process, I think, is an important
23 part of this goal setting.

24 My own personal view is that perhaps the setting of
25 the goal has more problems associated with ethics and

1 sociopolitical aspects than technical, the technical aspects
2 may be somewhat less demanding, and my viewpoint also , I
3 think verification, some -- the technical aspects somehow in
4 my view become more dominant as to how do you determine that
5 the verification process is useful and credible.

6 I would -- again in my perception, I think, there
7 has been a great deal of emphasis placed on the problems
8 associated with goal-setting, and perhaps necessarily so
9 less emphasis on the so-called verification process, which is
10 a mixture of technical and process-oriented problems.

11 I would strongly urge that in the next session on
12 this subject that we pay more explicit attention to the
13 details of the process of verification and things that come
14 to mind, which is far from a complete list, is uncertainty
15 and incompleteness of any probabilistic analyses, verification
16 of assumptions made by practitioners of the art, the question
17 of resources required to perform analyses and to audit
18 analyses, which I think is important and somewhat of a cost-
19 benefit process, how do you implement in a cost-effective way.

20 I think public understanding and input to the
21 process. While I agree that the technical aspects can best be
22 addressed by the technical experts, I think the process has to
23 be open and understandable to the public so that there can be
24 some credibility to the process, and this takes a good deal of
25 thought as to how to make this occur.

1 Questions regarding rigidity and flexibility of the
2 use of any ensuing criteria I think are important in the
3 regulatory or licensing process, depending on where you apply
4 it, case by case, or just in the general regulatory process.

5 For example, would a ten to the minus four
6 criterion have the same rigidity that a 300 rem to the
7 thyroid have in Part 100? How would you really apply these
8 kinds of criteria, should they evolve?

9 The question of who authenticates the verification
10 process I think is extremely important. Is verification done
11 plant by plant, plant type by plant type, or by more
12 deterministic application in the various rules or criteria
13 that might be set up to implement the goal?

14 And if -- just as a side question -- if verification
15 does include differences in probability between core melt and
16 core damage, I think this adds an increasing complexity to the
17 problem.

18 I am sure there are other kinds of things that are
19 important to the verification process, but I just want to
20 for the record state that I think it is extremely important
21 to address the verification process, otherwise the goal-
22 setting will really largely be in vain.

23 MR. SEGE: Thank you, Mal. Other comments on Panel
24 B? Dr. Perrow?

25 DR. PERROW: Yes, I was a little puzzled by the idea

1 of flexible goals, since I thought goals were something that
2 would be rather stable, and Panel B emphasized yearly changes,
3 they didn't emphasize yearly changes, but they allowed the
4 possibility for even yearly changes in goals, and among the
5 criteria, I think, were economic considerations, and I
6 wondered if this meant that if a plant started losing money
7 that you would then be flexible about your goals and relax
8 the safety requirements?

9 Are you having flexibility on the downside as well
10 as on the upside, or is just that you want to keep raising the
11 goals?

12 DR. LAVE: The answer to the second question is no,
13 we did not think that we should be taking account of economic
14 criteria as to whether a plant starts losing money. We have
15 not been beating our people of our sexual preference. We
16 were simply remarking that in a system like the United States
17 you have a hierarchy of laws which enjoy different degrees
18 of flexibility.

19 You have a Constitution where that stays fixed over
20 long periods of time, it is extremely difficult to amend it.
21 You then have a set of statutory laws which are easier to do
22 something about. You then have administrative regulations
23 which are still easier to change. What we were trying to
24 emphasize is that quantitative safety goals which involve
25 specific numbers, for example, \$1,000 a man-rem, is going to

1 change if for no other reason than because of inflation.
2 Remember that under the last eight years, that the real value
3 of a dollar has halved, and that means that \$1,000 in man-rem
4 means half as much now as it did before.

5 Well, if we are going to fix quantitative
6 regulations in stone, then we are going to be hung up on our
7 own petard, and so what we are trying to say here is that we
8 want to ensure that if there are changes in economic
9 conditions, there are changes in health, there are changes in
10 values, that there has to be flexibility on these numbers.

11 If on the other hand you go to the almost vacuous
12 qualitative goals, like no undue risk, then that statement can
13 stay fixed for all time, but it will mean different things in
14 different eras.

15 MR. SEGE: Thank you. Dr. Zebroski?

16 DR. ZEBROSKI: I would like to amplify one part of
17 the report, if I have the chairman's agreement.

18 DR. LAVE: And what if you didn't?

19 DR. ZEBROSKI: I would go ahead.

20 I think there was a discussion that a quantitative
21 safety goal is really meaningful only in the context of a
22 considerable description of the support and implementation
23 structure, and that includes codes and standards, operating
24 proceedings, regulatory procedures and structures, the process
25 of learning from experience, and the use of due process in

1 validation of contentious items.

2 It is my personal opinion that a qualitative safety
3 goal has two dimensions. One dimension is the addition of
4 this support structure as part of the meaningfulness of a
5 quantitative safety goal, and the other dimension is that the
6 qualitative safety goal, stated in qualitative terms, is a
7 felicitous summary, in our chairman's words, of the
8 quantitative goal, of the effect of the quantitative goals.

9 I think we have a very eloquent dissertation from
10 Mr. Hutt on the unreality of taking a vague qualitative goal
11 and deriving from it meaningful quantitative goals.

12 Certainly the support structure couldn't be derived from such
13 a thing.

14 So I think that it is important, perhaps, to
15 recognize that the quantitative goal is not derived by
16 theorems or lemmas from a qualitative statement, but perhaps
17 the reverse is more accurate.

18 Next point is that a safety goal which implies a
19 waiting discipline to give consistency to the support and
20 implementation structure, and give a significant gain in
21 safety even if the nominal target values are identical to
22 those in 10 CFR 20, 50 and 100, and that is because a low
23 relevancy of some of the regulations and procedures clearly
24 divert major resources from the important ones, and thus in
25 some respects are directly counterproductive to better safety,

1 so having a goal which permits a rational process of weighting
2 the important from the unimportant is itself a safety goal,
3 even if there is no change in the target values.

4 The main difference which an explicit goal ideally
5 can provide relative to 10 CFR 20, 50 and 100 is an
6 explicit incorporation of the likelihoods of different events
7 as a measure of the required specificity and intensity of
8 legislation, regulation and enforcement.

9 And a further difference which I think mainly
10 affects the support structure, but which is also very
11 important in my view is that the concept of specifying the
12 intensity and regulatory response action and the speed of
13 response required as a function of the size of the perceived
14 difference from the safe state is extremely -- would be
15 extremely constructive in getting a more regular process.

16 In technical terms, this means that the size of
17 the time integral of risk contribution determined the priority
18 and speed of response required.

19 MR. SEGE: Thank you. Any other comments on Panel B?

20 Mr. Derby?

21 MR. DERBY: I would like to address an issue that
22 Panel B started with and set aside, because there was no real
23 way to resolve it, and that is that some of the material that
24 was given to us for our consideration we did not find
25 suitable to guide or discussion over the next two and a half

1 days.

2 I assume that the Office of Policy Evaluation will
3 prepare a draft policy statement as a result of our
4 deliberations here and other meetings, and I expect to have
5 more substance because we have had these meetings, and then
6 copies are available, the expectation.

7 What I would like to do is summarize what I think
8 that policy statement should contain, and I see three parts.
9 The top part is some declaration of intent. Now, I don't see
10 this as being particularly hard. Probably a compendium of
11 statements like undue risk and the best we can do, and all
12 that, but specifically there is some resolution anyway of the
13 definition of what considerations are part of the process,
14 what social attributes?

15 We came up with a list and didn't know what to do
16 with it, things like land use, mortality, morbidity, genetic
17 effects. There has been a lot of -- scale -- there have been
18 a lot of parameters. I would like to see a policy statement
19 say what is and what is not going to be part of the
20 consideration.

21 There is a bottom part of this policy evaluation
22 statement, policy statement. I think it has to identify the
23 class of regulatory decisions that are going to be
24 affected, or at least addressed by the policy statement.

25 The example that I have for myself is that most

1 routine regulatory decisions are based on conformance to
2 professional or technical codes and standards, SME --
3 standards. We are not talking about that stuff. That is
4 handled. We are talking about decisions that represent some
5 kind of judgmental bridging of no undue risk and what do I
6 do now?

7 Those decisions have to be clear to focus -- I think
8 the middle part, and that is an explanation of what kind of
9 management principles or operational rules, or whatever is
10 going to be used, whatever process things are going to be used
11 to develop these regulatory standards that follow from the top
12 and go to the bottom.

13 Now, it doesn't have to solve the problem, but I
14 think it has to lay out some kind of framework, that what are
15 the questions that must be answered, specific questions? What
16 are the tradeoffs that are going to be made? How are these
17 questions going to be answered? I am sure there are
18 scientific factual questions that, say, go find out who knows
19 about these things and ask them what it is, and that solves
20 our problems.

21 Then there is also some kind of consensus of opinion,
22 whose opinion, and how does all this go together? I would
23 find that a really nice document to read and respond to. I
24 would find it had substance, and I would find that it would
25 guide what I would see the next step is, is trying to realize

1 some of these advantages and avoid all the disadvantages that
2 we all foresee.

3 MR. SEGE: Thank you, Steve. Any more comments on
4 Panel B? Ms. Sheldon?

5 MS. SHELDON: I have a comment and a question. I
6 guess I will start with the comment. It is more of a plea
7 that any other documents that are prepared on this subject
8 that end up in the Federal Register, and in which public
9 comment is requested by written in English. I was really
10 fairly disturbed by the difficulty of understanding the
11 language used in the document.

12 In spite of the fact that I have had some
13 experience in this field, it is heavily -- it is primarily
14 bureaucratese, it is heavily weighted with jargon. There are
15 words used that have meaning to me that apparently have
16 different meaning to other people.

17 For example, decompose a problem.

18 DR. LEWIS: You were right.

19 MS. SHELDON: And we have thought, on my side of
20 the street for some time, there was a lot of rot around. So
21 I would just ask that you remember who it is that has to wade
22 through this stuff if you are asking for public input and
23 comment.

24 And I was made very aware during the course of the
25 last two and a half days that the Alice in Wonderland

1 principle of words meaning only what you decide they are going
2 to mean is very much in effect. That is a problem, lawyers
3 have their own lingo and engineers have their own lingo, but
4 if we are ever going to bridge the gap because us and you and
5 the public and the various aspects of this whole problem, we
6 have to have a common ground of language to do it, and that
7 would be my comment and plea on that.

8 And my question is to Mr. Levine. During our
9 plenary session yesterday, you indicated you found a list of
10 disadvantages that we had come up with distasteful, which I
11 thought was an interesting word, and I wondered what it was
12 about them that you found distasteful.

13 MR. LEVINE: I said they applied -- you could make
14 that list of comments about any model anyone makes in any
15 field. There are inadequacies in all models, and I don't
16 know why they were being applied particularly to this type of
17 model.

18 MS. SHELDON: I don't think we intended to apply
19 them with particularity, basically.

20 MR. LEVINE: That is not how I read it.

21 MR. HUTT: Nor was it intended to mean that the
22 disadvantages outweighed the advantages. They simply were
23 isolated as disadvantages.

24 MS. SHELDON: The only reason we listed them was
25 that that was the problem we were looking at, as opposed to

1 any other given model or topic.

2 MR. SEGE: Thank you. These have been helpful
3 additional remarks by members of Panel B largely, I wonder if
4 the members of Panels A and C would like to offer some comments
5 on the Panel B report?

6 MR. HUTT: Does the panel that gets the fewest
7 comments get a prize?

8 MR. SEGE: Professor LaPorte?

9 DR. LAPORTE: My question is for hopefully
10 expansion. There is a section that you dealt with,
11 implementation of goals. In one of them, you made a
12 distinction between goals for design as goals for performance,
13 the distinction between those two aspects of goals, and I
14 wonder if you could say a little bit more about that,
15 particularly in the context of the problem of verification
16 over time, is the thing I have been struggling, and I hope
17 you can help us understand that a bit more.

18 DR. LAWE: Okay, the basic notion is that when you
19 do a design standard, you tell people what you want them to
20 do. When you have a performance standard, you tell them what
21 it is you want to accomplish and let them do it any way they
22 want, and one of the discussions that we had, where I was
23 led kicking and screaming down the path had to do with whether
24 you licensed reactor operators.

25 That is, should one not simply have a goal for the

1 utility that says that the following accident and microevent
2 frequencies may not be exceeded, and let them hire whoever
3 they want to run their reactor in the course of doing that.

4 And as I say, I was led kicking and screaming away
5 from that, saying, no, no, there really are some reasons why
6 it is that you would like skilled reactor operators around
7 in order to know these things, but the emphasis, we did come
8 to one point where we all agreed, and that was that
9 requiring hours of classroom performance of reactor operators
10 was a design standard that we could all do without, since
11 those people who had either been in classes from the front
12 end or the back end knew that a requirement of spending
13 certain hours in class was not apropos of anything other than
14 making sure people got enough rest during a period of time.

15 MR. BURSTEIN: It is known as a residency
16 requirement.

17 DR. LAVE: Yes, a residency requirement.

18 But, there have been a number of examples in other --
19 other than in the nuclear area, where what were initially
20 design standards have inhibited a vast amount of progress,
21 for example, specifying cast iron pipe in houses rather than
22 permitting plastic pipe, and it was that kind of an idea that
23 we were looking at here, to try and not stifle innovation,
24 to not try and get in the way of improving reactor safety.

25 DR. LAPORTE: The reason I raised the question, you

1 said in your comments that the preference was for performance
2 criteria, and you have just helped me understand how that
3 arose.

4 And I am interested in the problem of verification
5 not only of essentially component parts, and your comments
6 suggested that it was in the component parts section that
7 you were concerned with performance criteria as distinguished
8 from design criteria, and would you then -- to what degree
9 would you push performance criteria as contrasted to
10 design criteria, for the operation of power plants as a whole
11 over the timelines likely to be experienced into the future
12 of a plant, some 40 years?

13 Because the problem of verification, of whether
14 you can in fact know what the performance is, to know whether
15 you have met the criteria or not, as contrasted to a problem
16 of essentially forecasting performance, seems to me to drive
17 you toward the design criteria question, but I don't know
18 what your panel did about this, but there seems to me to be
19 considerable ambiguity in this and how you think about it.

20 DR. LAWE: Okay, well, I think that one of the
21 things that we were clear about was that in those occasions
22 when you didn't think you could write a performance standard,
23 that all you could write was a design standard, that you
24 clearly had at the bottom four other techniques which are
25 deemed to be equally suitable, rather than trying to fix some

1 alternative and not let other people do it, but I guess as a
2 general principle, although I will admit that there are times
3 when you don't know enough to write a performance standard,
4 that that is a reflection of your ignorance, and you know,
5 it sometimes occurs, but that those are things you ought to
6 get around.

7 There is a very strong preference for writing
8 design standards, letting people on the spot find the best way
9 of implementing those things, and for example it would be
10 meaningless to write a design standard which said there shall
11 be less than ten to the minus seven chance of killing 20,000
12 people per reactor year. That is not an event that one would
13 monitor on.

14 But on the other hand, Ed Zebroski was convincing us
15 that you could write some performance standards on more
16 micro-events, such as the number of component failures, which
17 would be equivalent to, at least in some model sense
18 equivalent to these other ones, they would be things that
19 could be verified.

20 DR. LAPORTE: I understand the principle, you know,
21 the examples, pretty clearly, and I was hopeful that you had
22 thought about an essentially conceptual sense, you knowing --
23 and you began to answer that -- knowing when you can move from
24 one kind of criteria to another.

25 Obviously, vis-a-vis verification into the future,

1 you have to almost go by design. If you can't check it out
2 and see whether you have met the performance criteria. At
3 some point, you have to move from one type of criteria to the
4 other.

5 DR. LAVE: Okay, let me answer that in a minute, but
6 just let me make a point that when you are using design
7 criteria, then you are inherently going to have a lot of
8 skepticism about whether in fact that is so, and I would
9 think that lots of the problems with nuclear reactor accidents
10 is that about all you have are some design criteria. If you
11 had performance criteria where you could trace micro-events to
12 macro-considerations, macro accidents, then you could have
13 much more agreement on meetings some of these criteria, but
14 when you have to wave your hand a little bit and say, we
15 believe that if people do things the way we say they are
16 going to do, that everything will turn out all right, then
17 you are going to have a lot of skepticism about it.

18 MR. SEGE: Dr. Zebroski?

19 DR. ZEBROSKI: Well, I think in many areas you use
20 both, but I think one particularly happy relationship is where
21 you have a performance criterion which then covers the issue
22 of deterioration with time, because it has within it, say, a
23 periodic testing requirement.

24 But the relationship to a design criterion, which is
25 an almost ideal one, is to provide the design criterion as a

1 regulatory guide. It simply says of the many possible
2 solutions, if you use this one, we will take it as a
3 stipulation that you have met the performance, assuming that
4 is really known by the regulator.

5 So, you can cover it both ways, and still leave the
6 option for improvements in design or in operation which would
7 still meet the performance criterion, so I think the
8 performance criterion is both more powerful, more flexible,
9 and more long-lasting than the design criterion.

10 MR. BURSTEIN: But I think you will all agree, as
11 Burstein says, that one of these days you have got to get
12 from what you want to do to how you are going to do it, and
13 whether the design criteria becomes a regulatory or a
14 licensing criteria, or whether it is the manufacturers' or
15 utilities' method, ultimately it must devolve into a design,
16 a mechanical type of specification, because someday, if all
17 of this is to be worth anything, we are going to do something
18 with it, and how to do it is the design specification or
19 criterion.

20 DR. LAVE: Let me at least partially disagree with
21 that. I can think of a really simple example, which is the
22 drainpipe on a house. The building codes used to say that
23 that had to be cast iron pipe and it had to be put in in the
24 following way, and along came PVC pipe, which would do the
25 job in everybody's estimation at least as well, at a small

1 fraction of the cost.

2 And again, I thought that what everybody agreed to,
3 except the local plumbers, that what you wanted to have was
4 a standard that said there shall be a pipe there which will
5 contain water under the following conditions, shall last the
6 following period of time, and so on, that is, that those are
7 all performance criteria.

8 Now, in the end, when you were installing such a
9 drainpipe, you really had two choices. The two choices were
10 this cast iron pipe and the PVC pipe, and whenever somebody
11 went out to do the job, then if they were using PVC pipe,
12 there was a set of things they had to go through in order to
13 install it well, but there is a difference between specifying
14 in the code, the building code, that it has to be PVC pipe
15 and it has to be done in this way, and simply saying it has got
16 to perform in this way.

17 MR. BURSTEIN: My point, if I may, just in reply,
18 and I agree with you completely, but I have carried it that
19 one step farther, that in order to install it, you have got to
20 buy it, you have got to hire the right kind of guy, you have
21 got to give him or her the right kind of tools, and you have
22 got to say put it from here to there, and you can't tell him
23 use one or the other without some instruction as to which to
24 do. You can't leave the choice infinitely hanging there, or
25 else you never accomplish it.

1 MR. HUTT: I think the issue there is, is that a
2 regulatory process?

3 MR. BURSTEIN: Not necessarily.

4 MR. HUTT: Okay.

5 MR. BURSTEIN: Not at all.

6 MR. SEGE: Any other comments on Panel B?

7 Mr. Bradburn?

8 MR. BRADBURN: Yes. I would like to talk about
9 something that we confronted very briefly in Panel B and
10 didn't resolve, and which a number of comments I have heard
11 here this morning raise again as an issue that I am concerned
12 about, and that is the issue of the possible -- or what is the
13 scope of application of the safety goal after it is developed,
14 in whatever process it may be developed?

15 I heard a number of people, I think, say this
16 morning that we need to recognize a limitation that this goal
17 will probably only apply to new plants, or to future plants,
18 and I don't think that that necessarily is the case. I don't
19 think it should be the case.

20 I think similarly we have been talking about pretty
21 much the reactor plant in a vacuum, and certainly haven't
22 addressed fuel supply or waste disposal or the reliability of
23 the resulting compliance system, or the possibility of
24 applying it to a future breeder program, et cetera, et cetera,
25 et cetera.

1 In my opinion, I think that needs to be addressed,
2 in the statement of the goal. I personally feel there is a
3 need for a broad application, to look at the whole issue
4 rather than focus only on the reactor or the plant and the
5 plant boundaries, and/or that at least the safety goal has to
6 have stated within it the allowance for a decision process
7 that will address that in a meaningful way.

8 That there is a need to develop a process for
9 applying whatever is applicable to existing as well as to
10 future plants in some way. I recognize that all of this will
11 have some limitation, the limitations being that not
12 everything that is stated in a goal will be applicable to
13 existing plants, and recognizing that some plants may not
14 make it, and that serious choices then have to be made.

15 MR. SEGE: This touches on issues that were
16 discussed in Panel A, and perhaps Dr. Kouts would care to add
17 to this.

18 DR. KOUTS: Yes, I think I detected the reference to
19 Panel A, and I thought we had taken care of this with careful
20 wording. Let me read again the wording, and the part referred
21 to here says the goals should be dynamic to respond to progress
22 in technology, but grandfathering plants already approved
23 should be normal policy, in the absence of overriding safety
24 considerations, and that qualifying phrase there has a lot of
25 content in it, of course, because where you find that safety

1 goals are not met by existing plants, and it is meaningful
2 that they don't satisfy safety goals, then you do something,
3 and that was put in there specifically for that purpose.

4 Now, the reference to future plants, was it even
5 meant to take into account the point that the breeders will
6 probably come down the pike, and will have to be dealt with
7 by any safety goals that you establish, and this point is
8 addressed by these words.

9 This is especially true because the more
10 quantitative goals will be addressed principally to plants,
11 and the word "principally" is put there with the
12 grandfathering and the reservation in grandfathering
13 specifically in mind.

14 DR. BRADBURN: Principally to what? I am sorry,
15 I didn't hear.

16 DR. LAWE: Principally to plants that will not come
17 into existence and operation --

18 DR. BRADBURN: Okay.

19 DR. LAWE: -- for more than a decade, and the intent
20 here is that safety goals be established to guide the future
21 regulatory process, which probably will draw more heavily on
22 things in that area.

23 MR. SEGE: Mr. Malsch?

24 MR. MALSCH: It just occurred to me, I have a
25 question. Does that mean that we should not use safety goals

1 that are established to influence current rulemaking actions,
2 as for example, on hydrogen control, degraded cores,
3 anticipated transients without scram, and the like?

4 DR. KOUTS: Not at all.

5 MR. MALSCH: Which will make and conceivably apply
6 to present as well as future plants?

7 DR. KOUTS: Not at all. Once you have a safety
8 goal, I assume you will then use it in the way we talked about,
9 that is, applying it to these deterministic requirements to
10 find out what rationale lies behind them, and whether they
11 fit the safety goals.

12 And these are things that are established in the
13 course of rulemaking, as well as by other processes.

14 MR. SEGE: Mr. O' Donnell.

15 MR. O DONNELL: I think if you adopt the policy that
16 they are going to be forward looking only, their value
17 diminishes very rapidly. I think the ideal case, and I am
18 not saying that you said that, but there seems to be an
19 emphasis that --

20 DR. KOUTS: No, this is not an injunction on the
21 way things are to happen. This is an expectation of the
22 way things might happen, that they are -- after all, there will
23 be more plants built and operating in the future, perhaps,
24 than have been built up to now, and --

25 MR. O DONNELL: I understand, but it seems to me

1 that one of the most useful applications of this whole thing
2 is to, as we discussed earlier, evaluate existing regulatory
3 practice and find out where you are, what level of safety
4 vis-a-vis these goals you provide, and I think automatically
5 that says something about the existing plants.

6 Now, it may be that they all meet it, and it may
7 be that some of them don't meet it, and then you have to
8 apply -- and I think this is where if you have it in
9 something such as an ALARA approach, you can make those
10 hard decisions on some reasonable basis of balancing costs
11 and benefits, but I think that it would be most useful if
12 the structure of the goals and the application of them were
13 broad enough to cover existing plants as well, and any rule
14 changes that are being considered.

15 MR. MALSCH: My concern was that if we are to use
16 safety goals for that purpose. It wasn't clear to me in what
17 sense it was that existing plants were grandfathered.

18 MR. BURSTEIN: Excuse me, every plant that is now
19 operating or will be allowed to operate has been judged to
20 be safe. It is a requirement of the law. Marty, you know
21 that perhaps better than anybody else. There is a safety
22 evaluation report that has been issued, that has been litigat-
23 ed, that in most cases that I know of has going to have the
24 validity of a court review.

25 DR. COCHRAN: That makes them safe, doesn't it?

1 MR. BURSTEIN: Whether -- I don't think that is the
2 point. I think whether you use a safety goal or a safety
3 evaluation, and you are not substituting one for the other,
4 as we discussed yesterday, a determination has been made under
5 due process that that design and the capacity for its
6 operation will protect the public health and safety to some
7 standard.

8 Now, if you want to change the standard, or if you
9 want to codify some presently unquantifiable items, fine, but
10 it is not to suggest that present plants have not met a
11 safety goal. We started out with that on day one.

12 DR. KOUTS: Let me just take up the ATWS case as
13 an example, and apply the kind of reasoning we have been
14 talking about to this. The staff is on the path to arriving
15 at some ATWS requirements. These ATWS requirements are going
16 to be the subject of a regulatory process which will include
17 a hearing, which will include public process.

18 The safety goals, the purpose of the safety goals
19 in this connection is to act as a touchstone, to determine
20 whether or not the staff endpoint meets the safety goals,
21 that is, there is a process to determine that that is a
22 rational conclusion.

23 If it is a rational conclusion, and if it is then
24 used -- it is then the basis for requirements which are
25 placed on all plants, future and present, presumably the

1 effect would be primarily on future plants, things have been
2 done with respect to existing plants already, and you will
3 have to go back and look to see if they meet the safety
4 goals, the requirements with respect to all plants will have
5 to be checked, and maybe even the staff position will be
6 changed by this.

7 MR. SEGE: Dr. Lewis?

8 DR. LEWIS: I think it is worth emphasizing -- I
9 agree with what Herb has said, worth emphasizing that ATWS
10 and some of the others that were mentioned are subsystem
11 exercises, and those incentives of overall safety goals, if
12 one could accept them on the basis of benefit versus risk or
13 cost in which risk is an element to the public, if they were
14 to be set in a reasonable way, and it turned out that a
15 number of plants currently in existence did not meet the
16 standards, then serious consideration should be given to
17 shutting them down. There is no question whatever about
18 that, but as in the ongoing proceedings on subsystems, that
19 is a good way to begin to exercise the use of this kind of --
20 I hate the word methodology, but methodology, on the sub-
21 system, deal with this implication, but then in the end, when
22 one sets -- and ATWS is a good example, and ATWS reliability
23 or scram reliability criteria and its quantitative weight,
24 based on a probability assessment, that probabilistic
25 assessment has got to include its contribution to the overall

1 risk of the plant in the context of an overall limit on risk
2 of the plant. But that is a fair ways down the pike.

3 MR. SEGE: Thank you. Are there any other comments
4 on Panel B? If not, let us move on to Panel C, comments on
5 the Panel C report, Dr. Lave?

6 DR. LAVE: We spent a bit of time talking about
7 alpha, as to whether alpha was less than one or equal to one,
8 or greater than one, and we thought of some situation where
9 alpha is much smaller than one, for example, if you take all
10 the Cambodians who have lost their lives in the last year or
11 so, it is clear that that is not an alpha of two. It is
12 probably an alpha of 0.01, or so.

13 That is, that there are situations where you seem
14 to get an upper bound on the amount of concern that anybody
15 can ever have, and that led to a sort of a general comment
16 which -- I mean, being a modeler myself, I hesitate to say it,
17 but I will say it, which is that what you call risk aversion,
18 or what the ACRS has called risk aversion is much more
19 complicated than a single parameter, alpha, being greater or
20 less than one, and we didn't think it was terribly helpful
21 to try and summarize it in that, and then to go on a bit, we
22 thought, though, that the method we would recommend for
23 other -- for the NRC to try and get at these was what we
24 called a set of relevant comparisons, and we had huge debate
25 on what was a relevant comparison, whether it was looking at

1 dams that was a relevant comparison, and comparing hard
2 numbers, like the number of people who died from lightning
3 strikes last year, to calculated numbers, like the expected
4 number of deaths from a reactor, was a relevant comparison,
5 so we didn't have a lot to offer as to what exactly was a
6 relevant comparison, except a method for finding them, which
7 was probably to try and ask people what were the relevant
8 comparisons? Do you think of nuclear reactors and airplane
9 rides in the same set of dimensions, or where it is , to try
10 to find out what the public has in mind as to relevant
11 comparisons as a way of doing things.

12 MR. SEGE: Thank you. Dr. Okrent?

13 DR. OKRENT: Well, I am by no means going to
14 defend alpha equals 1.2. We did feel it was of use, in fact,
15 to introduce the question of should there be risk aversion in
16 some kind of quantitative safety goal formulation. There
17 have been proposals in the past which included this and which
18 did not.

19 The original Farmer curve, as many of you know, had
20 risk aversion in it.

21 I will note one thing. It does in fact act as a
22 surrogate for certain kinds of safety philosophy if you are
23 so inclined. If you have an alpha larger than one, it tends
24 to push you toward remote siting, other things being equal,
25 because there are penalties in -- when you do the ALARA. When

1 you do the ALARA, it is worth more money, in other words.

2 Similarly, it tends to push you toward containment
3 features which reduce the likelihood still further of the
4 large events and so forth, so if you have in mind a
5 qualitative safety philosophy that says, these are things you
6 wish to encourage, you can do it by something of the sort.

7 Now, you know, there are other ways of achieving the
8 same purpose. This was a very simplistic way of putting
9 something on the table.

10 MR. SEGE: Dr. Zebroski?

11 DR. ZEBROSKI: Dave, we discussed this in another
12 context. That is, if you set your safety goal for this area
13 as being substantially better than something else, either in
14 a cost avoidance or risk avoidance or risks of alternate
15 sources of supply, risk of deprivation, and so on, if you
16 want to set it, say, two times or five times safer than
17 alternate technologies, there is a possible implication that
18 the misallocation of resources means that you directly kill
19 more people in some other area, and so in that sense, at
20 least, it raises a moral question of the advisability of
21 setting an excessively tight safety goal for whatever noble
22 reason might appear to be present.

23 The alpha seems to be one of the -- and I think
24 therefore that whatever reasons or excuses for setting goals
25 unreasonably low come up should be examined extremely closely,

1 and alpha is a very interesting one, but I think in several
2 respects our immediate behavior in the regulatory process is
3 to assume a rather low alpha, and two other examples that I
4 think of in addition to Mr. Lave's is the occupational
5 exposure, where clearly by reducing the individual allowable,
6 you irradiate more people to greater total population man-rem,
7 and the other one is the large increase in lung dose, probably
8 a thousand times or a million times greater than the nuclear
9 apparatus can do, from the energy conservation closure of
10 buildings, and we are acting very irresponsibly in those
11 areas, or at least not consequentially, and that effect
12 amounts to a very small alpha.

13 MR. SEGE: Dr. Lewis.

14 DR. LEWIS: I just wanted to make a minor comment.
15 First, in -- I agree with Ms. Sheldon about the call for clear
16 language, and -- although I would be happy to see, in
17 California it is okay to write things not in plain English,
18 if you can at least write them in plain Spanish, in plain
19 language, yes.

20 And in that context, I think we have determined
21 risk aversion is a somewhat misleading term, and in the sense
22 that I would like -- I don't want to defend alpha, or even
23 speak in the context of alpha, but some kind of nonlinear
24 penalty which one might call the penalty of scale, in the
25 sense that one wants to penalize a large accident a bit more

1 than an accumulation of small accidents, makes sense not -- but
2 not because the public is more averse to such accidents, but
3 because there is more social damage done by a large accident
4 than by an accumulation of small accidents.

5 There was one viewgraph, I have forgotten whose it
6 was, that spoke of the ripple effect, which is the beginning
7 of that phenomenon, so I think one should penalize large
8 accidents a bit more. Just how, whether it is through an
9 alpha mechanism or something, I don't know, but I would
10 argue in favor of dropping the term "risk aversion," because
11 that implies that one is doing it for the wrong reasons.

12 MR. SEGE: Dr. Kouts?

13 DR. KOUTS: I just wanted to respond to something
14 Dave Okrent said about the value of alpha greater than one
15 driving you to remote siting. I am not sure that is the
16 case with respect to the way the criteria are established
17 here, because they are established on latent effects, and not
18 on the individual effects, and remote siting has ver; little
19 effect on the accumulated societal risk in latent effects.

20 DR. OKRENT: Well, it has an effect. There really
21 is a difference between Brown's Ferry and Indian Point for
22 latent effects.

23 DR. KOUTS: That is not remoteness. That is part of
24 the country.

25 DR. OKRENT: Well, I am just saying, the point that

1 I wanted to make is in fact, it has that trend. You can make
2 it strong or weak as you wish, but let me just make a comment
3 about whether or not society is risk averse or not.

4 There is a paper that recently came to my attention
5 in Science and Public Policy, October, 1980, by a man named
6 Sutcliffe, in which he mentions that the provincial
7 government of Groningen in Holland adopted an interesting
8 sliding scale in which accidents capable of causing ten
9 deaths ought to have a probability of not exceeding one in
10 10,000, over 100 deaths not exceeding 1 in 100,000, that is
11 linear, and of a thousand deaths, complete unacceptability.

12 So, instead of having an alpha of 1.2, they had
13 one up to 1,000, and then it became infinite. The point I
14 wish to make is in fact, there are such considerations which
15 are active in society. This is, by the way, not with regard
16 to nuclear. It happened to be hazardous chemicals and their
17 explosion, and so forth, but it is an issue, and I am not
18 saying that one should adopt any specific approach, but I
19 don't think we can just dismiss it.

20 MR. SEGE: Mr. O'Donnell?

21 MR. O DONNELL: Before one adopts an alpha factor
22 of greater than one, I think you should be aware that it does
23 one thing that I think has an adverse effect, in that it
24 reinforces an aspect of current regulatory policy that has
25 been criticized by both the Kemeny Commission and Rebokan

1 Commissions, and that is the regulatory preoccupation with
2 large consequence low probability events, that is, the major
3 double-ended pipe break, and the catastrophic accidents, and
4 it tends to put resources in design and allocation of
5 regulatory tension into those very events, and which when
6 they are multiplied by an exponent of 1.2 become magnified
7 in their importance, and it does not -- it takes attention
8 away, I think, from the TMI type events that are in fact
9 more probably and do -- may in fact confer a greater portion
10 of the risk, so I think it does have that disincentive in
11 terms of the end result.

12 DR. OKRENT: Can I make one comment there? I have
13 heard this kind of statement now often enough from people in
14 the industry that I am a little bit disturbed.

15 In the first place, I think the question of
16 regulatory staff focus on the double-ended pipe break is not
17 relevant to the question, because in fact the regulatory
18 staff is working very hard to try to provide something to
19 deal with this, and it is not, in their view, a serious
20 accident, because they have provided something for it.

21 It seems to me that what the public is concerned
22 about is not the interruptive event, which is what I will
23 call TMI, but the event, in fact, where large amounts of
24 radioactivity might get out, and for anybody to say that
25 otherwise, I think it is just wrong -- I will put it that way.

1 Now, how one gets, let us say, more probably to an
2 event involving large amounts of radioactivity may well indeed
3 not be a double-ended pipe break. Maybe it in fact is a
4 chain of errors, and if you want to say that, okay, but it
5 is in fact the possibility of a large radioactive release
6 that is the disturbing event, and I think you should, in my
7 opinion, word it that way.

8 MR. O'DONNELL: If I can just respond very briefly,
9 I think what I was trying to get at was that in fact a
10 double-ended pipe break is one which consumes an enormous
11 amount of time in terms of analysis and yeah, we do in fact
12 have a way of dealing with it.

13 But as everyone was looking at the large pipe
14 break, the stuck-open relief valve had essentially zero
15 attention. The risk aversion factor I can see very
16 conceivably leading to decisions that would favor introduction
17 of core catchers and things of that nature which then become,
18 appear to be cost-effective when you apply that, and may put
19 resources into those things rather than into things such as
20 operational training or indicators on stuck-open relief valves.

21 If it is introduced for the purpose of addressing
22 public conceptions concerns, that may be very valid. I just
23 wish to point out that it does have in fact, I think, this
24 very real disincentive.

25 MR. SEGE: Thank you. Mr. Hutt?

1 MR. HUTT: I have been trying to draw analogies on
2 this risk aversion issue to other government regulatory
3 agencies, and it is interesting, the only place where I am
4 aware that Congress has in a sense explicitly dealt with the
5 issue, it has gone exactly the opposite from what you are
6 suggesting. There is an alpha, as I think I said yesterday,
7 of infinity under the Delaney clause, and that deals not with
8 a catastrophic event of a large number of people being killed
9 by one event. It deals, rather, with isolated occurrences
10 over a long period of time that one can never quantify in
11 terms of effects.

12 In contrast with some events under Toxic Substances
13 Act, Food and Drug Act, Pesticides Law, where there could be
14 catastrophic events such as botulism poisoning, thalidomide,
15 things of that kind, where there is no special rule built in
16 the way there is for carcinogenic contamination of foods and
17 drugs as there is under the Delaney clause. I am not saying
18 there is any necessarily global message to that, but I am not
19 aware of a regulatory mechanism that is built in specially by
20 Congress to show an especial risk aversion for the single
21 catastrophic event.

22 MR. COCHRAN: Your mathematical statement is
23 incorrect.

24 MR. HUTT: Well, I am not a mathematician, so I
25 apologize for that.

1 DR. COCHRAN: Next to the alpha, Delaney is zero,
2 not alpha of infinity.

3 MR. HUTT: Okay, well whether it is zero -- but it
4 is an all or nothing -- it is a total risk aversion for -- I
5 didn't know the mathematics of it.

6 MR. LEVINE: You would find infinity is just as
7 good as seven for the coefficient.

8 MR. HUTT: I will let somebody else debate that.

9 MR. SEGE. Dr. Okrent.

10 DR. OKRENT: Again, without arguing pro or con on
11 risk aversion, because in fact I have an ambivalent position,
12 I do think that the Congress in fact over the years reacts
13 strongly when the large event occurs, and we try to look at
14 a correlation to coal mining safety legislation and accidents,
15 you find a very interesting correlation with large accidents,
16 even though there may have been many more people being killed
17 with small accidents.

18 And if you look at the discussion on the Auburn
19 Dam recently, a big issue was the fact that if it failed in
20 fact it might kill on the order of three-quarters of a
21 million people, and that this was a special consideration,
22 and so forth.

23 And in fact, I would even argue that with regard
24 to the point you just made, the question I think in
25 Congress's mind is not truly that there is a risk to an

1 individual, but in fact that there are 200 million people
2 involved, and so if the probability turned out to be ten to
3 the minus four per year of some carcinogen introducing cancer,
4 when you multiply it by two times ten to the eight people, in
5 fact it is a big event which doesn't appear all on one day,
6 but it is still a big event, and in fact most of the reactor
7 effects, when you -- they are totalled up on one page, but the
8 bulk of them are calculated to be statistical things that will
9 occur spread over the years.

10 MR. HUTT: Okay, let me respond and agree in part
11 and disagree in part. I would distinguish sharply between
12 what it is that causes Congress to legislate, in which I
13 agree totally with you, one can go back from 1800 to the
14 present and trace every -- well, not every, but most
15 regulatory statutes to catastrophes, no question about that,
16 well-documented, but when they legislate, they show no
17 particular risk aversion for a single catastrophic event as
18 contrasted with a series of undocumentable, isolated
19 occurrences, and indeed one can show they seem to be more
20 concerned about the latter than the former. That was my
21 point, David.

22 DR. OKRENT: In fact, I agree, and I said as much in
23 a recent paper.

24 MR. HUTT: Okay. Then we have got to be right.

25 MR. LEVINE: Let me make just one minor comment,

1 and that is that Congress is of course inscrutable and I see
2 nobody is taking my advice to avoid the term risk aversion, so
3 for once, I will say the penalty of scale is practiced, and
4 Bill Lawrence has just pointed this out to me, in the
5 aviation industry, because if you look at the regulations the
6 FAA within its Congressional mandate has imposed on airplanes,
7 you find that they do increase in stringency with the size of
8 the airplane, and therefore with the number of people at
9 stake in a single accident.

10 An airplane above a certain size has to have
11 slightly better equipment, slightly better qualified pilots.
12 It works its way up according precisely in some cases to the
13 weight of the airplane, others the number of passengers
14 carried, so that there is an element of the penalty of scale
15 built into the decisions of the FAA.

16 VOICE: But is it more than linear?

17 MR. HUTT: Again, I don't disagree that some
18 agencies have done that. I was attempting to figure out, in
19 a sense talking, thinking out loud as to whether Congress
20 itself which supposedly represents the embodiment in our
21 country of public opinion -- I say supposedly -- had ever sort
22 of dealt with this issue of risk aversion explicitly. That
23 is all I was trying to deal with.

24 MR. SEGE: Dr. Beyea?

25 DR. BEYEA: Well, Congress may not be the best

1 example. Another example of the public's aversion to events
2 in which large numbers of people are killed is reflected in
3 newspaper coverage, I think.

4 If you look, single deaths are very rarely reported
5 unless it is a famous person such as Mal Lewis, one would not
6 expect to see much attention given to it, but on the other
7 hand, if you have five or six people, or a school bus, people
8 are killed, there is a tremendous amount of attention.

9 And Three Mile Island is an example of the public's
10 interest and concern for risk aversion itself.

11 MR. LEVINE: Apart from leaving subjective
12 assassination attempts after this meeting -- you perhaps don't
13 watch the same television news programs I do, because they
14 seem to give more coverage to murders of single people than
15 they do to a large catastrophe, and my complaint is that I
16 have to wade through all this enormous coverage of single,
17 rather minor events, before I find out that, oh, by the way,
18 a revolution broke out in Poland today --

19 MR. SALISBURY: That is in Southern California.

20 MR. SEGE: Okay, Mr. Salisbury, would you care to
21 add anything to this?

22 MR. SALISBURY: Not particularly.

23 MR. SEGE: Okay, Dr. Kouts?

24 DR. KOUTS: I would like to move on to the
25 suggestion that genetic effects be included in the criteria,

1 or in the safety goals, and just ask what it means for -- when
2 it is said that the individual risks and the societal risks
3 are surrogate for genetic effects. I don't know what that
4 means. That was said.

5 DR. OKRENT: Let me make a comment, but let somebody
6 else address the question of why genetic effects should be
7 there.

8 DR. KOUTS: I didn't ask that, but that is a good
9 question. I just wondered what it meant for one to be
10 surrogate for the other.

11 DR. OKRENT: The thought was that if you have
12 achieved a low level of somatic effects, and of course,
13 depending on how you have done your calculations, if you
14 haven't done it in a way so that it is not a good accounting
15 of genetic effects, you would have at the same time kept
16 genetic effects to a rather low level, in that sense, and so
17 there is a word other effects somewhere in this paper.

18 Now, I am not sure if I have answered your question.

19 DR. KOUTS: Yeah, you answered it.

20 MR. SEGE: Thank you. Any other comments on Panel
21 C? Dr. Eisenbud?

22 DR. EISENBUD: I think there are two matters that
23 don't seem to have been mentioned, and one of them I think
24 does bear on the question of genetic effects. I am thinking
25 of how one deals with an exceedingly small boost or

1 exceedingly small risk, let us say, of the order of ten to
2 the minus six per person, to let us say a population of four
3 billion people. You can look -- I think I could tell them
4 individually he or she ought not to be concerned about a risk
5 of ten to the minus six, but if I were let us say the United
6 Nations or the World Health Organization looking at world
7 health generally, and I saw that there was something that
8 could be done to prevent ten to the minus six times four times
9 ten to the ninth cancer cases, which would be, what 4,000
10 cancer cases, if it could be easily done, I think I would
11 want to take an action.

12 Now, the EPA has recently begun to take some of
13 the effluents from the fuel cycle that are long-lived,
14 particularly carbon-14, for example, and they calculate the
15 dose not only to people in this generation, but people over
16 the lifetime of the C-14, which you might say is 25,000 years,
17 you take 50,000 years, and take ten half-lives, and you end
18 up with a staggering number of people to whom you apply an
19 exceedingly small dose, in this case, maybe your individual
20 risk is 10 to the minus tenth, and it does involve the
21 genetic system as well as the possibility of producing cancer,
22 because in a case of C-14, it can have an effect on the
23 genetic material.

24 And this in turn leads to the question, which has
25 not been discussed either, of what is our obligation to future

1 generations, what kind of a criteria should we develop which
2 will give us the guidance we need in planning a waste
3 repository if we have to compute doses many thousands of
4 years into the future, and I don't think that we have the time
5 today to discuss these issues, but I would mention them so
6 that they can be in the record and perhaps be discussed at
7 some future time.

8 MR. SEGE: It is my understanding that Panel C did
9 take up that issue, and I wonder if Dr. Slovic or Dr. MacLean
10 or someone in Panel C might make a comment on it.

11 DR. SLOVIC: Well, I will start. We discussed that
12 extensively. We felt it was very important, but we could not
13 get a good handle on just what the proper ethical guidelines
14 might be. A number of them were suggested, like you know,
15 providing the future with a menu of opportunities that was at
16 least as good as that of the present.

17 We talked about the issue of trading off future
18 well-being versus the cost that we impose upon them in order
19 to acheive that level, and we decided we didn't know quite
20 how to make that tradeoff, and we discussed the -- you know,
21 whether or not by attempting to make the risks very low, the
22 expected risks very low, this would somehow, you know,
23 settle the issue so we really wouldn't have to get into this,
24 and there was uneasiness with that, so perhaps Dr. MacLean
25 would care to elaborate. We did wrestle with it.

1 MR. SEGE: Dr. Cochran?

2 DR. COCHRAN: Well, I would like to respond to
3 another point that Merrill made, if this is an appropriate
4 time, not the one that Paul made.

5 MR. SEGE: Okay. Dr., do you have anything to add
6 for second page, intergenerational effects?

7 DR. COCHRAN: Well, I think Merrill has raised an
8 issue that I think represents one of the pitfalls of the
9 diminimus approach. There are some historical examples we
10 can look at, turn to atmospheric tests, in terms of the
11 atmospheric test ban. The fallout in the northern hemisphere
12 let us take a number, four millirems, from all the tests, and
13 when you multiply that times some risk number, like 200
14 cancers per 10 to the 6 man-rem exposure, you get a very
15 small individual risk, that somebody might say is diminimus
16 compared to the other risks every day, and yet when you run
17 that over the three billion people or so in the northern
18 hemisphere, you come out to some 3,000 or so cancers per year
19 from atmospheric testing, which is a fairly decent argument
20 for going underground, and also you can add a few deaths per
21 test, which would be sort of random violence in the northern
22 hemisphere, but yet it is random enough that the individual
23 risks are fairly small, so I think there are many times when
24 it is very proper, in fact I think most times when it is very
25 proper to do -- take into consideration these very, very small

1 individual risks over a very large population.

2 MR. SEGE: Mr. Malsch?

3 MR. MALSCH: I just wanted to comment briefly on
4 that. In my experience in discussing with people, let us say,
5 who are writing environmental impact statements, talking about
6 the releases of long-lived radionucléides, and you encounter
7 sharp disagreement to the proposition that you ought to do
8 calculations of that sort, and come up with numbers of, let
9 us say, 3,000 cancers.

10 They disagree that that is meaningful, and what it
11 really comes down to is they just don't believe the linear --

12 DR. COCHRAN: They do if they are genetic effects
13 where there is no controversy over the linear model --

14 MR. MALSCH: No, all I am saying is that I think
15 when you go do those calculations, it forces you to do some
16 very hard thinking about the relationship between dose and
17 effect that you have been using.

18 MR. SEGE: Mr. Hutt?

19 MR. HUTT: Well, our panel discussed the kind of
20 question that Dr. Cochran has raised, at some length, and I
21 think it is fair to say that there was virtually unanimity
22 with his approach, recognizing that you must at the same time
23 be honest with the public about what you are talking about,
24 and Marty, I think that gets to your point. You can't say
25 there will be 3,000 cancers per year. You can say that is

1 the upper bound risk with all these assumptions. The one
2 think that our panel felt strongly about, as Lester pointed
3 out, was not sugar-coating news, that you shouldn't talk about
4 risk in terms that the public can't understand, ten to the
5 minus five, ten to the minus six. You ought to put it right
6 out there for everybody to understand. We are talking about
7 so many cancer cases, so many deaths per year, upper bound
8 risk, and here is what that all means. There is no sense
9 trying to kid anybody about it.

10 MR. SEGE: Dr. Wald?

11 DR. WALD: Don't you feel that also in order not
12 to fool anybody, that that figure of 3,000 cases should also
13 have the multiplication of the existing burden of cancer
14 multiplied by that same population size, 3,000 more out of
15 what is really a fantastic number?

16 MR. HUTT: Absolutely.

17 DR. WALD: But if you hold up just that numerator,
18 I don't think that is being honest.

19 MR. HUTT: There is no question about that. A
20 good -- and the best example we came up within our panel was
21 what happened when Congress decided to overrule the Food and
22 Drug Administration and permit saccharine. The Food and
23 Drug Administration went to Congress and said there will be
24 somewhere between zero, and if I remember the figure right,
25 2,300 extra bladder cancer cases per year. We don't know

1 whether it will be zero or 2,300 and that is in relation to
2 the universe, and Congress, acting on that information said,
3 that is an acceptable risk for the population. Now, I don't
4 want to argue whether they were right or wrong, but at least
5 no one kidded Congress as to what the issue was. That is all
6 that our panel felt was important.

7 MR. SEGE: Dr. Cochran?

8 DR. COCHRAN: I just want to bear out another
9 pitfall in doing what you suggested. I think that it is very
10 appropriate to make those observations so that people can
11 comprehend the level of risk one is referring to. The pitfall,
12 however, is to take the next big step and infer that therefore
13 this exposure of whatever it is is diminimus, or this level of
14 killing is diminimus.

15 The problem one runs into is in that type of
16 formulation one is weighting cost versus cost instead of cost
17 versus benefits when one is trying to determine whether the
18 decision makes sense, and it is much better to add up the
19 benefits and then see if they outweigh the costs rather than
20 weigh the costs and then compare it to some extraneous cost
21 that may be totally irrelevant to the decision.

22 MR. SEGE: All good things come to a close. We
23 are approaching 11:30, and I would like to get a show of
24 hands from the participants on the following question; after
25 before we adjourn shortly in just a few minutes, are there

1 participants who would wish to have the record kept open for
2 some additional time after the formal close of the meeting
3 for the purpose of making statements for the record that time
4 this morning has not permitted to be made in the course of
5 the discussion. Is there any wish to make such additional
6 statements that participants -- if the record is open, how
7 many people want to make a statement?

8 MR. ZEBROSKI: Can I ask a counter question? Do we
9 have an opportunity to correct the record, an opportunity to
10 edit, let us say, our own remarks?

11 MR. SEGE: No, ordinarily the transcripts of
12 meetings of this sort are not circulated for correction, and
13 it is understood that they will be an uncorrected record of
14 a competent reporter with ordinarily not more than the form
15 of -- Dr. MacLean?

16 DR. MACLEAN: Well, then I think -- well, my own
17 view on this is that because some people have to leave right
18 at 11:30 that it might be a distortion of the record were a
19 smaller forum to continue to make comments on the record.

20 MR. SEGE: Yes, I understand the point.

21 MR. LEVINE: I would like to support that, and
22 suggest that we close the record when we are finished, and
23 that you accept from the participants any supplementary
24 material for your own benefit that they may provide, but as
25 all lawyers know, you ought to allow things that go into the

1 record to be submitted to the group for counter-argument.
2 Otherwise, we will have a distorted record.

3 MR. SEGE: I appreciate these comments, so suppose
4 that in a couple of minutes we close both the workshop and
5 the record for now. I would then reopen it then for
6 insertion of any written statements that people may wish to
7 give us the benefit of having, and then these written
8 statements, I would ask our contact at Brookhaven to
9 circulate to the other participants, in case that should
10 stimulate a response.

11 I want to thank the panel chairman and the
12 participants for giving us the benefit of their knowledge and
13 wisdom and energy and vigor with which this large and complex
14 issue of a safety goal for nuclear regulation has been
15 approached in the past two and a half days.

16 The discussion has been extremely helpful to me,
17 and I am quite sure that it will prove extremely helpful to
18 the Commission. Mr. O'Donnell?

19 MR. O'DONNELL: Could I just ask one question? What
20 is the next step in the process?

21 MR. SEGE: The next step in the process, is the
22 evaluation of the report by -- Brookhaven's preparation of
23 the report will include the participation of the panel
24 chairmen, the full summaries of the panel reports, as well as
25 additional summaries by the Brookhaven rapporteurs, a draft

1 of the report will be circulated to the panel participants.
2 The participants will have an opportunity to make comments
3 which then we take into account.

4 If any participant should feel that he cannot
5 respond in the relatively short time available for comments,
6 or feels that having responded, his comments are not
7 adequately effective, we would very much welcome any
8 additional views or comments that the participants would like
9 to submit directly to us. I would hope that any such
10 additional views would be in the form of a -- in the length of
11 a letter rather than a book, so that they could receive the
12 sort of consideration by the Commission, and, you know, some
13 points, evaluations -- steering group -- and his comments,
14 all you want.

15 If there are no additional questions, thank you very
16 much, and again, our session is adjourned.

17 (Whereupon, at 11:32 a.m., the Plenary Session in
18 the above-entitled matter was adjourned.)

19
20
21
22
23
24
25

This is to certify that the attached proceedings before the
Nuclear Regulatory Commission

in the matter of:

Date of Proceeding: 3 April 1981

Docket Number: Safety Goal Workshop

Place of Proceeding: Palo Alto, California

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Michael Connolly

Official Reporter (Typed)

Michael Connolly

Official Reporter (Signature)