

NUCLEAR REGULATORY COMMISSION

COMMISSION MEETING

---

---

In the Matter of: PUBLIC MEETING  
MCGUIRE APPLICATION FOR AN OPERATING LICENSE

---

---

DATE: June 24, 1981 PAGES: 1 - 49  
AT: Washington, D. C.

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

McGUIRE

PUBLIC MEETING

Nuclear Regulatory Commission  
Room 1130  
1717 H Street, N.W.  
Washington, D.C.

Wednesday, June 24, 1981

The Commission met, pursuant to notice, at  
2:10 p.m.

BEFORE:

JOSEPH M. HENDRIE, Chairman of the Commission  
VICTOR GILINSKY, Commissioner  
PETER A. BRADFORD, Commissioner

ALSO PRESENT:

S. CHILK  
L. BICKWIT  
J. SCINTO  
R. MATTSON  
D. RATHBUN  
J. ~~MILHOOR~~ MILHOAN  
M. MALSCH  
E. KETCHEN  
C. TINKLER  
J. RILEY, Carolina Environmental Study Group  
M. McGARRY, Duke Power Company  
W. RASIN, Duke Power Company  
W. PORTER, Duke Power Company

DISCLAIMER

This is an official transcript of a meeting of the United States Nuclear Regulatory Commission held on 6-25-81 in the Commission's offices at 1775 F Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and is in my complete possession.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 4.103, it is not part of the formal or informal record of decisions of the agency discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

## P R O C E E D I N G S

1  
2 CHAIRMAN HENDRIE: The meeting will come to order.

3 The first item of business this afternoon is that  
4 I will ask my colleagues to join me in voting to hold this  
5 meeting on the McGuire application for an operating license  
6 on less than one week's notice. This is a vote which is  
7 required by the Sunshine Act and the Commission's  
8 regulations on the Act.

9 Those in favor say aye?

10 COMMISSIONER GILINSKY: Aye.

11 COMMISSIONER BRADFORD: Aye.

12 CHAIRMAN HENDRIE: Aye.

13 We are then legally in session.

14 This meeting has been called at Commissioner  
15 Gilinsky's request as part of the Commission's consideration  
16 as to whether the licensing board's initial decision  
17 authorizing full power, full term licenses for McGuire Units  
18 1 and 2 should become effective. The focus of the meeting  
19 will be on specific questions which along with notice of  
20 today's meeting were yesterday forwarded to the parties by  
21 the General Counsel.

22 I am also advised that Staff and Intervenor, the  
23 Carolina Environmental Study Group, were advised of the  
24 meeting and questions by telephone Monday evening and the  
25 Applicant was so advised by telephone Tuesday morning. I

1 nevertheless give to the assorted parties our apologies for  
2 the rather short notice.

3           The proceeding will be as informal as possible.  
4 We plan to ask the Applicant, the Duke Power Company, to  
5 first respond to the questions, then the NRC staff and then  
6 the intervening party. All will be subject to questioning  
7 by the Commissioners. There will be an opportunity for  
8 brief rebuttals by each party and again, the Commissioners  
9 may wish to ask questions.

10           I should note that since the parties have been  
11 asked to respond to two definite questions, I will ask my  
12 colleagues of the parties to stick to the subjects in hand.

13           The Commission plans to consider the information  
14 presented today together with the written comments that have  
15 been filed by Applicant and Intervenor in its effectiveness  
16 determination under Section 2.764 of the Rules of Practice.  
17 That is the Appendix B to Part 2 of the Procedures.

18           The information will not be considered for any  
19 other purpose. In particular, it will not be considered as  
20 part of the evidentiary record supporting a decision on the  
21 merits of contested issues. Also the Commission is aware  
22 that the Carolina Environmental Study Group has moved the  
23 Appeal Board for a stay. Any Commission decision on  
24 effectiveness will be entirely without prejudice to that  
25 motion.

1           Now let me ask the parties, starting with Duke  
2 Power, then the staff and then the Carolina Environmental  
3 Study Group, who they intend to have as speakers today.  
4           in move forward.

5           Duke?

6           MR. MCGARRY: I am Michael McGarry representing  
7 Duke Power Company. I am an attorney. Also representing  
8 Duke Power Company is Mr. William Porter who is seated at my  
9 right. On behalf of Duke Power Company Mr. William Rasin  
10 who testified in the proceedings will present Duke's  
11 response to the specific two questions asked by the  
12 Commission.

13           CHAIRMAN HENDRIE: Who will speak for the staff?

14           MR. SCINTO: Mr. Chairman, I am Joe Scinto with  
15 the Office of Executive Legal Director and have participated  
16 in this case as counsel for the staff. In response to the  
17 two technical questions posed by the Commission to the  
18 staff, speaking for the staff will be Dr. Roger Mattson, the  
19 director of the division of systems integration.

20           CHAIRMAN HENDRIE: And for Carolina Environmental  
21 Study Group?

22           MR. RILEY: My name is Jesse Riley. I will be  
23 speaking for it.

24           CHAIRMAN HENDRIE: Before we get started, just let  
25 me note for the benefit of all parties that we have

1 scheduled this meeting for an hour and a half. It seems to  
2 me ample for the purpose. I will ask the parties to be  
3 brief and to the point in their comments so that we can get  
4 through this afternoon. I may remind anyone who in my view  
5 tends to run on too long and gets off the point.

6           Now the questions in hand are as follow. The  
7 first question is: In view of the fact that substantial  
8 quantities of hydrogen were evolved during the TMI accident  
9 before containment pressure significantly exceeded 3 pounds  
10 per square inch gauge, what is the basis for selecting the 3  
11 pounds per square inch gauge containment pressure signal as  
12 the appropriate trigger for energizing the igniter system?  
13 Should the trigger in lead be safety injection?

14           The second question is as follows: In view of the  
15 fact that the effectiveness of the hydrogen control system  
16 depends in part on operation of air return fans and the  
17 hydrogen skimmer fans in conjunction with the igniters, is  
18 it reasonable to switch on the igniters at a lower pressure  
19 than the trigger set point for the air return fans and the  
20 hydrogen skimmer fans? Is it feasible to switch on the air  
21 return fans and hydrogen skimmer fans at containment  
22 pressures less than 3 pounds per square inch gauge without  
23 the possibility of negative containment pressure or other  
24 adverse factors?

25           So Mr. Rasin, please go ahead.

1           MR. RASIN: You have posed these two questions  
2 premised on the fact that substantial quantities of hydrogen  
3 were evolved during the TMI accident before containment  
4 pressure significantly exceeded 3 psig. The following  
5 responses to these questions are based upon the record in  
6 the reopened proceeding.

7           At the outset it should be noted that any  
8 comparison between the hydrogen generation event which  
9 occurred at TMI and a similar event postulated to occur at  
10 McGuire must consider the differences between the two plants.

11           The McGuire containment is an integrated system  
12 which includes separate compartments, the ice condenser, the  
13 air return fans, the containment sprays and other  
14 equipment. The operation of this integrated system must be  
15 considered when analyzing a postulated hydrogen generated  
16 event at McGuire. The operation of this integrated system  
17 was considered in our analysis of a TMI-type event occurring  
18 at McGuire.

19           In the first question you asked, what is the basis  
20 for selecting the 3 psig containment pressure as the  
21 appropriate trigger for energizing the igniter system, the  
22 basis for the 3 psig containment pressure signal as an  
23 appropriate trigger for energizing the igniter system is the  
24 analysis that has been conducted regarding the occurrence of  
25 a TMI-type event at McGuire. This analysis shows that a



1 containment pressure of 3 psig is reached at approximately  
2 90 seconds from accident initiation. This analysis also  
3 shows that hydrogen production from a zirconium water  
4 reaction does not begin until about 60 minutes into the  
5 accident sequence.

6           In Question 1 you also asked: should the trigger  
7 instead be safety injection. We considered the safety  
8 injection signal as the initiator for energizing the  
9 igniters but rejected this initiator as being unnecessarily  
10 stringent and more likely to require unwarranted igniter  
11 operation. We do not consider a safety injection signal  
12 alone to indicate a transient with potential hydrogen  
13 production.

14           Many system transients may lead to a safety  
15 injection signal even though reactor coolant system  
16 integrity is maintained. An overcooling transient is one  
17 example of a situation where a safety injection signal is  
18 received without the loss of coolant inventory which could  
19 lead to hydrogen generation.

20           The 3 psig containment pressure signal indicates a  
21 transient involving loss of mass and energy from the reactor  
22 coolant system. This situation is therefore indicative of a  
23 transient with the potential, however small, for hydrogen  
24 production.

25           In Question 2 you asked: is it reasonable to

1 switch on the igniter at a lower pressure than the trigger  
2 set point for the air return fans and the hydrogen skimmer  
3 fans. As shown in the answer to the previous question, a  
4 containment pressure of 3 psig is reached well before the  
5 onset of hydrogen generation. Upon receipt of a containment  
6 pressure of 3 psig, a sequence is started that energizes the  
7 containment sprays, the air return fans and the hydrogen  
8 skimmer fans. This equipment will therefore be in operation  
9 well prior to hydrogen generation whether the igniters are  
10 energized before or after reaching the 3 psig containment  
11 pressure.

12           In Question 2 you also ask: is it feasible to  
13 switch on the air return fans and the hydrogen skimmer fans  
14 at containment pressure less than 3 psig without the  
15 possibility of negative containment pressure or other  
16 adverse factors. It is undesirable to energize the air  
17 return fans and skimmer fans at a containment pressure less  
18 than 3 psig for the following reasons.

19           No. 1, this would result in a reduction of the  
20 actuation set points and would require a major reanalysis of  
21 the design basis accidents for the McGuire plan. The  
22 engineered safeguards features of the containment are  
23 designed to mitigate the effects of a loss of coolant  
24 accident, among others.

25           The set points and timing sequences of equipment

1 operation are significant factors in the design basis  
2 accident analysis. These design basis analyses have been  
3 performed in accordance with Commission regulations and are  
4 contained in the McGuire FSAR. They have been reviewed by  
5 the NRC, and previous licensing actions have been based in  
6 part on the results of these analyses.

7           No. 2, reduction of the actuation set points could  
8 give rise to an unnecessary loss of ice. Unnecessary  
9 operation of the air return fans results in forced air flow  
10 through the ice condenser and a melting of the ice. Ice  
11 inventory would be reduced which could decrease safety  
12 margins if a subsequent blowdown from the reactor coolant  
13 system does occur. If reactor coolant system integrity is  
14 maintained, replacing the lost ice would have significant  
15 impact on returning the plant to operation.

16           No. 3, reduction in the actuation set points could  
17 give rise to a reduction in ECCS water inventory and to  
18 substantial unnecessary cleanup activities. The early  
19 operation of the containment spray system would be  
20 undesirable. Energizing the sprays without significant  
21 blowdown from the reactor coolant system would serve no  
22 purpose and would reduce the water inventory in the  
23 refueling water storage tank. This inventory reduction  
24 would require earlier switchover of ECCS on the  
25 recirculation mode if subsequent blowdown were to occur.

1           If reactor coolant system integrity is maintained,  
2 the containment and equipment would have needlessly been  
3 subjected to slightly radioactive chemical sprays. The  
4 plant recovery would be significantly delayed while the  
5 containment was being cleaned and decontaminated.

6           I would also note that it would be unreasonable to  
7 require reduction in the actuation set points because it  
8 would not improve the effectiveness of the mitigation  
9 system. As previously discussed, the loss of mass and  
10 energy from the reactor coolant system will result in a 3  
11 psig containment pressure before hydrogen production begins.

12           Containment pressures less than 3 psig do not  
13 necessarily indicate that a LOCA has occurred. On the other  
14 hand energizing the air return fans with no mass and energy  
15 loss from the reactor coolant system will result in cooling  
16 the containment atmosphere and reducing containment  
17 pressure. When containment pressure is reduced to .25 psig,  
18 the air return fans, hydrogen skimmer fans and containment  
19 sprays are automatically tripped off.

20           These systems would then have to be manually  
21 restarted when containment pressure again exceeded .25 psig  
22 or would automatically start when containment pressure  
23 reached 3 psig. To assure continued operations of these  
24 systems at lower set points, the .25 psig trip would have to  
25 be removed. If this trip point were removed, the potential

1 for the creation of a vacuum inside containment is  
2 significantly increased.

3 I hope that is responsive to the questions that  
4 you posed to us. I would be happy to discuss my response in  
5 more detail.

6 COMMISSIONER GILINSKY: Can I say a word here?

7 Let me say something about what lies in my mind  
8 behind Question 1. It is true, as you say, TMI is a  
9 different reactor. It is larger and McGuire would likely  
10 reach higher pressures more quickly. At the same time  
11 McGuire has ice chests which would tend to condense steam.  
12 It seems to me it is difficult to see your way through all  
13 accident sequences.

14 So if one were to switch on the igniters at an  
15 earlier point, for example safety injection, I would think  
16 you would capture or protect against the larger class of  
17 possibilities at what would seem to me negligible cost. I  
18 would be interested to know how often you would expect safety  
19 injection to come on during the operation of the reactor,  
20 because you have said if you did it at that point you might  
21 needlessly turn on the igniters or too frequently turn on  
22 the igniters.

23 At any rate, that is what lies behind my interest  
24 in Question 1. I wonder what your view is about the  
25 question of in effect protecting against a larger class of

1 possibilities at what seems to me to be negligible cost.

2           MR. RASIN: I would agree with you that the  
3 significance we attached to this particular trigger for  
4 turning on the igniters is to minimize the number of times  
5 the systems energized or the challenges to the system. We  
6 think that in general it is good engineering practice not to  
7 use the system until you need it.

8           In terms of protecting it against a broader range  
9 of accidents, to get into a hydrogen production mode you  
10 have got to lose a lot of mass and energy from the primary  
11 system. That energy goes into the containment. If one were  
12 to look at events which took longer to reach the 3 psig  
13 signal, you would find that it also took much longer to go  
14 from that point to the point where you had uncovered the  
15 core and were in a hydrogen production mode.

16           So the length of time between when you energize  
17 the igniters and when you actually had hydrogen coming out I  
18 think would be increased.

19           COMMISSIONER GILINSKY: How confident can you be  
20 that in fact you will reach the 3 psi level before  
21 generating hydrogen? At TMI the pressure reached 4 pounds I  
22 think somewhere along the way before it ultimately burned  
23 the hydrogen. But it seems to me it depends on details of  
24 the accident that might easily have been lower than that.

25           MR. RASIN: If you look at what happened, for one

1 thing at TMI as soon as the operators noticed the increase  
2 in containment temperatures, they energized their  
3 containment cooling systems and shifted the containment  
4 cooling fans to fast speed. Those actions are somewhat akin  
5 to our ice condenser air return fan operation. So they in  
6 fact actuated their systems prior to their set points. And  
7 their set points are much higher because of the larger  
8 containment and the larger design pressure.

9           Our containment system reaches 3 psig much more  
10 rapidly. In fact if you look at the pressure that was  
11 attained during the early stages of TMI, it is in the range  
12 of 2 to 2.5 pounds very early on. That would, if one  
13 considered the entire containment volume at McGuire, be at  
14 least double that amount in McGuire for the same amount of  
15 blowdown from the system just because of the ratio of the  
16 volumes.

17           COMMISSIONER GILINSKY: I understand that. But I  
18 would think it would be difficult to calculate with a lot of  
19 certainty the interaction of the steam with the ice and so  
20 on down to 1 psi plus or minus 1 psig. It just seems to me  
21 prudence suggests to take the earlier signal as triggering  
22 the igniter system.

23           I wonder on that point whether you could pursue  
24 the question of just what is the disadvantage in doing that  
25 other than the general principle of not exercising

1 protective system needlessly. How often would you expect  
2 safety injection to come on in the normal course of events?

3 MR. RASIN: I can't really comment to you in terms  
4 of number of expected transients. I guess I would just  
5 refer in general to the incidents and transients that occur  
6 at other reactors.

7 COMMISSIONER GILINSKY: How frequently would you  
8 say they occur per reactor?

9 MR. RASIN: I would say over the country per  
10 reactor it may be at least half a dozen transients per year  
11 through the country that I see with initiation of ECCS for  
12 one reason or another.

13 COMMISSIONER GILINSKY: I would think the number  
14 would be larger than that, about or the order of once per  
15 year per reactor or less than that at any rate. It does not  
16 seem to me that that would be very dangerous to turn on  
17 igniters.

18 MR. RASIN: No, sir. I do not mean to imply at  
19 all that it is dangerous. I say our only reason is what we  
20 feel is good engineering judgment in not using the system  
21 until it is required. With this type of equipment, if I  
22 were to expect to have an effect on the equipment I would  
23 expect to have it when I energize the equipment, much like a  
24 light bulb. It burns out when you turn it on, not when it  
25 is sitting there burning. It is on that basis solely.



1           COMMISSIONER GILINSKY: I guess what I find  
2 unconvincing is that there are not events which should be  
3 protected against or sequences which are not captured in the  
4 procedures that you have recommended. It seems to me that  
5 at negligible cost one could achieve greater assurance that  
6 in fact those are protected against. I find it hard to see  
7 the objection to doing that.

8           MR. BASIN: I would not have an objection to doing  
9 that.

10           COMMISSIONER GILINSKY: I mean if there is a good  
11 objection, I would like to know it. I would not like to  
12 force things in a direction that does not make any sense.  
13 That is what I am trying to get at.

14           MR. BASIN: The objection that we have right now,  
15 and it is not really an objection. We are just stating to  
16 you our basis for choosing this set point. As I said, we  
17 considered safety injection, considered Phase B isolation.  
18 We considered them from the standpoint of operation of a  
19 system to be equivalent, no difference from the standpoint  
20 of the way the system would work, because we still feel we  
21 will have the igniters. We will have the sprays. We will  
22 have the air return fans, the hydrogen skimmer fans all in  
23 operation before we get hydrogen.

24           CHAIRMAN HENDRIE: Peter, do you have anything?

25           COMMISSIONER BRADFORD: No, sir.

1           CHAIRMAN HENDRIE: Roger?

2           MR. MATTSON: I have a prepared response to each of  
3 the questions. But before I get into the formality of  
4 reading it I would like to make two general observations  
5 from the tone of the questions and the way I think we are  
6 headed.

7           First of all I would like to point out there may  
8 be a slight mistake in your understanding concerning the 3  
9 psi at TMI 2. It is our understanding based on the reading  
10 of probably the best analysis of the accident that has been  
11 done, that by NSAC, that the containment started at minus 2  
12 psi. That is something that is not allowed for McGuire or  
13 the ice condenser plants that was allowed for TMI 2. That  
14 means that the differential pressure at TMI 2 had reached  
15 4.8 psi at a half hour into the accident, well before large  
16 amounts of hydrogen were generated.

17           Now you have said, and you are correct, that it is  
18 very difficult to make a direct comparison between the 3 psi  
19 or the 4.8 psi or any psi at TMI 2 and the corresponding  
20 number in an ice condenser plant. The sizes are different.  
21 The effect of the ice in suppressing, the pressure of ice  
22 has to be accounted for. And so the approach we have  
23 chosen, you will see that in my prepared answer, is to use  
24 analyses specific to the particular ice condenser plants to  
25 arrive at a decision that the initiation scheme that they

1 proposed is adequate.

2           The second thing I would point out before the  
3 prepared remarks is that, as you are aware in the Sequoyah  
4 case, we have called our approval of the distributive  
5 ignition system an interim approval. We have told you  
6 before of the things that we consider that need to be done  
7 before final approval of these ignition systems by January  
8 31 of 1982. One of the things that we will continue to  
9 consider and had planned to continue to consider is the  
10 initiation scheme for the igniters.

11           COMMISSIONER GILINSKY: At Sequoyah I believe it  
12 is the safety injection that is the triggering signal.

13           MR. MATTSON: That is the way it has been  
14 described. That unfortunately is a bit of a shorthand  
15 description for the initiation scheme. It is actually a  
16 little bit different than that implies. The procedures at  
17 Sequoyah call for turning on the igniters for every trip of  
18 the reactor. What they say is after the operator has  
19 confirmed that the equipment required to automatically  
20 respond to a trip is operable, then before entering any  
21 emergency procedure for diagnosis and response to an  
22 accident, the operator dispatches a person to the igniter  
23 panel to turn on the igniters.

24           So that would be more often than every safety  
25 injection signal.

1 I was just checking with the staff a minute ago.  
2 It is our recollection that the number of trips per year  
3 ranges from three to ten in the United States per reactor,  
4 depending on the design, and that approximately half of  
5 those might be expected to result in a safety injection  
6 signal.

7 The point I was trying to make, the second point  
8 is that consistent with our requiring a number of additional  
9 things to be done beyond the interim approval of the  
10 distributive ignition system, some of the details that you  
11 have heard today from Duke we have not heard before. Some  
12 of the particular reasons for choosing 3 psi rather than  
13 some other initiation signal, consistent with our requiring  
14 them to look into that further, some of the information that  
15 is presented here has not been presented to us for review  
16 prior to today.

17 Let me also say that our position is not a hard  
18 one on when the ignition system should be initiated. It  
19 could not be. We have approved two initiation schemes, one  
20 for Sequoyah and a different one for McGuire.

21 If I could then, let me read the prepared remarks.

22 The McGuire emergency hydrogen mitigation system  
23 as reviewed and approved for interim operation is manually  
24 actuated out of the main control room upon receipt of an  
25 automatically initiated Phase B isolation signal. The Phase

1 B isolation signal is produced upon reaching a high, high  
2 containment pressure signal of 2.9 psig. Duke has chosen  
3 the Phase B isolation signal on the basis that the signal  
4 will provide an early indication of accidents which have the  
5 potential for excessive hydrogen generation.

6 Furthermore, the selection of a Phase B isolation  
7 signal which in turn is derived from high, high containment  
8 pressure as the actuation criterion increases assurance that  
9 accompanying safety systems, that is the sprays and fans,  
10 will be operating.

11 The staff previously has reviewed this issue and  
12 concluded that for the interim period until January 31, 1982  
13 the actuation criterion selected by the Applicant is  
14 acceptable. This was based on a preliminary judgment that a  
15 containment pressure set point of 2.9 psig is sufficiently  
16 low to anticipate hydrogen generation for the S2D accident  
17 scenario which was used as a basis for the staff's interim  
18 approval.

19 In that scenario the 2.9 psig pressure set point  
20 is exceeded in approximately 200 seconds. The containment  
21 pressure analysis indicated that the peak containment  
22 pressure prior to hydrogen generation occurs at  
23 approximately 800 seconds at a value of about 7.5 psig. At  
24 this time operation of safety systems, that is fans and  
25 sprays, acts to decrease the pressure. By contrast, the

1 analysis also indicates that the onset of hydrogen  
2 generation is at approximately 3500 seconds.

3           While the pressure analysis was not performed to  
4 produce the minimum expected pressure rise which would  
5 increase the time period to reach the set point, this time  
6 interval appears to be more than adequate since manual  
7 actuation of the igniters outside the control room should  
8 take no more than several minutes.

9           While we maintain that the system approved for  
10 McGuire is adequate, we intend to continue our review of the  
11 operational aspects of igniter systems including actuation  
12 modes and set points prior to final approval.

13           For your second question, actuation of the  
14 igniters at a lower set point or earlier on time poses no  
15 problem in our judgment so long as the systems are  
16 functioning when needed. Reiterating our position, the  
17 staff believes that actuation of the igniters on Phase B  
18 isolation or earlier, as is the case for Sequoyah, is  
19 acceptable for interim approval.

20           The sprays and fans for Sequoyah and McGuire are  
21 actuated on a high, high containment pressure set point  
22 which we believe will be reached prior to excessive hydrogen  
23 generation. Thus actuation of the igniters at an earlier  
24 period should be inconsequential. In any event, even if  
25 hydrogen were released with only the igniters operating, a

1 likely result would be that a small quantity of hydrogen  
2 would burn causing sufficient pressure rise to reach the set  
3 point which causes initiation of the sprays and fans.

4           Regarding the second point of the question, we see  
5 no obvious reason why the fans could not be initiated on a  
6 lower pressure. This would however increase the probability  
7 of inadvertent operation.

8           CHAIRMAN HENDRIE: Do you have any questions?

9           COMMISSIONER GILINSKY: No.

10          CHAIRMAN HENDRIE: Mr. Riley?

11          MR. RILEY: Thank you.

12                 I will distribute some copies of material bearing  
13 on this point. The first one of these, if I may distribute  
14 to the Commissioners and to Matt and the parties, is the  
15 hydrogen appendix to the Nuclear Safety Analysis Study that  
16 was referred to previously. I have circled in red the  
17 initiation of the accident, pressure builders during the  
18 accident. This may be an inaccurate chart, but it indicates  
19 that the initial pressure was less than one pound, on the  
20 order of five-tenths of a pound. It indicates that 3 psi  
21 was not reached until four hours out.

22                 Now I agree with the statements by Mr. Basin and  
23 Mr. Mattson, but for the scenario that has been assumed for  
24 McGuire there would be a very rapid pressure rise and 3 psi  
25 would be exceeded in a matter of minutes.

1           The thing that went wrong, so to speak, at TMI in  
2 terms of our using it as an example in this case were  
3 several means of mitigation. Mr. Rasin has referred to the  
4 operation of the air cooling system. If you will take a  
5 look at the second sheet in the handout, you will see a  
6 figure from NUREG-600 which is the staff's analysis of the  
7 TMI accident. Encircled in red you will see that during the  
8 first four hours that make-up Pump A was operating. It was  
9 throttled at some point but it was operating. You will also  
10 see that before four hours was reached there were four or  
11 five instances of high pressure coolant injection.

12           All of these things would result in cooling of the  
13 content of the reactor coolant system. It would reduce the  
14 amount of energy of the liquid that was escaping and the  
15 steam that was escaping from the pressurizer. I feel that  
16 these unanticipated factors were responsible for this rather  
17 slow build-up of pressure in the containment, that and  
18 something that we had not mentioned. That is that the  
19 containment itself and all the equipment had acted as a huge  
20 condenser.

21           Obtained by discovery on the staff, the  
22 temperature record of the atmosphere at TMI never exceeded,  
23 as I recall, 170 degrees Fahrenheit, which means that during  
24 all that period it was able to act as a condenser and  
25 suppress the pressure contribution of water vapor.



1 I am a bit concerned about the statement in  
2 Question 1 initially that hydrogen was present when 3 psi  
3 was reached. I would like to know if the staff's evidence  
4 was based on an interpretation of the curve in the first  
5 figure which shows that rough rise is a little after three  
6 hours and a little before four hours, because the first  
7 analysis of the content of the atmosphere was made on March  
8 30 after the burn had taken place.

9 As far as I can tell -- I have not gone over the  
10 reactimeter of chart content -- there was no hydrogen  
11 monitor in the plant. I am interested in the evidence that  
12 there was hydrogen present before 3 psi was reached.

13 With respect to the McGuire situation, I feel that  
14 the materiality of whether the igniter system activation is  
15 at the present signal or at an earlier signal relates to how  
16 well any accident there follows the assume scenario which is  
17 an S2D accident which is not identical to the Three Mile  
18 Island accident. The Three Mile Island accident probably  
19 occurred at a slower rate because the PORV leaking through  
20 the long length of pipe conveying it down to the pressurizer  
21 relief tank would be slower than a two-inch pipe that was  
22 simply broken at a point near a larger line in the reactor  
23 system.

24 If we permit ourselves to depart then from the one  
25 scenario that was considered by the Applicant and the staff

1 in the proceeding, it would seem to me because of these  
2 unanticipated deviations from that particular script that  
3 would be a step of conservatism to initiate early. I would  
4 feel that an injection signal would be one of the earliest  
5 signals for such initiation and that would be in the  
6 interest of conservatism to do so.

7 I agree with Mr. Rasin that it would cause some  
8 clean-ups and some loss of generating time. But the value  
9 in terms of prudence, particularly since we are dealing with  
10 a thin-shell containment, I feel would be worth it.

11 I want to note in passing, the point was already  
12 made, that the volume of Three Mile Island is not quite  
13 twice that of McGuire. McGuire corrected for ice is  
14 1.13 million cubic feet. TMI is 2.05 million cubic feet.  
15 That certainly does mean that the pressure rise signal which  
16 we see in this first sheet of the handout would be about  
17 half what you would expect in McGuire, providing that the  
18 scenario is follows.

19 Now with respect to Question 2, the air fans are  
20 not designed to start until ten minutes after pressure  
21 differential 3,000 has been reached. And as the first  
22 hydrogen release occurs at a pressure drop of 19.3 pounds  
23 absolute which is 4.6 pounds gauge, it would seem that the  
24 3 pounds, again assuming we are following the script, would  
25 be early enough, again where scenario depended.

1           Despite I am sure the effort that was made to  
2 train its operators to follow certain procedures, as there  
3 is a possibility of attempts at mitigation of pressure  
4 increase, I feel that early activation of igniters would be  
5 essentially harmless.

6           With respect to vacuum effects, the containment I  
7 feel would be well equal to it. Mr. Rasin I think correctly  
8 points out that some systems would start operating with a  
9 negative quarter pound being reached, and again it would be  
10 a matter of inconvenience.

11           I would like to indicate, though, a source of  
12 concern of turning on the igniters and not making provision  
13 for turning them off, because I believe that your analyses  
14 in the future are going to show that a time will be reached  
15 in which the less hazardous thing to do is to turn off the  
16 igniters and permit the recombiners to dispose of the  
17 hydrogen in the environment. If it would be a pleasure of  
18 the Commission I would like to indicate why I think this is  
19 the case.

20           The second part of the handout indicates some of  
21 the situation. There are seven attachments to the pipe  
22 which leads to pressurizer relief tanks. One of these is  
23 spray nozzle. Three are power relief valves and three are  
24 safety valves. I have red-checked the pressures at which  
25 these operate.

1           COMMISSIONER GILINSKY: I wonder if we could  
2 return to this after we have completed dealing with the  
3 actuation question, or however you want to do it.

4           CHAIRMAN HENDRIE: Why don't we let them go ahead  
5 and get the proposition stated. Then I want to go around  
6 the table again, and people will have a chance to comment on  
7 the other parties' remarks, including this point.

8           COMMISSIONER GILINSKY: Good enough.

9           MR. RILEY: Further information on pressurizer  
10 relief tank from the FSAR is given in the following pages.

11           The next stapled portion of material is from  
12 NUREG-CR-1219. I really think that this is the heart of the  
13 matter. When the Commission asked a question about  
14 3 percent hydrogen, I assume it meant a uniform  
15 concentration throughout the containment of 3 percent. Now  
16 it is argued very persuasively in this NUREG report that the  
17 hydrogen concentration at Three Mile Island was not uniform,  
18 that the place where ignition occurred was a much higher  
19 concentration than that on the average of the containment  
20 and certainly the same heterogeneity and hydrogen  
21 concentration will be true for McGuire.

22           I really think that this is the heart of the  
23 matter. Until our analyses deal with the case of a range of  
24 hydrogen concentrations, I feel that we are going to come  
25 out with mistaken conclusions with regard to when to turn

1 igniters on and when to turn igniters off.

2           Now the remaining documents are from McGuire  
3 FSAR. They will enable you to visualize where the various  
4 elements in the plant are. On the first sheet you will see  
5 in elevation the location of the pressurizer. In the second  
6 sheet you will see the location of pressurizer plan and of  
7 the nine hatches through which return air is provided to the  
8 lower compartment which contains the reactor and where the  
9 leak would presumably occur.

10           The elevation of the sheet just referred to is  
11 738. The elevation of the next one is 768. We see where  
12 the air return fans are. We see that the inlets for the air  
13 return fans are diametrically opposite the location of the  
14 pressurizer. If we go on to the next sheet, we see the  
15 layout of the ice condensers and we see that the air return  
16 fan inlets are between the ends, the open space in the ice  
17 condensers. And when we go to the last of these legal-size  
18 sheets, we see that the hatches venting the ice condenser  
19 correspond to, of course the condensers themselves are  
20 uniformly distributed to that section.

21           Now 21 minutes after hydrogen release begins, it  
22 will reach a maximum. This information is for the S2D  
23 scenario. You will find it in Duke Power's analysis of  
24 hydrogen control measures in Volume 1, and the information  
25 is given in Table 2 where the hydrogen release rate, mass

1 release rate is given.

2           The water release rate is given in Table 1. Some  
3 simple calculations show that at the peak of the accident  
4 the flow of steam and hydrogen into the lower compartment  
5 will be three times that of the return air, which means that  
6 three-quarters of the parts into the ice condenser are going  
7 to receive hydrogen and steam. Under these conditions the  
8 thorough mixing of that one-fourth of air with those  
9 three-fourths of steam and hydrogen is certainly not going  
10 to be complete. There is going to be a small transition  
11 region where there is some mixing.

12           But what it means is that a very substantial part  
13 of the steam and hydrogen is going to go into an ice  
14 condenser unaccompanied by any air. Now the steam will  
15 condense out. And the air in the portions of the ice  
16 condenser adjoining will laterally move toward the close-in  
17 to make up for the volume of the steam.

18           What it amounts to is that there is going to be a  
19 channel of approximately 30 feet by 10 feet in the ice  
20 condenser emerging at the top on the opposite side of the  
21 air return fans where you are getting up to pure hydrogen.  
22 There is going to be a transition band but you are going to  
23 have an extremely high concentration of hydrogen in the  
24 center. That hydrogen has about 7 percent the density of  
25 the air atmosphere. It will be enormously buoyant.

1           As you can see from the plans, the thing that will  
2 happen is that that hydrogen will move to the top of the  
3 dome where there are a group of igniters. For a while that  
4 hydrogen will burn off because there will be enough oxygen  
5 present. In the last sheet of the handout you see the  
6 turning diagram which indicates the vicinity in which  
7 hydrogen burns in relation to air and steam composition and  
8 the region in which it detonates.

9           But after that portion of the hydrogen which has  
10 had sufficient air to combust has combusted and the supply  
11 becomes hydrogen which is unburnable because it lacks  
12 oxygen, one will accumulate a volume of hydrogen in the dome  
13 with the igniters below and nothing happening except that  
14 the air return fan system will still be operating, causing  
15 some circulation. There is what engineers call a flow net  
16 which will have maximum flow in the vicinity of inlets, the  
17 air return fans, and minimum flow in the region from which  
18 the hydrogen will have issued.

19           But slowly there will be mixing and there will be  
20 diffusion. It is very obvious, if you visualize this, that  
21 the minimum concentration of air will be at the top in the  
22 vicinity of the igniters and slowly oxygen will rise,  
23 increasingly making the mass combustible.

24           Finally there will be a combustible composition in  
25 the vicinity of an igniter with a large combustible and

1 probably detonable volume of hydrogen below it. That I  
2 think is what Dr. Berman had in mind when he said the use of  
3 the distributive ignition system under certain circumstances  
4 is fraught with danger, and I believe that is the  
5 circumstance.

6           For that reason I would recommend that a study be  
7 made by this Commission to determine that point where it is  
8 safer to turn off the igniter system and every other  
9 electrical device in the containment except the recombiners  
10 and allow the recombiners to take care of that hydrogen.

11           CHAIRMAN HENDRIE: Thank you, Mr. Riley.

12           Depending on the inclination for questions from  
13 this side of the table, I propose to switch back across the  
14 parties, asking for comments on one another's remarks. You  
15 probably have some more questions as we go along.

16           MR. McGARRY: Could we have the Commission's  
17 indulgence for about one minute so we can caucus, as it were?

18           CHAIRMAN HENDRIE: I do not see why not. While  
19 you are caucusing maybe we can go ahead and ask the staff to  
20 comment.

21           MR. McGARRY: I think we can be ready in about one  
22 minute. If you would please hold for that one minute, we  
23 would like to hear the comments.

24           CHAIRMAN HENDRIE: Go ahead and caucus.

25           (Discussion was held off the record.)



1           COMMISSIONER GILINSKY: Mr. Rasin, before you  
2 start, I want to say a word. I want to say again that I  
3 don't know what the particular view is, but where the  
4 hydrogen igniter system ought to be turned on, what I wanted  
5 to understand was your rationale for picking the signal that  
6 you have picked. It does not seem to me however that trying  
7 to avoid turning it on once or twice or even three times a  
8 year, using the numbers that were given to us a few minutes  
9 ago, is a sufficiently good reason for picking the 3 psi as  
10 opposed to an earlier point.

11           I assume that --

12           MR. RASIN: I guess that --

13           COMMISSIONER GILINSKY: -- the system more  
14 frequently than that anyway. You probably test it several  
15 times a year.

16           MR. RASIN: It is I think tested at least four  
17 times a year. It is energized for testing.

18           In terms of what is a good enough reason for you  
19 and what is a good enough reason for me, I suppose there is  
20 just a difference. I suppose I have good enough reason to  
21 believe that if you are going to need these things, you are  
22 going to get the 3 psi and I am confident that safety  
23 injection and 3 psi are equivalent on a transient where you  
24 are going to need these things.

25           I would admit, as I said before, that is our only

1 basis. And we agree with the staff in terms of their view  
2 that both schemes are at this time acceptable from the  
3 standpoint of the operation of the mitigation system. I  
4 would agree with that. And our basis is and remains as I  
5 have stated.

6 I would like to take issue with the staff's  
7 position with regard to the air return fans. I would not  
8 agree that there is no problem with initiating the air  
9 return fans earlier than the 3 psi. The air return fans are  
10 an integral part of the containment and engineered safeguard  
11 features.

12 The plant was designed with many bases in mind.  
13 The mitigation system is put in to handle one event within  
14 the whole realm of the plant operation. I do not feel that  
15 the rest of the plant should have to bend to the  
16 installation of that one particular system by changing those  
17 set points.

18 It would require a reanalysis of the accident to  
19 ascertain what the effect of operation of the air return  
20 fans at a different time would be, whether there would be  
21 any effect, because there would essentially be none if the  
22 blowdown had not yet been concluded. And I would not put  
23 that in the realm of what you would call a painless or not  
24 expensive change to make. I would consider that a very  
25 significant and expensive and unwarranted change to make.

1           CHAIRMAN HENDRIE: Since you turn the igniters on,  
2 on the basis that it had reached a certain set point, the  
3 procedure, say if you reach that point, is you go and turn  
4 them on and the operator then goes to the switch gear and  
5 throws the appropriate switches so it is a manual  
6 procedure. What would be required then to turn the igniters  
7 on at a lower pressure or at some other event such as the  
8 initiation of safety injection is just a change in the  
9 operating procedures --

10           MR. RASIN: Yes, sir, that is correct.

11           CHAIRMAN HENDRIE: -- and a not trivial point,  
12 making sure that the operating staff understands the change  
13 and some operators are not under the impression the old  
14 rules apply and some that the new apply.

15           But I am inclined to agree that changing the  
16 sequence at which other equipment comes on, fans and so on,  
17 is a rather more significant matter. One really has to go  
18 back then and redo all of the containment analyses to make  
19 sure you have not done something unfortunate. So I am  
20 included to agree with that.

21           Are there other questions?

22           MR. MATTSON: You asked in the question whether it  
23 was feasible, and I answered the question: yes, it is  
24 feasible to lower the set point. Is it necessary? No. Is  
25 the money warranted to redo the analysis to make sure all

1 the other reasons that 3 psi was picked for the fans, is  
2 that reanalysis warranted by the concern that is expressed  
3 here? We do not believe so.

4           COMMISSIONER GILINSKY: But what about the first  
5 question? It seems to me that by using an earlier signal to  
6 initiate the igniters, protecting against a larger class of  
7 possible accidents, and the disadvantages of turning the  
8 igniters on once or at the most several times a year, a  
9 couple of times a year, seem pretty slight. Why not do it  
10 at the earlier point?

11           MR. MATTSON: We tend to agree with you. What I  
12 said in my statement was that our plan was to take a little  
13 longer to look at it but our position is not hard and fast.

14           Just by way of comment to Mr. Riley's remarks, I  
15 would urge you not to select prudence as the sole basis for  
16 indiscriminately requiring further actions by control room  
17 operators and auxiliary operators in the event of reactor  
18 scrams. You will recall how we have cautioned one another  
19 since TMI with loading up reactor operating staff and  
20 reactor control rooms with more and more things they have to  
21 do off the top of their heads every time the bells ring. So  
22 prudence itself is not a reason to go turn the igniters on.

23           If the thoughtful consideration of other accidents  
24 that might find a way to produce hydrogen without producing  
25 3 psi leads you to believe that you would significantly

1 enlarge the window of protection afforded by the igniters,  
2 that is a good reason to turn them on. That is the window  
3 we are exploring, and we had simply decided some months ago  
4 to take the rest of 1980 to answer that question.

5           CHAIRMAN HENDRIE: You mean 1981. You have  
6 already taken the rest of 1980.

7           MR. MATTSON: Yes, 1981.

8           (Laughter.)

9           MR. MATTSON: The question that Mr. Riley raised  
10 on when to turn the igniters off is not a new question and  
11 also is included in the work that we have ongoing,  
12 principally generated by some of the testimony in the  
13 McGuire hearing.

14           Suggestions have ranged broadly on how igniters  
15 ought to be controlled, when they ought to be initiated,  
16 should they be turned off in some situations, even so far as  
17 the suggestion that individual igniters may need local  
18 detection and control devices. That could get rather  
19 cumbersome and rather expensive but remains one possibility  
20 that is in front of us as we continue to look at what ought  
21 to be the required hydrogen mitigation system for the long  
22 term and the small containments.

23           So in addressing those kinds of questions we will  
24 have to come to grips with when on and when off. I welcome  
25 the suggestion that we look at that question.

1           In fact the record of this proceeding has on it a  
2 considerable discussion of the inerting of hydrogen by steam  
3 or fog. He seems to be adding -- this is the first time I  
4 have heard his argument -- the additional parameter of  
5 accessibility of air to concentrations of hydrogen once the  
6 steam goes away. You will leave concentrated areas of  
7 hydrogen and how will the air find its way to those  
8 concentrations: that is a nuance that was not on the record  
9 to my knowledge. But the question of lower plenum inerting  
10 followed by dry-out and steam leading to transitions to  
11 detonation and things like that you have heard on the record  
12 of this proceeding. You have heard us discuss them in the  
13 context of the interim rule for hydrogen control. These are  
14 questions very much in front of us between now and the end  
15 of this year.

16           Those are the only comments I would make in  
17 response to what I have heard.

18           COMMISSIONER GILINSKY: I do not have much more to  
19 add. I guess I would like to ask, are you familiar in  
20 detail with the calculations leading to the predictions in  
21 pressures during accidents? The question I want to ask is  
22 simply this. It seems to me it is one thing to predict that  
23 the pressure will be 10 psi or 20 psi or whatever. It is  
24 another thing to predict the difference between 1 and 2 and  
25 3 and 4. And it seems to me, I would think that our ability

1 to predict those sorts of things to that sort of detail is  
2 limited, given the complexity of the inside of a containment  
3 and the ice and so on.

4           So as I think I have said several times here, it  
5 seems reasonable to try to not have these protective  
6 measures and our instructions on igniters depend sensitively  
7 on the detailed predictions of such calculations but to be  
8 based on more general principles. That is why it seems to  
9 me, other things being equal, one would want, if there are  
10 no other sizable significant costs attached to this step, to  
11 have instructions to turn them on earlier.

12           At some point you said you thought they were  
13 equally acceptable signals. I gather you have at least a  
14 mild preference for one.

15           MR. RASIN: Let me speak to the sensitivity of the  
16 analyses. I would agree with you that I would certainly not  
17 want to defend with my life the exact number of plus or  
18 minus the tenth to the psi given in any of our safety  
19 analyses for a particular point in time.

20           However if you look within that containment of the  
21 amounts of energy that need to be required to change the  
22 pressure of psi or so, they are really not very great for  
23 that volume. For instance if one were to just add the  
24 hydrogen gas without looking at the burning aspects at all,  
25 you would add greater than 3 pounds pressure to the

1 containment. That is just a hydrogen gas taken at the same  
2 temperature as the containment atmosphere.

3           When you begin adding superheated steam with the  
4 hydrogen content to the containment, pressure goes up very  
5 quickly. And whether it goes to 7 or 7.5 or 8 is  
6 immaterial. But it goes up well in excess of 3 psig to at  
7 least a factor of 2 in most all of the analyses I have  
8 seen. For instance the design basis accident, you are up  
9 greater than 7.5 psig within ten seconds of the onset of the  
10 accident due to the blowdown. So we are not just barely  
11 making 3 on any of these scenarios.

12           COMMISSIONER GILINSKY: You think this covers  
13 small breaks as well?

14           MR. RASIN: It covers the small breaks that we  
15 have looked at. We have done some estimates on looking at  
16 what would happen at smaller breaks. They were done some  
17 time ago. But we have found that basically about all you do  
18 is change the time frame a little bit, even down to what we  
19 would consider as excessive leakage rather than a LOCA.

20           COMMISSIONER GILINSKY: Would these be  
21 conservative calculations or realistic ones?

22           MR. RASIN: The calculations that we have done for  
23 this hydrogen work have been done with CLASSIX. We have  
24 done them conservatively from an engineering standpoint. We  
25 have not conducted them as you would conduct licensing



1 calculations.

2           COMMISSIONER GILINSKY: Do they take full account  
3 of the ice, the possibility of condensation?

4           MR. RASIN: Yes. They include the effects of the  
5 ice. From the beginning of the blowdown we take into  
6 account the heat transfer to the ice, the effects of the  
7 sprays, the air return fans. The CLASSIX Code also includes  
8 the structural heat sinks. So we do look at just heating up  
9 the metal and concrete in the containment.

10           COMMISSIONER GILINSKY: Thank you.

11           CHAIRMAN HENDRIE: Mr. Riley, it is your turn on  
12 this last round.

13           MR. RILEY: Thank you.

14           Mr. Rasin, does the CLASSIX Code assume  
15 homogeneous compositions within the lower compartment, the  
16 ice condenser and the upper compartment with respect to the  
17 concentration of hydrogen?

18           MR. McGARRY: As his counsel I am going to object  
19 to that form. I have held off on some objections. I think  
20 Mr. Riley of course is free to address the Commission. I  
21 did not think this session was an interrogation of one party  
22 by another party.

23           CHAIRMAN HENDRIE: No, it is not.

24           Tell me where you are aiming and maybe I can help  
25 you out and ask him a few questions for you. I am unwilling

1 to be a blind conduit.

2 MR. RILEY: I will be very glad to oblige.

3 The entire schema with respect to pressure  
4 development and burns and so forth that has been provided by  
5 the Applicant in what is known as Exhibit 5-B makes certain  
6 code assumptions. What I am trying to determine is if one  
7 of these assumptions, the in my judgment the unrealistic  
8 one, that throughout the course of the accident the hydrogen  
9 concentration is uniform, though increasing and then later  
10 decreasing through the lower containment, and then a  
11 different one through the ice condensers and still a  
12 different one through the upper containment.

13 CHAIRMAN HENDRIE: I guess your aim would be to  
14 reinforce your previous comments about possible  
15 inhomogeneity in atmospheric composition at various times in  
16 an accident sequence.

17 MR. RILEY: Not only that; it would be to raise  
18 the question of whether or not we can rely on the  
19 predictions of CLASSIX, because if CLASSIX is based on  
20 faulty major assumptions then I think that we are in a  
21 position of distrusting its results.

22 CHAIRMAN HENDRIE: But with regard to the  
23 questions we asked this afternoon about feasibility on the  
24 one hand, reasonableness on the other of set points for  
25 turning the igniters on, I am not sure where that gets you.

1           MR. RILEY: I think that is a very fair  
2 observation. I will say this. It may relate to the  
3 discussion of achieving 3 psi pressure drop and the later  
4 pressure drop which I think Mr. Rasin said was 6.5 psi at  
5 which point the air return fans went on. It would have to  
6 do with predicting those times which have already been  
7 stated.

8           CHAIRMAN HENDRIE: I think once you get enough  
9 hydrogen so that questions of hydrogen inhomogeneity are of  
10 interest, we have certainly gone past the time and the  
11 sequence at which one would have hoped the igniters had been  
12 on.

13          MR. RILEY: The thrust of my testimony was that  
14 that assumes a known scenario like S2D. And certainly we  
15 did not play out anybody's known scenario at Three Mile  
16 Island because of the various interventions that took  
17 place. Just because it is a human possibility that if an  
18 accident occurs at McGuire it will not play out a precise  
19 scenario, I think that it is fair game to ask for mutations  
20 with respect to scenarios. That would be one.

21          CHAIRMAN HENDRIE: It is certainly fair game from  
22 your standpoint. But I have a feeling that that discussion  
23 leads us back into the merits of issues which have been  
24 adjudicated and they are on the record, people's points of  
25 view one way or another expressed. And it is not so clear

1 to me that it deals directly with the two questions here  
2 about the set point on the igniter triggering.

3           As I understand the thrust of your remarks with  
4 regard to particular questions here, I would assume you  
5 would be inclined to vote for a lower set point barring any  
6 good reason not thus far discussed for doing it. And I  
7 think there is a valid point to be made about trip points on  
8 the fans. Would that be an unfair characterization of your  
9 view with regard to the particular point on set points?

10           MR. RILEY: I think it would be a substantially  
11 correct view. I would feel more comfortable, all things  
12 considered, if the pressure set points were lowered. I am  
13 not so sure that I would want to see the fans go on before  
14 3 psig. I am not certain that it would be that relevant.

15           I do think though that there is some surviving  
16 value in the question that I wish to propound to Mr. Rasin.  
17 That is it would be helpful I think for the Commission to  
18 know whether the underlying assumption of their calculations  
19 of events assumes homogeneity of hydrogen within the several  
20 containments at any instant in time.

21           The entire igniter operation is premised I believe  
22 on knowing what the hydrogen concentrations are. If at one  
23 small point you have a burnable 10 percent and at other  
24 points you have an unburnable 5 percent or unburnable  
25 85 percent, our entire reliance on the igniter thing falls

1 apart. In the sense that I felt we were concerned about the  
2 efficacy of the igniter system, I would raise the question.

3           CHAIRMAN HENDRIE: I will tell you what I am going  
4 to do. I am going to use it in a somewhat different form.  
5 Rather than turning to Duke Power, I will turn to the people  
6 I have worked with for many years and ask whether I can  
7 comment about the way in which those codes currently are  
8 being hydrogen concentrations and once more ask him to sort  
9 out summarize by seeing whether he sees any significant  
10 difficulties in set point, safety objection.

11           MR. MCGARRY: If I can just jump in, Chairman  
12 Hendrie, and give Dr. Mattson perhaps 30 seconds to reflect,  
13 I would like the record to reflect that during the  
14 exhaustive administrative adjudicatory hearing, the  
15 Applicant presented well over 20 witnesses and we discussed  
16 the CLASSIX Code. We had the people there who developed the  
17 CLASSIX Code and the underlying assumptions.

18           CHAIRMAN HENDRIE: Fair enough I guess to note  
19 that.

20           Roger?

21           MR. MATTSON: I would think that the fact that the  
22 Codes do treat the rather large volumes with single nodes,  
23 with homogeneous assumptions, would have little to do with  
24 the validity of the 3 psi set point. You are primarily  
25 interested in mass addition in the lower plenum. You add it

1 up; you put it in the volume; you calculate what the  
2 pressure will be.

3           The homogeneous assumption would have a lot to do  
4 with the question of can you inert large volumes of pure  
5 hydrogen with steam, isolate it from air, later remove the  
6 steam and then bring the air into the previously isolated  
7 volume of hydrogen. That is obviously a heterogeneous  
8 question for which the existing codes are not particularly  
9 good.

10           I also point out that that is what is known as  
11 multiphase, multicomponent flow at which very few codes in  
12 the whole world have ever been any good for any problem. It  
13 is a very difficult area of analysis. You often end up with  
14 not finite element codes of the sort with which we are  
15 accustomed in MOCA and containment analysis but a lot of  
16 qualitative arguments and qualitative analysis.

17           It is a difficult area. It is one we have said we  
18 would look into. I do not believe it is particularly  
19 germane to picking the 3 psig set point.

20           CHAIRMAN HENDRIE: Or some other.

21           MR. MATTSON: Yes.

22           CHAIRMAN HENDRIE: But the Codes do treat the  
23 containment subdivided into a number of nodes, lower  
24 compartment I guess, ice condenser, upper compartment at  
25 least.

1 MR. MATTSON: You can think of it as a  
2 one-dimensional representation with homogeneity in each  
3 node, yes.

4 CHAIRMAN HENDRIE: But in the calculation,  
5 different areas in the containment represented by the single  
6 node could have different and do have different compositions  
7 as the sequence goes along. It is still less than a highly  
8 detailed representation. On the other hand it is not so  
9 crude as to consider the containment a single volume either.

10 MR. MATTSON: For a burning and an energy transfer  
11 point of view, it would be important to treat it in multiple  
12 volumes so that you could somehow handle the inhomogeneity.

13 But for a mass, an energy addition to determine  
14 the pressure, there is no way to sustain much pressure  
15 difference across such a large space. The representation by  
16 a single node with an assumption of homogeneity would be  
17 very good.

18 COMMISSIONER GILINSKY: How many nodes are there?  
19 Are all the ice chests lumped together or are they treated  
20 individually?

21 MR. MATTSON: You are getting into a little more  
22 detail than I am close to. I could ask Mr. Tinkler of the  
23 staff to stand up and see if he could address the question.

24 MR. TINKLER: The original CLASSIX analysis had a  
25 one-node volume of the ice condenser region. Revised

1 analyses have modeled that region with two nodes, the  
2 separate node for the upper plenum of the portion of the ice  
3 condenser region.

4           CHAIRMAN HENDRIE: Mr. Riley?

5           MR. RILEY: Mr. Chairman, do I still have an  
6 opportunity to resume on our discourse with respect to  
7 questions?

8           CHAIRMAN HENDRIE: Let me allow you about two more  
9 minutes, Mr. Riley, because I am running out of time. I  
10 have some other appointments, and I sense that the  
11 Commissioners have had a fair chance to probe into the items  
12 that were of interest here.

13           MR. RILEY: I think it would be highly desirable  
14 to establish the pressure difference between the upper  
15 containment and the lower containment at times of maximum  
16 flow from the leak. The reason I say this is that the air  
17 return fans according to the PSAR have a pressure  
18 differential of two pounds per square foot. Psf is the  
19 abbreviation used. That adds up to a little over  
20 one-hundredth of a pound per square inch.

21           It is my belief that the pressure inside the lower  
22 compartment will have a differential much greater than that  
23 with respect to the upper compartment and that the fans will  
24 be back up if anything. And this aberration in the flow  
25 process I do not think has received any consideration. I



1 think it is a fair question.

2 CHAIRMAN HENDRIE: I will ask the Commissioners to  
3 take it under advisement.

4 Do you have other comments?

5 Peter?

6 COMMISSIONER BRADFORD: No, sir.

7 CHAIRMAN HENDRIE: I think we have then achieved  
8 the purpose from the Commission's standpoint of the  
9 briefing. I must say I want to thank all of the parties for  
10 a useful and, on your part, very focused and timely sort of  
11 discussion. I appreciate your coming.

12 MR. McGARRY: At the risk of sounding like a  
13 lawyer and coming in at the last minute, I am going to barge  
14 ahead anyway, Mr. Chairman, for 30 seconds.

15 Discussions with Commissioner Gilinsky and Mr.  
16 Rasin, indeed all the parties, centered on two points. The  
17 first one was whether or not it is necessary to lower the  
18 set point for the igniters. We are aware of course of the  
19 Sequoyah situation which is premised upon safety injection.

20 I would like Mr. Rasin to mention just one point  
21 to you because our people think it is very important. It  
22 really was not brought to your attention. But if indeed you  
23 are inclined to go in that fashion and make that a  
24 condition, we would feel strongly that that condition should  
25 read that the set point would be at safety injection with an

1 indication of a LOCA. I think that is important, based upon  
2 our operator training program. We do not want them, and I  
3 am going to turn this over to Mr. Rasin for a second, but  
4 there is a reason.

5           MR. RASIN: We spent all of our time quibbling  
6 over our differences of what was a good enough reason, but I  
7 wanted to assure that we left you with the fact that I would  
8 consider to be equivalent to our 3 psig initiation trigger,  
9 a safety injection signal. What the operator does when he  
10 receives that signal is to immediately begin a checklist of  
11 looking to ascertain whether or not there is leakage of  
12 coolant into the containment. That I would consider to be  
13 equivalent.

14           If we went to just the safety injection signal,  
15 period, I would consider that unnecessary but essentially  
16 equivalent. If we were to go to a criteria of every time  
17 you get a reactor trip, I think that is just totally  
18 inappropriate for the situation we are dealing with. I do  
19 not think the first thing we ought to have in an operator's  
20 mind when he gets a reactor trip is to run for the hydrogen  
21 igniter switches.

22           COMMISSIONER GILINSKY: When you say "indication  
23 of a LOCA," is that a term of art? Does that represent some  
24 specific information that a reactor would receive?

25           MR. RASIN: There are specific criteria in the

1 procedure. When a safety injection signal is received, the  
2 operator begins verifying that certain things have happened  
3 and he has a checklist of things to look for to show that  
4 there is in fact leakage of coolant into the containment.

5           COMMISSIONER GILINSKY: That would be a precise  
6 instruction.

7           MR. RASIN: It is a precise instruction, yes, sir.

8           MR. McGARRY: Thank you, Mr. Chairman.

9           CHAIRMAN HENDRIE: It turned out you had the last  
10 word.

11           Thank you all very much.

12           (Thereupon, at 3:30 p.m., the hearing was  
13 adjourned.)

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the  
COMMISSION MEETING

in the matter of: McGuire Application for an Operating License

Date of Proceeding: June 24, 1981

Docket Number: \_\_\_\_\_

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Judith F. Richard

Official Reporter (Typed)

  
Official Reporter (Signature)