

NUCLEAR REGULATORY COMMISSION

ORIGINAL

ATOMIC SAFETY AND LICENSING BOARD

In the Matter of:

SOUTHERN CALIFORNIA EDISON COMPANY, et al.)
)
 (San Onofre Nuclear Generating Station,) DOCKET NO. 50-361 OL
) 50-362-OL
 Units 2 and 3))

DATE: July 16, 1981 PAGES: 4612-4859
 AT: San Diego, California

TRO1
 S
 1/0
 ADD:
 M. MOE 981 SS
 S. Mikolau H-1007



ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

-----X
 :
 In the Matter of: :
 :
 SOUTHERN CALIFORNIA EDISON COMPANY, et al.: Docket Numbers
 : 50-361-OL
 (San Onofre Nuclear Generating Station, : 50-362-OL
 Units 2 and 3) :
 :
 -----X

MARION BRASCAI
 EST. COFFEE
 Stardust Hotel and Country Club
 Tower Room
 950 Hotel Circle North
 San Diego, California

Thursday,
 July 16, 1981

Evidentiary hearing in the above-entitled matter
 was resumed, pursuant to adjournment, at 9:12 a.m.

BEFORE:

JAMES L. KELLEY, Esq., Chairman
 Atomic Safety and Licensing Board

Dr. CADET H. HAND, JR., Member

MRS. ELIZABETH B. JOHNSON, Member

1 APPEARANCES:

2 ON BEHALF OF THE APPLICANTS, SOUTHERN CALIFORNIA
3 EDISON, et al.:

4 DAVID R. PIGOTT, Esq.
5 JOHN A. MENDEZ, Esq.
6 Orrick, Herrington & Sutcliffe
7 600 Montgomery Street
8 San Francisco, California 94111

9 JAMES A. BEOLETTO
10 Southern California Edison Company
11 P.O. Box 800
12 2244 Walnut Grove Avenue
13 Rosemead, California 91770

14 ON BEHALF OF THE APPLICANT CITIES OF RIVERSIDE
15 AND ANAHEIM:

16 DANIEL SPRADLIN, Esq.
17 Rourke & Woodruff
18 1055 North Main Street, Suite 1020
19 Santa Ana, CA 92701

20 ON BEHALF OF THE INTERVENOR, A.S. CARSTENS:

21 RICHARD J. WHARTON, Esq.
22 U.S.D. School of Law
23 Alcala Park
24 San Diego, CA

25 A.S. CARSTENS
2071 Caminito Circulo Norte
La Jolla, CA 92037

GLEN BARLOW
Consultant on Geology
Friends of the Earth

ON BEHALF OF THE REGULATORY STAFF:

LAWRENCE J. CHANDLER, Esq.
Deputy Assistant Chief Hearing Counsel
Office of Executive Legal Director
Washington, D.C.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES: (Continued)

ON BEHALF OF THE REGULATORY STAFF:

BENJAMIN VOGLER.

Office of the Executive Legal Director
United States Nuclear Regulatory Commission
Washington, D.C. 20555



C O N T E N T S

<u>WITNESSES:</u>	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>
1				
2				
3	John Gregg Anderson	4616		
4	(By Mr. Wharton)			
5	Clarence Allen	4662		
6	(By Mr. Wharton)			
7	Paul Boore	4743		
8	(By Mr. Wharton)			
9	(By Mr. Pigott)		4764	
10	Richard Simons	4778		
11	(By Mr. Wharton)			
12	(By Mr. Beoletto)		4802	
13	(By Mr. Vogler)		4846	
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

<u>EXHIBITS:</u>	<u>FOR IDENTIFICATION</u>	<u>IN EVIDENCE</u>
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P R O C E E D I N G S

1
2 JUDGE KELLEY: Good morning. We are back on the
3 record, and having completed with Dr. Brune yesterday after-
4 noon, Mr. Wharton will present his next witness, right?

5 MR. WHARTON: Yes.

6 JUDGE KELLEY: Could you introduce the Witness?

7 MR. WHARTON: Yes. Intervenors' subpoenaed
8 witness, first subpoenaed witness, is John Gregg Anderson,
9 and at this time I will pass out a resume of John Anderson,
10 which I believe would be appropriate to label as Intervenors'
11 Exhibit, I suppose, for the purposes of the record, and this
12 would be Intervenors' Exhibit Number 8.

13 JUDGE KELLEY: Yes.

14 (Whereupon, the document re-
15 ferred to was marked for
16 identification as Intervenors'
17 Exhibit Number 8.)

18 Whereupon,

19 JOHN GREGG ANDERSON

20 having been duly sworn, was called as a witness herein and
21 was examined and testified as follows.

22 DIRECT EXAMINATION

23 BY MR. WHARTON:

24 Q Would you please state your name for the record?

25 A John Gregg Anderson.

1 Q Dr. Anderson -- it is Dr. Anderson, I take it?

2 A Yes.

3 Q I have before me and you have in front of you,
4 and we have distributed to the parties a resume of John Gregg
5 Anderson. Is this a document that you prepared?

6 A Yes.

7 Q Would you briefly summarize your qualifications
8 as set forth in this resume? It wouldn't be necessary to
9 read everything.

10 A My educational background is a Ph.D. degree in
11 geophysics, in which I specialized in seismology, and I re-
12 ceived that at Columbia Univeristy in 1976. Since that time
13 I have worked as a research fellow at the California Insti-
14 tute of technology for one year, then as a research associate
15 at the University of Southern California for about four years
16 and since last August I have been a research scientist at the
17 University of California, San Diego. All of that time I have
18 been working in various aspects of seismology.

19 Q And what is your highest academic degree?

20 A It is a Ph.D. degree.

21 Q And where did you receive that again? I --

22 A Columbia University.

23 Q And how long have you been working at Scripps
24 Institute?

25 A Almost one year.

1 Q How long? I am sorry.

2 A Almost one year.

3 Q Okay, Dr. Anderson, did you investigate or do
4 studies of the Mammoth earthquake -- accelerations which oc-
5 curred on or about May 27th, 1980?

6 A Yes.

7 Q Would you briefly summarize your findings of the
8 results of that earthquake with -- specifically looking to-
9 ward the magnitude of the earthquake and the peak accelera-
10 tions found during that earthquake at certain locations?

11 MR. PIGOTT: I am going to object as not laying
12 a foundation as to the type of investigation that was made,
13 and also as to the questions -- the form of the question
14 that is calling for a narrative.

15 JUDGE KELLEY: I think it does require a little
16 more foundation before it gets --

17 MR. WHARTON: Yes, Mr. Chairman. As far as the
18 area of asking for a narrative, I must point out that this is
19 a subpoenaed witness, it is a witness who the Intervenors
20 have little opportunity to review the testimony of the case
21 with, and the nature of the material is such that I believe
22 that some sort of narrative would be appropriate under the
23 circumstances.

24 MR. PIGOTT: I would -- we will get to it when
25 we get a question, but --

1 JUDGE KELLEY: Tell me, I need to be a little
2 clearer I guess than I am about your objection to the narra-
3 tive from this Witness.

4 MR. PIGOTT: Well, I -- the man, I am sure, has
5 done investigations in this area. The question would you
6 describe your investigations I am not sure goes to the points
7 of this particular case. I think that Mr. Wharton is well
8 enough educated in the issues that are presented to us, that
9 once the investigation has been described, he is then in a
10 position to ask for the relevant evidence that we might use
11 in this proceeding, and that is what I think we should keep
12 directing our attention to in this. As the person who is going
13 to be required to cross examine Dr. Anderson, I would like
14 to have some structure and some semblance of a testimony
15 that relates to this hearing.

16 JUDGE KELLEY: Well --

17 MR. PIGOTT: Surely, Mr. Wharton --

18 JUDGE KELLEY: You do have -- you are going to
19 have an overnight time to prepare your cross. If this seems
20 to wander unduly, I am sure you will object, but I think
21 there is something to be said for a fore-narrative, you know,
22 what did you do about Mammoth Lake? Maybe we can get that
23 out more quickly than through one line Q and A's. So let's
24 go ahead and see how this works.

25 MR. WHARTON: Yes, I did forget one background

1 area.

2 BY MR. WHARTON:

3 Q Dr. Anderson, are you appearing in this proceed-
4 ing under subpoena?

5 A Yes.

6 Q Have you taken any positions whatsoever on San
7 Onofre?

8 A No.

9 Q Would you -- strike that. The -- in the course
10 of preparing for your testimony today, did you review certain
11 documents?

12 A In the course events that led to my being sub-
13 poenaed, Mr. Glen Barlow stopped by my office frequently to
14 find out what I had been doing that might be relevant to the
15 case. And on those occasions he would often give me Xerox
16 copies of various documents which are related to the case.

17 And I have just given you the copy of that docu-
18 ment as --

19 Q I believe you may still have that.

20 A Oh, yes, you are right. I do still have it.
21 Okay.

22 Q Would you read for the record the documents that
23 you have reviewed prior to testifying today?

24 A It is difficult to say what I have reviewed and
25 what I have only browsed, and what I haven't even looked at

1 at all. All I have is a complete list of everything that
2 Mr. Barlow gave me.

3 Q Can you review -- look at those and tell us which
4 ones -- give an estimate as to what you read, browsed or just
5 looked at?

6 A Well, there is the safety evaluation report,
7 which I browsed through, I guess. There is an affidavit of
8 James Brune, written testimony of Richard Simons, Mark Legg,
9 James Brune. I have read the testimony of Brune. A number
10 of NRC Staff questions and responses. 361.38, 361.44, and
11 I think there are others later on this list. It is not in
12 any particular order.

13 He has given me the report of the evaluation of
14 maximum earthquake and site ground motion parameters asso-
15 ciated with offshore zone of deformation, San Onofre --
16 Witness I.M. Idriss. Evaluation of peak horizontal ground
17 acceleration associated with the offshore zone of deformation,
18 Witness Lawrence H. Wight. A deposition of Dr. Brune. Re-
19 port of the evaluation of maximum earthquake and site ground
20 motion parameters associated with the offshore zone of deforma-
21 tion, San Onofre Nuclear Generating Station, Woodward Clyde
22 Consultants, June, 1979.

23 There was something entitled --

24 JUDGE KELLEY: Excuse me, Mr. Wharton, I am look-
25 ing at your trial brief here, and I am looking at the

1 description of what Dr. Anderson is expected to testify to,
2 and we have slip rate and Mammoth earthquake accelerations,
3 and then a point about attenuation models.

4 Now, in asking Dr. Anderson to go over this list,
5 I gather you are laying a foundation for what he is going to
6 testify to --

7 MR. WHARTON: That is correct, that he has --

8 JUDGE KELLEY: But a lot of these -- I am just
9 wondering if it can't be narrowed in some fashion -- if these
10 are indeed the areas you intend to elicit --

11 MR. WHARTON: Yes. I believe what he has read
12 so far would cover, I believe, enough to establish the founda-
13 tion for testifying further.

14 MR. PIGOTT: I am sorry, I haven't heard him say
15 he read them. I heard him read the list. And a couple of
16 things he said he browsed, but so far we have had readings
17 from a list of documents supplied by Mr. Barlow.

18 JUDGE KELLEY: Well, what I was getting at was
19 is there a convenient way that we can put in the record the
20 Witness's background on these particular points?

21 MR. WHARTON: I guess we --

22 JUDGE KELLEY: And that is really --

23 MR. WHARTON: When I get to those --

24 JUDGE KELLEY: His general qualifications, it
25 seems to me, are pretty clear from his resume, and I just

1 wonder if we can't --

2 MR. WHARTON: Fine, we can do --

3 JUDGE KELLEY: -- focus this a little bit.

4 MR. WHARTON: -- when we --

5 BY MR. WHARTON:

6 Q Regarding the Mammoth earthquake accelerations,
7 did you perform an investigation of the Mammoth earthquake
8 of May 27th, 1980?

9 A Yes.

10 Q In what capacity did you investigate that particu-
11 lar earthquake?

12 A That earthquake was part of a sequence at Mammoth
13 Lakes. The first strong earthquakes of the sequence -- at
14 least the first ones that I -- that called my attention to
15 the sequence occurred on May 25th in the morning, and after
16 those earthquakes had occurred, I collaborated with Dr. Tom
17 Heaton, who is an employee of USGS for the stations at Cal
18 Tech.

19 We took a number of strong motion accelerographs
20 and drove up to the Mammoth Lakes area in order to make some
21 temporary installations in the hopes of recording some strong
22 ground shaking data that would be relevant for studying earth-
23 quake sources.

24 Q Okay, did you actually read the measurements of
25 the ground acceleration for that particular earthquake?

1 A We succeeded in putting out a number of instru-
2 ments which indeed recorded some strong ground shaking during
3 the magnitude about 6.2 earthquake on May 27th, and -- let
4 me show a viewgraph that shows that particular data set.

5 MR. PIGOTT: Excuse me, is this the document that
6 was struck from Dr. Brune's testimony yesterday, Mr. Wharton?

7 MR. WHARTON: I believe it was.

8 MR. PIGOTT: Could we have a little foundation
9 for it?

10 WITNESS ANDERSON: This is the corrected version,
11 so you should not --

12 BY MR. WHARTON:

13 Q Okay, Dr. Anderson, I have to ask some questions
14 about this particular chart. You have shown up on the view-
15 graph, and we have passed out to the members of the Board,
16 the parties and three copies to the Reporter, a map showing
17 the Lake Crowley area and showing the epicenter, May 27th,
18 1980, 1450GMT, which we would mark for identification as
19 Intervenors' Exhibit 9.

20 (Whereupon, the document referred
21 to was marked for identification
22 as Intervenors' Exhibit Number
23 9.)

24 BY MR. WHARTON:

25 Q Dr. Anderson, have -- did you participate in

1 preparing this particular diagram?

2 A Yes.

3 Q Did anyone else draw this particular diagram
4 with you or is this solely your work?

5 A It at least is predominantly my work, but it in-
6 corporates some results which are not my work.

7 Q Would you tell us what the purpose of this dia-
8 gram is to show?

9 A The -- this diagram shows the vicinity of the
10 May 27th, 1980 earthquake and the locations of the strong
11 ground motion stations which we installed or which other
12 people installed in the temporary array.

13 JUDGE KELLEY: Just really out of curiosity,
14 about where in California is this?

15 WITNESS ANDERSON: This is the vicinity of
16 Mammoth Lakes, California.

17 JUDGE KELLEY: And where is that?

18 WITNESS ANDERSON: On the eastern side of the
19 Sierra Nevada Mountains, I guess a little bit south of San
20 Francisco -- a little bit south of the latitude of San
21 Francisco.

22 JUDGE KELLEY: On the east -- close to Nevada?

23 WITNESS ANDERSON: Yes.

24 JUDGE KELLEY: Okay, thank you.

25 WITNESS ANDERSON: This map shows the epicenter

1 of the earthquake and the epicenter location is not based on
2 my work. That is taken from a paper by Kramer and Topizada
3 written in 1980, which appeared in Special Report 150 by the
4 California Division of Mines and Geology.

5 And this focal mechanism, also, is taken from
6 that report by Kramer and Topizada.

7 The seven sites that are marked on here locate
8 the sites of temporary strong motion accelerographs which we
9 installed between 25th and the 27th, and below each accelero-
10 graph it shows the peak accelerations which were recorded
11 during this particular earthquake. So for example, at this
12 one, the peak vertical acceleration was .21G. The two hori-
13 zontal components showed .20 and .18G.

14 BY MR. WHARTON:

15 Q Okay, looking at the location 3754 at Convict
16 Lake, would you tell us how far away that particular location
17 is from the epicenter?

18 A Approximately 10 kilometers.

19 Q Okay, and what were the peak horizontal accelera-
20 tions recorded at that location?

21 A The two components recorded .72Gs and .55Gs.

22 Q Is .72G considered a significant G factor in --
23 strike that. Is .72G a higher ground acceleration than you
24 as an expert would normally expect from a magnitude 6.2 earth-
25 quake at 10 kilometers?

1 A There is very little data at 10 kilometers, and
2 so I cannot say whether that is higher than I would expect
3 or not.

4 Q Okay. Two other -- I believe there were two
5 other stations? Strike that. What were the readings of
6 other locations in the approximate same area or same distance?

7 A Okay, well there is station 1494, which the ver-
8 tical component on that was misaligned. The two horizontal
9 peak accelerations were .27 and .35G, and station 1454, where
10 the two horizontal accelerations were .20 and .1G peaks.
11 And those two stations are both also approximately 10 kilo-
12 meters from the estimate for the epicenter.

13 Q Have you been able to determine, or do you have
14 any opinions as to why the ground -- peak ground accelerations
15 at .3754 are so much higher than the other location at 1494
16 and 1454?

17 A I don't know why they are considerably higher.
18 There is the possibility of focusing of energy toward the
19 North, or the possibility that energy is being focused away
20 from the lower readings. I think that there is not enough
21 data to -- contained at least from a preliminary looking at
22 the accelerograms to determine exactly why there is --

23

24

25

hp 1

tape 2

1 MR. PIGOTT: Is the fault on that particular plot?

2 WITNESS ANDERSON: No, there is no fault drawn on
3 this plot.

4 JUDGE HAND: Would you please repeat that?

5 WITNESS ANDERSON: I have not drawn the causative
6 fault on this plot. The reason that I don't have it on there
7 is because I am not really sure what fault caused this earth-
8 quake.

9 The earthquake occurred in the vicinity of a fault
10 named the Hilton Creek fault and my understanding of the
11 geology is that the Hilton Creek fault shows predominantly
12 dip slip motion.

13 The focal mechanism which is shown here, according
14 to Kramer and Topozada's work is indicating primarily
15 strike slip motion which might be inconsistent with the ap-
16 parent geological movement on the Hilton Creek fault. There-
17 fore, I did not know if this earthquake occurred directly on
18 the Hilton Creek fault or not.

19 BY MR. WHARTON:

20 Q Dr. Anderson, as part of preparing for the testi-
21 mony, did you prepare a viewgraph showing Convict Lake May 27th
22 1450 GNT, Mammoth Lake chart showing acceleration and time chart?

23 A Yes, I have prepared a viewgraph showing the three
24 components of acceleration which occurred at the Convict Lake
25 site.

ghp 2

1 Q Would you put that on the viewgraph and explain
2 that please?

3 MR. WHARTON: For the record, Dr. Anderson has put
4 a viewgraph on and we have distributed to the parties, to the
5 members of the Board and three copies to the court reporter,
6 a chart showing acceleration and time for Convict Lake,
7 May 27, 1980, 1450 GNT, which we would label and identify as
8 Intervenor's Exhibit No. 10.

9 (The document referred to was
10 marked for identification as
11 Intervenor's Exhibit No. 10.)

12 BY MR. WHARTON:

13 Q Dr. Anderson, would you explain the chart as it
14 applies to Convict Lake earthquake?

15 A This shows a copy of the accelerogram which was
16 recorded as Station No. 3754 during the May 27th earthquake.
17 The horizontal scale goes from zero to something over eight
18 seconds. The vertical scale shows accelerations with tick
19 marks at plus and minus 800 centimeters per second square.

20 In order to obtain this chart, the strong motion
21 accelerogram has been digitized at the digitizing system be-
22 longing to the University of Southern California. After it was
23 digitized, a base line was applied to it and an instrument
24 correction for the instrument response has been applied.

25 Q And can you explain what information we can get

ghp 3 1 from this particular chart, what the chart is trying to say?

2 A It shows the accelerations which were recorded in
3 the vertical direction and at an azimuth of plus-165 degrees
4 and at an azimuth of plus-75 degrees during this particular
5 earthquake.

6 Let me mention at this point that there is one
7 potential problem with this particular earthquake record, and
8 that is that the instrument had not been bolted down to the
9 ground and therefore there is the possibility that it might
10 have been caused to slide a little bit by the strong shaking
11 and that would have distorted the acceleration slightly.

12 Q Dr. Anderson, have you performed a review of what
13 is now referred to as the slip rate method for determining
14 maximum earthquakes as set forth in the Woodward Clyde Consul-
15 tants report of June 1977?

16 A Yes.

17 Q What is the first information you received regarding
18 this slip rate method?

19 I first heard about the slip rate method in May of 1979.
20 At that time I heard about it through some consulting work that
21 I was doing with the TERRA Corporation. At that time Larry
22 Wight sent me a preliminary copy of a report for SCE in which
23 he asked me to evaluate it.

24 That was a very preliminary report that had ten
25 faults on it with their slip rates. On June 1st I responded

ghp 4

1 with a review as a consultant and at that time I called the
2 result impressive and I went on to say that if it is confirmed
3 by later analysis, it could become a very important part of
4 future risk analysis.

5 After that I said that to establish it for such
6 use, I thought there was a burden to demonstrate there are no
7 exceptions to this method and I think that I indicated a pro-
8 cedure to establish that there were no exceptions. It would be
9 to go and search for all the earthquakes with a strike slip
10 focal mechanism.

11 At that time I suggested a California data set
12 because the report that he sent me emphasized California, but
13 search for all the strike slip mechanisms and determine the
14 slip rates on each of those faults and determine if they are
15 consistent with that method.

16 Q Do you know if that was done?

17 A I don't know if that was done. Since that time it
18 is obvious that a great number of additional faults have been
19 added to it, but I don't know which particular procedure was
20 followed.

21 Q From your present knowledge of the slip rate method,
22 in your expert opinion, is it a valid method for determining
23 the maximum magnitude earthquake that can occur on a fault?

24 MR. PIGOTT: Are you asking all by itself?

25 MR. WHARTON: Yes, by itself.

ghp 5

1 MR. CHANDLER: Mr. Chairman, before we get an
2 answer, I would like to note an objection. No foundation has
3 been laid to show that Dr. Anderson has any present knowledge
4 beyond that which he obtained on his first review in May of
5 1979.

6 JUDGE KELLEY: I would think that his general
7 knowledge and PhD in Seismology along with his review of that
8 particular material would be sufficient for him to give an
9 opinion.

10 JUDGE HAND: Mr. Chandler, don't you suppose that
11 if he is going to respond, that he might well tell us whether
12 it is based on his knowledge of the matter of June 1979 or is
13 based on current knowledge?

14 MR. CHANDLER: I would certainly hope that would be
15 forthcoming and certainly if that is included in the answer I
16 will withdraw my objection.

17 JUDGE KELLEY: On that assumption, then.

18 BY MR. WHARTON:

19 Q Dr. Anderson, have you reviewed the Woodward Clyde's
20 consulting report dated June 1979? It is one of the documents
21 that you referred to earlier.

22 A I have at least read through it and looked at
23 some of the figures in it very closely. Because of the poten-
24 tial importance of this method for seismic risk analysis, I
25 have been interested in it ever since I first saw it and I have

ghp 6

1 been wondering if there might be any validity to it or not.

2 At the present time I am not convinced that it is
3 valid.

4 Q What reservations do you have that makes you state
5 that you don't believe it is valid?

6 A One can follow a relatively simple line of reasoning
7 which considers the mechanics of earthquake faulting which
8 indicates that it might not be valid in general, and allow me
9 to explain that.

10 First, by considering the very simplest type of
11 situation, when a magnitude 7 earthquake occurs, then something
12 of the order of one-and-a-half meters slip might occur on the
13 fault.

14 Now if the fault is slipping at a low slip rate,
15 say one millimeter per year, then there have to be something
16 like 1,500 years between magnitude 7 earthquakes in order for
17 that amount of slip to accumulate so that it can be released
18 in the magnitude 7 event.

19 So that suggests that some relationship might exist
20 between the occurrence time of the maximum earthquake on a
21 fault and the magnitude of the earthquake and the slip rate
22 on the fault.

23 In considering this -- and these are considerations
24 that I have been pursuing from time to time since then -- I have
25 derived a relationship which indicates that.

ghp 7
1 In this particular part, I have been working some
2 with Dr. Lucc, also of UC San Diego. May I show this particular
3 viewgraph?

4 JUDGE KELLEY: Yes.

5 MR. PIGOTT: Excuse me, before you put it on, if
6 this is something that is going to become part of the record,
7 I think that we are entitled to have a look at it before you
8 do it.

9 MR. WHARTON: Let me see which one it is,
10 Mr. Pigott.

11 WITNESS ANDERSON: Do you have to ask some questions,
12 Mr. Wharton?

13 MR. WHARTON: I just want to identify it.
14 Dr. Anderson has put on the viewgraph, and we have distributed,
15 a handwritten xerox copy -- a xerox copy of handwritten no-
16 tations -- starting on the top left-hand corner with the words,
17 from Wallace, 1970, which we would mark for identification as
18 Intervenor's Exhibit No. 11.

19 (The document referred to was
20 marked for identification as
21 Intervenor's Exhibit No. 11.)

22 BY MR. WHARTON:

23 Q Dr. Anderson, this document that we have just
24 identified as Intervenor's Exhibit No. 11, did you prepare this?

25 A Yes.

ghp 8

1 Q What was the purpose of your preparing this par-
2 ticular document?

3 A I prepared it because I was informed before this
4 hearing that when I got in here I would be asked a question
5 about it.

6 Q Good thinking.

7 MR. PIGOTT: When was that, I might ask? When
8 was this prepared?

9 MR. WHARTON: Mr. Chairman, I am asking direct
10 examination. Mr. Pigott will have some cross. This is the
11 second time he has done this.

12 JUDGE KELLEY: All right.

13 MR. PIGOTT: It may not be the last.

14 BY MR. WHARTON:

15 Q Do you prepared this to assist in your testimony
16 today; is that correct?

17 A Yes.

18 Q Would you explain the purpose of the document and
19 what you want to convey to the Board with this document?

20 A The purpose of this document is to demonstrate a
21 way to get a relationship between the maximum magnitude on a
22 fault, the slip rate on the fault and the interval between the
23 occurrences of maximum earthquakes. That would be an average
24 interval.

25 It starts with an equation labled one on the second

ghp 9

1 line which says that -- which is a relationship from a paper
2 by Wallace in GSA BULLETIN, 1970.

3 He derived a relationship between the slip rate on
4 a fault, or he wrote this relationship. The slip rate is S
5 here. The time between maximum earthquakes, which I have
6 called $T(M_{\max})$ and the average slip during the earthquake which
7 is \bar{u}_{\max} average. The bar indicates an average.

8 Now this relationship states in a mathematical
9 form what I believe I just said a couple of minutes ago, that
10 the slip rate on a fault times the time interval between
11 maximum earthquakes is related to the slip that occurs during
12 the maximum earthquake with the parameter K in there would be
13 between zero and one to indicate that not all of the slip
14 which occurs on the fault occurs during the maximum earthquake
15 that can possibly occur.

16 So now that is the first relationship. The second
17 relationship is taken from the Slemmons report, State of the
18 Art for Assessing Earthquake Hazards in the United States.
19 That is the relationship between the maximum earthquake and
20 the log of the peak observed surface displacement during that
21 earthquake.

22 Now if you assume that the largest observed surface
23 displacement is related to the average slip on the fault during
24 the earthquake, then one can combine equations one and two and
25 come up with the third one, and that shows maximum magnitude

ghp 10

1 is equal to some constants plus the term in the log of the
2 slip rate plus the term in the log of the interval between
3 maximum earthquakes.

4 The particular constants in this equation could be
5 moved about by selecting different relationships, different
6 values, but I think that the general principles which this
7 equation demonstrates are valid.

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

T3 1g 1 Q Would it be fair to state, then, that the slip
2 rate method, in your opinion, is not valid for determining the
3 maximum magnitude, but is a -- I am sorry, did you want to say
4 something else?

5 A In order -- well, before you come to that, could
6 I explain what the consequences are of this third equation?

7 Q Yes. Go ahead.

8 A Okay. From this third equation, if one were to
9 pick an interval between maximum earthquakes, say 2,000 years,
10 then one has an equation between the slip rate and the
11 maximum magnitude, and I have prepared another viewgraph
12 which shows that plotted on one of the figures from something
13 that has been prepared for the San Onofre plant.

14 Q Dr. Anderson, would you -- you have put another
15 viewgraph up, and for purposes of identification. it is
16 identified lower right-hand corner, as figure 361.45-2, data
17 range analysis, geological slip rate versus historical
18 magnitude for strike-slip faults, and this would be identified
19 as Intervenor's number 12.

20 (Whereupon, the above-mentioned
21 document was marked as
22 Intervenor's Exhibit No. 12
23 for identification.)

24 BY MR. WHARTON:

25 Q By way of background, this chart as you have put on

1 the viewgraph, did you obtain the chart itself from the
2 Woodward Clyde report of 1979?

3 A I obtained it from one of the documents
4 associated with San Onofre, but I am not sure which one it
5 was. Probably that Woodward Clyde report.

6 Q And the --

7 JUDGE KELLEY: Well, I think at some point, we
8 should establish just exactly where this did come from.

9 MR. WHARTON: I believe that we could probably
10 identify this from the Woodward Clyde report, if we can get
11 a copy of the report, and compare it as --

12 MR. PIGOTT: I would submit that that is something
13 that should be done.

14 JUDGE KELLEY: I think so. I think perhaps over
15 the coffee break, that this should be nailed down. Go ahead
16 for now, but it needs to be identified.

17 MR. WHARTON: Okay.

18 BY MR. WHARTON:

19 Q And there are lines on here that are labeled
20 2,000 years, 5,000 years, 10,000 years, did you draw those
21 lines on this?

22 A Yes.

23 Q Would you explain what this chart shows?

24 A Okay. The lines on there are equation 3 from the
25 previous chart, plotted with T-max equal to 2,000, 5,000,

3g
1 10,000, or 100,000 years, so now in my opinion, what this
2 indicates, is that if on a fault one can demonstrate that the
3 maximum earthquake never occurs more frequently than once
4 every about 2,000 years, then the maximum magnitude would
5 always occur to the left of the 2,000-year line.

6 On the other hand, if one can demonstrate that on
7 a fault, the maximum magnitude might occur more often than
8 once every 2,000 years, then one would necessarily expect that
9 it would fall to the right of the 2,000-year line.

10 The -- I do not yet know of any general physical
11 principles or any studies which have indicated that the
12 maximum earthquake on a fault can -- is constrained to occur
13 less than once every 2,000 years, and as a consequence, I am
14 not convinced that the 2,000-year line drawn on here, or any
15 other line which is drawn to bound the data in a similar
16 manner can be used as a valid method to predict the maximum
17 magnitude on a fault.

18 Q Very good, thank you. Now, looking at this chart
19 also, which we, again, will have to identify, your review of
20 the Woodward Clyde study and the slip rate method and review
21 of the data used, in your opinion, is the data set used in
22 the slip rate chart sufficient, in your opinion, to show a
23 definite pattern, or to show that which it intends to show?

24 A The data set which is included on this particular
25 chart would not necessarily be sufficient to demonstrate that

1 any line comparable to the 2,000-year line which I have drawn
2 here is sufficient to -- to establish the 2,000-year line as
3 a physical upper limits to a magnitude that can occur at a
4 given slip rate.

5 If one considers, for example, just the vicinity
6 of -- of the fault number 7, which I suppose is the Newport-
7 Inglewood fault, at 0.5 millimeters per year, then this
8 chart indicates that the recurrence time of an earthquake,
9 with magnitude greater than seven, if such an earthquake can
10 occur, this chart would imply that it would only occur once
11 every 10,000 years or less frequently.

12 Now, since there is only 50 years of a data sample
13 on the Newport-Inglewood fault, I really doubt that -- we
14 would have to have been extremely lucky to have caught an
15 earthquake of magnitude greater than seven, if such an
16 earthquake can occur.

17 MR. WHARTON: Thank you. I have no further
18 questions at this time. I would like to move that Intervenor's
19 Exhibits 8, 9, 10, 11, and 12 be entered into evidence.

20 JUDGE KELLEY: I would just like to ask a question
21 about the chart that is up there, as long as it is up there,
22 and I should say that I am far from an expert chart-reader,
23 but let me just ask you, doctor, the lines you have drawn over
24 there, if you go over to the 100,000-year line, does that
25 suggest that over that interval, earthquakes 9 and greater are

1 to be expected?

4642

2 WITNESS ANDERSON: No, it does not suggest that.

3 JUDGE KELLEY: It doesn't say that?

4 WITNESS ANDERSON: What it says is that if the
5 maximum earthquake on the fault occurred only once every
6 100,000 years, then one could have -- well, and for these
7 larger slip rates, that you would expect them to be in the
8 vicinity of magnitude greater than eight, but this chart does
9 not say anything about how -- it does not imply that once
10 every 100,000 years an earthquake of this size will occur at
11 the corresponding slip rate. It only says that if they do
12 occur, then in order for the slip rate on the faults to be
13 balanced with the amount of slip that occurs in such a large
14 earthquake, one would expect the magnitude to be in that
15 range.

16 JUDGE KELLEY: Have there been any magnitude 9
17 earthquakes in recorded instrumental history?

18 WITNESS ANDERSON: It depends on what magnitude
19 scale.

20 JUDGE KELLEY: Take the moment, if I understand
21 that one correctly.

22 WITNESS ANDERSON: From the moment magnitude, if
23 I recall correctly, there have been at least two, the 1960
24 Chile earthquake, and the 1964 Alaska earthquake, but in
25 that case -- on that -- for those cases, the maximum

1 earthquake apparently occurs far more frequently than once
2 every 100,000 years, and --

3 JUDGE KELLEY: Those earthquakes have MS values,
4 but they are saturated, is that right?

5 WITNESS ANDERSON: Yes.

6 JUDGE KELLEY: So you can say it is seven point
7 something, but it is not really that, because it is
8 saturated, is that --

9 WITNESS ANDERSON; The MS scale saturates
10 someplace between magnitude 8 and 9, I guess, and the moment
11 magnitude scale is designed supposedly so that it does not
12 saturate.

13 JUDGE KELLEY: Thank you. You had moved
14 admission into evidence of --

15 MR. WHARTON: Yes.

16 JUDGE KELLEY: -- the various charts that have
17 been up there, the numbers, what, eight, nine, ten and
18 eleven??

19 MR. WHARTON: It was eight through I believe
20 number 12.

21 JUDGE KELLEY: Twelve?

22 MR. PIGOTT: Subject to verification of the
23 source of 12, I have no problems with the previous eight
24 through 11, but I would object to 12 at this time.

25 JUDGE KELLEY: Well, subject to establishing that,

7
1 then those exhibits will be admitted with the understanding
2 that we have to nail down number 12.

3 MR. WHARTON: That is correct.

4 JUDGE KELLEY: All right. Does this look like a
5 coffee break time?

6 MR. WHARTON: I believe so, and I will look for
7 the Woodward Clyde report.

8 JUDGE KELLEY: Fifteen minutes.

9 (Brief recess)

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 JUDGE KELLEY: Back on the record.

2 MR. WHARTON: I went to the FSAR Volume I, Responses
3 to NRC Questions, and took out of there Figure 361.45-1,
4 entitled, San Onofre Nuclear Generating Station Units 2 and 3,
5 Empirical Plot, Geological Slip Rate versus Historical Magnitude
6 for Strike Slip Fault.

7 I gave this particular document to Dr. Anderson
8 at the lunch break to compare that document to the document
9 that he had testified to and asked to be admitted into evidence.

10 MR. PIGOTT: The results of his comparison?

11 MR. CHANDLER: Mr. Chairman, I think the document
12 that Mr. Wharton has just identified is at least at odds with
13 the enumeration of the document that he handed out. I have
14 figure 361.45-2.

15 JUDGE KELLEY: That is what I have.

16 MR. WHARTON: Yes, you are right. Dr. Anderson
17 has in front of him 361.45-2 and the document he was reading
18 from was 361.45-2.

19 JUDGE KELLEY: Of the FSAR?

20 MR. WHARTON: Of the FSAR, yes.

21 JUDGE KELLEY: Well, that seems to identify it.

22 MR. WHARTON: I had asked Dr. Anderson just to
23 review the data points and confirm that they are the same.

24 BY MR. WHARTON:

25 Q Dr. Anderson, have you reviewed the document --

1 I forget the number now -- from the FSAR that I have given you,
2 compared that to the document that you testified from this
3 morning?

4 A Yes, I have compared the figure which you have
5 identified as Exhibit No. 12 and 361.45-2 and the figure is
6 identical. The data points on the figure are identical.

7 MR. WHARTON: I would submit it into evidence.

8 JUDGE KELLEY: This is Intervenor's Exhibit No. 12?

9 MR. WHARTON: Yes.

10 JUDGE KELLEY: Any objection?

11 MR. PIGOTT: No objection.

12 MR. CHANDLER: No objection.

13 JUDGE KELLEY: That provides satisfactory identi-
14 fication and it is admitted.

15 (The document identified as
16 Intervenor's Exhibit No. 12 was
17 received into evidence.)

18 MR. WHARTON: Thank you.

19 JUDGE KELLEY: Are you through with your direct,
20 then, for Dr. Anderson?

21 MR. WHARTON: Yes, I am.

22 JUDGE KELLEY: Dr. Anderson, Dr. Hand is unable to
23 be here tomorrow and has, I think, a few questions that he would
24 like to put to you.

25 JUDGE HAND: If you go back to your Intervenor's

1 Exhibit No. 9 which was the map showing the epicenters on the
2 stations where the recordings were taken --

3 WITNESS ANDERSON: Yes?

4 JUDGE HAND: At the time you set these stations
5 after the episode or the quake of the 25th -- sometime between
6 then and the time this recording was made -- had the epicenter
7 already been identified?

8 WITNESS ANDERSON: No. There had been a preliminary
9 epicenter that was given by the seismolab at Cal-Tech which was
10 for the earthquakes on the 25th which was someplace north of
11 the epicenter that is shown on this Exhibit No. 9.

12 I think that the epicenter was actually very close
13 to the point where we put Station 3679. That was a preliminary
14 location and I think that later locations of that same earth-
15 quake was moved a bit farther south.

16 JUDGE HAND: So then what I was staring at, looking
17 at this chart is, it is very close to a 10 kilometer arc, if
18 you draw an arc based on the epicenter, through 3754, 1494
19 and 1454. That just happened that it just came out that way?
20 This wasn't planned?

21 WITNESS ANDERSON: That is entirely coincidence,
22 yes.

23 JUDGE HAND: The other thing I did was, I drew a
24 line from the epicenter to 3754 to 1418 and they are very
25 nearly in a straight line, and from the epicenter to 3679 to

1 0822 are very nearly in a straight line, and from the epicenter
2 to 1525 to 1494, only slightly out of line. So it just hap-
3 pened that way?

4 WITNESS ANDERSON: That is correct.

5 JUDGE HAND: Okay, that clarifies that a little bit.
6 With the help of Ms. Johnson's calculator, we did some quick
7 ratios between the vertical accelerations and the horizontal
8 accelerations and that row of stations that goes from 3679 and
9 0822, there is a very high ratio for the .15 acceleration
10 horizontal as compared to the .25 vertical ratio we derive of
11 1.67. Using the other vector, the .30, you get a number some-
12 thing like .833.

13 They are not in awfully good agreement with the
14 ratios at the station beyond it, and yet they are very much in
15 a line. Is there any reason for that kind of lack of agree-
16 ment? The numbers are smaller and I suppose that is attenua-
17 tion, but the relevant values of those numbers change and I
18 don't understand, if they are related as well as they are to
19 the epicenter, if they are as close in a line as they are, why
20 should the relevant vertical to horizontal ratio be bouncing
21 around that way?

22 WITNESS ANDERSON: I actually don't see any good
23 theoretical reason why the ratio should remain a constant as
24 a function of distance so I find nothing surprising about the
25 ratios changing as we go along.

1 JUDGE HAND: Why, from station to station, do you
2 get differences in vertical versus horizontal movement? What
3 is going on?

4 WITNESS ANDERSON: As you go out to greater dis-
5 tances the mixture of the types of waves which are being re-
6 corded changes. At a more distant station, the angles of in-
7 cidence of the waves may be different.

8 One type of wave may be attenuated more rapidly
9 than another type so something different might be causing the
10 peak accelerations.

11 JUDGE HAND: If there were another magnitude 6.2
12 quake at that epicenter and your instruments were in the same
13 place, do you think you would get the same readings?

14 WITNESS ANDERSON: Probably not. I don't know for
15 sure, but if another 6.2 earthquake were to occur at the same
16 place and we had the instruments at the same place, I would be
17 surprised if all of the peak values turned out the same.

18 JUDGE HAND: What is the substrate here? What are
19 these waves traveling through? Is this solid granite?

20 WITNESS ANDERSON: The epicenter is located within
21 the Sierra Nevada granite batholith. Convict Lake station is
22 in a valley which is entirely surrounded by the granite. It
23 is sitting on some sort of sediments which I would presume to
24 be very shallow within this valley.

25 The other stations are -- well, let's see, stations

1 3679, 1480 and 0822 are a little bit farther north and they
2 are in a section which I believe geologists label as the
3 Long Valley Caldera which is a caldera which has been left
4 behind by a large former volcanic explosion.

5 Those stations are all sitting on sediments within
6 the valley floor.

7 Stations 1494 and 1454 are also located on sedi-
8 mentary deposits which are in a relatively flat broad valley
9 to the east of the Sierra batholith.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

T5 1g

1 JUDGE HANE: All right, and on your Exhibit 10,
2 you made a comment when you were talking about those
3 recordings that were from station 3754, that the instrument
4 wasn't bolted to the ground, and it could have distorted the
5 acceleration, is that pretty much what you said?

6 WITNESS ANDERSON: That is essentially what I
7 said, yes.

8 JUDGE HANE: Distorted it how? Too high readings,
9 too low readings?

10 WITNESS ANDERSON: That is hard to say. If the
11 instrument -- the instrument was sitting on a concrete patio,
12 rough concrete, directly behind a ranger station residence.
13 If the strong horizontal shakings had caused the instrument
14 to lose friction and slide, then it is possible that the
15 ground shaking might have even been stronger than what was
16 recorded, so the instrument felt three-quarters of a G, but
17 because it lost friction, the ground shaking might have been
18 stronger than three-quarters of a G.

19 JUDGE HANE: All right. Can you tell me just a
20 little more about this Hilton Creek fault? Would it be on
21 this map if it were drawn, or is it just -- what is it, it is
22 a known mapped fault?

23 WITNESS ANDERSON: If it had been drawn, it would
24 be on this map. It would be going directly through station
25 1525, station 1525 was almost directly on the surface

2g
1 expression of that fault. It is more or less north-south,
2 except I think it veered a little bit to the west as one --
3 this is the surface expression, as it enters the Long Valley
4 caldera, which was just north of the Convict Lake station.

5 But the mapped surface traces of that fault, in
6 the Long Valley caldera, it is no longer mapped on -- as just
7 a single fault, but rather there are a number of splays which
8 appear on the geological maps.

9 I am thinking particularly of the map by Jennings
10 in 1975, which is prepared by CDMG, called "A fault map of
11 California."

12 MR. PIGOTT: I think this is very useful
13 information, Dr. Hand, and I don't mean to interrupt, but
14 could I suggest that the witness indicate on the viewgraph,
15 and then in that way those of us who have the exhibits could
16 perhaps actually designate on them.

17 JUDGE HAND: Do you have your viewgraphs with
18 you, or --

19 WITNESS ANDERSON: No, I don't. I can get them.

20 MR. PIGOTT: Both the fault and your question
21 concerning the epicenter, I would find it useful if you
22 would designate it on the map.

23 JUDGE KELLEY: Yes.

24 WITNESS ANDERSON: I don't have anything that -- to
25 write on this, I don't think.

3g
1 JUDGE HAND: Well, that is all right. I think if
2 you will talk and show us while we are watching the viewgraph,
3 that we can see what you mean.

4 WITNESS ANDERSON: The expression of the Hilton
5 Creek fault is just maybe ten degrees, approximately north-
6 south, just maybe ten degrees west of north, and going about
7 like this, across the graph. So, about between this curve
8 and the road, and site 1525 and maybe about where this "M"
9 is in "GMT," and then about here, even with this point in
10 Lake Crowley, several splays appear to come out, going maybe
11 one like this, and another like this, and another something
12 like this, but I think there were several others. There is
13 another splay mapped up in this area, and in general, within
14 the Long Valley caldera, there were a large number of regions
15 where some sort of surface disruption was identified during
16 this earthquake sequence.

17 I could make one other comment, though. It is
18 not clear to me that one should automatically associated
19 the surface disruption that occurred during this particular
20 earthquake, or the -- it is not good -- I don't think it is
21 right to associate all of the surface disruption which
22 occurred during the earthquake sequence with this particular
23 earthquake.

24 On the 25th, when we drove up there, we saw
25 surface fractures on Highway 395, near site 3679, and on the

4
1 26th, when we were driving around in the Caldera, to put in
2 this station, especially, 0822, we saw a number of other
3 places where surface disruption had already occurred..

4 The two earthquakes on the 25th, which both had
5 magnitudes comparable to this one which occurred on the 27th,
6 had epicenters located here, and here, about.

7 JUDGE HAND: And those are reasonably competent
8 locations, I mean -- or confident locations?

9 WITNESS ANDERSON: Those are the locations given
10 by Cramer and Topozada, and I have not personally investigated
11 them. I think that they had quite a large number of stations
12 to locate them, so I think that they felt that they were
13 confident locations.

14 JUDGE HAND: So there have been -- there were
15 three quakes, and there were surface ruptures that were
16 associated with the first two?

17 WITNESS ANDERSON: The surface ruptures, or at
18 least part of the surface ruptures which occurred around
19 here, and which occurred here near the site 1525, were already
20 existent prior to the occurrence of this earthquake on May
21 27th.

22 JUDGE HAND: And was there visible surface
23 rupture associated with that third quake on the 27th?

24 WITNESS ANDERSON: I do not know if there was
25 any additional rupture which has been identified. This

1 entire area, these two stations, 3754 and 1525, are locations
2 which are as far into the Sierrro batholith as we safely dared
3 to go during the earthquake, because the earthquake was
4 causing large numbers of landslides, and in that region, since
5 the topography is extremely steep, even small earthquakes
6 such as aftershocks might have set off some considerable
7 landslides, so the area in the vicinity of the epicenter would
8 have to be considered inaccessible for all practical
9 purposes.

10 It was inaccessible to car completely, and it
11 wasn't safe to hike in there to look around for surface
12 faulting, so right around there, I don't know if there was
13 any additional faulting.

14 JUDGE HAND: And you said that the Hilton Creek
15 fault is a dip-slip fault?

16 WITNESS ANDERSON: That is my understanding of
17 the geology.

18 JUDGE HAND: Do the kinds of recordings that you
19 get for your vertical and horizontal accelerations, are they
20 typically different for dip-slip faults, as compared to other
21 kinds of faults?

22 WITNESS ANDERSON: They -- I can't answer that.

23 JUDGE HAND: All right. And one last bit of
24 help for me, if you will go to your Intervenors' Exhibit 12,
25 that chart of slip rates and magnitudes, when you drew those

1 new lines on that figure, how did you determine what slope to
2 use and where to locate that first line, 2,000 years? Why
3 is located where it is? Why doesn't it have a steeper slope
4 or shallower slope, and why isn't it to the right or the left?

5 How did it get where it is?

6 WITNESS ANDERSON: Let me go back and put up
7 Exhibits 11 and 12. Okay. This was Exhibit 12, and here
8 was Exhibit 11, and now Exhibit 11 went through a rough
9 derivation using one equation from fault mechanics, one
10 equation from empirical observations, to obtain equation
11 three.

12 Now, the lines in Exhibit 12 are exactly those
13 lines which have been derived from equation three. Equation
14 three says that the maximum magnitude and the slip rate and
15 the frequency of occurrence of the maximum magnitude are
16 physically related.

17 The -- so now equation three, with 2,000 years
18 substituted, gives a relationship between the slip rate and
19 the maximum magnitude.

20 JUDGE HAND: So you solve it for a series of
21 points and plot this?

22 WITNESS ANDERSON: And so I would substitute a
23 number of points for the slip rate, calculated M-max, and in
24 that way derived this line for 2,000 years.

25 JUDGE HAND: All right. That is fine. Thank you.

1 I do understand that.

2 JUDGE KELLEY: Finished?

3 JUDGE HAND: Yes.

4 JUDGE KELLEY: Okay. Elizabeth, do you have any
5 questions?

6 JUDGE JOHNSON: Just a couple of trivial points.
7 I understand that you don't personally, of the accelerograms
8 that you had, the posts, were these the only ones that were
9 put into the area so far as you know?

10 WITNESS ANDERSON: No, they are not the only
11 ones. There are -- let us see. The California Division of
12 Mines and Geology had some recorded records from three
13 stations which were in this vicinity. One was over here,
14 one just about between these two sites, between 3679 and
15 3754, and one was over just off the east of this map, on the
16 north side of Lake Crowley.

17 Let me review my data on those. No, I am sorry,
18 I mislocated the one. The one was over here at -- I think
19 it was at Mammoth School. I forget the name of the station.
20 But to the west of the map, and a little bit south of the
21 "O" in Old Highway.

22 That one recorded a peak vertical acceleration
23 of 0.26 G, and the peak horizontal accelerations of 0.33 and
24 0.26. Let us see, the reference for these accelerations is
25 California Division of Mines and Geology, special report

1 number 27, I believe. Special report on the peak accelerations.
2 The second station was located between 3679 and 3754, so it
3 is located about here, and the peak vertical acceleration
4 there was 0.20 G. The two peak horizontals were 0.33 and
5 0.27.

6 The station over here was located just about here,
7 on the abutment to a dam for Lake Crowley. The geometry
8 of that station, the dam which forms Lake Crowley is in an
9 east-west flowing river, and there is a north-south dam.

10 The station is located north of the dam, north of
11 the extension of the dam, and I think something like 60 feet
12 into a relatively flat plane. In any case, the accelerations
13 there, the horizontal is 0.32 Gs and the -- no, I am sorry,
14 the vertical is 0.32 Gs, and the two peak horizontal accelera-
15 tions that they list in their report are 0.41 G and 0.99
16 G.

17 Now, that 0.99 G is an an exceptionally high
18 value, and I have personally looked at the record, and I have
19 also shown the record to two or three other people, and I
20 doubt that there is any genuine validity to that particular
21 point.

22 The 0.99 G peak occurs as an extremely high
23 frequency spike, which -- and there are several other
24 extremely high frequency spikes at similar points in the
25 record that make me suspect that there is some sort of problem

1 with either the instrument or the way that the instrument is
2 fastened to the ground, or something like that, so I
3 personally distrust that high value.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

RW-1

1 JUDGE JOHNSON: While we have this viewgraph,
2 you identified the possible epicenter of the events of the
3 26th very close to the plus that you have close to station
4 3754.

5 WITNESS ANDERSON: Yes.

6 JUDGE JOHNSON: Is there any significance to the
7 one -- the other plus that is between 1480 and 822?

8 WITNESS ANDERSON: Yes, those pluses in there
9 are at points where map latitudes and longitudes intersect.

10 JUDGE JOHNSON: That is all. It was just a co-
11 incidence on this one then?

12 WITNESS ANDERSON: Yes.

13 JUDGE JOHNSON: Thank you. One more question.
14 You discussed the possible movement of the detector you had
15 on the rough concrete at the ranger station at 3754.

16 WITNESS ANDERSON: Yes.

17 JUDGE JOHNSON: Do you have any reason to think
18 that you recordings from any of the other stations suffered
19 in any manner because of their not being bolted or fastened

20 WITNESS ANDERSON: No.

21 JUDGE JOHNSON: -- firmly?

22 WITNESS ANDERSON: No. 1454, 1494 and 1480,
23 were in fact all bolted down very well. The 3679 and the 822
24 also were not bolted down. Those two stations were located
25 directly on sedimentary deposits, and sort of worked into

1 the ground so it would be difficult for them to slide, and
2 also those two stations have sand bags placed on top of them,
3 which would also have tended to make them more permanent.
4 So 3754 is the only one that I have some concerns about.

5 And the concerns at 3754 arise because of --
6 because under accelerations of .27G, there is the -- because
7 of the large accelerations, rather than anything in the
8 record or anything like that.

9 JUDGE JOHNSON: So the type of surface the others
10 were on was what you would consider adequate for making the
11 measurements you intended to make?

12 WITNESS ANDERSON: That is all. Thank you.

13 JUDGE KELLEY: Thank you, doctor. I may have
14 something more tomorrow, but not today. So I think we can
15 excuse you for this morning anyway. Thank you very much.

16 (Whereupon, the Witness was excused.)

17 JUDGE KELLEY: Mr. Wharton, your next witness?

18 MR. WHARTON: Yes, at this time I would like to
19 call Dr. Clarence Allen.

20 Whereupon,

21 CLARENCE ALLEN

22 having been first duly sworn, was called a witness herein,
23 and was examined and testified as follows.

24 MR. WHARTON: Mr. Chairman, I want first to
25 thank Dr. Allen for being here, and he did express an interest

w-3

1 to me if it would be possible for him to be finished today,
2 that is, whatever cross is to be done today. Mr. Pigott
3 indicated and we have agreed that it would be over two days.
4 I think that you will find the nature of my questions of
5 Dr. Allen are fairly general, and I would just ask, if
6 Mr. Pigott could look at it towards possibly this afternoon.
7 It is certainly up to him, and we are not changing anything,
8 but if he could look towards it after my cross -- I mean my
9 direct, to see if he might want to do cross this afternoon
10 since it is fairly general.

11 JUDGE KELLEY: We did have an understanding.
12 Why don't we wait and see how it does develop?

13 DIRECT EXAMINATION

14 BY MR. WHARTON:

15 Q Dr. Allen, I again would like to thank you for
16 appearing here today. Would you please state and spell your
17 name for the record, please?

18 A My name is Clarence R. Allen, A-l-l-e-n.

19 Q And are you here under subpoena?

20 A Yes.

21 Q That is, you are not a voluntary witness?

22 A That is correct.

23 Q Would you please describe your educational back-
24 ground, degrees and professional experience?

25 A I have a Bachelor's degree from Reed College in

1 physics, a Master's degree from Cal Tech in geophysics, and
2 a Ph.D. from Cal Tech in structural geology and geophysics.

3 Since graduated from Cal Tech I have taught at the
4 University of Minnesota, then returned to Cal Tech where I am
5 now a professor of geology and geophysics. One of my primary
6 responsibilities now is as supervisor of the Southern Cali-
7 fornia seismographic network, which at least Cal Tech is
8 part of that. Cal Tech runs that in cooperation with the
9 U.S. Geological Survey.

10 Q Okay. Were you one of the authors of a report by
11 the Panel of the National Academy of Sciences on earthquake
12 problems relating to the citing of critical facilities?

13 A Yes, I was. I was a member of the panel that
14 wrote this report.

15 Q Would you give us some background of the purposes
16 of the formation of that panel and the manner in which this
17 report was prepared?

18 A Well, as I recall, there was a feeling that there
19 was a need for some direction of the areas of research that
20 were particularly important to the problems of citing criti-
21 cal facilities, and particular nuclear reactors and dams
22 being among the two most important critical facilities, so
23 the purpose of the panel was to recommend particular areas
24 of research that it felt were important in trying to do this
25 more adequately than had been done in the past.

-5

1 The panel met on several occasions and in par-
2 ticular, a long meeting at Wood's Hole during the summer of
3 a couple of years ago, and various parts of the first drafts
4 were written by various members of the panel for various
5 parts of the report, and these were gone over, and the report,
6 I think, represents a consensus of the entire panel, although
7 I can recognize in the quotations that Dr. Brune has in his
8 testimony a number of things in which I happen to be the
9 person who wrote the first draft.

10 Q That is one of the things I was getting to. We
11 would be going through some of the testimony of Dr. Brune
12 and specifying whether these are particular portions which
13 you wrote and that you presently agree with.

14 A As I say, I wrote the first draft, and in many
15 cases these were modified to some degree by the panel, and I
16 think it is fair to say that the report represents a concen-
17 sus by the panel, not of a series of individual opinions.

18 Q Going to the report itself and the quotes that
19 Dr. Brune cited in his testimony, Dr. Brune cited the follow-
20 ing in his testimony and I would ask you -- I will read this
21 and ask you if you would endorse the statement as contained
22 in this particular publication.

23 It states, "We do not now have the optimal in-
24 formation base that is required to cite all critical faci-
25 lities to protect the citizens of the United States from

W-6

1 the hazards posed by earthquakes, surface faulting, strong
2 shaking ground failure and tsunami. As a consequence, many
3 facilities are overdesigned, undoubtedly, other are under-
4 designed to resist seismic effects."

5 Do you basically -- do you agree with that par-
6 ticular statement?

7 A Yes. I might say the quotation leaves out a
8 semi-colon, and thereby destroys the correct grammar of the
9 previously statement, but basically yes.

10 Q Does leaving out the semi-colon change anything
11 in the meaning?

12 A No. Well, there should be a semi-colon after
13 the word overdesigned, after the quotation mark. But I
14 don't think that changes the meaning.

15 I might point out that there was considerable
16 discussion in the panel of this particular statement, and I
17 would attach particular importance to that word optimal. We
18 had a great deal of discussion about how this sentence might
19 be interpreted, and I hope it is clear that we have not --
20 we do not say that we do not have adequate information. What
21 we say is we do not have optimal information, and our purpose
22 I think in making this statement was to indicate that further
23 research indeed would be very helpful to get an optimal
24 situation. But that word optimal, I think is a very important
25 part of that sentence and it was a subject of considerable

1 debate in our panel.

2 JUDGE KELLEY: Excuse me. I would like to get
3 clear the direction that we are going on this document. It
4 is a collegial document. What is concerning me here, Doctor,
5 is that certainly you participated and you can certainly say
6 whether you agree with this sentence or that paragraph.

7 Let me ask you -- I don't understand, however,
8 that you are here in any sense as an official spokesman of
9 that panel.

10 WITNESS ALLEN: Not as far as I am aware.

11 JUDGE KELLEY: We had the very same problem with
12 the ACRS as I think any participant knows. It is a collegial
13 body and they have said what they have said. And you cannot,
14 just as an illustration, Doctor -- there have been attempts
15 in the past -- do you know what the ACRS is? The NRC's ACRS?

16 WITNESS ALLEN: I served as consultant to the
17 ACRS, yes.

18 JUDGE KELLEY: Well, there have been attempts to
19 subpoena the chairman and say, okay, what does the ACRS
20 think and objections are sustained because nobody can speak
21 for them. They just speak for themselves. And I am a little
22 concerned about where we go on this document. I mean it is
23 quotes -- quotes from it are in the record, and certainly
24 you can ask Dr. Allen about his agreement with portions, but
25 I don't see him as here speaking for the panel in any sense.

1 MR. WHARTON: I hadn't intended that, Mr. Chair-
2 man.

3 JUDGE KELLEY: Some of it kind of sounded that
4 way, and that is why I interrupted.

5 MR. WHARTON: Well, I don't want it to be con-
6 strued that way. Dr. Allen is one of the most highly re-
7 garded in the field. This -- he testified that he has
8 written the draft of this particular document, and I am ask-
9 ing him regarding his thinking on the current state of the
10 art, and basically in fairly general terms, and this --

11 JUDGE KELLEY: Go ahead.

12 MR. WHARTON: -- has to do with critical facil-
13 ties.

14 MR. CHANDLER: Mr. Chairman, I will object to
15 his characterization that Dr. Allen prepared the draft of
16 this document. I think Dr. Allen indicated he prepared the
17 draft of portions of the document.

18 JUDGE KELLEY: Does it really matter for our
19 purposes?

20 MR. CHANDLER: I am not sure. I don't know what
21 line of questioning Mr. Wharton is going to --

22 JUDGE KELLEY: Go ahead --

23 MR. CHANDLER: -- pursue.

24 JUDGE KELLEY: -- Mr. Wharton.

25 MR. WHARTON: Thank you.

1 BY MR. WHARTON:

2 Q Dr. Allen, one of the questions that was raised,
3 I believe Dr. Hand may have raised them, regarding the para-
4 graph that I just read -- is as a consequence many facilities
5 are over-designed and undoubtedly others are under-designed
6 to resist seismic effects. Do you have any knowledge, per-
7 sonal knowledge of a percentage or a knowledge of which
8 facilities may be over-designed or under-designed in a
9 general sense, or is this a gut feeling or something that
10 you know about?

11 A Let me answer that partly by turning our atten-
12 tion to the second quotation, the one that is on page 21
13 of the NAS report where we say "major gaps exist in our
14 knowledge of seismic phenomena."

15 Q Yes.

16 A Seldom can all three of these questions be an-
17 swered anywhere near -- with anywhere near the confidence we
18 desire. I would like to go on and quote the following sen-
19 tence in the report, where we say, "as a result, some struc-
20 tures with a deficient resistance have undoubtedly been built,
21 although probably more often, critical structures have been
22 built using excessive conservatism to compensate for our
23 acknowledged ignorance. Improved answers to these questions
24 should therefore serve not only to increase our confidence
25 in the safety of critical structures, but this knowledge

1 should also permit such structures to be built more economical-
2 ly without the waste that is necessarily inherent in over-
3 conservatism."

4 So I think the feeling of the panel was that more
5 often critical structures have been built with excessive
6 conservatism. That is the sentence following the quotation
7 that you have on page eight of Dr. Brune's testimony.

8 Q Right. You have commented, I believe, already
9 on major gaps exist in our knowledge of seismic phenomena.
10 Going to page 23, bottom of the page, in commenting on speci-
11 fication of maximum earthquakes the panel comments, "such
12 events have been called maximum credible earthquake, maximum
13 expectable earthquake, or with regard to special facilities
14 safe shutdown earthquake, or simply the design earthquake.
15 None of these terms has been precisely defined in a usable
16 way, and what is credible or expectable to one person, may
17 not be to another."

18 Now, is this one of the paragraphs that you
19 drafted yourself?

20 A As I recall, I wrote the initial draft of that,
21 yes.

22 Q Okay. Would you explain further what you mean
23 when you say that none have been precisely defined in a usa-
24 ble way?

25 MR. PIGOTT: Are we calling for Dr. Allen's

1 personal opinion now at this time?

2 MR. WHARTON: Yes, I am calling for his personal
3 opinion.

4 WITNESS ALLEN: In my opinion, the word maximum
5 credible earthquake has not been precisely defined, because
6 what is credible to one person is not credible to another,
7 or may not be credible to another, and one of the points of
8 our report, I think here, and I agree with that, is that
9 gradually we should be trying to get away from these terms
10 and instead talking about degrees of fault activity, rather
11 than capable faults or active faults, inactive faults, be-
12 cause they are all gradations of these various kinds of fea-
13 tures.

14 Maximum expectable earthquake is a word that has
15 been used by the Geological Survey and I really don't know
16 what they mean, because it is not really an earthquake they
17 expect, but it is some sort of a maximum earthquake they are
18 speaking about.

19 Indeed the word safe shutdown earthquake has been
20 precisely defined, I think, as used by the Nuclear Regulatory
21 Commission, but not in a very usable way, it seems to me.
22 This problem of one movement and 35,000 or more than one
23 movement and 500,000 years has turned out to be not terribly
24 usable, and I think that is the one criticism I would have of
25 that particular expression.

1 Also, I think, it is quite clear that the --
2 particularly the 35,000 year number came from the limit of
3 carbon 14 dating and really has nothing to do with acceptable
4 risk, and yet it is used to sort of define a safe versus
5 an unsafe fault.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ghp 1

1 Q Do you have any suggestions or different terms
2 that you call these events or different ways of defining what
3 we should be looking for?

4 A Well, I think, and what I think I said in the
5 report was, that we must be working toward trying to find
6 faults on the basis of their degree of activity, recognizing
7 that there are faults that are very active, faults that are
8 very inactive, faults that apparently are dead, and there are
9 all gradations in between.

10 It is really rather arbitrary to somehow draw a
11 line between a capable and an active fault and one that is
12 inpotent or inactive.

13 One point, of course, that we have made in here
14 and many other people have made is this -- the decision as to
15 how active a fault must be or how often an earthquake must
16 occur to be of concern in a critical facility, is really a
17 decision that involves acceptable risk and a decision that
18 should be made not necessarily by the scientists and engineers
19 alone.

20 In other words, is an earthquake that occurs once
21 in a million years something that we should consider or not?
22 That is something involving what the acceptable risk is in a
23 particular facility and the one thing I would like to see is,
24 I would like to see that decision separated from the decision
25 of fault activity.

ghp 2

1 That is, hopefully a scientist can state what the
2 degree of fault activity is or how often an earthquake of a
3 particular magnitude might occur. Then, having said that, let
4 someone judge -- not a scientist or engineer judge -- whether
5 that particular earthquake is of sufficient concern to be
6 considered, say, in the design of a particular plant.

7 As it is right now, it seems to me we have a de-
8 finition of a capable fault or an active fault where we have
9 sort of confused acceptable risk and scientific probability in
10 the same definition and I don't think in the long run that is
11 a very satisfactory state of affair.

12 Q Also Dr. Brune quotes -- and I would like to quote
13 it at length because you did mention before the quote about
14 major gaps:

15 Major gaps exist in our knowledge of seismic
16 phenomena and nowhere is it better illustrated than an attempt
17 to specify the locations, frequencies and maximum sizes of
18 future earthquakes that might effect critical facilities.

19 The question of where, how often and how big,
20 seldom can all three of these questions be answered near the
21 confidence you desire.

22 MR. PIGOTT: May we have a cite for that?

23 MR. WHARTON: I am sorry, I was taking it from
24 Dr. Brune's testimony, page 8, page 21 of the report.

25 /////

ghp 3

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. WHARTON:

Q My question as to that paragraph is, if we can get a better idea of what you mean by, near the confidence we desire.

A Well, I think the mere fact that we have hearings like this indicates that we cannot answer these questions as satisfactorily as we would wish. There are honest scientific differences of opinion on these questions of how big, how often and where.

As a result of these, of course, we are forced to be exceedingly conservative and I think as we state right here and I agree, probably more often than not we are being unduly conservative because of this acknowledged ignorance.

Hopefully as time goes by, and I have said this for many years, given this document you quote in 1967, hopefully as time goes by and our knowledge increases, we can be less conservative.

Q You also state in the report that --

MR. PIGOTT: The report also states -- objection.

JUDGE KELLEY: Sustained.

BY MR. WHARTON:

Q The report also states that efforts must be made to separate the evaluation of scientific likelihood of potentially disastrous events and the assignment of the risks that society is willing to accept for a particular critical facility.

ghp 4

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PIGOTT: Could we have a reference?

MR. WHARTON: It is page 9 of Dr. Brure's testimony and the report, page 24.

BY MR. WHARTON:

Q The question I have regarding this particular sentence is, is it your opinion that scientists such as seismologists are not really qualified to make the kind of assignment of risk that society is willing to accept?

A I don't think I have said that. I don't think that it is fair that they alone should be asked or expected to make this particular judgement. Certainly I think that as citizens we have just as much right to participate in decision of what represents an acceptable risk.

I think ultimately that decision ought to be reached by a broader section of society than simply geologists and engineers.

Q Are you currently a member of the scientific panel that is analyzing earthquake hazards, geologic and seismic hazards at the proposed LNG facility in Southern California?

A I am a member of the review panel that the California Public Utilities Commission has set up to advise the Public Utilities Commission on seismic risk at that site, yes.

Q In your opinion, the methods being utilized in analyzing the earthquake hazards and seismic hazards for the

ghp 5

1 proposed LNG facility, do those methods meet most of the
2 criteria that you point out in this report?

3 MR. PIGOTT: Objection; I don't see any relevance
4 as to what they are doing at Point Conception at this hearing.

5 JUDGE KELLEY: Nor do I. Maybe you want to expand
6 on it, Mr. Wharton.

7 MR. WHARTON: No, I will move on.

8 JUDGE KELLEY: All right, thank you.

9 BY MR. WHARTON:

10 Q Finally, from that particular report -- this is
11 from page 9 of Dr. Brune's testimony --

12 MR. PIGOTT: Could we just have the cite to the
13 document itself?

14 MR. WHARTON: I am looking for it now, Mr. Pigott.

15 MR. PIGOTT: Use of Dr. Brune's testimony is
16 offensive enough.

17 MR. WHARTON: I can't seem to find the sentence.
18 In Dr. Brune's it starts with, the statistical base of ground
19 motion data is extremely limited at present. These estimates
20 of ground motion are subject to considerable uncertainties
21 reflecting the limited historical data base and lack of detail,
22 quantitative knowledge of the influence of physical factors
23 on ground motion.

24 Data are particularly limited for near-field and
25 large magnitude earthquakes. Unfortunately such events pose

ghp 6

1 the greatest hazard to structure.

2 MR. PIGOTT: Do you have the reference?

3 MR. WHARTON: I have not been able to find it in
4 the document itself. I am looking for it again.

5 WITNESS ALLEN: I did not write the first draft
6 of that sentence so I do not have it marked in my copy.

7 BY MR. WHARTON:

8 Q Would you have any disagreement with that particular
9 statement?

10 MR. PIGOTT: I am going to object until we have
11 established that it is in the report.

12 JUDGE KELLEY: Why don't we take five minutes and
13 take it.

14 (Brief recess.)
15
16
17
18
19
20
21
22
23
24
25

JUDGE KELLEY: Okay, we are back on the record.

Mr. Wharton, go ahead.

MR. WHARTON: Yes.

BY MR. WHARTON:

Q Dr. Allen, thank you for your patience for my not finding the cites. I should have those. Going to page 33 of the report, the second paragraph, the last sentence states, "Even so, the statistical base of ground motion data is extremely limited."

Going to the last paragraph, and reading it in context, if I may go through all of it, "In the design of critical structures and facilities, after the design earthquakes have been selected, it is necessary to estimate the ground motions that are to be used in design. The ground motions that are estimated typically include the transient peak accelerations, velocities and displacements, the duration of strong shaking, and in some cases the frequency content.

"At present, these estimates are subject to considerable uncertainties, reflecting the limited historical data base, and the lack of detailed quantitative knowledge of the influence of physical factors on ground motion. Data are particularly limited for near field and large magnitude earthquakes. Unfortunately, such events pose the greatest hazard to structures."

Turning to page 34, "There are several aspects

2g
1 regarding the details of ground motions for which data are
2 generally lacking. These aspects which of great importance
3 in the design of structures include the variation of ground
4 motions with depth below the surface, important for deeply
5 embedded structures such as nuclear power plants."

6 Did you write the passages that I just read?

7 A No, I did not. The first draft of those, no, I
8 did not.

9 Q Excuse me?

10 A No, I did not write the first draft for those
11 passages.

12 Q Did you review the draft of these passages?

13 A Along with all the rest of the report, yes.

14 Q And did you have basic agreement at that time
15 with the passage that we just read?

16 MR. PIGOTT: I am going to object to this line
17 of questioning. I really feel if you are setting a predicate
18 to ask Dr. Allen's opinion, I wouldn't have any objection,
19 but I think you are getting back into the processes of the
20 group that he was a member of, and --

21 JUDGE KELLEY: Let me ask what the purpose of the
22 questions are. Are you trying to establish anything other
23 than whether Dr. Allen agrees today with that statement?

24 MR. WHARTON: Well, I want to see if he agrees,
25 first, agrees with the statement himself, and whether he can

3g

1 comment on a statement regarding lack of data, especially lack
2 of data regarding the details of ground motion, several
3 aspects regarding details of ground motion for which data are
4 generally lacking, and it refers here to the aspects which are
5 of great importance in the design of structures, including
6 the variation of ground motions with depth, and I wanted to
7 see if he has particular -- if he was knowledge regarding
8 that statement that he could pass on that would be relevant
9 to these proceedings.

10 That is, what is the extent of knowledge regarding
11 this particular information?

12 JUDGE KELLEY: Both those points seem legitimate,
13 but I don't understand why we have to ask him whether he
14 reviewed graphs and believed it then, and so on.

15 MP TON: Well, I was just trying to --

16 JUDGE KELLEY: I would rather you just asked the
17 question.

18 MR. WHARTON: Fine.

19 JUDGE KELLEY: Let me just say, Mr. Pigott, that
20 this issue first -- we first looked at these questions in
21 connection with Dr. Brune's testimony, which had a short
22 section, and with respect to which there was a motion to
23 strike on grounds of relevance, which we denied, but it is,
24 it seems to us, while important, rather second-order relevance
25 if you will, and I think it should be -- it doesn't need -- it

4g
1 is very general material, and does not need to be probed in
2 great detail.

3 MR. WHARTON: This is my last question in this
4 area.

5 JUDGE KELLEY: Okay, go ahead.

6 BY MR. WHARTON:

7 Q Dr. Allen, do you generally agree with this
8 particular statement that I just read?

9 A Yes, I generally agree with it. Certainly the
10 statistical base of ground motion is not as limited as it
11 was at the time the report was written, but it still is
12 limited. I particularly agree that our biggest -- or one of
13 our major lacks is in the strong motion recording from the
14 near field of strong earthquakes, and I think all engineers,
15 as far as I know, would agree with that statement.

16 I would also point out that the area of ground
17 motion is not my field of expertise, and although I agree
18 with the statement, I don't pretend to talk with any great
19 expertise in this field.

20 Q I am not going to be asking you any more about
21 ground motion, other than the lack of data, or how much data
22 there is regarding it. I am most specifically looking towards
23 where the statement says there are several aspects regarding
24 the details of ground motion for which data are generally
25 lacking. Does that particular sentence mean that there --

5g
1 it is not just a sparsity of data, but there is not very
2 much data at all, could that be qualified --

3 A Certainly the problem of near field recording and
4 one in which there is a great sparsity of data. There is no
5 question of that, I think, although this has been improved
6 considerably in just things as the 1979 Imperial Valley
7 earthquake.

8 Q What about the area of variation of ground motions
9 with depth, below the surface? Is this an area where there
10 is very low data?

11 A I have no particular knowledge of that area.

12 Q Thank you.

13 Dr. Allen, did you write a paper called "The
14 Geological Criteria for Evaluating Seismicity?" Let me give
15 you a copy.

16 A Yes, I did. The copy you gave me is a chapter
17 of a book which essentially is reproduced verbatim from the
18 original that was published in the Bulletin of the Geological
19 Society of America in 1974.

20 Q So this publication is 1974, is when this was --

21 A The original publication in 1974, yes.

22 Q Was this report adapted from an address which
23 you gave as the retiring president of the Geological Society
24 of America?

25 A Yes, it was.

1 Q Turning to page 32, the third paragraph, ⁴⁶⁸³you
2 state, "It is significant that the earthquake catalogues of
3 those parts of the world with the longest historical records
4 are the very ones which give us the greatest pause in
5 extrapolating these records into the future. This should be
6 a lesson in terms of the temptation to draw far-reaching
7 conclusions from the relatively short seismic history, such
8 as characterizes North America, and from relatively short
9 seismic history, and from such single events as Charleston and
10 New Madrid earthquakes."

11 Could you explain what you -- the significance
12 of that particular sentence and what you mean by that?

13 A Well, I think particularly when we look at those
14 areas with very long seismic histories, and the Middle East
15 and China I think are among the most significant areas here,
16 we see that there have been events occurring very infrequently,
17 on some faults, for example, that would not have been noted
18 if we had had a much shorter geologic history, or recorded
19 history.

20 We also see that particularly in the case of
21 China, there seem to have been some major changes in seismic
22 activity over a period of several thousand years, and what I
23 am trying to emphasize is that in those areas where we have
24 these very long histories, we see things that should tell us
25 something about looking at areas with very short histories,

7g
1 and should be very careful in drawing hasty conclusions from
2 areas with very short histories.

3 For example, here in California, we have faults
4 such as the Garlock fault that within recorded history have
5 never had a major earthquake on them. One might be inclined
6 to say, well, that means that fault is safe, and all I am
7 saying is, as we look at areas with very long histories, we
8 realize that there are areas that -- where events have
9 occurred very infrequently. We should be very careful in
10 looking at areas in this country with very short recorded
11 histories.

12 Also, we see areas such as the Middle East, where
13 or say, the area of the Dead Sea rift, where earthquakes
14 apparently were very common up to about 1200 years ago, and
15 then -- 1200 A.D., and then stopped and we have had very
16 little activity since that time, and these things, I think we
17 have to look at very carefully, when we are considering an
18 area such as almost all of the United States, where our
19 recorded history is very short.

20 Q In that paper on page 33, there is a figure 3-1.
21 Is this figure in here to show -- to illustrate the
22 principles you were just speaking of?

23 A Yes. This is a figure taken from the work of
24 Mrs. Mei in China, showing the cumulative strain release or
25 seismic activity, so to speak, in all of north China from

1 466 B.C. to the present, and I showed it to indicate that
2 from the years, well, 200 to about 1000 A.D., the level of
3 activity was very low, although this was preceded and followed
4 by areas of relatively high activity, and I have talked to
5 Mrs. Mei about this, and she feels quite clear this is --
6 quite certain this is not just a matter of deficiencies in
7 the historical record, which would be the first question one
8 might have.

9 She feels that the historical records are
10 adequate in this area to indicate that there indeed has been
11 a change in seismic activity over periods of hundreds of
12 years in this part of North China.

13 Q In the same paper, on page 65, there is a
14 statement at paragraph three on that page, okay, that is --
15 number three states, "Those parts of the world that have the
16 longest historical records of earthquakes are the areas that
17 should give us the greatest pause in extrapolating that
18 history in the future, because it is clear that even a
19 2,000 or 3,000-year history is not a sufficiently valid
20 statistical sample to use as a firm guide to overall
21 activity. In such areas as California and Nevada, where our
22 historical record barely exceeds one century, we must be
23 exceedingly cautious in extrapolating from this very short
24 history."

25 Do you still endorse this particular statement?

1 A Yes, I do.

2 Q And would you agree that in Southern California
3 we do not have a long enough historic seismicity record to
4 allow for valid extrapolations of future earthquake activity?

5 A I would say we must be exceedingly cautious in
6 doing this. Certainly some parts of Southern California such
7 as the Imperial Valley, I think we have a much better
8 statistical base than other areas where earthquakes occur
9 less frequently, so I think this is an area where we must
10 indeed be very cautious.

11 Q Do you know of the amount of statistical base for
12 the area known as the California borderlands?

13 A This is an area where the degree of earthquake
14 activity has been relatively low over the past 40 or 50 years
15 for which we have any reasonable record, and consequently
16 that is an area indeed where our statistical base is not very
17 good.

18 Q So you would say the data base in that particular
19 area is one of those that you have to be extremely cautious?

20 A The data base from seismic events.

21 Q Yes.

22 A Is certainly an area where we have to be cautious,
23 yes, exceedingly -- what was the term I used? We certainly
24 must be very cautious, yes, there is no question about it.

25 JUDGE KELLEY: Can you indicate just roughly where

1 the California borderland is?

2 MR. WHARTON: Yes, the California borderland --

3 MR. PIGOTT: Excuse me, could we have the --
4 perhaps we could have Dr. Allen explain where the --

5 MR. WHARTON: I think that would be better.

6 JUDGE KELLEY: Doctor?

7 WITNESS ALLEN: I assume what you mean by this,
8 and you were the one that used the term, not me, is primarily
9 the offshore area from the southern peninsula ranges offshore
10 to the edge of the continental slope.

11 MR. WHARTON: That was my understanding of what
12 I was talking about.

13 JUDGE KELLEY: Does that include San Onofre?

14 WITNESS ALLEN: I would assume so, yes.

15 JUDGE KELLEY: All right.

16 WITNESS KELLEY: And of course, this is one of
17 the reasons that I have argued, in fact the whole point of
18 this paper is to argue that we must be very careful in
19 looking at the geological record, to try to go farther back
20 in history than we can by looking at the very short seismic
21 record.

22 BY MR. WHARTON:

23 Q Could you turn to page 34 of -- and it starts
24 with section 3.2, California, and runs on through page 35,
25 page 3.2, it states, "The seismicity of California is related

1 to motion along the plate boundary between the North
2 American and Pacific Plate."

3 Would you describe the motion along the plate
4 boundary in Southern California and Northern Baja, and I
5 will refer you to a viewgraph of a regional tectonic model,
6 which was produced by the consultants to the Applicant, and
7 was distributed in this proceeding as figure 361.66-7, that
8 is from the FSAR?

9 I would ask you, from this particular diagram,
10 from the FSAR, could you describe the motion along the
11 plate boundary in Southern California and Northern Baja
12 California?

13 MR. PIGOTT: In all its aspects, or the -- we
14 could be here for several weeks, I think.

15 MR. WHARTON: Not from what I know about it.
16
17
18
19
20
21
22
23
24
25

ghp 1

1 WITNESS ALLEN: Grossly, of course, it is a big
2 plate that is moving northwest with respect to the North
3 American plate. That is reflected, of course, predominantly
4 in the San Andreas fault.

5 As one comes into Southern California, of course,
6 the San Andreas fault breaks into a number of branches so that
7 movement is apparently spread and distributed between a number
8 of branches and is a matter of continuing scientific debate,
9 as a matter of fact, as to where that strain is predominantly
10 now located.

11 Certainly within the past 80 years or so, most
12 of that has been taken up, at least in terms of the seismicity
13 we see, most of it has occurred along the San Jacinto fault,
14 which is, perhaps, the major active branch of the San Andreas
15 fault in this area.

16 There are, of course, many different faults in
17 this area. The exact way in which the strain is distributed
18 in between these is still a matter of a good deal of research.

19 I might say this map does not show anything to
20 speak of east of the San Andreas fault and of course there are
21 many active faults between Nevada and the eastern Mojave Desert
22 and then part of the plate motion, apparently, is being re-
23 flected in those faults as well as in the main fault to the
24 west.

25 ///

gbp 2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. WHARTON:

Q With this plate boundary in motion, would you agree that some of the plate boundary in motion is being distributed onto the offshore fault zone?

A Insofar as we have seismic activity out there, insofar as we have faults that appear to be reasonably active, the answer, I think, is yes.

Q Does that have any significance as far as increasing the likelihood of earthquakes in the immediate future based on the knowledge of the plate boundary motion at the present time?

MR. CHANDLER: Mr. Chairman, I am getting a little concern that we are treading into an area in which Dr. Allen may have been involved as a consultant to the ACRS in the earlier aspects of this proceeding.

I think one of the cautions that we had recommended to the Board in our earlier motion may be advisable, certainly, at this time.

JUDGE KELLEY: Yes, you mentioned earlier that you had been a consultant with the ACRS and I don't think at that time it registered. This was in this very case?

WITNESS ALLEN: I am still trying to refresh my own memory. I was a consultant to the ACRS for, I think, two or three years before it became too time consuming back around the early '70's, it seems to me.

ghp 3

1 Although my memory is very vague back there, I
2 think one of the things that came up for consideration at least
3 part of the time I was consulting for the ACRS was the
4 San Onofre situation.

5 I don't remember very much about that, but I think
6 it is true that I was a consultant to the ACRS during some of
7 those considerations and I was talking this morning about it,
8 trying to refresh my memory on that.

9 JUDGE KELLEY: Well, Mr. Chandler, you are just
10 reflecting concern, are you not, about the collegial process
11 and getting into that not, I would take it, about whatever
12 Dr. Allen may know about the geology of California.

13 MR. CHANDLER: Certainly not. His own personal
14 knowledge, I think, is something that he can talk about. It
15 is going to be a hard area to split, I am sure about that.

16 MR. PIGOTT: It is our understanding that Dr. Allen
17 was, in fact, on ACRS as the time the San Onofre 2 and 3
18 construction permit proceeding was going through ACRS.

19 JUDGE KELLEY: What I am saying is, I don't see
20 why it is so hard. Maybe I don't appreciate its complexity,
21 but if Dr. Allen knows of his own knowledge that there is a
22 fault someplace of a certain activity, the fact he may have
23 told that to the ACRS, he can tell us too, can't he?

24 MR. CHANDLER: Yes.

25 JUDGE KELLEY: What we are concerned about, I

ghp 4

1 thought, was a witness coming in and getting asked, what did
2 you tell the ACRS and why did they say this in their letter
3 and this sort of thing.

4 MR. CHANDLER: That is certainly my primary con-
5 cern, Mr. Chairman.

6 JUDGE KELLEY: Given the sheer passage of time,
7 I think we are somewhat insulated from ACRS deliberations, so
8 with this in mind, let's go ahead.

9 MR. WHARTON: I believe I had a question pending.
10 Maybe I will state it again.

11 JUDGE KELLEY: Will you restate it?

12 BY MR. WHARTON:

13 Q Dr. Allen, you have testified as to seismicity in
14 California as related to motion along the plate boundary be-
15 tween the North American and Pacific plate, and I believe the
16 question was -- then we had a question also whether you agreed
17 that some percentage of plate boundary motion may be distri-
18 buted to the offshore fault zone. If you could go back and
19 answer that particular question again?

20 A When you say some percentage, I think the answer
21 is yes. I think it is true of any earthquakes or any active
22 fault in the State of California or even Nevada, but mechanically
23 those earthquakes and the movements on those faults are some-
24 how related to this overall plate motion.

25 Insofar as we have earthquakes and active faults

ghp 5

1 offshore, I assume they share in that plate motion.

2 Q Based on your knowledge of the motion along the
3 plate boundary at present, would you say that the likelihood
4 of motion along the plate boundary is higher now than it has
5 been, say, 50 years ago?

6 A I don't quite understand.

7 Q I am probably not phrasing the question very well.
8 I am asking if the motion along the plate boundary at the
9 present time, between the North American plate and the Pacific
10 plate, whether your knowledge of the state of the plate motion
11 at the present time would indicate that the chances of an
12 earthquake along the plate boundary are more now than they
13 were, say, 50 years ago?

14 A It depends on what you mean by motion. I think
15 we have every reason to believe that the plate motion itself
16 is going on at a fairly constant rate and I don't know of any
17 evidence that that has changed over the past 50 years.

18 Insofar as that is reflected in specific earth-
19 quakes, I think it is true that we have a major seismic gap,
20 so to speak, in the Southern San Andreas fault, which of course
21 is a major element of the plate boundary in Southern California,
22 and I think all seismologists and geologists agree that a
23 major earthquake -- a great earthquake -- in the Southern
24 San Andreas fault would come as no great scientific surprise
25 any time now.

ghp 6

1 The chances of that happening now are greater than
2 they were 50 years ago, yes. But that is not to say that the
3 overall plate motion has changed.

4 Q You answered the question I wanted answered without
5 me asking the question properly and I thank you for that.

6 Now this increased likelihood of earthquake motion
7 on the San Andreas fault, would this also contribute to an
8 increased likelihood of earthquakes on the offshore fault?

9 A I don't think we can say that, not that I am aware
10 of.

11 Q Are you familiar with the work by Kerry Sieh from
12 Cal-Tech in which he analyzes trenches along the San Andreas
13 fault to estimate recurrence intervals?

14 A I am generally familiar with that, yes.

15 Q Is it true that he estimates it to be the recur-
16 rence interval for an earthquake with a magnitude greater than
17 8 on the southern segment of the San Andreas fault? That is,
18 has he made estimates regarding that?

19 A He has made estimates of the recurrence interval
20 of earthquakes at Pallet Creek, the specific locality where
21 he dug his trenches southeast of Palmdale and I think he
22 assumes that the earthquakes he is looking at are large
23 earthquakes. I don't recall whether he puts a number 8 on it,
24 but he assumes they are earthquakes comparable to the 1857
25 earthquake which, indeed, was a great earthquake.

ghp 7

1 JUDGE KELLEY: Mr. Wharton, could you spell out
2 what you are referring to, the work?

3 MR. WHARTON: Mr. Chairman, could we possibly break
4 for lunch right now? I have more to do and I want to go over
5 some of these areas with Mr. Barlow.

6 JUDGE KELLEY: Very well, let's break until 1:00
7 o'clock.

8 (Whereupon, at 11:52 a.m., the hearing was recessed
9 to convene at 1:00 p.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

AFTERNOON SESSION

1:03 p.m.

JUDGE KELLEY: We are back on the record.

Mr. Wharton, you can resume.

MR. WHARTON: Yes, I have finished questioning this morning on earthquake research for safer citing of critical facilities. The document had been identified and authenticated by Dr. Allen, and I at this time would like to identify it as Intervenors' Number 13, and move that it be submitted -- accepted into evidence.

(Whereupon, the document referred to was marked for identification as Intervenors' Exhibit Number 13.)

MR. PIGOTT: I am going to object to it being accepted into evidence as an exhibit, as a probative exhibit on which we were expected to rely for purposes of the issues of this case. I don't think it goes to a particular issue in this case. Although Dr. Allen is certainly one of the members of the panel, I don't think he was here to speak for the panel. In fact, I think that was specifically stated earlier, and as such I would be surprised if he is in fact sponsoring this document to be a piece of evidence in this proceeding, so I would object on the grounds of relevancy and lack of proper foundation and sponsorship.

1 MR. WHARTON: Mr. Chairman, I don't -- the docu-
2 ment requirements such as this are -- my understanding is
3 that they be authenticated, that the person who participated
4 in the authoring of a particular document, Dr. Allen, has
5 testified that he did a draft of the document and then re-
6 viewed the document and agreed with the findings of the docu-
7 ment. While he is not testifying for all members of the
8 panel, we have the authentication and every indication of
9 the trustworthiness and reliability --

10 JUDGE KELLEY: Well, I don't think -- let's all
11 stipulate that that is a genuine document. I don't --

12 MR. PIGOTT: No problem there.

13 JUDGE KELLEY: Okay. It is the report of that
14 panel. Okay.

15 MR. WHARTON: As far as the relevancy of the
16 document itself, it -- I think a very good statement of the
17 consideration that should be looked at and it is a considera-
18 tion of the criteria as put together and agreed to by a
19 highly qualified committee on seismology. They do discuss
20 the citing of critical facilities and geology and geophysics
21 major problem areas, and basic needs for earthquake research.

22 As such, I think the document is probative of
23 the very issues that this Board has to decide, and may help
24 the Board in reaching their decision by looking at some of
25 the areas that the experts in the field say you should be

1 looking at for citing critical facilities.

2 JUDGE KELLEY: Does the Staff have comment?

3 MR. CHANDLER: We would object to the admission
4 for the same reasons basically as the Applicant. Primarily
5 on grounds of relevancy we oppose it.

6 JUDGE KELLEY: Well, earlier we had some quota-
7 tions from this report and Dr. Brune's testimony, and over-
8 ruled a motion to strike on much the same grounds as to that
9 two pages or so. It is a matter of hearsay law. Looking
10 for example at the federal rules of evidence, and things like
11 this, it can be admitted, but the Board has some concern --
12 I have been very grateful that so far the parties have not
13 come in with great stacks of article reprints to prove their
14 cases, and you know, if you literally applied the federal
15 rules of evidence in this regard, there wouldn't be much one
16 can do that under those rules, which again, we are not bound
17 by, but we can look at for guidance --

18 Mr. Wharton, I just wonder whether the entirety
19 of this report has that much to do with what we are after
20 here. I did overrule that motion the other day with respect
21 to two or three quotes. But it seems to me to be another
22 thing to go to the whole document.

23 MR. WHARTON: Mr. Chairman, I would address your
24 attention to the section number six, which we haven't gotten
25 into on direct examination for purposes of brevity, because

1 I believe what is in there pretty much speaks for itself,
2 but it is an area that is in contention here, and that is
3 whether or not there has been adequate study of these areas
4 and this sets forth the recommendation of this particular
5 body of the needs for earthquake research.

6 I believe that, again, along with the section
7 four and five, adds credence to the relevancy of this particu-
8 lar document, and I believe what assists the Board in direct-
9 ing their attention to the areas they have to consider in
10 deciding whether to grant the operating license.

11 MR. PIGOTT: Mr. Wharton indicates a use of this
12 document far worse than I had ever suspected, that he --
13 although we have one of the people who participated in its
14 preparation, we are not sort of being put on notice that cer-
15 tain chapters would be relied on for their probative value,
16 and with all due deference, I think a couple of them are out
17 of the areas that Dr. Allen professes to have his particular
18 expertise, and yet we would apparently be faced with this as
19 probative evidence to be used in coming to a decision in
20 this matter, and that is, I think, totally inappropriate,
21 and I would -- if on no other ground than the hearsay rule.

22 MR. WHARTON: Dr. Allen is available for cross
23 examination.

24 JUDGE KELLEY: Well, but the very amorphous
25 nature of these issues makes that rather difficult.

1 Mr. Wharton, we are going to deny your motion to
2 put this entire report into evidence for lack of any other
3 term -- better term, just lack of specificity. Now if you
4 want to come back and you want to earmark, and we can have
5 some further argument if you think it is worthwhile, over
6 particular portions of the report that are especially rele-
7 vant, then we can leave the door open for you to do that.

8 Once again, the quotes in Dr. Brune's testimony
9 from this report make the point that it is an area of uncer-
10 tainty and where there isn't enough data, and I expect you
11 could get people to agree to that almost by acclamation.
12 Where you get differences is in degree.

13 I don't think putting this report in adds great
14 deal to the record or our knowledge of these points, and
15 does get us into a rather lengthy document, the relevance of
16 much of which is dubious, so I will leave the door open for
17 you to come back later with the specification of parts, if
18 you want to do that.

19 MR. WHARTON: Very well.

20 I have just distributed to the parties, the
21 Board, and to the Reporter an article entitled Relationship
22 Between Seismicity and Geologic Structure in the Southern
23 California Region by C.R. Allen, Pete St. Amant, C.F. Richter
24 and J.M. Nordquist, which I would at this point identify as
25 Intervenors' Number 14 for identification.

(Whereupon, the document referred to was marked for identification as Intervenors' Exhibit Number 14.)

BY MR. WHARTON:

Q Dr. Allen, first of all, did you participate in writing this particular article?

A Yes, I did.

Q Turning specifically to page 791, starting at page 790, implications for seismic zoning, going down to number four, it states there, "shallow aftershocks of a major earthquake may do more damage in a local area than the main shock itself, and aftershocks of a major earthquake are distributed over a much wider area than many people appreciate. For example, a local aftershock of the 1952 Kern earthquake caused far more damage in the city of Bakersfield, than did the main shock 40 kilometers away, one month earlier. A more dramatic example of this phenomena is illustrated by figure 12 which shows the major aftershocks of the 1960 Chilean earthquakes," and then it shows a figure 12.

Did you write this particular part of the article?

A I recall preparing this particular diagram, and I suspect that I probably wrote at least the first draft on this particular section, yes.

JUDGE KELLEY: Excuse me, does Chile look that

1 much like California?

2 MR. WHARTON: We will get into that.

3 JUDGE KELLEY: Okay.
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ghp 1

1 Q Turning to that paragraph you say, for example,
2 aftershock of 1952 Kern County earthquake. Do you recall what
3 the size of that Kern County earthquake was?

4 A The main shock itself was magnitude $7.7M_s$ and
5 $7.2M_1$. The aftershock that occurred about a month later was
6 somewhere around magnitude 6, as I recall.

7 Q Turning to Figure 12, which is up on the viewgraph,
8 would you explain what you are trying to show by that particular
9 figure?

10 MR. PIGOTT: I would make an objection. I would
11 like to know what counsel is trying to show. I think we have
12 a real relevance problem with this whole line of questions
13 and would object on that ground.

14 MR. WHARTON: Mr. Chairman, this goes into the
15 area of aftershocks after a major earthquake and I believe we
16 have agreed that a 7.0 earthquake is a major earthquake.

17 The distance away from the source of the major
18 earthquake that historical records have shown, you can find
19 aftershocks close to the particular site of the initial earth-
20 quake and that these particular aftershocks may go anywhere
21 from five kilometers to 40 miles to, as shown in this particular
22 map which is the projection of the aftershock in the Chilean
23 earthquake projected on a map of the State of California for
24 purposes of illustrating the extent of aftershocks after a
25 very major earthquake.

1 JUDGE KELLEY: I just would like a little better
2 notion of where this goes. Does this take us -- for example
3 are you going off the OZD and over to the San Andreas or some-
4 thing?

5 MR. WHARTON: For example, we are getting into
6 whether there is a 7.5 on the OZD, could you have aftershocks
7 at the plant 8 kilometers away.

8 JUDGE KELLEY: When I see 40 kilometers, that sur-
9 prises me. I didn't know that and then I wonder if we are
10 going off to some entirely different fault structure.

11 MR. WHARTON: No, I am hoping to lay this out as
12 a principle and then connect it, if we can, with Dr. Allen
13 regarding the OZD.

14 MR. PIGOTT: We certainly are, Mr. Chairman, off
15 the OZD. The Kern County earthquake obviously is many miles
16 distant and it may, in a very general sense, be related to
17 the Southern California tectonics, but we are apparently get-
18 ting mixtures of aftershocks in Kern County, views of after-
19 shocks from an earthquake in Chile from a completely different
20 type of a fault, and if that is to be related to the OZD, I
21 still fail to see the relevance of that.

22 JUDGE WHARTON: If I understand Mr. Wharton, he
23 is first getting into the phenomena of aftershock scatter, if
24 you will?

25 MR. WHARTON: That is correct.

1 JUDGE KELLEY: Well, I think the economical way
2 right now is to go ahead. I can see this as having possible
3 relevance and rather than arguing about it any longer, why
4 don't you pursue it for a while.

5 BY MR. WHARTON:

6 Q Could you explain what you are illustrating by
7 Figure 12?

8 A I made a statement in the article -- or remade a
9 statement -- that the aftershocks of a major earthquake are
10 distributed over a much wider area than many people appreciate.

11 The purpose of this illustration was to point that
12 out, that is, to illustrate for a truly great earthquake, such
13 as the Chilean earthquake, that the distribution aftershocks
14 indeed covered a very wide area equivalent to the entire State
15 of California.

16 I should point out, of all the things in this
17 article, this particular diagram is the one that has been cri-
18 ticized the most and several of my colleagues said it would
19 some day come back to haunt me.

20 I very strongly believe the statement I made,
21 namely that aftershocks of a major earthquake cover a larger
22 area than many people visualize and I fully subscribe to the
23 fact that the Chilean earthquake aftershocks were indeed spread
24 over an exceedingly wide area, much larger than people realize.

25 Having planted that map on the State of California,

1 many people say it is not quite fair.

2 Now I made the statement later on page 791. I say,
3 inasmuch as great historical earthquakes in California have
4 not been associated with breaks as long as the 1,000-kilometer
5 length of the Chilean earthquake, such widespread aftershock
6 distribution for great California earthquakes is probably
7 unlikely.

8 Figure 12 does emphasize the fallacy in predicting
9 seismic hazard solely on the locations of active faults or
10 the epicenters of great earthquakes themselves. I will stand
11 by that statement.

12 I might say that at the time this was written back
13 in the early '60's, there was still some debate about the
14 focal mechanism of the Chilean earthquake. At that time there
15 were several people who claimed the Chilean was a strike slip
16 earthquake comparable to earthquakes that had occurred on the
17 San Andreas fault.

18 So it was not immediately obvious that the Chilean
19 situation was really irrelevant to California. We now know,
20 of course, that the Chilean earthquake was not a strike slip
21 earthquake in any sense whatsoever. Instead, it related to
22 subduction processes.

23 We now have a better idea of how that subduction
24 zone looks and indeed the factor of the aftershocks which were
25 widely distributed is a major part, we think, related to the

1 fact that the fault plain is a rather shallow and dipping
2 fault plain extending underneath the Chilean continent, and
3 this is certainly not the case in San Andreas.

4 So I tend to agree that the map itself could be
5 misinterpreted. Nevertheless, I emphasize I do stand by my
6 statement that aftershocks are distributed, at least in some
7 earthquakes, over a much wider area than has been appreciated
8 and there are certainly areas where aftershocks have caused
9 more local damage than has the main shock itself.

10 We do not fully understand this situation. We
11 had an earthquake in Parkfield on the San Andreas fault in
12 1966 where essentially all of the aftershocks fell right square
13 on the same fault plain that broke during the shock itself
14 and there was very little areal distribution of aftershocks.

15 On the other hand, two years later we had an earth-
16 quake in the Morego Valley area, also on a branch of the San
17 Andreas fault, also a strike slip, of about the same magnitude
18 and the aftershocks were spread over a very wide area.

19 So the distribution of aftershocks is something --
20 why they are different from one earthquake to the next, we do
21 not fully understand.

22 However, the idea that there could be an earthquake
23 in California on the San Andreas fault that would have after-
24 shocks distributed as is shown on this map, I think is utterly
25 incredible and I think we essentially stated that at this time

1 I think I would reinforce that now.

2 Q I am looking more toward the smaller scale, I
3 believe in the 1952 Kern County earthquake where you stated it
4 caused more damage in Bakersfield than the main shock 40 kilo-
5 meters away one month earlier. Could you describe the damage
6 from the aftershock as compared to the original earthquake?
7 What was the difference?

8 A Well, it simply caused more damage to the buildings
9 in the Bakersfield area than did the main shock itself. I
10 assume the intensity of shaking, at least at frequencies that
11 were damaging those structures, were simply greater during
12 this aftershock than during the main shock itself.

13 I might say the classification of that shock as
14 an aftershock again is a matter of some debate because the
15 word, aftershock, has never really been very accurately de-
16 fined.

17 I would consider it an aftershock. I suppose
18 someone might argue that that was sort of an independent
19 earthquake because it was some 40 kilometers away, which is
20 a fairly surprising distance away from the fault for this to
21 happen. Nevertheless, I think they are mechanically related.

22 That is, the fact that we had this aftershock a
23 month after the main shock somehow was mechanically related
24 to the fact that we had the main break 40 kilometers away
25 on the White Wolf fault. It was not on the same fault.

1 Q Was the aftershock in Bakersfield on a specific
2 fault?

3 A Well, insofar as we know virtually all earthquakes
4 occur on faults so I assume that the Bakersfield aftershock
5 did also.

6 Q But you don't know specifically what the fault was
7 or the nature of the fault?

8 A I don't recall at the moment specifically. There
9 are some faults mapped in that area, particularly from sub-
10 surface oil well data, and as I recall there was some reason
11 for saying that that particular aftershock might have been
12 on one of these faults, but as you well know, it is very
13 dangerous to very arbitrarily assign epicenters to faults.

14 Q On the basis of your knowledge of aftershocks, do
15 you think it is possible that a magnitude 7 earthquake on the
16 Newport-Inglewood-Rose-Canyon fault zone could have after-
17 shocks in the magnitude of, say, 5 to 7?

18 A Well, certainly it is very common for aftershocks
19 in major earthquakes to have magnitudes that are up to, let's
20 say, one magnitude unit smaller than the main shock.

21 Generally speaking the larger aftershocks tend
22 to occur closer to the main fault than do the smaller after-
23 shocks. I think this is exemplified, for example, by the
24 1968 data from the Braga Mountain earthquake, but certainly
25 it is, in my opinion, possible that aftershocks of a

1 magnitude 7 earthquake could occur some distance away from
2 the main cause of the fault and we have seen this time and time
3 again.

4 Generally speaking, of course, they are of such
5 magnitudes that they cause considerably less ground shaking
6 than did the main shock itself, although the Bakersfield
7 situation is an exception to this.

kw-1

1 Q Could these aftershocks on Newport Inglewood
2 fault, could they be as much as eight kilometers away from
3 the epicenter on the Newport Inglewood fault?

4 A I assume that is possible, yes.

5 MR. WHARTON: Mr. Chairman, I have marked this
6 as Intervenors' Number 14 and I don't believe that we have
7 been trying to put too many documents into evidence. This is
8 a document that Dr. Allen has testified to and put it together
9 in its entirety because on previous occasions I have been
10 requested to put documents together in their entirety. I
11 would submit that the document, pages 790 and 791, and the
12 top of 792, along with figure 12 of this particular document
13 be admitted into evidence.

14 JUDGE KELLEY: Pages 791 --

15 MR. WHARTON: 790, starting with implications
16 for seismic --

17 JUDGE KELLEY: Allright.

18 MR. WHARTON: 791 --

19 JUDGE KELLEY: The top of 792 and the figure?

20 MR. WHARTON: 792 and the figure, yes.

21 MR. PIGOTT: I am going -- I think I am going to
22 have to object to a portion of this particular document going
23 in. I think if we are going to get it, we have to get this
24 one in its full context. We do have the author in this case.
25 I don't think that it is appropriate to have just a portion

kw-2

1 of the document.

2 MR. WHARTON: Well, if you want the whole docu-
3 ment, I will move for the whole document.

4 JUDGE KELLEY: You would have no objection to
5 including the whole document?

6 MR. PIGOTT: Not to putting the whole document
7 in, no.

8 JUDGE KELLEY: All right.

9 MR. WHARTON: That is fine.

10 JUDGE KELLEY: This is as evidence of what it
11 discusses --

12 MR. PIGOTT: whatever it says.

13 MR. CHANDLER: Staff has no objection.

14 JUDGE KELLEY: So ordered.

15 (Whereupon, the document
16 previously marked for identi-
17 fication as Intervenor's
18 Exhibit Number 14 was received
19 in evidence.)

20 MR. WHARTON: For the record, I have just dis-
21 tributed to the Board and to the parties and to the Court
22 Reporter, two copies, and I will supplement one more copy
23 to the Court Reporter of an article entitled Earthquakes,
24 Faulting and Nuclear Reactors by Clarence Allen, and I would
25 mark that as Intervenor's Number 15 for identification.

kw-3

1 (Whereupon, the document re-
2 ferred to was marked for identi-
3 fication as Intervenors' Ex-
4 hibit Number 15.)

5 BY MR. WHARTON:

6 Q Dr. Alien, would you take a minute to look over
7 that article?

8 A Yes.

9 Q Did you write this article?

10 A Yes, I did.

11 Q Did you write it in its entirety?

12 A Insofar as I know, yes.

13 Q The article as submitted to you is not complete
14 in that I am going to be referring to page 13 of that article,
15 13 and 14 of that article, and I might note the copy I have
16 does not -- has a -- you cannot read the number 13 at the
17 bottom of the page, but it is identified by a picture of what
18 appear to be rolling hills.

19 A That is a fault.

20 Q Do you have a copy of the full article yourself,
21 Doctor?

22 A Yes, I have a reprint of the article.

23 Q Okay. Would you compare your reprint to page
24 13 and 14 as submitted?

25 A Insofar --

kw-4

1 MR. WHARTON: Correction. The article is com-
2 plete.

3 JUDGE KELLEY: It is?

4 MR. WHARTON: I thought it was parts. It is
5 a complete article.

6 JUDGE KELLEY: All right.

7 MR. WHARTON: Do you need something, Dr. Allen?

8 WITNESS ALLEN: Oh, I was looking for something
9 you put out that quoted from this. Oh, here, I guess it is
10 in -- yes, okay.

11 BY MR. WHARTON:

12 Q What is that you are referring to?

13 A Well, this is in the -- I don't know what you
14 call these things. The Intervenors' answers to interroga-
15 tions propounded by the Southern California Edison.

16 Q Okay. Fine.

17 A You quoted from this -- or purported to quote
18 from this document.

19 Q Okay, referring to page number 13, there at the
20 first paragraph you state, and I take it this is your writing
21 here --

22 A As far as I know, yes.

23 Q In the case of nuclear reactors, the specifica-
24 tion of the maximum credible earthquake for which public
25 safety must be assured demands extreme conservatism for two

kw-5

1 principle reasons. One, the consequence of some types of
2 serious failure in a nuclear facility must be guarded against,
3 even if their likelihood is exceedingly remote, and two, the
4 historic record of earthquake occurrences is so short that
5 it cannot encompass the entire spectrum of possible events.
6 Almost every large earthquake that has occurred in California
7 has proved to be surprising in terms of what would have been
8 expected by geologists, seismologists and engineers at the
9 time. The recent unexpected events associated with the
10 relatively small 1966 Parkfield Cholame earthquake emphasized
11 once again how little we know about what constitutes an
12 average or likely earthquake. For this reason the present
13 state of knowledge demands an unusually conservative approach
14 to the specification of seismic citing and design criteria
15 for structures such as nuclear reactors and dams that are
16 critical to public safety.

17 Do you still -- when was this particular article
18 written?

19 A This was written in 1967, as I recall.

20 Q Do you still agree with the statements made there?

21 A Basically, yes. I should point out that you --
22 in your document you quoted this, as you have now, with a
23 couple of errors I can point out. But also, you sort of
24 stopped short of the final sentence of the paragraph, --

25 Q Yes.

W-6

1 A -- which says perhaps we can become less con-
2 servative as we learn more from research studies and from
3 experiences during major earthquakes in the future, and I
4 think that is an important concluding sentence for that para-
5 graph, but I still stand by what I said. Yes, I think we
6 must continue to be conservative, and as far as I know, there
7 is not great disagreement on that matter.

8 Q Okay, since this article was written, have we
9 learned more from research studies and from experience during
10 major earthquakes to allow us to become less conservative?

11 A I think so, yes.

12 Q Is there any way you could quantify the amount
13 of conservatism that we could reduce since this article was
14 written?

15 A That is hard to say, but as we will presumably
16 talk about later, one of the reasons I wrote this article
17 was because we had just completed or were just in the process
18 of completing the Bolsa Island meetings, and one of the
19 things as you well -- as you all well know, is that we sug-
20 gested a magnitude eight earthquake. I would no longer sug-
21 gest that earthquake, and I think this is the result of know-
22 ledge we have gained and experience we have had in the mean-
23 time, particularly looking at the localities at which magni-
24 tude eight earthquakes occur around the world, so in a sense
25 yes, I think we have benefited from observations, from our

kw-7

1 research, and to some degree we can be less conservative
2 than we were 15 years ago. That doesn't mean we still should
3 not be conservative, and I still stand by the statements
4 made here. We must indeed be exceedingly conservative.

5 Q Very good. You did bring up the Bolsa Island
6 Report and that was the next area I was going to get into.

7 A Before we leave this --

8 Q Yes.

9 A -- may I point out a couple --

10 Q Sure.

11 A -- corrections in the -- since it is a matter of
12 court record apparently, on page 28 of this document --

13 Q Is this the answers to the interrrogatory?

14 A Yes.

15 Q I don't know that we -- if it is something that
16 you want to do -- I don't know that it is necessary for the
17 record --

18 JUDGE KELLEY: It is not necessary for the
19 record.

20 WITNESS ALLEN: Okay. There were a couple of
21 words left out that -- at least one word that did tend to
22 change the meaning in that.

23 JUDGE KELLEY: The reason is they aren't in evi-
24 dence. They are there to help the parties prepare.

25 WITNESS ALLEN: And I felt rather strongly that

1 that final sentence should not have been omitted from the
2 paragraph because it did tend to put things in somewhat of
3 context.

4 MR. WHARTON: Well, we have straightened that
5 out now since we talked about it.

6 WITNESS ALLEN: Okay.

7 BY MR. WHARTON:

8 Q Getting into the Bolsa Island Report, and you
9 indicated as an example of less conservatism that you may
10 not agree with the magnitude eight that was originally in
11 the Bolsa Island Report, so I think we probably should be
12 talking about that, since it is a report that concerns the
13 Newport Inglewood fault zone.

14 I have just distributed to the Board and to the
15 parties copies of the geological seismological factors per-
16 taining to the proposed construction of a nuclear power de-
17 salting plant in Bolsa Island, California, report to Stuart
18 L. Udall, Secretary of the Interior, October, 1967.

19 It was pointed out by Mr. Pigott, there are some
20 notations on the first page that, for purposes of the reuse
21 of this article are to be ignored. I would mark this as
22 Exhibit -- Intervenors' Exhibit -- I believe it is 16.

23 (Whereupon, the document referred
24 to was marked for identifica-
25 tion as Intervenors' Exhibit
Number 16.)

kw-9

1 MR. VOGLER: Mr. Wharton?
2 MR. WHARTON: Yes.
3 MR. VOGLER: I didn't hear your explanation of
4 the --
5 MR. WHARTON: Of the --
6 MR. VOGLER: I didn't have it in my hand.
7 MR. WHARTON: The relation of the --
8 MR. VOGLER: What is the writing on it?
9 MR. WHARTON: The writing is a -- on the top
10 page is a note for someone which copies to -- which part of
11 the report to copy.
12 MR. VOGLER: What about the one in the middle?
13 MR. WHARTON: Okay, the one that says note page
14 18, I don't know what context that came in there. That is
15 to be ignored and treated as if it is not there.
16 BY MR. WHARTON:
17 Q Dr. Allen, turning to page 1 of the Bolsa Island
18 Report, I note that your name is second on the list of people
19 as they refer to as membership. Is that correct?
20 A Yes, I assume it is second because of alphabeti-
21 cal listing. Yes.
22
23
24
25

ghp 1

1 Q Did you participate in writing this particular
2 report?

3 A Yes.

4 Q Turning specifically to page 18 of this report --
5 JUDGE KELLEY: Could we get a little more back-
6 ground on this first?

7 MR. WHARTON: Yes.

8 JUDGE KELLEY: For example, it is a report on
9 Seismic Hazard for a Nuclear Power Plant. What does the
10 Atomic Energy Commission have to do with that issue? Why
11 was the Secretary of Interior interested in the matter?

12 MR. WHARTON: I don't know all the background on
13 this and I am sure there are people in the room who know more
14 about it than I do.

15 JUDGE KELLEY: Okay.

16 WITNESS ALLEN: There was a proposal to build
17 particularly a desalting plant and then for some reason a
18 procedure was set up by appointing this committee with Harry
19 Sieh as chairman, to advise the Department of Interior on it.
20 How the AC was involved, I just don't know.

21 JUDGE KELLEY: Maybe they never got to the point
22 of filing an application for a reactor. I am just curious.
23 If we are going to have this in the record and talk about it,
24 let's just have its standing and parentage a little clearer
25 than it now is. It would be helpful.

1 Does the Staff have any intelligence on this?

2 MR. VOGLER: Not at the moment.

3 JUDGE KELLEY: Go ahead. Perhaps at some later
4 point we can fill it out.

5 MR. VOGLER: Excuse me, do you want us to try and
6 find out?

7 JUDGE KELLEY: Would you look into the background
8 a little bit? Was there ever an application by anybody to
9 build a reactor? Did the AEC ever review this site or seismic,
10 those sorts of things?

11 MR. VOGLER: Fine. We will look around our group.
12 I believe we might have some people who know the history of
13 this particular one. I might ask, if this is going to be pro-
14 posed as an exhibit which seems to be the case, if we could
15 have the kind of background as to whether or not this witness
16 is an appropriate sponsor for it.

17 BY MR. WHARTON:

18 Q Dr. Allen, you stated that you participated in
19 writing this report?

20 A Yes, and before I am accused of plagiarism, I should
21 perhaps point out that I apparently specifically wrote at
22 least the first draft on parts of this report because I see
23 that some of the language here is almost exactly the same as
24 the language in this document we were just talking about, al-
25 though a couple of the words -- exceedingly was modified to

1 very, apparently on the advice of my more sober colleagues --
2 but I do recall that I was heavily engaged in this particular
3 part of the report, yes.

4 Q Did you review the final report before it was pub-
5 lished?

6 A Yes, again the entire panel reviewed it, although
7 I emphasize that the panel consisted of people with different
8 expertise in different areas, and we all reviewed the report
9 although some of us were much more concerned with some parts
10 than others.

11 There was a particular problem here that had to
12 do with the fact that this was to be on an artificial island
13 built offshore so there was a considerable problem on soil
14 stability and that is really not my field of expertise. That
15 was one reason Dr. Seih was chairman of that particular group
16 because that was the particular problem on that particular
17 proposed facility.

18 Q In the area on seismological consideration, star-
19 ting with page 18, is that the area of seismological considera-
20 tion that you wrote the draft?

21 A Yes. I at least apparently wrote part of the
22 draft. I wouldn't say I wrote the whole draft.

23 Q Starting on page 18, second paragraph, if you could
24 review that whole second paragraph, do you recall whether that
25 is a statement -- whether that particular paragraph -- was

1 written by you?

2 A I think it was and it is word-for-word the same
3 as the paragraph in this volume except for the use of the word
4 very instead of exceedingly, and modifying the word remote.

5 Q Okay, so I take it that you have read that para-
6 graph before and you say you basically agree with that and
7 would you say that you basically agree with this paragraph
8 at the present time?

9 A Yes.

10 Q Going down to the next paragraph, it states, in
11 view of the mandatory conservatism, we suggest that the maximum
12 earthquake for which public safety might be assured should be
13 a magnitude 8 on the Newport-Inglewood fault or in one of the
14 parallel offshore breaks.

15 In addition a magnitude 6.5 earthquake must be
16 assumed in the more distant San Andreas fault or one of its
17 major branches.

18 Would you still agree with the entirety of that
19 statement?

20 A No, I would not and I note that it was followed by
21 the sentence, although we consider the probability of a
22 magnitude 8 shock in the Newport-Inglewood plant to be ex-
23 ceedingly low in the life of the plant, the present state of
24 knowledge does not allow us to rule out the credibility of such
25 an event.

1 What I am stating is that I think that the state
2 of knowledge has, indeed, changed.

3 In saying that, incidentally, I helped write this.
4 I fully agreed with it when it was written, but as I have told
5 you on several occasions, or Glen Barlow in the past several
6 months, the fact that I no longer agree with that number is
7 not a matter of news to you, I think.

8 Q Have you published any retractions or disagreements
9 on this report in writing, or distributed them to anyone else?

10 MR. PIGOTT: I object on relevancy, Mr. Chairman.
11 If the gentleman says it is no longer his opinion, it is no
12 longer his opinion.

13 JUDGE KELLEY: Sustained.

14 BY MR. WHARTON:

15 Q Would you agree that at the present time a 5
16 earthquake on the Newport-Inglewood --

17 MR. PIGOTT: Objection as to no foundation laid
18 for this witness having made any kind of a study that would
19 allow him to come to a current precise assessment of the maxi-
20 mum magnitude on this particular event.

21 MR. WHARTON: Mr. Chairman, I was going on the
22 basis that he made this before. I can simply go into founda-
23 tion. He has stated that he has reassessed Newport-Inglewood
24 and in his reassessing it I think we have the foundation for
25 his knowledge.

1 JUDGE KELLEY: The reassessment I understood to
2 be general advances of seismology and not subsequent studies
3 of that area.

4 Let me ask you, Doctor, since that time have you
5 done any site-specific, if you will, studies of the geology
6 and seismology in that fault zone?

7 WITNESS ALLEN: Well, I think in two contexts the
8 answer is yes. It was subsequent to this, of course, that I
9 was a consultant to the ACRS and certainly at that time we
10 considered at least the Newport-Inglewood fault zone, or what
11 at that time they thought to be it further south.

12 I think at the time this report was written there
13 was not great concern about how far south the fault extended
14 and indeed our stipulation of the earthquake here had to do
15 with the segment of the fault opposite Bolsa Island, not what
16 somebody might visualize the total length of the fault to be.

17 I would also say that the Newport-Inglewood fault
18 is a major fault of Southern California and it is going to
19 continue to be of interest to us in terms of seismicity, in
20 terms of trying to understand the tectonics of the State.

21 No, I have not done site specific work, I guess,
22 in the Newport-Inglewood fault but certainly something like
23 other faults in Southern California, I have been continually
24 concerned about it.

25 //

1 JUDGE KELLEY: When you say Newport-Inglewood,
2 in this proceeding, as you may know, we have some terms of
3 art. Are you familiar with the so-called OZD?

4 WITNESS ALLEN: Certainly at the time we wrote
5 this report, no. I think we assumed that the Newport-Inglewood
6 fault ended opposite Newport Beach, so that is the context
7 that I speak of here.

8 JUDGE KELLEY: The part in this report was --

9 WITNESS ALLEN: That segment.

10 JUDGE KELLEY: Now when you consulted to the ACRS
11 later on, did that involve -- to the Commission, did that
12 involve any different length fault?

13 WITNESS ALLEN: As I recall, and this was some
14 time ago, at that time the Newport-Inglewood, that name, was
15 extended farther south. There was some debate at that time
16 as to exactly how continuous it was, or in particular how it
17 might connect into the Rose Canyon fault.

18 But certainly, as I recall, the name we were using
19 at that time was the Newport-Inglewood fault zone and not
20 these various initials that are now being used.

21 JUDGE KELLEY: Did I understand you correctly
22 earlier -- maybe I shouldn't put words into your mouth -- I
23 thought when you said that you wouldn't say 8 today, you
24 weren't referring so much to the particular geology of that
25 area as you were to general advances in your science. Was I

1 wrong about that?

2 WITNESS ALLEN: We may get into this problem of
3 why I have modified my position but it has to do with the
4 nature of that fault zone in the area of Bolsa Island and I
5 would just as soon talk about that area more than the area
6 offshore from San Onofre since I am not cognizant of all the
7 recent work that has been done offshore.

8 JUDGE KELLEY: I think I did misunderstand you.
9 Thank you. Go ahead.

10 BY MR. WHARTON:

11 Q You stated, I believe, on the basis of new know-
12 ledge of less requirements of conservatism, that you would
13 reduce the magnitude shock which you had predicted in the
14 Bolsa Island report.

15 I would ask you now, if you were to be writing
16 this report today and using the same level of conservatism,
17 what would you suggest the maximum earthquake for which public
18 safety must be assured would be?

19 MR. PIGOTT: I really must object. I heard the
20 Board's questioning of Dr. Allen, but I really think that in
21 a case such as this requiring a precision such as this that
22 the foundation for this particular kind of an assessment has
23 not been made.

24 JUDGE KELLEY: Perhaps you could ask the witness a little
25 more about his work in that area.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. WHARTON:

Q Dr. Allen, what kind of research did you do in writing the Bolsa Island report to recommend a magnitude of 8 on the Newport-Inglewood fault at that time?

A Our justification for that number is not very adequate. On the following page, on page 19, I think it states that we were particularly concerned with fact that the magnitude 7.1 Imperial Valley earthquake in 1940 and the magnitude 7.75 Kern County earthquake in 1952 occurred on relatively short faults.

In particular we were concerned that the 1952 earthquake occurred on a fault of not very great length and it still, as a matter of fact, I think is well short of the average for faults -- for earthquakes -- of that magnitude.

I think the primary reason that we came up with a magnitude 8 shock is because of our comparisons with the White Wolf fault where we had what appeared to be a very surprising event -- a surprisingly large event -- on a relatively short fault and this tended to create a concern for Newport-Inglewood fault which is even greater length, of course, an on which the White Wolf fault occurred, apparently.

Subsequent to that time, many of us have spent a lot of time looking at areas around the world where magnitude 8 earthquakes have occurred, large earthquakes, trying to see what kind of geologic characteristics are typical of those

1 areas.

2 In particular I think it has become recognized
3 since this time, more than it was in 1967, that there are some
4 major differences between strike slip areas and areas of ver-
5 tical faulting.

6 Here was a case where we were comparing an ad-
7 mittedly strike slip fault -- the Newport-Inglewood fault --
8 with the White Wolf fault which at least as a very large ver-
9 tical component to it.

10 I think one of the things we have learned is that
11 the mechanical characteristics of strike slip faults are indeed
12 somewhat different from those of vertical faulting.

13 So I think it is primarily on the basis of looking --
14 and I have done this myself and other people have written many
15 articles on this -- on the kind of areas where many large
16 earthquakes have occurred.

17 For example, I spent some time after this looking
18 at the North Anatolian fault in Turkey where we had a magni-
19 tude 8 earthquake in 1939, looking more carefully at the areas
20 of the 1906 and 1857 earthquakes.

21 I have spent some time since then looking at the
22 Bocono fault in Venezuela which apparently caused a major
23 earthquake with strike slip displacement in 1812. I spent
24 some time in New Zealand looking at some of the major faults
25 there that have caused large earthquakes of strike slip nature.

1 On that basis it seems to me that an earthquake
2 as large as magnitude 8 does not appear to be an event of
3 any reasonable likelihood on this part of the Newport-Inglewood
4 fault.

5 It seems to me the nature, the branching nature,
6 the fact that we fail to see continuous -- evidence for con-
7 tinuous recent displacement at the surface -- that these are
8 simply not characteristics of the kinds of strike slip faults
9 that have generated truly large earthquakes.

10 Therefore, I am inclined now to come down somewhat
11 from that number magnitude 8, and this is on the basis of
12 looking at lots of these areas and reading the studies that
13 have been done by others, say on the Montago fault in Guatamala,
14 which was a strike slip earthquake of not even magnitude 8,
15 but approaching it, or the Lituya Bay earthquake in 1958 in
16 Alaska on a strike slip fault.

17 These faults, it seems to me, have a simplicity
18 and a continuity of them, not to speak of length, that in
19 general I do not see on at least this segment of the Newport-
20 Inglewood fault.

21 Q On the basis of this, what would you reduce your
22 estimate to?

23 A I think it would be in the magnitude 7 to 7.5
24 range. I say range because I have not been assigned the task
25 of coming up with a specific number. I have often criticized

1 the Geological Survey for always giving magnitudes in a range
2 that are a half-a-unit apart.

3 In this particular case, though, I would say it is
4 in the 7 to 7.5 range, rather than magnitude 8. That seems to
5 be the maximum event that I think is at all reasonably likely
6 on the segment of the fault opposite Bolsa Island.
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

T14 1

1 Q If you weren't looking at the segment of the
2 fault, but if the Newport-Inglewood fault zone was part of a
3 throughgoing fault zone 240 kilometers long, would that raise
4 your estimate, as you presently state it, between seven and
5 seven point five?

6 A Oh, certainly if the Newport-Inglewood fault were
7 a single well-defined fault zone that extended without all
8 sorts of branches and whatnot all the way from Santa Monica
9 to somewhere in the middle of Baja California, as is typical
10 of the San Andreas fault or the north Anatolian fault, or
11 the fault at Lituya Bay, or some of the faults in New Zealand,
12 then indeed I would be willing to consider not only an eight,
13 an eight and a half on that event -- on that fault.

14 I do not see that, and at least on the basis of
15 the diagrams I have seen, I am not impressed with the
16 continuity of a single well-defined fault zone throughout
17 this entire area, such as we seem to see on these other
18 faults that have generated truly great strike-slip earthquakes.

19 Now, I must point out that I have not examined
20 in great detail the offshore data from San Onofre. A great
21 deal of this has been done since the time of the ACRS study,
22 but what maps I have seen, such as those in the testimony of --
23 what is the one that shows the fault map offshore?

24 JUDGE KELLEY: Greene and Kennedy?

25 WITNESS ALLEN: No, Legg. Legg's, there is a map

2 1 in here, and sort of a zerox of a zerox of a zerox, but what
2 I see in there does not lead me associate that fault zone
3 with the same kinds of features on which these truly great
4 earthquakes have occurred, and I have spent a lot of time
5 walking along the north Anatolian fault in Turkey. I walked
6 over most of the length that broke in 1938, and I have -- on
7 some of the other, particularly along the San Andreas and
8 on the New Zealand faults, I have tried to look at these
9 very carefully, and many people, some in this room, have
10 tried to do similar exercises on other areas in the world.

11 To me, the Newport-Inglewood fault as we see it
12 in the area of Bolsa Island and northward across the Los
13 Angeles Basin simply does not look as impressive as do these
14 other features in terms of the capability of producing a
15 truly large earthquake, in terms of continuity or recency of
16 displacement.

17 Q Okay, one more thing, is in page 19 of the
18 report, they state, "In particular, the two largest earthquakes
19 in the region in the past 30 years, of magnitude 7.1 and
20 seven and three-fourths, both occurred because of displacement
21 on faults that had not previously been recognized as likely
22 sources of major shocks."

23 A That is true. Prior to the time of the 1940
24 earthquake, insofar as I am aware, that fault had not -- the
25 Imperial fault, which broke at that time, had not been

3 1 recognized by geologists as an active fault, or perhaps even
2 as a fault.

3 Likewise, the White Wolf fault, that broke at
4 the time of the 1952 earthquake, the fault had been recognized.
5 Indeed, it had been pointed out by Andy Lawson almost a
6 hundred years ago, but I don't think it had been particularly
7 considered by geologists as a feature that was high on their
8 list of faults most likely to generate a large earthquake.

9 Times have change a great deal, and I think we are
10 in a much better position now to recognize those faults
11 that are most likely to produce major earthquakes, and this
12 has certainly been one of the major accomplishments of
13 geological investigations in Southern California and elsewhere
14 in the world over the past ten or 15 years, the trenching of
15 faults, the mapping of these faults, we have been surprised.

16 Even the San Fernando earthquake, I think we have
17 to admit, occurred on a fault that most of us had not
18 recognized as one that would be high on our list of major
19 earthquake-producing faults yet it had been recognized, not
20 widely publicized, but the major portion of it had been
21 recognized as a fault that broke Quaternary strate. Certainly
22 it could have been and should have been and in part was
23 recognized.

24 So, I guess my statement is that every single
25 major earthquake you have had in Southern California and for

4 1 the most part throughout the world, has occurred on a fault
2 that either had been or could have been or at least should
3 have been recognized by modern techniques as a seismogenic
4 fault prior to the time of that event.

5 I don't know of a single major earthquake any-
6 where in the world that has not occurred on a fault that was
7 pre-existing, and has not occurred on a fault that had an
8 earlier history of Quaternary displacement. (sic)

9 There has been some debate on the Inangahua
10 earthquake in New Zealand, some debate on the Meckering
11 earthquake in Australia, but my impression is that even
12 those earthquakes now, people are willing to say that there
13 are reasons that geologists should have recognized them prior
14 to the time of those events as major active faults with a
15 high degree of activity.

16 Q Okay, one more question, and it is fairly general.
17 Would an earthquake magnitude M_S 3, located on -- locating
18 the epicenter on a fault, would that necessarily mean that
19 there has been movement on that fault? More or less a
20 definitional question.

21 A Well, if we have an earthquake of magnitude 3,
22 let us say M_L , and that earthquake indeed was centered on the
23 fault plane, not just a map view, but on the fault plane, then
24 I think insofar as all earthquakes, virtually all earthquakes
25 are caused by shearing, and assuming that focal -- that

5 1 surface of shearing was in the same direction as the fault,
2 I think yes, we would have to say that fault has slipped.

3 MR. WHARTON: I have no further questions of Dr.
4 Allen. I thank you very, very much.

5 JUDGE KELLEY: Thank you, Dr. Allen.

6 Let us just consider here for a moment. Mr.
7 Pigott, have you thought about how you would like to proceed,
8 I mean, with regard to Dr. Allen?

9 MR. WHARTON: Oh, Mr. Chairman, I forgot one
10 thing. Let me go back just a second.

11 JUDGE KELLEY: Do you have further questions?

12 MR. WHARTON: No. I believe I identified the
13 Bolsa Island report and I would like to move that the Bolsa
14 Island report be accepted into evidence.

15 JUDGE KELLEY: Any objection from the parties?

16 MR. PIGOTT: I think I will -- yes, I object to
17 the introduction of this document. I don't think that Dr.
18 Allen, despite his familiarity of having been on the
19 committee that put it together, is an appropriate sponsor for
20 the document itself, nor do I believe that he purports to
21 sponsor the document, and all its statements, as probative
22 evidence.

23 MR. WHARTON: Mr. Chairman, if we could narrow
24 it to seismological considerations --

25 JUDGE KELLEY: Let me ask, Mr. Pigott, what do you

6 1 think we are lacking in Dr. Allen as a sponsor? Who should
2 sponsor such a document?

3 MR. PIGOTT: If anyone were to sponsor it, I
4 would say it would have to be someone designated by the --
5 either by the committee itself or whoever received it. Now,
6 we do have that he is familiar with it, and he has testified
7 to portions of it, and that will stay in the record, but to
8 put the whole document in for the truth of every word and
9 line contained therein, I don't believe that Dr. Allen has
10 attempted to sponsor it in that capacity, or use it in that
11 capacity, and I think that that is what Mr. Wharton is offering
12 at this time.

13 JUDGE KELLEY: Well, the seismological
14 considerations beginning on page 18, that we talked about,
15 some of that, doctor, could you refresh my memory on the
16 extent of your authorship of this document? You wrote the
17 seismological sections, correct? Substantially?

18 WITNESS ALLEN: Not in entirety. For example,
19 on the bottom of page 19, where we go into the nature of the
20 ground motion, that has the ring of Harry Seed to it, as I
21 read it. I can't believe that I wrote that, but the section
22 that was quoted in the middle of page 18, and perhaps the
23 rest of that paragraph, and the rest of that page and the
24 following page, I may well have written that, yes; the first
25 draft of it.

8 1 JUDGE KELLEY: Well, Mr. Wharton, again, I haven't
2 had a chance to read this, I am just flipping through, but
3 subsidence problems have got nothing to do with our case.

4 MR. WHARTON: I agree.

5 I would move it just be the seismological
6 considerations part. Dr. Allen has testified that he has
7 written a large portion of this and that he has reviewed all
8 of that. I believe that is sufficient for identification,
9 and for the parts relied on in testimony, certainly we go
10 into detail about it considerably. The testimony explains
11 the document.

12 WITNESS ALLEN: I say, I thought I wrote the
13 first draft, parts of it. Not necessarily a large part of it,
14 because most of the seismological considerations, actually,
15 two and a half pages of that has to do with the design ground
16 motion

17 JUDGE KELLEY: And as to that part, is ground
18 motion, that kind of thing, particularly within your field?

19 WITNESS ALLEN: No. No.

20 JUDGE KELLEY: It is not.

21 MR. PIGOTT: Then I would also submit we have an
22 incomplete sponsorship of the total seismic criteria. There
23 is a criteria in there of 0.5 Gs being the design basis for
24 the site. We are getting bits and pieces, and --

25 MR. WHARTON: Mr. Chairman, I maybe shouldn't

1 bring this up, but I might remind Mr. Pigott that we have 160
2 pages of anonymous documents, namely the FSR (sic), in evidence
3 here. I am talking here about four pages. If we are talking
4 about hearsay and sponsorship.

5 MR. PIGOTT: We are talking about context and
6 misconstruction.

7 JUDGE KELLEY: Well, I am just talking about
8 truth and justice, and is it -- wouldn't it be feasible to
9 split out the ground motion portion from -- where exactly
10 does that --

11 MR. WHARTON: That starts here, the last paragraph
12 on page 19, and I would be -- for purposes of putting it
13 into evidence, page 18 through the end of the first full
14 paragraph on page 19.

15 MR. PIGOTT: If I might be heard, that is a part
16 of the problem. The overall -- there was an overall
17 recommendation, which was that, I believe if you study the
18 full document, is that you assume -- or assign the H, but
19 then there is the acceleration value assigned in connection
20 with it. They are -- they are together, in effect, as the
21 seismic design basis for this particular project, and we are
22 getting -- we have one person's --

23 JUDGE KELLEY: Well, is the seismic design basis
24 for this particular project of any interest to us whatever?
25 I thought that you were pursuing this, because this is

1 evidence that somebody once thought there might be an eight
2 on that fault zone.

3 MR. WHARTON: That is correct. It goes into
4 the considerations --

5 JUDGE KELLEY: You are not getting into what the
6 Bolsa Island project should have been designed to, I would
7 assume.

8 MR. PIGOTT: If you are trying to compare a
9 seismic design, apparently on a segment or a portion of the
10 Newport-Inglewood, that you should be discussing the full --
11 or discussing not just one little part of what has been
12 designated, i.e., the magnitude value, but there is also the
13 ground motion value.

14 We have spent so much time talking about 0.67,
15 I am sure Mr. Wharton realizes that that cannot be divorced
16 from the maximum magnitude. Here, he selects -- here he
17 chooses to bring in someone to talk about having written
18 the first draft, and having knowledge of a portion of it,
19 and just sort of leaving us with half of the story, and --

20 JUDGE KELLEY: Any comment from the Staff on this?

21 MR. VOGLER: I have been talking with the
22 gentlemen from my staff, and I didn't hear all of Mr.
23 Pigott's remarks that have just concluded. I understand that
24 you are offering, Mr. Wharton, for the first page and a half?

25 MR. WHARTON: Yes, that is correct.

1 MR. VOGLER: And not the last page and a half,
2 or whatever comprises the rest of this chapter?

3 MR. WHARTON: That is what was objected to by Mr.
4 Pigott. Now, he appears to be saying we should have it in.
5 I am not sure --

6 MR. PIGOTT: I am saying that we shouldn't have
7 any of it in.

8 JUDGE KELLEY: All right, we have, as I understand
9 it, a motion, as modified, but a motion from Mr. Wharton, to
10 put in pages 18 and the first half of page 19 of this
11 document.

12 MR. VOGLER: The Staff doesn't object to that.

13 JUDGE KELLEY: The Staff does not object?

14 MR. VOGLER: As limited.

15 JUDGE KELLEY: It doesn't seem to me, Mr. Pigott,
16 I listened to your argument, but I don't believe that would
17 distort the record, and I am going to grant that motion. So
18 that is admitted in evidence.

19 (Intervenor's Exhibit No. 16
20 was thereupon received into
21 evidence.)

22 MR. WHARTON: I have nothing further for this
23 witness. Thank you very much.

24 JUDGE KELLEY: Why don't we take a coffee break
25 here, and maybe in the course of that, we can discuss witnesses

1 and cross-examination a little bit.

2 (Brief recess)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

DAVIDSON ERASABLE BOND
25% COTTON

kw-1

1 JUDGE KELLEY: We are back on the record.

2 The direct examination of Dr. Allen was completed.
3 He will return tomorrow morning for cross examination, and
4 we will go now to the next witness, Dr. Boore, right?

5 MR. WHARTON: Our next -- Intervenors' next
6 witness is Dr. David M. Boore, and I will point out that
7 Dr. Boore is a subpoenaed witness. He is not appearing
8 voluntarily.

9 JUDGE KELLEY: Whenever you are ready.

10 MR. WHARTON: Okay.

11 [REDACTED]

12 DAVID M. BOORE

13 having been first duly sworn, was called as a witness herein
14 and was examined and testified as follows.

15 DIRECT EXAMINATION

16 BY MR. WHARTON:

17 Q Would you please state your full name for the
18 record please?

19 A David Meredith Boore.

20 Q Dr. Boore, would you please state your education-
21 al background and your experience, job experience background?

22 A I have Bachelor's in geophysics from Stanford
23 University in 1964, a Master's from Stanford in geophysics
24 in 1965, a Ph.D. from the Department of Earth and Planetary
25 Sciences at MIT in 1970. I worked for the Geological

kw-2

1 Survey for two years, '70-'72. I was an assistant professor
2 at Stanford from '72 to I can't remember -- '78 perhaps, and
3 I have been at the Geological Survey since.

4 Q Do you have any particular specialty area in the
5 area of seismology or geophysics?

6 A I would say strong motion seismology.

7 Q Referring first to -- for the record, I have
8 handed out to the parties and to the Board copies of what
9 is called Letters to the Editor, Bulletin of the Seismologi-
10 cal Society of America, Volume 70, Number 6, pages 2295
11 through 2297, December, 1980, entitled Peak Acceleration
12 From Strong Motion Records, a Post Script by David M. Boore.
13 Intervenors would like this marked as Intervenors' Exhibit,
14 I believe it is 17?

15 (Whereupon, the document re-
16 ferred to was marked fo-
17 identification as Intervenors'
18 Exhibit Number 17.)

19 Q Dr. Boore, have you had an opportunity to review
20 the paper that I gave you?

21 A Yes, I have.

22 Q Does the paper consisting of three pages with
23 the title Peak Acceleration From Strong Motion Records, a
24 Post Script, appear to be complete?

25 A I don't understand.

kw-3

1 Q Is this --

2 A This is the --

3 Q -- paper that I --

4 A -- way it appeared in the Bulletin, if that is
5 what you mean.

6 Q Fine. Now, do you claim authorship of this par-
7 ticular document?

8 A Yes, I do.

9 Q In the process of writing this document, did you
10 perform studies or -- perform studies on the directivity in
11 the Livermore earthquake?

12 A Yes, we considered that.

13 Q Okay, and your paper on page 2295, the second
14 paragraph, even with smaller prediction intervals, however,
15 a large uncertainty still exists in the prediction of peak
16 acceleration. One factor contributing to the scatter is
17 suggested by the data from the Livermore Valley earthquake.
18 We plotted the ratio of peak accelerations from both events
19 recorded at the same site without regard to structure size
20 and corrected for distance against a mean azimuth from the
21 closest points in the rupture surface to the recording site.
22 And then you refer to figure two.

23 Using the same sites should limit a variation
24 due to site effects. Results show a strong dependence on
25 azimuth and are most easily interpreted as the result of

kw-4
1 directivity.

2 Can you further explain the determination that it
3 was the result of directivity that you state here? Maybe
4 I can rephrase the expression -- rephrase the question.

5 What method did you use to analyze the directivi-

6
7 A We simply plotted the ratio.

8 Q And by plotting the ratio did you come up with
9 a directivity factor?

10 A We came up with an azimuthal variation, which
11 might indicate directivity. We also plotted some theoreti-
12 cal curves, but those were not intended to actually be a
13 definitive study of the -- to try to explain the observations.

14 Q Now at the present time would you endorse and
15 stand behind the contents of what is referred to as Peak
16 Acceleration From Strong Motion Records, a Post Script by
17 David Moore and Ron L. Porcella in its entirety?

18 A When I reviewed this, I was looking primarily
19 at the directivity part, but I would, yes. I would endorse
20 it.

21 MR. WHARTON: Okay, Mr. Chairman, I would move
22 that this Exhibit 16 be admitted into evidence.

23 MR. PIGOTT: No objection.

24 MR. VOGLER: Staff has no objection.

25 JUDGE KELLEY: So ordered.

kw-5

1 (Whereupon, the document previ-
2 ously marked for identification
3 as Intervenor's Exhibit Number
4 17 was received in evidence.)

5 MR. WHARTON: Okay, I just passed out to the
6 Witness and parties and to the Board three copies, and I
7 still have to submit three copies to the Reporter, a --
8 copies of an abstract from the Bulletin of the Seismological
9 Society of America, Volume 68, Number 2, page 283 to 300,
10 April, 1978, abstract entitled The Influence of Rupture In-
11 coherence on Seismic Directivity by David M. Boore and
12 William D. Joyner.

13 BY MR. WHARTON:

14 Q Are you the author of this document?

15 A Yes, I am.

16 Q Referring to -- in the part entitled abstract --
17 about three fourths of the way down the page you state,
18 "these models show directivity effects as strong or stronger
19 than the corresponding smooth motion, providing that the
20 average rupture velocity was the same." Did you --

21 JUDGE HAND: Mr. Wharton?

22 MR. WHARTON: Yes?

23 JUDGE HAND: You either misread it or you are
24 reading something that I don't have. It says smooth rupture
25 in the second line of that quote.

kw-6

1 MR. WHARTON: What did I say?

2 JUDGE HAND: You said motion.

3 MR. WHARTON: I stand corrected. Thank you.

4 I will read it again.

5 BY MR. WHARTON:

6 Q These models show directivity effects as strong
7 or strong than the corresponding smooth rupture providing
8 that the average rupture velocity was the same. Could you
9 explain the way in which you arrived at this particular
10 conclusion or statement?

11 A You want me to describe the model?

12 Q Yes, if you would.

13 A In this case the model is a very straightforward
14 model of a rupture which was made up of a series of segments
15 and on each segment -- well, there was a progression of slip,
16 or of the rupture from one end to the other of, say, an over-
17 all fault. We broke it up into a series of segments. On
18 each segment the amount of dislocation or slip was uniform,
19 and the velocity of rupture was uniform on each segment, but
20 adjacent segments could have different slips and different
21 rupture velocities and we studied what the effect would be
22 and the waves radiated from the kind of a model, and we
23 found that if you had simply variable slip in a uniformed
24 rupture velocity, in other words the propagation of loss
25 here is the same on every segment, that you would get a --

kw-7

1 that the radiation -- either looked at it as a -- well, we
2 looked at it in this frequency domain, primarily -- that the
3 spectra would be -- the azimuth variation in the spectra
4 would be similar to that obtained if you had just a smooth
5 rupture.

6 And if you had variable rupture velocity, and
7 constant slip, the spectra in the directions of rupture
8 could be actually larger, or there is a bigger difference
9 between the azimuths ahead of the rupture and behind the
10 rupture for that model.

11 Q Does the directivity observed in the Livermore
12 earthquake indicate a factor of up to ten increased ground
13 accelerations in the direction of rupture?

14 A Not necessarily. The -- if you refer to the
15 figure, you can see that the ratio --

16 Q Which figure?

17 A Figure number -- in the first document, figure
18 number two --

19 MR. VOGLER: We are a little bit confused over
20 here as to where we are.

21 WITNESS BOORE: Okay, it is in the short, three-
22 paged document.

23 MR. VOGLER: The original?

24 WITNESS BOORE: The original document.

25 MR. WHARTON: Exhibit 16 -- 17. I think we

kw-8

1 are on 17 now.

2 MR. VOGLER: Thank you.

3 WITNESS BOORE: The variation in the ratio over
4 Azimuth is a factor of ten.

5 BY MR. WHARTON:

6 Q And would you explain that just a little bit?

7 MR. PIGOTT: Would you let him complete his
8 answer.

9 JUDGE KELLEY: Go ahead.

10 WITNESS BOORE: What we plotted is the ratio
11 at one side of the peak accelerations from two different
12 earthquakes. Okay, that is on the ordinate. On the abscissa
13 is the average Azimuth from the earthquake to the station.
14 And what you see -- it depends on whether you want to think
15 this is a cloud of points or not, but it seems to show a
16 trend, so that as you go from an Azimuth of about 280 degrees,
17 you have, say, a ratio of 0.4, and then as you go to an Azi-
18 muth of about 180 degrees, the ratio is about 4.0. It is a
19 factor of ten change in that ratio as you changed the Azimuth,
20 the average Azimuth from the earthquake to the stations.

21 That is the observation. The question that you
22 asked was whether that means the peak accelerations them-
23 selves changed by that much. The data are available, and I
24 don't recall -- I don't think they showed that much change.
25 This kind of a factor of ten increase is -- if you had two

kw-9

1 events and they were propagating in different directions,
2 then the actual variation of acceleration in each event can
3 be on the order of the square root of ten.

4 BY MR. WHARTON:

5 Q Could you explain how the directivity effects
6 would vary with variation in rupture velocity?

7 A You mean from the theoretical model that we had?

8 Q Yes.

9 A Well, even for the smooth rupture, generally as
10 the rupture velocity approaches the velocity of propagation
11 of the waves, the sheer velocity, since we are considering
12 sheer waves here, and if you are in a forward Azimuth gener-
13 ally the energy or the motion is coming in at a shorter time
14 window and it has correspondingly a larger amplitude.

15 Q One of the documents that you are an author of
16 is Open File Report 81-365 which I will be handing out short-
17 ly, but could you describe your participation in other USGS
18 studies prior to the 1981 publication of the USGS Open File
19 Report 81-365?

20 A You mean all of my --

21 MR. PIGOTT: I am going to have to object on
22 relevancy. The question does not seem at all related to any-
23 thing that we are considering in this proceeding.

24 MR. WHARTON: Mr. Chairman --

25 JUDGE KELLEY: What is your purpose?

kw-10

1 MR. WHARTON: My understanding -- there were
2 other studies on acceleration and distance that led up to
3 81-365. Now 81-365 is, I believe, superseded the previous
4 one, but I think it would get some help with some background
5 on the kind of studies that led up to the document that we
6 are going to be discussing.

7 JUDGE KELLEY: Well, that narrows it somewhat.

8 WITNESS BOORE: Do you want me just to recite
9 the papers that we have published?

10 BY MR. WHARTON:

11 Q Yes, if you would, recite the papers that you
12 published and what the purpose of the papers that you pub-
13 lished prior to 81-365 were.

14 JUDGE KELLEY: But in the same subject area.

15 BY MR. WHARTON:

16 Q In the same subject area, yes --

17 A Well, it really -- well, the estimation of ground
18 motions -- that is the subject area, and it started with
19 US Geological Survey Circular 672, which was published on
20 the order of 1972 or '73, I suppose, dealing with the Trans-
21 Alaskan pipeline. And then after that we had a Circular,
22 US Geological Survey Circular 795, and following that we
23 published a paper in the Bulletin of the Seismological Socie-
24 ty of America which was essentially Circular 795 with some
25 very slight revisions. And then the -- what was it? 81-365,

kw-11

1 which is an Open File Report. It came out -- I don't know
2 the publication date on that -- this year, and at the same
3 time we submitted a paper to the Bulletin of the Seismologi-
4 cal Society of America, which is exactly the same thing as
5 365. We came out with an open file report as a way of en-
6 suring a uniform, unbiased distribution of our papers so
7 they wouldn't have to just rely on pre-prints floating around.

8 Since then we have received criticisms from the
9 reviewer at the Bulletin and we have revised the paper which
10 is represented by 365 and we have submitted our revision to
11 the Bulletin of the Seismological Society of America.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ghp 1

1 Q Let me follow this up. Is there a revision to the
2 open file report 81-365? I will show you the one we have.

3 A No, this is not the revision. The is the open
4 file report and there is a revision. It was completed last
5 week.

6 Q Has the revision been distributed yet?

7 A It has been sent back to the editor or the BULLETIN.
8 It has been sent to our superiors in Washington. We have sent
9 copies to, I think, to Leon Reiter at the NRC, and I am not
10 sure of the rest of the distribution. Dr. Joyner handled that.

11 MR. PIGOTT: May I ask one question? Does the
12 witness have a copy of that revision?

13 WITNESS BOORE: Yes, I do.

14 MR. PIGOTT: Can we see the copy of it?

15 BY MR. WHARTON:

16 Q Can you get the copy out?

17 A Sure.

18 (Witness obtains document.)

19 Q Does the revision change any of your results or
20 finding in 81-365?

21 A Yes, it does, but we don't believe to any signifi-
22 cant extent. The equations that we have in 365 have been al-
23 tered slightly and the effect is -- well, I could go into the
24 details of how it effects it, but for example, in a magnitude 7
25 earthquake, the mean acceleration has been reduced by about

ghp 2

1 two percent and the mean-plus-one standard deviation by about
2 four percent.

3 JUDGE KELLEY: Does the revision that you refer to
4 supercede 365?

5 WITNESS BOORE: Yes, we consider that it supercedes.
6 365 is obsolete in our opinion.

7 JUDGE KELLEY: Is it also an open file, or will it
8 be?

9 WITNESS BOORE: No, we chose not to make it an open
10 file since it has been accepted for publication and it will
11 appear in the BULLETIN of the Seismologic Society.

12 JUDGE KELLEY: And right now it has been submitted
13 for publication?

14 WITNESS BOORE: Yes, and it has probably been ac-
15 cepted. Well, it was accepted subject to revision and we have
16 made the revisions so it will probably appear -- I can't be
17 sure -- probably January or February.

18 JUDGE KELLEY: This may make the question academic
19 for our purposes, but tell me just what an open file for the
20 U.S.G.S. is, what that means?

21 WITNESS BOORE: I am not sure I can tell you exactly
22 but it is a fairly informal way of distributing research --
23 usually data, actually. It is not subject to the same strin-
24 gent review procedure that a, say, professional paper is subject
25 to, but it does get distributed to various libraries throughout

ghp 3

1 the country and it is from a formal distribution list, so it
2 is better than just an author sitting there saying, who should
3 I send this to.

4 JUDGE KELLEY: But it is essentially the work of
5 particular people and doesn't have the U.S.G.S. stamp on it?

6 WITNESS BOORE: That is a good question. It cer-
7 tainly looks official from the cover but there is a caveat
8 down there that says, this report is preliminary and has not
9 been edited or reviewed for conformity with Geological Survey
10 standards and nomenclature.

11 JUDGE KELLEY: I think this question came up earlier
12 about 365 and now 365 has been superceded. Maybe we don't
13 have to worry about it. Okay, go ahead.

14 MR. WHARTON: Mr. Chairman, this is new information
15 to me as far as the revisions. One of the things we were
16 looking at was submitting 81-365 into evidence. It appears now
17 that it has been revised.

18 I think it is appropriate the author of the article
19 is here, that we have a copy of the article into evidence, but
20 unfortunately I don't have a copy of it. I am inquiring how
21 we can handle this situation short of having Dr. Boore have
22 to come back down and reidentify and introduce.

23 MR. PIGOTT: The copy is right there.

24 MR. WHARTON: Okay, that is one.

25 WITNESS BOORE: I brought two.

ghp 4

1 MR. WHARTON: One way of handling this, I suppose,
2 would be --

3 MR. PIGOTT: Applicants will make copies of it.

4 MR. WHARTON: If we could have Applicant make
5 copies and stipulate that the revision, when the copies are
6 supplied of the revision, be submitted into evidence in the
7 matter.

8 MR. PIGOTT: We get one thing at a time. We will
9 make copies. We haven't even seen it yet, let alone stipulated
10 it into evidence.

11 JUDGE KELLEY: Why don't you ask questions on it.
12 I gather you haven't read the revision?

13 MR. WHARTON: No.

14 JUDGE KELLEY: If the changes are not that great,
15 perhaps the things of interest to you won't be changed.

16 MR. WHARTON: I don't know.

17 JUDGE KELLEY: Was it your intent basically to
18 question on 365?

19 MR. WHARTON: Yes, it was. The basis of the ques-
20 tions was not at too much depth on 365 since it is the kind of
21 document that does speak for itself, and then have it identified
22 and discuss the implications of it and introduce it into evi-
23 dence.

24 Now that we have the revision, and Mr. Pigott is
25 smiling at the revision --

1 MR. PIGOTT: No, I am smiling at the document
2 speaks for itself because none of them have so far.

3 JUDGE KELLEY: Why don't you go ahead.

4 BY MR. WHARTON:

5 Q Would you review again the substantive changes in
6 the revision of 81-365 at 81-365?

7 A The equation that we have come up with is different
8 than we had at 365 and there is also some more material in the
9 revision related to questions of magnitude dependent versus
10 independent shapes, some technical questions that come into it,
11 but as far as the actual prediction equations for peak ac-
12 celerations, that has been altered slightly.

13 Q It has been altered slightly you say?

14 A Yes.

15 Q Would you review again, what that is?

16 A I can tell you exactly how it has been altered and
17 I can tell you, if you take the ratio of a peak acceleration
18 given by the new version relative to that in the old version,
19 that ratio is given by an equation -- let me find it here, I
20 did it some time ago -- so this is the peak acceleration in
21 the new version divided by the peak acceleration in the old
22 version is 10 to the following power: $0.21 \text{ minus } 0.031 \text{ times}$
23 the magnitude. That is the substance of the change in the
24 equation.

25 Q I wish I could say that meant a lot to me, but it

1 doesn't.

2 A What it comes down to, you can make a little table.
3 If you have a magnitude 6, the ratio is 1.06. In other words,
4 we are predicting larger motions by six percent than in the
5 previous version.

6 Magnitude 6.5 earthquake, there would be 1.02,
7 magnitude 7 it is 0.98 so it is a two percent reduction, and
8 magnitude 7.5, it is 0.95. So that gives you, I think, a
9 feeling for how it has changed.

10 Also one thing I haven't mentioned here is that
11 the standard deviation went from 10 to the 0.27 to 10 to the
12 0.26, which turns out to be about a two percent change.

13 Let me correct that. That is not the standard
14 deviation. Standard deviation in the log of the acceleration
15 went from 0.27 to 0.26 and that turns out to be a factor if
16 you go back to get out of the log space of about two percent
17 so it has decreased the standard deviation.

18 Q Did you put further study into your 81-365 in order
19 to publish this revision?

20 A This revision represents further study, yes, of
21 365.

22 Q Would it be fair to say that you have further
23 confidence in the revision of 81-365?

24 A Right. We have further confidence basically in
25 the results of 81-365 as a result of this revision.

1 Q So then you would state that the acceleration
2 model presented in the 81-365 revision is presently valid?

3 A From the tests that we have done, yes.

4 Q In the revision of 81-365, do you have any compari-
5 sons of your model as opposed to other models as found in
6 page 46 of the previous 81-365?

7 MR. PIGOTT: I would ask for a clarification. Is
8 this correction or supplement to 365, did it completely redo
9 365 or is it in the nature of an addendum?

10 WITNESS BOORE: No, it is not an addendum. It is
11 completely redone. It is a revision. If you think of 365
12 as a draft, then this is a revised draft.

13 Your question still stands?

14 BY MR. WHARTON:

15 Q Yes.

16 A Yes, we do have a similar comparison and it is
17 Figure 13 in the new version.

18 Q Is the comparison in Figure 13 any different than
19 the comparison in Figure 7 on page 46 of your previous report?

20 A Yes, it should be. Since we have decreased our
21 values by two percent -- well, in fact, for the magnitude 7.5
22 earthquake it was more than that -- the values are closer to
23 the Campbell curves that we have for magnitude 7.5 and just
24 eyeballing it, it looks like they are closer for the magnitude
25 5.5 as well, and 6.5.

1 Q Are they still higher, then, give higher peak
2 acceleration?

3 A They are higher -- let me think now -- for which
4 magnitude?

5 Q 6.5.

6 A It is the same shape that is in Figure 7, so if
7 they are higher in one distance range in the 365 report, it is
8 higher also in the same distance range in the revision.

9 Q Do you feel that the results of your revised
10 81-365 and the model you proposed is more appropriate than
11 those of Campbell as listed in your figures?

12 MR. PIGOTT: For what purpose?

13 MR. WHARTON: For predicting peak accelerations
14 from magnitude --

15 MR. PIGOTT: From any particular distance?

16 MR. WHARTON: I would say generally offset at any
17 particular distance.

18 WITNESS BOORE: I would say they are as appropriate.

19 BY MR. WHARTON:

20 Q I am sorry?

21 A I would say they are as appropriate. I wouldn't
22 say they are more.

23 Q Would you say they are as appropriate or more
24 appropriate for 10 kilometers or less?

25 A Yes.

1 Q Would you agree that all current models for ac-
2 celeration versus distance such as your modeling study suffer
3 from a lack of data in the near field for earthquakes magni-
4 tude 7 or larger?

5 A Yes.

6 MR. WHARTON: I believe on the issue of 81-365
7 revision, as far as questioning, that I have questioned as far
8 as I really care to. I would like to introduce that particular
9 document into evidence since it is the latest and it is what
10 we will be relying on.

11 We don't have it. Mr. Pigott says he can copy it.
12 If we could possibly do it when he is subject to cross exami-
13 nation -- Mr. Pigott will have a copy for purposes of review
14 for cross examination, if we could do it that way.

15 MR. PIGOTT: I won't stipulate its going into evi-
16 dence but I will stipulate that we can take it up for ques-
17 tioning tomorrow.

18 JUDGE KELLEY: That is what I was saying.

19 MR. WHARTON: That is what I was saying.

20 MR. VOGLER: The Staff is concerned. I have a
21 gentleman here who is extremely disturbed that we cannot follow
22 the questioning. No one else can either. I appreciate the
23 point. It seems a little bit obtuse here when we are being
24 asked to stipulate something into evidence and we don't have it.

25 JUDGE KELLEY: No, you are not being asked to

1 stipulate, as I understand it. Mr. Wharton's proposal was
2 that he will raise the point tomorrow after counsel and the
3 Board have a chance to look this document over. I am sorry
4 you didn't have a chance to look it over this afternoon.

5 MR. VOGLER: I understand, and the transcript.
6 In order to follow the questions that are going, we should
7 also have a copy of the transcript, I take it.

8 JUDGE KELLEY: You will have it first thing in the
9 morning and since the questioning wasn't very long, you can go
10 over it.

11 MR. PIGOTT: Does this complete the direct?

12 MR. WHARTON: No.

13 MR. PIGOTT: Mr. Boore should be advised that
14 cross examination may not be able to be completed tomorrow,
15 very likely.

16 MR. WHARTON: I have only got five more minutes,
17 if that is the criteria.

18 MR. PIGOTT: One question in this area, I think as
19 everybody appreciates, can cause a great deal of effort that
20 has to be done to investigate its effect and whether further
21 pursuit has to follow so if there is further direct tomorrow,
22 I am just saying that it may be a problem.

23 JUDGE KELLEY: Maybe I am not following things
24 here. I thought you were through with direct; isn't that so?

25 MR. WHARTON: I am essentially finished with direct

1 except for questions that I am going to be asking. I have
2 like three more questions that I am asking right now, but I
3 was finished with direct on 81-365.

4 JUDGE KELLEY: Right.

5 MR. WHARTON: Now I have the understanding of the
6 revision. Now from what I have heard about the revision, I
7 am satisfied that it is equivalent and we can submit it into
8 evidence that way.

9 I would, again, like to have an opportunity to
10 review it to see if there is anything major. I don't anticipate
11 any long line of direct on the revision, but rather to be sub-
12 mitting the revision.

13 JUDGE KELLEY: We did have this nice clear arrange-
14 ment which is a little clouded by carrying direct over into
15 tomorrow, but I understand your point. You were not expecting
16 this revision and you have to have a chance to look at it.
17 So we will see where that takes us.

18 MR. WHARTON: I don't think anybody anticipated
19 this.

20 JUDGE KELLEY: Do you have a few more questions
21 now for Dr. Boore?

22 MR. WHARTON: Yes.
23
24
25

kw-17 /

1 Q Dr. Boore, do you -- are you able to calculate
2 a formula or ratio for extrapolating from peak to ground
3 acceleration values estimated for a magnitude 6.5 earthquake
4 to estimate peak to ground acceleration for magnitude 7 or
5 magnitude 7.5? Is that something you are able to do?

6 A The equations that we have in our revision would
7 do that for you.

8 Q So the equations themselves -- you would just
9 plug in the numbers --

10 A That is right.

11 Q -- and you could use the equation and you could
12 come up with the figures, is that correct?

13 A That is right.

14 Q Fine. Moving back to the Livermore earthquake
15 data briefly, would you interpret -- or do you interpret
16 the results from the Livermore earthquake to indicate that
17 directivity can significantly affect the high frequencies
18 important in high peak ground accelerations?

19 A That is my best interpretation of that particular
20 data set, is that it does show directivity.

21 Q And it can significantly affect the high fre-
22 quencies, that is significantly --

23 A It has affected the peak accelerations in that --

24 Q Fine.

25 A -- particular earthquake.

kw-2

1 Q So directivity does cause an increase in peak
2 ground acceleration?

3 A It seemed to have done that in that particular
4 earthquake.

5 MR. WHARTON: I have no further direct at this
6 time. I would reserve only for portions of the revised 31-
7 365 and I expect it to be very brief.

8 JUDGE KELLEY: Let me ask Mr. Pigott. I wasn't
9 sure that that was clear. In our caution that we may not
10 be able to get through tomorrow on cross, were you referring
11 to Mr. Wharton's desire to be able to ask direct questions
12 tomorrow, or were you just talking about what you had heard
13 so far today and how long that would take you?

14 MR. PIGOTT: Both, and especially the changes.
15 I -- they are -- well, my impression is usually these changes
16 are rather sophisticated and subtle, and they don't jump out
17 at you. So, it may be that it will take some investigation
18 to complete the cross examination. I would --

19 JUDGE KELLEY: I gather you were --

20 MR. PIGOTT: As well as --

21 JUDGE KELLEY: -- anticipating --

22 MR. PIGOTT: As well as whatever Mr. Wharton may
23 bring out in the morning.

24 JUDGE KELLEY: I gather you were anticipating a
25 cross on 365?

kw-3

1 MR. PIGOTT: Yes. But based on the new results
2 and the way the changes have come about, I would ask that
3 I be allowed a couple of minutes in the nature of a -- maybe
4 it is a partial cross examination or a Voir Dire to elicit
5 a little bit further information with respect to the change.

6 JUDGE KELLEY: This would be to shed some more
7 light on it this afternoon?

8 MR. PIGOTT: Yes.

9 JUDGE KELLEY: Well, that sounds sensible.

10 MR. WHARTON: Mr. Chairman, can we go off the
11 record just one second? There is just a very small procedur-
12 al thing I want to discuss.

13 JUDGE KELLEY: All right. Off the record.

14 (Discussion off the record.)

15 JUDGE KELLEY: Okay, back on the record. Go
16 ahead, Mr. Pigott.

17 CROSS EXAMINATION

18 BY MR. PIGOTT:

19 Q Dr. Boore, I understand -- from what I understand,
20 you revised 365 as a result of comments from the editors of
21 the -- what is it, BSSA or -- what do they call it?

22 A Bulletin of the Seismological Society of America.

23 Q Is that correct?

24 A Yes.

25 Q Okay. Those were reviewer's comments?

kw-4

- 1 A It was a reviewer comment, yes.
- 2 Q Okay.
- 3 A And also, you have to understand, 365 we consi-
4 der to be a preliminary publication, and it is subject to
5 revision as research goes on.
- 6 Q I understand. Who are your reviewers on that
7 document?
- 8 A Beats me. I don't know. That is -- you know,
9 it is anonymous reviewing process.
- 10 Q So you do not know who these persons were who
11 reviewed that document?
- 12 A For the Bulletin, no I do not know.
- 13 Q Right. Do you know if there was more than one?
- 14 A We got comments from one only.
- 15 Q You got comments from one reviewer?
- 16 A One reviewer.
- 17 Q What were the comments you got
- 18 A I don't know. I can't recall and I didn't bring
19 them with me.
- 20 Q What comment did you respond to? What was the
21 nature of the comment that caused you to make the modifica-
22 tion?
- 23 A I just can't remember. It wasn't -- what you
24 have to understand -- we weren't responding just to one
25 thing. We presented this paper at the SSA meeting in

kw-5

1 Berkeley. We received comments from that, you know, from
2 people, and we don't later rest a paper at this stage. We
3 get it into review process and we continue working on it.

4 Q Okay, so --

5 A So it wasn't that we were responding to any one
6 comment of the reviewer.

7 Q I am trying to get it clear this whole situation
8 of how it gets to the stage it is in now.

9 A Right.

10 Q I had the impression that you had received a
11 comment from the Bulletin and that subject to complying with
12 the comment, apparently, or responding to the comment, that
13 it would then be suitable for publication.

14 A That is correct.

15 Q Okay. So was there a condition on publication
16 that you make some kind of change?

17 A They all are suggested changes that you have to
18 make. Then it is up to the editors to decide whether you
19 have sufficiently -- that your revision complies -- you know,
20 with the changes to the extent that he wants. And -- am I
21 answering your question?

22 Q Yeah, I think we are getting there. In the
23 absence of taking these suggestions, would 365 have been
24 published?

25 A That is up to the editor. I really couldn't say.

kw-6

1 Q Had he indicated, or she indicated?

2 A It is he. That is interesting. I don't remember
3 the word. You know, if it was a form letter saying your
4 paper will be published subject to these revisions, or we
5 suggest you look at these revisions. I don't recall what
6 his words were.

7 Q Did you get a letter from the editor?

8 A Yes. Right. I just don't have that here. I
9 didn't bring my files relating to that.

10 Q You got other comments on this paper, is that
11 correct?

12 A Yes.

13 Q How many?

14 A How many other comments? Well, we received
15 written comments from -- let's see -- approximately four
16 people. I would have to sit down and actually write them
17 out.

18 Q Are they -- are any --

19 A Those were informal -- I mean in the sense that
20 they were not comments from the editor.

21 Q Right. Were they in writing?

22 A Yes.

23 Q Do you have them in a file?

24 A You mean here?

25 Q No, just anywhere, first of all.

kw-7

1 A We have them in a file, yes.

2 Q I have a feeling the answer to my next question
3 is that they are in Menlo Park? Or close to that. Where
4 are they?

5 A Some of them -- well, certainly they are in
6 Menlo Park.

7 Q You don't have any of them here in San Diego?

8 A I might. I am not sure. I would have to -- I
9 have a whole bunch of stuff here. I just threw everything
10 into a briefcase.

11 Q I wonder if you could check to see if you do have
12 those comments.

13 A Is that appropriate?

14 Q Yes, I think so.

15 MR. WHARTON: Mr. Chairman, I -- I forgot one
16 thing. I had identified Intervenors' Number 17, the article
17 by David Boore, Influence of Rupture Incoherence on Seismic
18 Directivity -- he identified it and said it was his, and
19 the basis for his conclusions on directivity, and I would
20 move that it be introduced and accepted into evidence.

21 JUDGE KELLEY: Counsel? Is that the three pager?

22 MR. WHARTON: No, this is the longer one.

23 MR. VOGLER: Well, that is 18 then, isn't it?

24 JUDGE KELLEY: You are talking 18, Mr. Wharton.

25 And is 18 the revision of 365?

kw-8

1 MR. WHARTON: No, we have not submitted anything
2 of 365.

3 MR. PIGOTT: Can we go off the record and go
4 through the papers --

5 JUDGE KELLEY: And you are offering the entire
6 article?

7 MR. WHARTON: Yes.

8 MR. PIGOTT: Can we go off the --

9 MR. VOGLER: What are you offering, Mr. Wharton,
10 Number 18?

11 MR. WHARTON: Yes. I believe it would be 18,
12 and it is Influence of Rupture Incoherence on Seismic Direc-
13 tivity, article by David Boore and William Joyner.

14 JUDGE KELLEY: There is a request that we go off
15 the record, is that right?

16 MR. PIGOTT: Yes.

17 JUDGE KELLEY: Okay, then let's go off.

18 (Discussion off the record.)

19 JUDGE KELLEY: Back on the record.

20 WITNESS BOORE: Okay, to answer your question,
21 the only thing I have --

22 JUDGE KELLEY: I am sorry, wait a minute.

23 WITNESS BOORE: Sorry?

24 JUDGE KELLEY: We are right smack in the middle
25 of something. Can we just finish up something we were

kw-9
1 talking about?

2 Does the staff have any objection to Intervenor
3 Carstens' Number 18?

4 MR. VOGLER: None.

5 MR. PIGOTT: Nor do Applicants.

6 JUDGE KELLEY: So ordered.

7 (Whereupon, the document previ-
8 ously marked for identifica-
9 tion as Intervenor's Exhibit
10 Number 18 was received in
11 evidence.)

12 MR. VOGLER: We have a brief question to
13 Mr. Boore in regards to something that was just said, if I
14 can --

15 MR. PIGOTT: Okay, go ahead. I still have some-
16 thing --

17 MR. VOGLER: Did you indicate, Mr. Boore, that
18 you sent Dr. Rider a copy of the revision? Of 81365?

19 WITNESS BOORE: That is what I understand from
20 my coauthor. I --

21 MR. VOGLER: Did you send it --

22 WITNESS BOORE: -- didn't send it to him myself.

23 MR. VOGLER: Did you send it to him here in San
24 Diego?

25 WITNESS BOORE: No, I think to his office.

kw-10

- 1 MR. VOGLER: In Washington?
- 2 WITNESS BOORE: I believe so, yes.
- 3 MR. VOGLER: Do you have any idea when?
- 4 WITNESS BOORE: It would have been toward the
5 end of last week.
- 6 MR. VOGLER: Thank you.
- 7 BY MR. PIGOTT:
- 8 Q Dr. Boore, did you check your files that --
- 9 A Yeah.
- 10 Q -- you brought with you to find out if you have
11 any of the comments?
- 12 A Yes, I did. All I have was something sent to me
13 by Mr. Wharton, which is the testimony of Dr. Stewart Smith
14 given, I presume, last week.
- 15 Q Okay, we have that. Is there anything --
- 16 A I don't have anything else here related to that.
- 17 Q Is it possible to have those transmitted? Would
18 it be possible to obtain those overnight?
- 19 A I don't know how.
- 20 Q Federal -- either Federal Express or an Express
21 Mail? Is your coauthor --
- 22 A If he is there.
- 23 Q -- in a position to send them? Oh, okay.
- 24 A Certainly he could send them.
- 25 Q Secondly, did you make any changes in the data?

kw-11

1 A No, we didn't add any data. The reason --

2 Q Did you change any?

3 A Well, the reason that the equations are different
4 is that we have chosen to give zero weight to a few earth-
5 quakes. So, in other words, in effect, the data has been
6 reduced. It hasn't been added to.

7 MR. PIGOTT: Okay, that was in the nature of
8 trying to get a little bit more information. Could we per-
9 haps ask the Witness to contact his office and see if they
10 could be Express Mailed to --

11 Actually, if we could find that your coauthor is
12 there, I am sure we could arrange to have them picked up and
13 delivered to us here tomorrow morning, if that would be
14 acceptable to the Witness.

15 WITNESS BOORE: I don't have any choice. No, it
16 is fine with me.

17 MR. PIGOTT: If it was burdensome, you would have
18 a choice, yes.

19 JUDGE KELLEY: It is, just to interject to say
20 that we would do that as a proper request --

21 WITNESS BOORE: Okay, fine. So, let's see, do
22 you want every piece of written criticism that we received
23 on the paper, is that correct?

24 MR. PIGOTT: I am afraid so, yes. Other than
25 that, I think I would await tomorrow morning for the

kw-12

1 cross examination.

2 JUDGE KELLEY: All right, then, at this point,
3 that finishes today's direct, except we would appreciate
4 your making the call and seeing if that is doable, and --

5 WITNESS BOORE: Yes.

6 JUDGE KELLEY: -- we can take a break here, I
7 guess, of 15 minutes. Let's now -- are you going to have
8 Mr. Simons here after the break?

9 MR. WHARTON: Mr. Simons is here now.

10 JUDGE KELLEY: Oh, he is here now?

11 MR. WHARTON: Yes.

12 JUDGE KELLEY: And so we can go along this offer
13 of proof type procedure that we discussed yesterday to make
14 some use of the remainder of the afternoon? Okay.

15 Let's see, Mr. Boore, you will be here tomorrow
16 morning?

17 WITNESS BOORE: Yes.

18 JUDGE KELLEY: Okay. We had planned to have
19 Dr. Allen -- wanted to come on first and we agreed to that,
20 but sometime after that -- you can have mid-morning I guess.

21 WITNESS BOORE: That is fine. I have to leave by
22 five -- or four o'clock.

23 JUDGE KELLEY: I am sure we will quit by then.
24 Thank you. Off the record.

25

1 JUDGE KELLEY: Back on the record.

2 All right, the main remaining item of business
3 today, this afternoon, is to have the presentation of direct
4 and cross of Dr. Simons, subject to the discussion of the
5 motion to strike, and the ruling on that at a later date,
6 which was made yesterday, and is in yesterday's transcript.

7 I think we pretty well covered what we were going
8 to do, and can just go ahead.

9 MR. WHARTON: Okay. I call Richard S. Simons.

10 MR. PIGOTT: I am sorry, I -- I think our
11 procedural -- while Mr. Simons is coming up, I thought our
12 procedural arrangement was off the record. Perhaps it might
13 be recited for the record.

14 JUDGE KELLEY: If it was off -- I guess that is
15 right. That is right, you did suggest off the record, I
16 think we had it off the record, so I will have a go at it
17 and Counsel can add or correct, but we have had a motion from --
18 your motion, I believe, was on the record.

19 MR. PIGOTT: The motion is on the record, that is
20 correct.

21 JUDGE KELLEY: And the argument thereon.

22 MR. VOGLER: Both parties were on the record.

23 JUDGE KELLEY: Okay. That was done yesterday,
24 and then following that we had an off-the-record discussion
25 about how to proceed, and it was decided that in view of the

2g

1 availability of witnesses and our desire to make the best use
2 of our time, that we go ahead and hear Mr. Simons' evidence
3 and have cross-examination with the understanding that the
4 ruling to be made might result in that being stricken. It is
5 really being put forward today as an offer of proof, subject
6 to the ruling which is expected over the break, or to be
7 made immediately following the break.

8 Does that state it accurately? Any additions
9 or corrections?

10 MR. PIGOTT: That is Applicants' impression.

11 MR. VOGLER: That is correct. That is Staff's
12 understanding.

13 MR. WHARTON: That is correct with Intervenors.

14 JUDGE KELLEY: Fine.

15 MR. PIGOTT: And Mr. Beoletto will be handling
16 this portion of the examination for the Applicant.

17 JUDGE KELLEY: Very good.

18 Whereupon,

19 RICHARD S. SIMONS

20 was called to the witness stand and, having been first duly
21 sworn by the Chairman, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. WHARTON:

24 Q Would you please state your name for the record,
25 please?

3g

1 A Richard S. Simons.

2 Q Mr. Simons, I -- do you have before you a copy of
3 the written testimony of Richard S. Simons, consisting of
4 five pages of text, two figures labelled as figure 1 and
5 figure 2, and attachments, one as Appendix A consisting of
6 four pages, a list of references, and a biographical sketch
7 of Richard S. Simons, and Richard S. Simons' list of
8 publications, is that complete before you?

9 A I think I have got all of that, yes.

10 Q Turning to your biographical sketch, is there
11 anything that you could add to this particular biographical
12 sketch to show your qualifications to testify as to the
13 subject matter? Or that you would like to highlight in that?

14 A Well, I guess I could say that with respect to
15 this particular subject matter, this particular type of
16 research or plot, is something that I have done frequently in
17 my years at Scripps. It is -- a large part of my research
18 has consisted of precisely this, going into the Caltech
19 Catalogue of epicenters, and making a plot of whatever region
20 we are interested in, say part of Baja, California, try to
21 see how those epicenters relate or don't relate to the faults
22 as mapped, and going down that, perhaps trying to -- well,
23 certainly trying to relocate some earthquakes and see if we
24 can get better accuracy on them, or place them in some other
25 place that is tectonically more significant.

4 1 So, this -- what you see here today is just a
2 continuation or an extension of a type of study that has been
3 going on for a long time.

4 Q Very well. Do you have any additions or
5 corrections to make to your testimony as submitted?

6 A In the way of an addition, on figure 1, I have
7 taken the liberty of placing in a few more of the faults
8 that exist in that area, just for the sake of completeness,
9 and for the sake of analogy with a couple of other seismicity
10 patterns that I had hoped to present later, so that is a
11 change there; another possible change which I have not been
12 able to make, for reasons -- are in figure 2, it turns out
13 that --

14 JUDGE KELLEY: As we go along, excuse me -- these
15 aren't marked, or mine aren't, anyway.

16 MR. WHARTON: No, I was just going to interrupt.

17 BY MR. WHARTON:

18 Q Dr. Simons, on figure 1 --

19 MR. BEOLETTO: Excuse me, Mr. Wharton, is it
20 Dr. Simons, or --

21 MR. WHARTON: I am sorry, Mr. Simons. Excuse me.

22 BY MR. WHARTON:

23 Q Figure 1, as listed in the testimony filed --

24 A Yes.

25 Q -- now, do you want to substitute a new map which

5
1 has been distributed to the parties, which shows the
2 Cristia:itos fault and other faults in the area, is that
3 correct?

4 A That is correct.

5 Q Okay, now that would be labeled as figure 1A,
6 would that be an appropriate figure for that?

7 A As far as I am concerned, it would be.

8 MR. WHARTON: May the record reflect that the
9 witness proposes to substitute a map showing the same area
10 as figure 1 in the submitted testimony, with the only change
11 being the addition of certain faults in the area, and this
12 would be listed as figure A, and substituted instead of figure
13 1.

14 MR. VOGLER: Do you want us -- Excuse me, do you
15 want us to strike the original figure one, and take it out?

16 MR. WHARTON: Yes. We would strike the original
17 figure one, and put in what I am labeling, and which we can
18 label as figure 1A.

19 MR. VOGLER: Okay.

20 MR. BEOLETTO: Mr. Chairman --

21 JUDGE KELLEY: Do you want to go over all three,
22 or take one at a time if there are objections?

23 MR. BEOLETTO: Prefer to take one at a time.

24 JUDGE KELLEY: All right.

25 MR. BEOLETTO: The reason for that is, the

6 1 Applicants were provided a copy of the revised figure one at
2 the break, and we recognize that there are more fault traces
3 appearing, but we don't think that will alter the nature of
4 our cross-examination, and so we are willing to accept this
5 as a change.

6 MR. VOGLER: The Staff is the same. I take it,
7 Mr. Wharton, that the -- the symbols that are on the map,
8 forget the faults, are all the same.

9 MR. WHARTON: That is correct, and we may want
10 to double-check with Richard Simons, Mr. Simons.

11 BY MR. WHARTON:

12 Q Is there any change in this map other than the
13 addition of faults?

14 A Only the addition.

15 MR. VOGLER: Then we don't.

16 JUDGE KELLEY: All right, this is being substitu-
17 ted, you are saying?

18 MR. WHARTON: Yes. We are striking figure one
19 as originally submitted, and adding -- we are calling now
20 figure 1A, which shows the same map, the same data as the
21 previous figure 1, but adds faults to the map.

22 JUDGE KELLEY: All right.

23 JUDGE HAND: It looks -- it looks to me as if
24 this is at a different scale, and I overlaid them and
25 discovered yes, it has been shrunken a bit, and a couple of

7 1 things do slip in on the right-hand margin that aren't on the
2 margin of the original figure 1.

3 BY MR. WHARTON:

4 Q Mr. Simons, would you want to comment on that?

5 A That is the inevitable result of Xerox technology,
6 I guess, and -- the real original of this diagram goes a
7 little bit beyond the borders to left and right of what was
8 initially submitted, so I guess the second time it was
9 zeroxed, it wasn't positioned exactly the same way. It sort
10 of affects the very periphery of the seismicity pattern.

11 I don't think it has any particular bearing on
12 the conclusions that come out of this.

13 JUDGE HAND: Fine. That is all right.

14 JUDGE KELLEY: Go ahead.

15 BY MR. WHARTON:

16 Q Okay, do you have any corrections that you want
17 to have made in the text of the presentation?

18 A Let me address figure 2. Well, the answer to
19 your question is no.

20 Q You want to address figure 2?

21 A I would like to do that, yes, just for sake of
22 accuracy. There are many circles on this figure, and it is
23 hard to look at it, and it was also hard to prepare. It
24 turns out that one of the circles, up about the middle of the
25 graph, it is a 1977 event, and it is a quality C event, and

8

1 the circle that has been drawn around it is a -- one that is
2 appropriate to a B quality event. That circle should be
3 somewhat larger than it is.

4 It was impossible for me to change it in the
5 original because of the nature of this particular diagram.
6 It doesn't -- again, doesn't really affect the results or
7 conclusions, so --

8 MR. BEOLETTO: Still, Mr. Simons, if we could,
9 could we take the time to identify the exact circle that we
10 are talking about?

11 WITNESS SIMONS: Well, we could, I could put up a
12 viewgraph.

13 MR. BEOLETTO: Yeah, put up a viewgraph, that is
14 fine.

15 WITNESS SIMONS: The one we are talking about is
16 going to be this one here.

17 MR. BEOLETTO: Okay.

18 WITNESS SIMONS: It is 77C. '77 is the year.
19 C is the quality of the location. The circle should really be
20 of the same diameter as these other 77C circles that you see
21 in various places. This is one example.

22 MR. BEOLETTO: Now wait a minute. I am confused
23 now.

24 MR. VOGLER: In other words, it should be larger?

25 WITNESS SIMONS: It should be larger, yes.

9

1 MR. VOGLER: Is that the only change?

2 JUDGE KELLEY: Where would the center of that
3 circle be? Can you show us on the map?

4 WITNESS SIMONS: This particular circle?

5 JUDGE KELLEY: Yes.

6 WITNESS SIMONS: The '77C?

7 JUDGE KELLEY: Yes.

8 WITNESS SIMONS: Well, it would -- as far as I
9 can tell from my angle here, it would be right about there.
10 It is --

11 JUDGE KELLEY: Oh, the 77C is written on the
12 outer --

13 WITNESS SIMONS: Yes.

14 JUDGE KELLEY: The year and the quality is
15 written into the outer edge --

16 WITNESS SIMONS: On the outer perimeter of the
17 circle, right.

18 JUDGE KELLEY: I see.

19 WITNESS SIMONS: Yeah, you have to sort of
20 visually infer where the center --

21 MR. BEOLETTO: To be sure I understand, Mr.
22 Simons, it is not the C quality designation that is changing,
23 but rather the diameter of the circle around the figure?

24 WITNESS SIMONS: That is correct.

25 MR. BEOLETTO: Okay. thank you.

1 BY MR. WHARTON:

2 Q Are there any other corrections in your written
3 testimony that you would like to make at this time?

4 A No.

5 Q Are there any additions to your testimony that
6 you would like to make at this time?

7 A There are two additional microseismicity maps
8 that I had hoped to introduce for the sake of analogy.
9 These are maps of different parts of California that have
10 been prepared in the same way as figure 1 or figure 1A, as
11 we are now calling it.

12 These are areas where -- I wanted to offer them
13 for sake of comparison, because I think the basic pattern
14 of events in these areas is similar to what we see in figure
15 1A, and yet these are in areas where things are better known
16 tectonically, and so I thought that might provide some
17 perspective on the possible utility or interpretation of
18 figures 1A and 2.

19 MR. BEOLETTO: We are listening to a description
20 of two additional figures that were handed out, and we are
21 not going to listen to a description of whether or not this
22 is an area of better tectonic quality. The Applicants are
23 going to object to both of those figures.

24 MR. WHARTON: Let me interrupt. I should have
25 interrupted Mr. Simons before.

1 BY MR. WHARTON:

2 Q Mr. Simons, would you identify the maps, please,
3 starting with the map indicated, Simons 53 7-09-81, with a
4 6:58 p.m., would you identify what that area is without making
5 any qualitative judgments about it, just indicate what the
6 area is?

7 A Let me see if I -- let me get it positioned
8 properly here.

9 MR. BEOLETTO: Mr. Chairman, I think we have all
10 got copies of the figures, so -- there are two additional
11 figures, as I understand it, and Mr. Simons wants to add to
12 his substantive testimony, and the Applicants are going to
13 object to their admission for a number of reasons.

14 One, it is late-filed direct. Number two is,
15 looking at the viewgraph and the figures that we have in
16 front of us, they don't seem to be plotted consistently with
17 figure 1 which is a part of his testimony.

18 There is no latitude, no longitude, there is no
19 dates, there is no --

20 JUDGE KELLEY: I think -- excuse me, Mr. Beoletto.
21 It is late filed direct, indeed it is. There may be a good
22 reason to take it, but let us let the witness tell us what
23 that is, rather than speculating. Could you tell us --

24 WITNESS SIMONS: I apologize for the lateness.
25 I just got curious about this particular element over the

1 weekend, and almost in the manner of self-defense, I thought
2 I should prepare these diagrams so that I knew whereof I
3 spoke in these areas, and they were so interesting, I thought
4 they might be of some value to the Board.

5 This is basically the seismicity and fault
6 pattern in a part of what is identified by California
7 Division of Mines and Geology maps as the San Bernardino
8 quadrangle.

9 More importantly -- well, I will just get it up
10 front here. This is the seismicity pattern around the area
11 of the White Wolf fault, from 1932 to 1951. And the -- well.

12 MR. BEOLETTO: Is the witness saying that White
13 Wolf has something to do with the San Bernardino quadrant?

14 WITNESS SIMONS: I am saying we know that the
15 White Wolf fault, or the event on the White Wolf fault
16 occurred, that is why something is tectonically better known
17 about this area, and let me say about the -- the way this is
18 presented, it really is the same sort of plot. The -- well,
19 let us say that the limits of latitude on this plot are
20 identical to the limits of latitude on figure 1A. The
21 longitude goes a bit further afield.

22 The symbols used for the earthquakes are different.
23 That is a thing that is easily changed in the computer, and
24 in this case there was no reason to identify different
25 qualities or anything like that, so they all came out the same

1 size.

2 MR. VOGLER: Could we put a number on this, so
3 that -- as to what we are doing with it? Is it figure three?

4 WITNESS SIMONS: I would be happy to call it
5 figure 3.

6 MR. VOGLER: Well, I -- I don't -- it is up to
7 you or Mr. Wharton.

8 MR. WHARTON: Can I get back into this
9 conversation? I haven't been able to talk since Mr.
10 Beoletto interrupted. I am not complaining about that, but
11 he did object, and I haven't been able to get back into it
12 since that time.

13 I was going through the process of identifying
14 these particular diagrams, and if I may just go through the
15 process of identifying the diagrams, as properly pointed out,
16 so we can follow what we are talking about.


17 BY MR. WHARTON:

18 Q I believe you have up on the screen right now the
19 diagram indicated by Simons 53 6:58 p.m., and Intervenors
20 would submit this as addition to the written testimony as
21 figure number 3, and Mr. Simons, if you would put up the
22 other diagram. Over so you can see the numbers.

23 This is Simons number 57, date 7-9-81, 7:03 p.m.,
24 we identify this and submit for the -- into the written
25 testimony as figure number 4, and Mr. Simons, if you would,

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I would just -- if you could make what they call an offer of ⁴⁷⁹⁰
proof, that is, would you just review figure 3 and figure 4,
and briefly explain what you believe the relevance of these
particular figures are -- is?



ghp 1

1 A I can just leave this up here while I do it, or
2 do you need this? I can discuss them both together.

3 The relevance is simply by way of seeing how they
4 compare with the seismicity pattern I am present ng in Figure
5 1-A as a guide to the possible interpretation or usefulness
6 of the information in Figure 1-A.

7 Actually these are other parts of Claifornia and
8 we know some other things about these other parts of California,
9 these new sections, and so it would seem worthwhile to offer
10 these as a perspective to know how to treat or what to make
11 out of Figure 1-A.

12 Q You are offering these on how to view Figure 1-A
13 by looking at other areas?

14 A That is correct, yes.

15 MR. WHARTON: I would submit, then, that Figure 3
16 and Figure 4 as identified on the record be added to the written
17 testimony.

18 JUDGE KELLEY: You say these indicate seismicity of
19 the areas depicted?

20 WITNESS SIMONS: Oh, yes. The little dots here are
21 all earthquakes.

22 JUDGE KELLEY: All the little dots are earthquakes?

23 WITNESS SIMONS: Yes, and the lines are faults.

24 JUDGE KELLEY: And you can tell different sized
25 earthquakes by looking at that?

ghp 2

1 WITNESS SIMONS: No. I know what the range of
2 earthquake magnitude is, again as far as similar to the area
3 that we are looking at what we call the SONG site. The range
4 of magnitudes is the same. This particular diagram doesn't
5 pinpoint that, though.

6 JUDGE KELLEY: These are Cal-Tech?

7 WITNESS SIMONS: Oh, yes.

8 JUDGE KELLEY: The catalog?

9 WITNESS SIMONS: They are right out of the catalog.
10 Turn the crank on the computer, and that is what you get.

11 JUDGE KELLEY: That is why it says 7:03 p.m. A
12 computer did that?

13 WITNESS SIMONS: That is our computer, yes. It is
14 cheaper then.

15 JUDGE KELLEY: Go ahead, Mr. Beoletto.

16 MR. BEOLETTO: Do you have similar maps for all of
17 Southern California?

18 WITNESS SIMONS: No, I don't.

19 MR. PEOLETTO: Could I ask how you happened to
20 select the two areas that you brought two additional maps today
21 which you apparently selected on the 9th of July?

22 WITNESS SIMONS: I was almost hoping you would,
23 I got to thinking about this cver the weekend and I for some
24 reason anticipated somebody -- probably Mr. Pigott -- asking
25 me if I knew of some other area in California that had a

ghp 3

1 seismicity pattern analogous or similar to that around the
2 SONG site where any earthquake of any consequence might have
3 occurred. Off the top of my head I did.

4 It occurred to me that I just read about that or
5 heard about that a few years ago and I didn't really remember
6 the source. I have told a number of public audiences about
7 these particular events in the past --

8 MR. BEOLETTO: I think the narrative can stop.
9 You just randomly selected these two areas?

10 WITNESS SIMONS: Not randomly at all, no.

11 MR. BEOLETTO: Who gave you guidance?

12 WITNESS SIMONS: No one.

13 MR. BEOLETTO: This was all done by you?

14 JUDGE KELLEY: Mr. Beoletto.

15 WITNESS SIMONS: Let me pack a little more infor-
16 mation in this. For some time I have been telling people --
17 I make a lot of addresses to the public -- that the San Fernando
18 earthquake and the Kern County earthquakes occurred in an area
19 where there was no previous heavy record of seismicity.

20 Now I did not remember what the source of that was.
21 I read it somewhere or I heard it somewhere. I actually did
22 read it somewhere recently but it is not where I initially saw
23 it, but it occurred to me that if I am going to go around saying
24 things like that, I should find out whereof I speak or else --
25 well, I just better find out.

ghp 4

1 So I just took the initiative of plotting up those
2 areas to see what I would see and that is why those particular
3 areas were selected. There was nothing random about it. It
4 was just that I had reason to believe that the seismicity
5 patterns that I would see, that that would be what they were.

6 JUDGE KELLEY: Did you want to say something?

7 MR. VOGLER: There are some very fundamental ques-
8 tions that have been asked. In Figure 3, where is the White
9 Wolf fault? What area of California are we discussing?

10 WITNESS SIMONS: I have to get Figure 3.

11 MR. VOGLER: Let's take Figure 4 while you have it
12 up there. Where is that?

13 WITNESS SIMONS: This is the area around Los Angeles.
14 This is the San Fernando basin here. Does that help you?

15 MR. VOGLER: It may help Dr. Reiter.

16 WITNESS SIMONS: I could read the coordinates off
17 these maps. I have got them right here, if that would help
18 Dr. Reiter.

19 MR. VOGLER: Yes.

20 JUDGE KELLEY: Excuse me, I understand now, I believe,
21 well enough what is involved here to make a ruling. This is
22 late filed direct and that isn't to say that we couldn't take
23 it if we thought that it was extremely useful, but it is of-
24 fered, as I understand it to be, to illustrate things and help
25 us understand what it is you are presenting.

ghp 5

1 I think at this stage of the game, although we
2 certainly still have much to learn, that we don't need that
3 kind of help and the problem is that it is very hard to stay
4 away from some very collateral issues and we are not litigating
5 the seismicity in these other two areas.

6 Yet, if it is put in the case, and that is inevitably
7 what people are going to want to do on balance -- and it is a
8 balancing question when you are in the area of relevance --
9 the Board is ruling that they will not take these maps.

10 MR. VOGLER: Three and four, Your Honor?

11 JUDGE KELLEY: Three and four.

12 MR. WHARTON: Very well.

13 BY MR. WHARTON:

14 Q Dr. Simon, with the substitution of Figure 1-A
15 for Figure 1, the testimony is submitted as complete; is that
16 correct?

17 A That is correct.

18 Q And if you were called to testify in its entirety,
19 would you testify the same as in the written testimony that
20 you have prepared?

21 A Yes.

22 MR. WHARTON: Mr. Chairman, I would imagine that
23 this would be the time to submit into evidence and I would
24 make a motion to move into evidence. I understand that we are
25 doing this as an offer of proof pending a motion to strike,

ghp 6

1 so I would make the offer into evidence and the ruling can be
2 withheld until you make a ruling on the motion to strike.

3 JUDGE KELLEY: Yes.

4 BY MR. WHARTON:

5 Q Mr. Simons, have you prepared an overview of your
6 testimony?

7 A Mentally anyway.

8 Q You will have to present it orally. Can you do
9 that?

10 A I will try. First of all, let me say that until
11 yesterday afternoon I wasn't even sure that there was a 1973
12 and all of that distinction was certainly news to me, but as
13 pointed out, it is kind of hard to separate it from what I
14 have got and as I go along, though, I will try to point out
15 whatever is new here insofar as I can.

16 What I have done is very straightforward and very
17 simple. In fact Mr. Wharton pretty well described it yesterday
18 in about two sentences. For the record I will repeat those
19 sentences and maybe make them a little bit longer.

20 I simply went into the catalog of earthquakes
21 published by the Seismology Lab at Cal-Tech in Pasadena which
22 is the record of seismicity in the State of California except,
23 perhaps, as where amended in a few places where people have
24 relocated some earthquakes like Dr. Beihler or myself, but
25 basically it is the document of record.

ghp 7

1 I have caused to be plotted out by computer all
2 these epicenters in an area around the SONG site and I am
3 putting Figure 1-A up on the screen to show the results of
4 that.

5 This has been overlain, I should say, on a geology
6 map prepared by the California Division of Mines and Geology
7 for this area. I believe the year is 1964, I think. In any
8 case I am trusting that the basic position of the faults
9 haven't changed too much since then.

10 Basically Figure 1-A is the result. Different
11 earthquakes on the map have different symbols relating to the
12 quality of the events. In the Cal-Tech catalog each event has
13 a quality assigned to it which is some sort of expression of
14 the error involved in that location and the definitions of the
15 symbols are actually contained in the text of the written
16 testimony.

17 Basically what you see on this exhibit is really
18 that halo that Dr. Beihler was talking about. You see a scat-
19 tering of events and a good selection of faults and in some
20 cases you see some sort of correlation, possibly, between the
21 events and the faults like up here around the Elsinore fault
22 and in other cases one simply doesn't, like this cluster of
23 events over here to the east.

24 Now what I have done subsequently is what is con-
25 sidered good practice in many of the empirical sciences, and

ghp 8

1 that is to go ahead and try to put the error bars on the data.
2 So I have caused to be drawn around each one of these epicenters
3 a circle representing the probable horizontal error in those
4 locations as recorded by Cal-Tech.

5 So let me put up, then, Figure 2, which represents
6 that attempt at putting the error bars on the data and what
7 we did, of course, is an unfortunately confusing maze of circles.

8 Now the interpretation of these error bars can
9 vary. Fortunately since 1975 when the seismology lab went to
10 more rigorous computer methods, we know that the error figure
11 is a standard error and based on the residuals in the computer
12 determination.

13 We can take those as being one standard error --
14 well, it is normally assumed it is a normal distribution as
15 being random errors, but the ones before 1977, though, it is
16 difficult to know exactly how to interpret them. One can
17 make various assumptions ranging from, as a minimum -- well,
18 the thing about prior to 1977 is that the locations were done
19 with a combination of graphical and then early computer tech-
20 niques and certainly the days of the graphical location, the
21 error estimate, was a very qualitative thing made by the
22 analyst at the time as to how well he thought he had done.

23 Later on in about 1965 things got a little bit
24 more rigorous but it is not clear that they literally had a
25 rigorous standard error based on solid numbers in mind. It

ghp 9

1 was still maybe a qualitative judgement, but you can, as I
2 say, interpret those error bars as the minimumizer of what one
3 would, conventionally assume one to mean when they said some-
4 thing was probably within some area. That is, it is more
5 probable that it is inside the area than outside of it which
6 means, what, at the 51 percent level it is inside, if you
7 want to put it that way, or you can suppose that they were
8 trying to get close to something like a standard error on
9 normal distribution and then say, okay, well, that is maybe
10 whatever it is, 68 percent inside.

11 You can take it even further and say, well, they
12 really meant -- boy, I really believe it is inside there and
13 you can say 90 percent level. I don't think whatever inter-
14 pretation you make affects the gross result that comes out of
15 this type of plot.

16 The result is that you have a vast overlap of
17 circles and then, asked to address the question of how many
18 of these could, within these error bars, have occurred on the
19 Cristianitos fault, and I have counted them up and I believe
20 the number I came up with is about 20.

21 They are hard to count. I had to do it over and
22 over again, but I kept getting the same result, so it is
23 about 20 of them as the plot now stands with those error bars.

24 Now of course it is maybe important to remember
25 that most of these events are at depth somewhere, maybe

ghp 10

1 two kilometers, five kilometers. Anyway, they are down there
2 at some depth.

3 The depth is, as Dr. Beihler indicated, very poorly
4 controlled and that being the case, if they are down there and
5 one doesn't know where the Cristianitos fault goes at depth,
6 why the total number changes somehow.

7 The more certain you get about things, the greater
8 number that could lie on it, particularly if you start slanting
9 the fault to the west. It looks like there is a confluence
10 or a fair number of events here off to the west that currently
11 don't touch the surface trace of the fault, so the numbers
12 would change somewhat as you pursue the fault down to wherever
13 these events are occurring.

14 The numbers could also change, of course, if you
15 were to not just stop at one standard error. If you wanted to
16 be more certain about the possibilities and went to two stan-
17 dard deviations, of course, well, things just begin to add up
18 on you and you get many more events that are so located that
19 they intersect that area.

20
21
22
23
24
25

BARON FRASSABLE BOND
MILITARY

-1

1 So, so there is nothing magic, anyway, about
2 a single number of events in this case. I would -- well,
3 up to this point, I think, I hope I have done nothing but
4 present some facts, some data that is available to anybody
5 who wants to get it, and I have avoided, I hope, any opinion-
6 ating or editorializing, but I would like to take this oppor-
7 tunity if I can to make one -- to offer some advice about
8 another type of information that may be can be gotten out
9 of an Exhibit like this, which is -- I think, more certain
10 to obtain, and also it is possibly of equal importance to
11 the question of do these faults fall on the Cristianitos
12 fault or not, or could they -- which I am sure is a valid
13 thing to inquire into, but -- aside from that, it is clear
14 that when you look at this pattern you have to realize that
15 even though we don't know where in this contiguous area
16 exactly these events occurred, and in many cases, probably
17 we will never in fact know, but the fact remains we can be
18 pretty dog-gone sure that they did occur somewhere in this
19 area, most of them, and they of course, occurred there for
20 a reason, and the reason is the area is a state of stress
21 of some sort, and it is just like -- that is what causes
22 earthquakes, of course. It is like where there is smoke
23 there is fire. Where there are earthquakes there have got
24 to be stresses of some sort or another, and so -- and what
25 you see here is a pattern at depth of little areas, you know,

kw-2
1 tens of meters long, hundreds of meters long, responding to
2 the stresses in the region, and of course, this presumably
3 is what causes the halo of microseismicity that Dr. Biehler
4 referred to all over California, because, of course, all of
5 Southern California, anyway, is in a state of stress, for
6 reasons related to the motion of the plate boundaries that
7 we know of.

8 I believe that is all I wanted to say.

9 MR. WHARTON: The witness is tendered for cross.

10 CROSS EXAMINATION

11 BY MR. BEOLETTO:

12 Q Mr. Simons, I don't recall whether or not
13 Mr. Wharton indicated when you took the stand or not, but
14 are you appearing here today and receiving compensation?

15 A I don't think that has been discussed.

16 Q I didn't think it had.

17 A I think -- what is his name, Mr. Barlow, men-
18 tioned something about lunch one time, or pay my gas.

19 Q You are not being paid any fee --

20 A No.

21 Q -- to participate in this proceeding?

22 A No.

23 Q But there might be some reimbursement of expenses?

24 A That was mentioned.

25 Q Okay. Have you appeared in any other regulatory

1 proceedings regarding nuclear power plants?

2 A No, I have not.

3 Q Have you appeared in any other regulatory pro-
4 ceedings?

5 A No.

6 Q Have you ever consulted with anyone or any group
7 regarding nuclear power plants?

8 A No.

9 Q Have you done any consulting work at all?

10 A Not that I considered consulting. I was sub-
11 poenaed one time to appear in a law suit -- I mean as an
12 expert witness. I am sorry. I was subpoenaed to appear as
13 an expert witness in a law suit and just because I had of-
14 fered some information of a similar nature to a lawyer, and
15 normally, being a public university, we offer these infor-
16 mations and services free and don't worry about it. As it
17 turned out, it took up so much time that I felt the state
18 of California -- or the federal grants and contracts shouldn't
19 necessarily pay for that, so I took the liberty of invoicing
20 him for a little bit of time, and -- I never considered that
21 consulting.

22 Q I wouldn't either.

23 A Thank you.

24 Q You are not appearing here today under subpoena
25 though?

- 1 A No.
- 2 Q You are appearing in the nature of volunteer?
- 3 A That is correct.
- 4 Q Okay, thank you. Mr. Simons, could you generally
5 describe your association with the Intervenors in this pro-
6 ceeding, known as Carstens et al?
- 7 A It is hard to describe because it is very light.
8 Would you like a history of how I got --
- 9 Q No.
- 10 A No?
- 11 Q Just a --
- 12 A I tend to get a little bit wordy.
- 13 Q Well, let me ask you this if you don't mind my
14 interrupting you --
- 15 A Yeah, maybe you could --
- 16 Q You seem to be struggling with that question.
- 17 A Yeah.
- 18 Q Are you a member of Friends of the Earth?
- 19 A No.
- 20 Q Are you a member of an organization known as
21 Groups United Against Radiation Dangers?
- 22 A No.
- 23 Q Do you have a professional association with any
24 other witnesses appearing in this proceeding?
- 25 A Yes.

1 Q Who might that be?

2 A Dr. Brune and Dr. Anderson.

3 Q Could you describe your relationship to Dr. Brune?

4 A Dr. Brune is one of the investigators or pro-
5 fessors for whom I work. Dr. Anderson is one that I work
6 with.

7 Q Is it possible that Dr. Brune asked you to par-
8 ticipate in this proceeding?

9 A It is not at all possible. We never discussed
10 it.

11 Q Okay. Referring to your overview that you pre-
12 sented just a few minutes ago, when you were discussing the
13 circles on figure two, you indicated, I believe, I was asked
14 to plot. I am curious, who asked you to make that --

15 A Mr. Barlow.

16 Q Mr. Barlow? Do you associate him with Friends
17 of the Earth and Intervenors in this case?

18 A Well, I do now, yes.

19 Q Did he solicit your participation in this pro-
20 ceeding?

21 A That is correct.

22 Q Okay. Okay, are you a member of any organization
23 such as Alliance for Survival or any other organization which
24 has taken a position on nuclear power?

25 A No.

1 Q Okay. Was any of the work that is reflected in
2 your testimony performed in your capacity as a research
3 specialist at Scripps?

4 A Let's see, was any of this work --

5 Q Yes.

6 A In a capacity as -- I am not sure I understand
7 the question.

8 Q When you were at work doing your job, did you
9 do this work?

10 A Well, I did it at work, yes. I mean --

11 Q Was it a part of the --

12 A We can't talk about --

13 Q -- work you were doing for Scripps?

14 A No. Not that -- well, it is not that unusual.

15 Q I understand from your testimony that your formal
16 education -- you have a Bachelor of Science degree in geo-
17 physics and geology from MIT, is that correct?

18 A That is correct.

19 Q Are you registered with the state of California
20 as a professional in geology?

21 A No, I am not.

22 Q Are you registered with the state of California
23 as a professional in geophysics?

24 A I am not.

25 Q Have you ever attempted to seek or obtain such

1 registration?

2 A No.

3 Q Do you know what the requirements are to obtain
4 professional registration?

5 A I really don't. I never inquired into it.

6 Q Do you have any graduate training beyond your
7 Bachelor's degree?

8 A No.

9 Q Could you describe generally what the responsi-
10 bilities and duties are of a Research Specialist 2 at the
11 Scripps Institution?

12 A Well, you know, that is kind of a catch-all
13 category. It sort of depends on what one is really doing
14 and what group one is associated with. In my case it in-
15 volves being responsible for the collection retrieval, stor-
16 age of seismic data that we collect, and it in a host of a
17 computer -- what will I say -- programs, facilities for
18 accessing that data, to go along with it, and so on. I am
19 in charge of the processing software, if you will, on one
20 hand. On the other hand I am charged with doing research and
21 seismology, seismicity patterns in Northern Baja California,
22 San Diego.

23 Q If I understand your answer, and referring to
24 some of the terms you use, I get a feeling that you do a
25 great deal of work with computers?

1 A That is correct.

2 Q What percentage of your work is manipulatory
3 work on a computer?

4 A Oh, over the past year it has been not much --
5 20 percent. In prior years it was the other way around,
6 maybe 80 percent. It sort of depends on whether we are
7 developing any software at the time or not and what is hap-
8 pening.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

ghp 1

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q Is your position at Scripps a faculty position?

A I am a little bit weak on exact definitions, but I think it is. It is not tenure, or tenure track, as they say, but it is on the faculty side of things as opposed to being on the staff side of thing.

I used to be a member of staff. Now I am a member of faculty but it is not tenure track.

Q Could you explain briefly the difference, being on the faculty as opposed to being on the staff?

A I am not in administration and I only have a very narrow viewpoint only as it effects me.

Q It is not that significant. If it is a difficult question, we will move on to your testimony.

A I believe I would do a lot of woolgathering at this point trying to decipher that one for you.

Q Okay, look if you would, please, at page 1 of your testimony at what I believe is the 7th line from the opening line of your testimony where you indicate that your work has included major investigations, San Diego and northern Baja California seismicity.

I would like to focus on the word major, and if you could just distinguish for me what makes any investigation a major investigation?

A Well, in the case of, say, San Diego, it is major in the sense that it was all inclusive, in the sense that I

ghp 2

1 went back and attempted to thoroughly do the seismicity of
2 everything in San Diego for all the data that was possibly
3 available and it took me several years to do it and it stands
4 as the only investigation to date of this kind or covering
5 that area.

6 So for a number of years off and on it was a major
7 effort.

8 Q I guess my next question, given that answer is,
9 is your work reflected in your testimony a similar major study
10 or investigation.

11 A Of this one, no.

12 Q Have you ever conducted any of what I will call
13 field investigations in the vicinity of the San Onofre nuclear
14 generating station?

15 A No, I have not.

16 Q How long have you been studying the seismicity in
17 the vicinity of the Cristianitos fault?

18 A In total time effort, not very long ago, but in
19 lapsed time, this goes back away to a year or so ago when
20 Mr. Barlow came into the office and said, can you give me an
21 epicenter map that covers the area around the San Onofre site
22 and of course the answer was yet.

23 I could do it quite easily because I am equipped
24 to do it -- I do it all the time -- so I did and gave it to
25 him.

ghp 3

1 Then he disappeared for a year or so and then re-
2 emerged -- well, this is the way it happens where I am sitting --
3 and then he comes back a few months ago maybe and says, you
4 remember that map and can you update it and overlay it on a
5 fault map, which the answer was yes again, for the same reasons.
6 So I did that in fairly short order.

7 So in terms of total elapsed time we are talking
8 about maybe a few hours total effort, so you can make whatever
9 you want out of that.

10 Q In the vicinity of your study you pay particular
11 attention to the Cristianitos fault. Are there any other
12 faults in that area that you have included in the study?

13 A In Figure 1-A I have attempted to put all the
14 faults on that are included in the California Division of
15 Mines and Geology map.

16 Q As I recall on Figure 1-A it looks like the
17 Cristianitos fault is penciled in. I am just curious. You
18 seem to have focused on the Cristianitos and until today we
19 didn't even realize you had identified the other faults in the
20 area.

21 A Because my attention was focused on the Cristianitos.
22 The question I was asked to address was any of these events
23 could have occurred on the Cristianitos.

24 Q And you studied the work of other experts con-
25 cerning seismicity at the Cristianitos fault area?

ghp 4 1

A Except for Dr. Beihler, no.

2

Q Have you studied any of the materials prepared by the Applicants in this proceeding such as the SFAR?

3

4

A I don't believe I have.

5

Q Have you studied the results and conclusions of the NRC Staff regarding this subject contained in the safety evaluation report?

6

7

8

A I am pretty sure I haven't.

9

Q Have or have not?

10

A Have not.

11

Q I would like you to turn to page 2 of your testimony, and the first sentence on the page. You refer to an epicenter catalog survey and I would like you to briefly describe what is involved in an epicenter catalog survey.

12

13

14

15

I realize that was somewhat covered in your overview, but if you could just concisely state that?

16

17

A These epicenters are written on a magnetic tape that can be read by computer. It is a magnetic tape catalog, and all that was involved was reading the catalog with the computer and looking at each event and deciding, is this event within the area that I wish to study and does it fit the magnitude limits that I want or depth requirements or any other constraint I want to put on it and, if it is, one keeps it and stores it on a disk file in the computer, and that is the basic survey.

18

19

20

21

22

23

24

25

ghp 5

1 The plot is a separate operation. The plot routine,
2 that is the dots on the map.

3 Q On the fifth line on page 2 of your testimony,
4 you refer to, the region studied extends from 33.25 to 33.75N
5 and from 117.25 to 117.833W. You refer to that as the vicinity
6 of the Cristianitos fault zone. Is that your definition of
7 the Cristianitos fault zone or is that merely a convenient
8 computer choice of coordinates or print out?

9 A It is my definition. I controlled what the vicinity
10 was. The 33.25 to 33.75N, of course, was for convenience and
11 the area of interest seemed to fall between those. The 117.25
12 to 117.833 W, I guess it is an odd number. I forget what it
13 is in minutes, which we frequently do. It may have been
14 even numbered minutes, so it could have been a number of con-
15 venience also. These numbers were just to center an area.

16 Q I believe Dr. Hand noted, when you were entering,
17 Figure 1-A as part of your testimony, that the area depicted
18 in Figure 1-A seems to be more extensive than that previously
19 depicted in Figure 1 that was replaced.

20 I don't recall your explanation for why that is.

21 A That explanation was the xerox machine, actually.

22 Q Let me ask you this. Maybe we can put it in with
23 this line of questioning. All the points that appeared on
24 the old figure are the same points that appear on the new
25 figure 1-A and there are no new points?

ghp 6

- 1 A Correct, right.
- 2 Q The area depicted in the figure is the same?
- 3 A Oh, yes.
- 4 Q Okay, fine. You referred to the survey of the
- 5 Cal-Tech catalog. Do you know how events were plotted or
- 6 entered into the Cal-Tech catalog prior to the late '50's,
- 7 early '60's?
- 8 A Mostly it was, as I recall looking at the work-
- 9 sheets out there -- are you talking about the technique of
- 10 analysis and earthquake location?
- 11 Q Yes.
- 12 A I have seen quite a few and I couldn't cite exact
- 13 dates, but quite a few which seem to be based on S-minus-P
- 14 times, if this is going to get technical, where you don't
- 15 have absolute timing on the P waves because they had bad
- 16 timing back in those days for a while.
- 17 Q Mechanically, how were they entered?
- 18 A It was graphically, if that is what you want.
- 19 Q By hand?
- 20 A Yes, by hand. That is right. You can see on the
- 21 back of the analysis sheets there, you can see a bunch of
- 22 hand-drawn in circles, overlapping circles, that are used
- 23 and it is graphically determined where the epicenter was.
- 24
- 25

22 1g

1 Q The means of entering that data has become more
2 sophisticated over the years, has it not?

3 A Oh, yes.

4 Q In making upgrades in the method employed in
5 the method employed in entering that data, does Caltech
6 routinely go back to the most early entries and update each
7 according to the new procedure?

8 A Oh, not to my knowledge they don't. I may have
9 misled you there, when you were talking about entry. I
10 don't think the technique of entry or of, you know, data
11 handling, doesn't really affect the -- it depends on the --
12 it is the word "entry" I am having trouble with. It doesn't
13 relate to anything in my technical jargon.

14 I mean, just the mere act of entering, say, the
15 data into the catalogue in a different way doesn't change its
16 epicenter, its numbers. You have to recalculate -- you know,
17 you can recalculate some epicenters if you have new data, so --

18 Q The Catalogue is quite heterogeneous, then, in its
19 makeup?

20 A Oh, yes.

21 Q Older events, plotted much more crudely.

22 A Right.

23 Q But they are -- strike that.

24 In your work over the years, Mr. Simons, have you
25 even found the catalogue inadequate for special studies?

2g 1 A Inadequate.

2 Q Do you understand the question?

3 A I think I do. I -- okay, let me try this. Are
4 you asking whether or not the catalogue can be improved on?

5 Q No, no. No, no.

6 A No.

7 Q I understand your testimony to be that the
8 nature of what you present here in the way of a study is
9 common to the work you do routinely in your employment.

10 A That is correct.

11 Q And what I am asking basically, is in the scope
12 of performing that work over the years, have you ever had
13 difficulty with the Caltech Catalogue merely being inadequate
14 for your purposes? The quality of the data, the location of
15 epicenters and so forth.

16 A Well, if I understand that question, I think, you
17 know, the answer is certainly. I have spent a lot of time
18 improving the accuracy of it.

19 Q Would you agree with the general statement the
20 Caltech Catalogue is a good reference, but not adequate for
21 any detailed evaluations of fault activity?

22 A The last part there, for any investigations of
23 fault activity.

24 Q Detailed evaluations is what I said in the last
25 part.

1 A You know, I am close to agreeing with that. The
2 language may be a little bit strong. It is very close to
3 the truth. I wouldn't want to subscribe to that, just one
4 hundred percent, because there just might be -- because
5 especially in modern times, they are getting very, very
6 accurate with that thing. They ought to. They have got a
7 tremendous array of instruments out there, and in the modern
8 data, I think there really are some detailed investigations
9 you could do.

10 Q Okay. If you would refer to figure 1A, please?

11 A Uh-huh.

12 Q Again, you may have answered part of this
13 question, perhaps most of it in your overview, but can you
14 tell me what part of this is a computer plot, and what you
15 have actually entered by hands or some other means?

16 A Yeah, the computer plot will be the -- certainly
17 the perimeter of the plot, such as it is, north and south.
18 Here. On the original there is other perimeters, but the
19 lettering at the top of the plot, clearly, except for the
20 letters. The letter "N" has been, I guess, beefed up by hand,
21 but basically the legend of the title of the graph is done
22 by computer, except for the scribbling off to the right that
23 says 1932-1980.

24 The symbols themselves depicting the epicenters
25 are put on by computer. The coastline and the faults are

1 traced by hand from the geologic map.

2 Q Thank you. And again, the events are actually
3 entered with triangles, squares, circles and so forth. Could
4 you describe, again briefly, how those are to be
5 interpreted?

6 A Okay. A different symbol just indicates a
7 different quality in the location, as explained in page 2 of
8 the testimony, quality A is a rectangle and B is a triangle,
9 and it looks like C is a -- holy cow. That is -- well, I
10 think a little -- the C is -- I might double-check that.
11 Yeah, the C is supposed to be a circle.

12 Q Okay.

13 A It is drawn in figure 2, it looks like a
14 squashed egg. On the plot it looks like a -- it is almost
15 a square with rounded-off edges, but that is supposed to be
16 a circle, and diamonds are D, and stars and plusses for
17 preliminary and experimental, and other --

18 Q There is a distinction, is there not, though, in
19 the significance, if that is the right word, to be attached
20 to these various symbols, pre and post-1961, if I read your
21 testimony correctly at page 3?

22 A At the beginning of -- okay. Yes, prior to
23 1961, it was almost all graphical, and certainly a qualitative
24 or maybe semi-quantitative judgment. Ways we -- are hard to
25 find out anymore. In 1961, a Bendix Computer was used for the

1 first time in these locations, and they maintained the
2 same schedule definitions, and -- but there was more numbers
3 and more of a quantitative aspect to it. I can't -- I don't
4 really know any more about it than 'hat. It is --

5 Q Have you ever done an independent evaluation of
6 the error bars for the quality assignments?

7 A Let us see. Are you talking about, say, the ones
8 cranked out by their current program?

9 Q I am looking at -- I am looking at page three, and
10 I guess my question is: Does an error of one second for a
11 sparse array, such as existed in 1970, correspond to an
12 accuracy of five kilometers? Have you ever done an
13 independent determination of whether or not that correlation
14 is correct, or have you accepted these values?

15 A Okay, the -- I may want to say -- say two things
16 here. One is, the -- the errors in -- okay, further down.
17 I am not deeply intimate with the exact algorithm used in
18 the program to generate the numbers, first of all, but in
19 general, the horizontal standard errors and the vertical
20 standard errors are computed independently and are not
21 necessarily directly related, let us say, to the RMS of the
22 residuals, which has some other information in it. Again, I
23 can't be more detailed than that.

24 In general, however, if you look at an RMS
25 figure of half a second, and say okay, I am going to have

1 a PN (ph) velocity of 8 kilometers a second. You come out
2 with a corresponding distance error of four kilometers, so --
3 distance error of five kilometers, is as I sit here,
4 totally commensurate with that.

5 Q So you have done that kind of work?

6 A Yeah.

7 Q Okay. I would like you to look at figure one
8 again. Now, just looking at the data apparently entered by
9 the computer, which are the epicentral locations on this
10 area, and I would like you to tell me if you believe that
11 that represents a randomly distributed pattern of micro-
12 seismic activity.

13 A Looking at that, I would say that is -- ah,
14 wonderful. Randomnesses in the eye of the beholder. But no,
15 I see patterns in this, if that is what you mean. I see a
16 hole in the middle of it, obviously. I see a -- well, let us
17 say a slightly higher density of events to the northeast.
18 Other than that I don't really see much in the way of a
19 pattern that I would want to make a story out of.

20 Q How do you account for the density in the area
21 you described as the northeast?

22 A Well, that happens to be where the Elsinore
23 fault zone runs.

24
25

w-1
1 Q Do you see any pattern of dots which exhibit an
2 alignment with Cristianitos fault?

3 MR. WHARTON: Objection. Ambiguous. I -- align-
4 ment of dots to correspond with the Cristianitos fault where?
5 You were talking about up towards the Elsinore or --

6 MR. BEOLETTO: He has got the Cristianitos fault
7 mapped on the figure. All I am asking him is if -- in his
8 mind's eye, as he looks at these points, does he see any
9 alignment of points which corresponds to the line --

10 MR. WHARTON: Fine.

11 MR. BEOLETTO: -- that represents the Cristianitos
12 fault the way he has entered it on the map.

13 JUDGE KELLEY: All right.

14 MR. WHARTON: Fine.

15 WITNESS SIMONS: I can answer?

16 JUDGE KELLEY: Yes.

17 WITNESS SIMONS: The answer is no.

18 BY MR. BEOLETTO:

19 Q Okay, figure two, please. Well -- in reference
20 to figure two, if you would, Mr. Simons, also, at page four,
21 line five, you say the results are graphed in figure two
22 showing only those events reasonably close to the Cristianitos
23 fault zone to mitigate confusion. I am wondering what cri-
24 teria you used to establish reasonably close.

25 A I can tell you right now it wasn't rigorous.

1 I didn't say aha or anything, whose perimeter fall outside
2 five kilometers from the fault I am going to suppress, but
3 that would be approximatel, correct. See, well, you can un-
4 derstand, if I were to draw circles around all those events
5 to the northeast, why, you couldn't see the rest of the dia-
6 gram, so -- again, I can't --

7 Q I see.

8 A I can't give you a rigorous quantitative criteri-
9 on, but it would --

10 Q Do you know how many circles there are in figure
11 two?

12 A As I sit here I don't. I am not sure. I may
13 have at one time. I gather it is not in the testimony. It
14 probably isn't --

15 Q I don't --

16 A Yeah, it isn't.

17 Q -- recall it being. I just was curious if you
18 knew the number of circles. If you don't recall we will
19 move on.

20 A Yeah, I would rather not count them right now.

21 Q Let me ask you one question with regard to both
22 figures one and figure two. These are both epicentral plots,
23 is that right?

24 A That is correct.

25 Q You have done no hypocentral plot?

1 A That is correct.

2 Q Okay, now, in attempting to understand what these
3 various circles on figure two represent, I would like to
4 look at, and picking one for convenience, the entry on the
5 upper right hand, most upper right hand entry on figure two,
6 I see 54C3.1. Do you see that on figure two?

7 A Yeah.

8 Q Could you tell me the -- what is conveyed by
9 the numbers -- the letter and the last number?

10 A The years 1954, the quality assigned in the cata-
11 log is C. The magnitude is 3.1.

12 Q Okay, now does that come out of appendix A,
13 that information?

14 A It certainly could be there. It is on -- I mean
15 if you really want to know, it is on page two of Appendix A,
16 I think, and -- about one quarter the way up the page from
17 the bottom.

18 Q Okay, you find that event on page two?

19 A I believe I do. I see an 1954 event, 3.1, quali-
20 ty C, fairly far to the north, yes.

21 Q Okay, is Appendix A a complete listing of all of
22 the data that appears on figure one and two?

23 A Oh, figure one? Yes.

24 Q And then there was some selection criteria that
25 you employed to go to figure two?

-4
1 A That is correct. I would only offer one quali-
2 fication here. Figure 1 or 1(a) as you have it --

3 Q 1(a), I am sorry.

4 A As we have discussed it, has lost a little bit
5 off the fringes, you know, the left and right of the diagram,
6 so if you counted up the total number of dots you might come
7 out a little bit short.

8 Q Okay, now I would like to go to figure two again,
9 and the number that we have just been looking at, 54C3.1,
10 moving your eye to the left to a smaller radius circle, the
11 numbers are written nearly from the bottom to the top. It
12 looks like 75C2.8. Do you find that?

13 A Oh, I do, yes.

14 Q Okay. Now, in Appendix A, on the third page,
15 I am going to ask you if you would, please, take the time to
16 run down the column -- 19 lines I believe. And I see 1975
17 and then a row of figures that ends with 2.8 and A. Is that
18 the only 2.8 event that occurred in 1975?

19 A Insofar as I can read this copy, which I guess
20 I can. That certainly looks like that is the case.

21 Q Okay. That then being the only 2.8 quality A
22 event that occurred in 1975, corresponds to the circle that
23 we had previously identified on figure two?

24 A Well, it should, yes.

25 Q Okay, examining the latitude and longitude given

-5

1 in Appendix A, do I correctly interpret that to mean that
2 that event should be plotted on the lower half of this figure
3 two?

4 A 33.4?

5 Q Yes.

6 A No. The -- I am -- well, no, the upper -- let's
7 see, the lower limit of this is 33.25 and the upper limit
8 is 33.275.

9 Q What is the center line?

10 A It should be 33.5. Underline that.

11 Q Is it just possible that the entry is wrong on
12 the --

13 A It is possible that the entry is wrong. It is
14 possible that it was the 2. -- mind I am not looking at the
15 latitude or anything, but that there are other 1975 events.
16 It is just possible that there are other 1975 events. It
17 is just possible that the magnitude was mis-written. It is
18 really a 1.8er, it is just that -- see, I am looking at a
19 2.6 up here that is hard to read, that is a 33.7 about. I
20 have a rough Xerox copy here and --

21 Q So do I.

22 A Okay. And it may be that the 2.6 may have been
23 transcribed as a 2.8.

24 Q Where is the 2.6 plotted?

25 A Well, let's see. It is supposed to be at 33.7

6
1 and 117.4, which --

2 Q Can we move on?

3 A Yeah, I don't see a 2.6, so maybe it is the one
4 that says 2.8.

5 Q Can you find --

6 A You said you wanted to move on?

7 Q Well, I want to end this though by asking you,
8 can you find the 75C2.8 event that is plotted up on the upper
9 portion of this curve, or at least above the center line of
10 this curve in Appendix A?

11 A I can find it only if I assume that it is really
12 the 2.6.

13 Q Well, have you looked on figure two to find the
14 2.6?

15 A Oh, well -- I haven't found that yet. Well, I
16 am still not finding it. Things that it should be -- let's
17 take a look at the coordinants of the 2.6 events, 33.7 about --
18 33.679 -- 117.4 -- which what? -- should be kind of halfway
19 up from the center to the top and -- what is that five --
20 probably ought to be a little bit more off to the west if I
21 am doing the middle line on this correctly.

22 Let's see, and the middle line should be about
23 .5, I guess. Oh --

24

25

ghp 1

1 Q When did you make this plot, Mr. Simons?

2 A Several months ago.

3 Q Did you check it for quality, for error?

4 A As much as I could. Let me explain what --

5 Q You draw some rather significant --

6 MR. WHARTON: Mr. Chairman, he was finishing the
7 question.

8 MR. BEOLETTO: I am sorry.

9 WITNESS SIMONS: The circles were initially drawn
10 on the map by my assistant. I then went in and double-checked
11 it and the end -- I had to because as I notice here, the dates
12 and the qualities and the magnitudes so at one time I had to
13 go in and identify and properly locate each one of these
14 events and make sure they were in the right place so that I
15 could label them.

16 BY MR. BEOLETTO:

17 Q Are we finding that they are in the right place?

18 MR. WHARTON: Mr. Chairman, he hasn't finished
19 his answer yet.

20 WITNESS SIMONS: I was just going to say that in
21 that sense these were certainly doubled checked. If you are
22 going to ask me if they are perfect, it is possible that they
23 are not.

24 BY MR. BEOLETTO:

25 Q I think we determined that they are not perfect.

ghp 2

1 I am wondering if you could quantify the amount of error in
2 this figure.

3 A Not much.

4 JUDGE KELLEY: Let me be clear that the raw data
5 and numbers back here and they are up to date for every circle
6 and there should be an entry in the raw data; correct?

7 WITNESS SIMONS: That is correct.

8 JUDGE KELLEY: And one could confirm -- one could
9 take --

10 WITNESS SIMONS: Anyone could duplicate this.

11 JUDGE KELLEY: That is the point I am getting to.
12 We have explored this some and there is an indication that
13 there is at least an error and maybe there are some errors and
14 I think we can pass on to the next point.

15 MR. BEOLETTI: The point being that this was pre-
16 sented for the Board and the parties to rely on in interpreting
17 this figure and I think we have established that there are
18 some points that are correct.

19 WITNESS SIMONS: We have found one point that I
20 cannot give you a satisfactory answer on; that is correct.

21 JUDGE KELLEY: That is right and you, in your
22 briefs later on want to show that there are five or ten more
23 errors, you are free to do that.

24 MR. BEOLETTI: I think it goes to the weight to be
25 given to this type of plot. There is one more point here that

ghp 3

1 I do think is worth the time to do so, and that is 75-A, 3.8
2 and right immediately underneath that, 3.4.

3 JUDGE KELLEY: You are now at Figure 2?

4 MR. BEOLETTO: Same figure, yes, Figure 2.

5 JUDGE KELLEY: Where are these that you are referring
6 to?

7 MR. BEOLETTO: Slightly above the center line and
8 slightly to the left of center. There is a rather bold, in
9 comparison, small circle drawn 75-A through point 8 and im-
10 mediately underneath another number, 3.4.

11 JUDGE KELLEY: And is it your point that we don't
12 find the same information on the data sheet?

13 MR. BEOLETTO: Not necessarily. I think this is
14 worth pursuing in addition to this.

15 BY MR. BEOLETTO:

16 Q Mr. Simons, can you identify that data as that
17 data that Dr. Beihler did the relocation studies are and re-
18 ferred to as the two 1975 Trabuco Canyon events?

19 A Yes, I can, that is correct.

20 Q The quality identification, if I read Figure 2
21 correctly, is A; is that right?

22 A That is correct.

23 Q What radius is to be drawn for Quality Class A?

24 A For 1975 -- 1975 page 3 it says, horizontal standard
25 error less than one kilometer, so it should be a radius of

ghp 4

1 one kilometer.

2 Q What does it appear on Figure 2?

3 A I am sorry, I have to say it looks like two kilo-
4 meters.

5 Q Mr. Simons, page 5 of your testimony, if I could
6 direct your attention there please? The first sentence in
7 your summary: The overall picture that emerges from the above
8 is that the Cristianitos fault is situated in an area which
9 has experienced considerable seismic activity in the immediate
10 past.

11 Can you tell me, basically, what fits your defini-
12 tion of considerable seismic activity?

13 A I think it is what I expect the Oxford English
14 Dictionary to say, that it is capable or worthy of considera-
15 tion, that is to say, not negligible.

16 Q Worthy of consideration, not negligible; did I
17 understand that correctly?

18 A I believe you did, yes.

19 Q Now without getting into considerable debate about
20 matters that occurred here earlier, have you compared the level
21 of seismic activity that your study encompasses with the
22 Southern California average?

23 A No, I have not. I did a statistical analysis of
24 the events, but I did not go that far.

25 JUDGE KELLEY: Mr. Beoletto, not to turn you into

ghp 1
1 a witness, but is that a recognized concept, the Southern
2 California average?

3 MR. BEOLETTO: I understand that it is, yes.

4 JUDGE KELLEY: Have we heard it in this case?

5 MR. BEOLETTO: One second, please, Mr. Chairman.
6 It was included in Intervenor's Exhibit No. 14, which was
7 admitted into evidence earlier today.

8 JUDGE KELLEY: It is in one of the articles?

9 MR. BEOLETTO: Yes, represented, as I understand
10 it, in a figure in that document.

11 JUDGE KELLEY: Thank you.

12 BY MR. BEOLETTO:

13 Q To go back, I understand you have not made a com-
14 parison of your levels of seismic activity reflected in your
15 data with that Southern California average?

16 A No. It is Cal-Tech's data really.

17 Q Let me ask you this, Mr. Simons, have you reviewed
18 the NRC Staff safety evaluation section on seismicity which
19 is Section 2.5.2.2?

20 A Not that I recall.

21 Q If I could have a minute, I would like to show you
22 that section.

23 MR. BEOLETTO: Mr. Chairman, could I approach
24 the witness?

25 JUDGE KELLEY: Yes.

ghp 1

1 MR. WHARTON: What section again, Mr. Beoletto?

2 MR. BEOLETTO: It is Section 2.5.2.2 entitled,
3 Seismicity, which appears at page 252 of the volume I have
4 of the SER.

5 MR. WHARTON: Mr. Chairman, I would have one ob-
6 jection here. The witness has testified that he has not
7 reviewed the SER. He is asking him to review the SER now.

8 MR. BEOLETTO: I am asking him to look at no more
9 than a paragraph contained in that section, Mr. Chairman.

10 JUDGE KELLEY: A paragraph is okay.

11 MR. BEOLETTO: There is a paragraph within -- I
12 believe it is the third full paragraph that begins, those
13 earthquakes of magnitude 6 or larger, and Mr. Simons is reading
14 that right now.

15 (Witness peruses document.)

16 WITNESS SIMONS: Okay, I think I have finished
17 reading that.

18 BY MR. BEOLETTO:

19 Q The language in the very last sentence of that
20 paragraph -- I quote -- The vicinity of the San Onofre site
21 (within approximately 30 kilometers) appears to be one of
22 relatively low seismicity.

23 My question is, Mr. Simons, do you agree with the
24 conclusion reached by the NRC Staff, that the area is one of
25 relatively low seismicity?

ghp 7

1 A I have to assume something here. I don't have to
2 assume it, but it is a question of relative to what. I am
3 looking at the text again to see if I can find it, or do you
4 want to tell me.

5 JUDGE KELLEY: Maybe the staff could tell you,
6 if anybody.

7 WITNESS SIMONS: Volunteers?

8 BY MR. BEOLETTO:

9 Q I don't have a particular citation to cite you to
10 for comparison but perhaps --

11 JUDGE KELLEY: Could you comment on the Staff's
12 intent in that particular statement?

13 MR. REITER: I think the comparison has to do with
14 the quiet or the 200-mile zone from the vicinity of the site.
15 The comparison with respect to seismicity is generally within
16 200 miles of the site.

17 MR. WHARTON: Mr. Chairman, I would submit that
18 that is a subject area that Dr. Simons has not testified to.
19 He has testified to the immediate area of the Cristianitos
20 fault. It would be outside the scope of direct.

21
22
23
24
25

BARON GRASSABLE HONO

T-25
kw-1

1 JUDGE KELLEY: Well, but he has testified and
2 made the conclusions about the seismicity of this area.
3 What was the sentence that this all began with?

4 MR. BEOLETTO: It is in the --

5 JUDGE KELLEY: The overall picture that emerges.
6 Considerable seismic activity in the immediate past -- I
7 think it is fair cross examination to point to a statement
8 like this and --

9 MR. WHARTON: Well, I was just seeking clarification.
10 Maybe I didn't hear right. You were asking for, I
11 believe, a definition of what was meant by the word relative-
12 ly low seismicity, and my understanding was -- I got an
13 answer back -- would you please state what you mean by rela-
14 tively low seismicity. And my understanding was that I got
15 an answer back, would you please state what you mean by
16 relative to what area you are talking about.

17 MR. BEOLETTO: No, I don't believe that is exact-
18 ly the question, Mr. Wharton. The Witness's testimony con-
19 tains the expression considerable seismic activity. The
20 results of the Staff evaluation contained in the safety
21 evaluation report contains the expression relatively low
22 seismicity, and I am just asking if he wants to offer an
23 explanation or attempt to reconcile the apparent disparity
24 in those two positions.

25 MR. WHARTON: The question is --

w-2

1 JUDGE KELLEY: Let me interrupt just for the
2 sake of -- well, let me interrupt. Doctor, didn't you then
3 explain that you meant an area within 200 miles of the site,
4 when you used the phrase relatively low seismicity?

5 DR. REITER: Yes, sir.

6 JUDGE KELLEY: And that means that the site --
7 the immediate environs of the site are relatively low in
8 seismicity in the Staff's view, when you look at that larger
9 area?

10 DR. REITER: Yes, sir.

11 JUDGE KELLEY: Okay, and then the Witness is
12 being asked essentially whether he agrees with that statement
13 or how he would reconcile the two, is that correct?

14 MR. BEOLETTO: That is the question.

15 MR. WHARTON: Mr. Chairman, the Witness said --
16 asked what was meant by relatively. Relative to what area.

17 JUDGE KELLEY: Well --

18 MR. WHARTON: I don't know that we -- well --

19 JUDGE KELLEY: Regardless of where we were two
20 minutes ago, right now he is being asked the question I just
21 put.

22 MR. WHARTON: Fine.

23 JUDGE KELLEY: So why don't we just ask for the
24 answer to that?

25 WITNESS SIMONS: Well, I have lost track of

1 things here. I have to ask --

2 JUDGE KELLEY: Well, how about if I repeat --

3 WITNESS SIMONS: If you would, please.

4 JUDGE KELLEY: All right. Now you say at page
5 five of your testimony that in your opinion this is an area
6 which has experienced considerable seismic activity in the
7 immediate past. The NRC staff in its SER has expressed the
8 opinion that this is an area of relatively low seismicity,
9 and by that they mean low in comparison to the 200 mile area
10 around the site. Now, do you disagree with the Staff, or
11 do you think that your statement and the Staff's statement
12 can be reconciled?

13 WITNESS SIMONS: Well, I think that the two can
14 definitely be reconciled. Let me just take my statement
15 first, and again, I don't know if I can say anything different
16 that I already have. I mean, I am using considerable here
17 just in the sense that it is non-negligible. You know, it
18 did happen within a subcontext that must be significant, and
19 I have already said things about stresses causing earthquakes,
20 and you can make some conclusions from that. So, you know,
21 this stuff is not negligible.

22 Now, getting into relatively low seismicity, I
23 can think of two ways to take that. One is to say that, well,
24 this area that we are carving out and calling San Onofre,
25 as compared to an average of the larger area -- and 200 miles

1 will take in pretty much most of Southern California -- if
2 I interpret it that way, I come up short of knowledge, be-
3 cause, you know, on the average, as we have already estab-
4 lished, I don't know how this compares with the larger
5 Southern California area. If you want to say it is low seis-
6 micity relative to some other -- a number of other areas of
7 California, it certainly is true that this is -- in the his-
8 torical past, so far as we know, this -- the seismic history
9 is that it is low relative to some other parts of California.

10 On the average, again, I don't know.

11 JUDGE KELLEY: Excuse me, maybe I misunderstood.
12 Did I hear you say that you don't know what -- you are not
13 really familiar with degrees of seismicity in the Southern
14 California area? Or did I misunderstand what you said?

15 WITNESS SIMONS: Let's see. Yeah, I was saying
16 that if the question is -- or the statement is supposed to
17 read that as low seismicity, you know, relative to the
18 average California seismicity, I don't know the answer to
19 that. If the intent of it is to say that it has got rela-
20 tively low seismicity as compared to a number of other areas
21 of California -- I mean, you know, San Andreas fault and
22 Imperial Valley -- any one of a number -- why, that is cer-
23 tainly true.

24 This is -- you know, has lower relative seismici-
25 ty -- or has had in the immediate past, then a number of

1 other areas of California that we could pick out -- but when
2 you talk about averaging all the areas, you know, over the
3 entire area, you know, you have pockets of seismicity, if
4 you look at the seismicity map. You have clusters of them
5 on the Imperial fault, clusters of them on San Jacinto,
6 around the major faults. Well, you take any one of those
7 clusters, you know, areas of known activity, certainly San
8 Onofre comes out relatively low.

9 If you average all of California, though, well --
10 clearly, these areas of quiescence are pockets that are not
11 so active and draw down the average quite a bit. And I
12 don't know how that compares. I hope that says something.

13 JUDGE KELLEY: Yeah, I think I understand what
14 you are saying. I asked earlier what Southern California
15 average meant, and I am told it is in a scholarly article
16 somewhere and I will look at it, but are you familiar with
17 that concept?

18 WITNESS SIMONS: Not in any detail. I mean, I
19 can -- I have never pursued the point of comparing anything
20 to California average. I can follow the concept, but I have
21 never read any articles on it or that used it, as a matter
22 of fact.

23 BY MR. BEOLETTO:

24 Q You haven't done sufficient studies, then, if
25 I understand you correctly, Mr. Simons, to know what the

1 Southern California average is?

2 A I think I know where to find it. Unfortunately
3 I left the book in the car.

4 Q From recollection you don't know?

5 A Oh, no.

6 Q Mr. Simons, are you familiar with frequency
7 versus magnitude recurrence curves?

8 A Well, if you are talking about MB plots or B
9 value plots?

10 Q Frequency of occurrence -- numbers of earthquakes
11 per year versus the magnitude.

12 A Well, then I am sorry. It is a different ter-
13 minology. Same thing. But, yes, I am.

14 Q Okay. And I guess what I am asking -- I will
15 ask it one more time to make sure. On that basis, have you
16 compared the vicinity of the San -- or the Cristianitos
17 fault as you defined it in your testimony with the Southern
18 California average?

19 A No.

20 MR. BEOLETTO: Okay. That -- Mr. Chairman, that
21 earlier reference was to Intervenors' Number 14, figure 10
22 appearing at page 781.

23 JUDGE KELLEY: Thank you.

24 BY MR. BEOLETTO:

25 Q Mr. Simons, given your recognition of the

1 existence of the recurrence curve, can you compare the
2 Southern California average -- could you compare the Southern
3 California average with the work which you reference in your
4 testimony -- the work performed by Dr. Sean Biehler, his
5 micro-earthquake activity work in 1975?

6 A Somewhere in the middle of that I got lost. I
7 must have missed the operation verb.

8 Q Well, again, I am asking --

9 A I didn't --

10 Q Your testimony references the work of Dr. Sean
11 Biehler --

12 A Yes.

13 Q And I am asking if you have compared the Southern
14 California average with the results that Dr. Biehler has
15 presented? Obviously you are familiar with the work of
16 Dr. Biehler. You have got it referenced in your testimony.

17 A I am familiar with -- well, I certainly am, yes.
18 The only -- it is referenced principally because, you know,
19 I make reference to his microseismicity study. The answer
20 to your question clearly has to be no, because I haven't
21 done anything with average Southern California seismicity.

22 Q You are not familiar with the recurrence curves
23 for the region, are you Mr. Simons?

24 A No, I am not. I have not studied that all for
25 this region or the Southern California.

ghp 1

1 Q All we are really trying to do, since you have
2 cited the work of Dr. Biehler in your testimony at page 5 and
3 in the last sentence of that one paragraph section you say:
4 It is to be assumed that this is a representative sample of
5 data, it follows that had the array remained in place one year,
6 a total of 27 micro-earthquakes would have been recorded close
7 to the Cristianitos fault.

8 I am trying to quantify, if I could in some com-
9 parative sense, the 27 micro-earthquakes that could have oc-
10 curred. Would that be a large number, a very small number or
11 can you say?

12 A I must say, off the top of my head, that it sounds
13 like a pretty hefty number for this area. Of course they are
14 very small micro-earthquakes. Strictly speaking, how that
15 compares with some other area in California or the California
16 average, I can't respond to that.

17 Q California average is what we are talking about.

18 MR. WHARTON: Mr. Chairman, he has testified thrce
19 times he does not know the California average; asked and
20 answered.

21 BY MR. BEOLETTO:

22 Q I beleive you mentioned earlier you were familiar
23 with the concept that has been described in this proceeding
24 by Dr. Dhawn Biehler and Dr. Smith as well, the concept some-
25 times referred to as a halo of seismicity?

ghp 2

1 Could you briefly give me your understanding of
2 that?

3 A It is just the frequently observed -- for lack of
4 a better word -- phenomenon, artifact or something that when
5 you look at micro-earthquakes over the state they do not neces-
6 sarily seem to be correlated with the traces of the surface
7 faults as shown on the geologic maps and they don't necessarily
8 tend to cluster all around known fault zones, but rather tend
9 to be sort of scattered and be just as likely to occur off
10 the fault zone as on.

11 That is, relative to the mapped surface geology,
12 there is a fairly strong population of micro-earthquakes that
13 are dispersed -- scattered. They don't fall right on the fault
14 traces like some seismologists might like.

15 Q In this context are you referring to micro-seismic
16 events of magnitude 1's, 2's, in that size?

17 A No, I think this can go up to 2 to 4 and I think
18 in northern Baja California we have seen them larger than that.

19 Q Contained within the halo of seismicity?

20 A Yes.

21 JUDGE KELLEY: Let me interrupt just a minute.

22 I would guess from your outline that you are --

23 MR. BEOLETTO: Very close to being done.

24 JUDGE KELLEY: How much time do you think you need?

25 MR. VOGLER: I guess the usual, being last, it

ghp 3

1 depends on how much Mr. Beoletto has.

2 JUDGE KELLEY: You are next.

3 MR. VOGLER: Are you finished?

4 MR. BEOLETTO: I am very close.

5 MR. VOGLER: There is very little less, maybe
6 10 minutes or less.

7 JUDGE KELLEY: I raise it because it is 5:30 and
8 we are starting to sag, frankly.

9 MR. BEOLETTO: We can finish, I am sure.

10 JUDGE KELLEY: I would like to finish Mr. Simons
11 and I am sure he would like that too. Do you want two minutes?

12 (Brief recess.)

13 JUDGE KELLEY: On the record.

14 BY MR. BEOLETTO:

15 Q Mr. Simons, at page 5 of your testimony in the
16 summary, the first paragraph, second sentence, you say, within
17 the limits of accuracy presently assignable to these seismic
18 events, at least 20 earthquakes could have occurred on the
19 Cristianitos fault. Do you know what the magnitude of the
20 largest of those 20 events is?

21 A Off the top of my head I don't.

22 MR. WHARTON: Mr. Chairman, I think we could simply
23 look at the map and do that.

24 WITNESS SIMONS: I might offer to do that, but I
25 don't know.

ghp 4

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BEOLETTO:

Q In the interest of time, would you be in a position to agree with the representation, that is, the 3.8 event described earlier by Dr. Shawn Biehler?

A Those events are not included in the count. These 20 events are just those whose circles of error intersect the surface trace of the fault.

Q The events in your plot are not included in the events that you characterize as having possibly fallen on the Cristianitos fault?

A That is correct.

Q Is it true, Mr. Simons, that the scope of your work reported here in this testimony did not extend to the point where you could locate any events on particular fault surfaces?

A If I understand that, the answer is that it is correct. It is sort of the opposite.

Q Where faults are at depth you plotted no epicenters? You did not attempt to place any activity, any element of this study on a fault surface?

A No.

Q At page 4 of your testimony, Mr. Simons, the paragraph at the bottom, you say, with careful study the accuracy of many of these events can be improved, especially more recent ones.

ghp 5

1 What do you have in mind when you say, careful
2 study?

3 A I think probably an excellent example is probably
4 the sort of thing that Dr. Biehler did.

5 Q Did you ever attempt to perform those studies for
6 the events included in your testimony?

7 A No.

8 Q Are you familiar with the Applicant's work des-
9 cribed in the final safety analysis report concerning reloca-
10 tion of events?

11 A You are citing something -- you mean Dr. Biehler's
12 original report?

13 Q I am asking for a yes or no. Have you reviewed
14 the final safety analysis report and, if you have, have you
15 encountered or studied the work of the Applicants concerning
16 relocation of events?

17 A Are you talking about the work -- when you are
18 talking about the Applicants, are you talking about Dr. Biehler's
19 work?

20 Q That is a part of it. I am just wondering if you
21 have read the SFAR. If you haven't, the answer to the question
22 is probably no.

23 A It is no. The reason I hesitate is that I have a
24 lot of documents shoved at me and I read them and I don't
25 memorize what the title of the document is.

ghp 6

1 Q Coming in here today, were you familiar with the
2 fact that the careful study that you refer to in your testimony
3 and the way you described careful study, that the Applicants
4 had done that type of work, relocating events in this area?

5 A For the 75 events, for instance, yes.

6 Q And many others?

7 A Such as the '77 events?

8 Q Yes.

9 A I am not aware of any others besides the '75 and
10 '77.

11 MR. BEOLETTO: I don't have any other questions.

12 JUDGE KELLEY: Mr. Vogler?

13 FURTHER CROSS EXAMINATION

14 BY MR. VOGLER:

15 Q Mr. Simons, we are going to skip around a little
16 bit because there have been an awful lot of questions asked
17 and there is not much left to cover.

18 A That occurred to me.

19 Q Would you correct me -- this may have been covered --
20 on page 4 of your testimony, where you are talking about
21 reasonably close, did you define what reasonably is? That is
22 the last line, or in the middle of the first paragraph? You
23 were discussing Figure 2?

24 A I responded earlier by --

25 Q You have?

jhp 7

1 A Yes, I can repeat what I think I said. It wasn't
2 any rigorous numerical criterion. It was a qualitative look
3 at whether this thing was going to be so far out of the picture
4 that we didn't want to see it and if you want to get roughly
5 qualitative about it, it meant that if I saw that the circle
6 came within 3.5 kilometers or so of the Cristianitos, then
7 I didn't bother to obfuscate the diagram with it.

8 Q Who made the decision?

9 A I did.

10 Q But they were plotted by your assistant? I mis-
11 understood that.

12 A That is correct. I identified for him --

13 Q Which ones you wanted?

14 A -- which ones I wanted plotted, yes.

15 Q And Figure 2 obviously, then, from what you have
16 just said, does not contain all of the data that you have
17 plotted on revised Figure 1-A?

18 A That is correct.

19 Q Wouldn't you say that in order to determine if a
20 correlation of events are accurate -- desired events -- that
21 you should review all of the data as opposed to some of the
22 data?

23 My problem is with Figure 2. You haven't at all
24 of the events on Figure 2 that are on Figure 1-A.

25 A That is correct. We have established that. What

ghp 8

1 can I say? If I do that, it makes the diagram almost impos-
2 sible to look at.

3 Q But in order to determine what you are trying to
4 establish for Figure 2, you have selected information as op-
5 posed to all of the data that is available on Figure 1.

6 A I have selected information, right. In general
7 principle, of course, I am very much in consort with the notion
8 of looking at all the data. As a matter of fact, I did look
9 at all the data and, to get to the question I was asked to
10 answer, I weeded some of it out because it didn't relate to
11 the answer.

12 Q It didn't relate to the question?

13 A It didn't relate to the answer to the question and
14 the question following to answer was, given these epicenters
15 and the uncertainties associated with them, how many of them
16 could have been associated with that fault trace.

17

18

19

20

21

22

23

24

25

BARON EPASBAMIE BONO

BY COTTON

T27 1g

1 Q Could you put figure 2 up on the viewgraph for us
2 again, please? Now, if you will bear with me a minute, take
3 a pencil or a pen that you have there, and run them through
4 the circles, in the center, so that they -- most of the
5 circles that appear up there on the Cristianitos fault, up
6 towards the top, would you run your -- lay your pencil on
7 the viewgraph --

8 A You mean without marking it?

9 Q No, without marking it. Just lay it on there so
10 that we can have a shadow?

11 A Pencil now --

12 Q Right.

13 A I am a little bit in doubt as to --

14 Q I would like you -- no -- yeah -- to dissect the
15 majority of the circles that are there. No.

16 A Bisect them with the --

17 Q Yes, with the pencil.

18 A Like that?

19 Q No, I think that that is not the way that --

20 A I guess I am not getting the point of this.

21 MR. WHARTON: Maybe we could rephrase the
22 question. It is a little unclear, I think, obviously
23 unclear where the witness is putting the pencil.

24 WITNESS SIMONS: I am way out of synch, am I, or
25 way out of touch, okay.

1 BY MR. VOGLER:

2 Q I am looking at the cluster of data in the -- not
3 in the exact center of the diagram, but in the upper slightly
4 to the left, the grouping of circles, where most of your
5 circles are ground, and -- right.

6 A About up here?

7 Q And I would like you to run your pencil on a --
8 to see the best fit here on a diagonal through all of those
9 circles, and I think you will find that if you run your
10 pencil, or lay your pencil through the center of those
11 circles, you may find that the chain of events is oblique
12 to the Cristianitos fault.

13 MR. WHARTON: Mr. Chairman, I believe that this
14 is the kind of thing that can be done by Staff in any
15 closing argument they want to do, or in any -- well, findings
16 of fact and conclusions of law that they want to put
17 together. They can make this argument in the --

18 MR. VOGLER: I am trying to say that what you
19 could do with selected data as opposed to all of the data,
20 and --

21 JUDGE KELLEY: I thought you probably wanted to
22 ask him a question.

23 MR. VOGLER: Pardon me?

24 JUDGE KELLEY: Once you got the pen on there
25 where you wanted it.

1 MR. VOGLER: I would have a question, if he would
2 put it that way.

3 JUDGE KELLEY: That is different. That is not
4 just, you know, from point A to point B. It is a little bit.

5 MR. WHARTON: If Counsel would put the pencil on
6 there and ask him a question rather than have Mr. Simons put
7 the pencil.

8 JUDGE KELLEY: Why don't you go do that, Mr.
9 Vogler, put the pencil where you want it, and ask him a
10 question.

11 WITNESS SIMONS: Your pencil or mine?

12 MR. VOGLER: May I use yours?

13 WITNESS SIMONS: You may.

14 MR. VOGLER: There it is.

15 JUDGE KELLEY: I am glad it is you doing this and
16 not me.

17 MR. CHANDLER: Mr. Vogler is an anti-trust
18 lawyer, and not used to performing these functions.

19 BY MR. VOGLER:

20 Q Would you say that that is the approximate best
21 fit for the circles that you have established on this figure
22 2?

23 A Yeah, I think if I were trying to fit something
24 there, that would be a --

25 Q We are looking. We are -- the question goes to --

1 A -- and you are trying to --

2 Q -- as to what the best fit is, I am sorry.

3 A -- and so -- yeah, I probably couldn't do much
4 better than that. Of course, the nice thing about error bars
5 is, you can -- they are what they are. You can always, given
6 a chart with error bars on it, you can put the -- you know,
7 the line in a lot of -- I can put that line in a lot of
8 different places, and it will still go through the errors,
9 okay? You know, I could twist it obliquely and do all sorts
10 of things, and still fall within the circles, but anyway,
11 your points --

12 Q But the center of the circle is supposed to be
13 the middle of the error bar, is that --

14 A Oh, that is correct, yeah, but you know, when
15 you fit some data, you don't necessarily try to go through
16 the center of the point. That is the whole point of the
17 error bars, is that you have the latitude or the whole range
18 to work with, so -- so the number of lines that could be
19 fit there --

20 MR. VOGLER: I think that finishes the Staff's
21 cross-examination.

22 JUDGE KELLEY: Thank you.

23 JUDGE JOHNSON: One very quick one. In your
24 tabulation and in this figure, what scale are you using for
25 your magnitudes, earthquakes? 3.1 is what scale? 3.8 is

1 what scale?

2 WITNESS SIMONS: Let us see. The -- you -- figure
3 2, and on figure 1, the -- I guess I don't understand the
4 question. The magnitudes aren't really indicated except as
5 the circles are --

6 JUDGE JOHNSON: No, sir.

7 WITNESS SIMONS: -- tagged for information.

8 JUDGE JOHNSON: You are right, we are not
9 communicating. The computer printout that is your Appendix
10 A --

11 WITNESS SIMONS: Yes.

12 JUDGE JOHNSON: -- lists in a column toward the
13 right-hand side of the page, adjacent to a column that is
14 entirely A, B, C, D, just to the left of that --

15 WITNESS SIMONS: Yes.

16 JUDGE JOHNSON: -- in generics.

17 WITNESS SIMONS: Yes.

18 JUDGE JOHNSON: How would you describe them?

19 WITNESS SIMONS: Well, you mean -- well, first
20 off, they are in the magnitudes. Are you asking for the
21 range that they cover?

22 JUDGE JOHNSON: No, sir. On what scale of
23 magnitudes of earthquakes. What scale of magnitudes of
24 earthquakes are you using for these entries?

25 WITNESS SIMONS: Oh. I see. I am sorry. Okay.

1 Hum. I believe these are all M_L 's, local magnitudes.

2 JUDGE JOHNSON: My apologies. I will make it
3 two questions.

4 Figure 2, your computer printed what on the piece
5 of paper from which this figure was prepared? You put the
6 pencil notations on. You said they are your handwriting.
7 The fault was drawn in. The coastline was drawn in. What
8 did the computer do precisely? Did it draw each circle?

9 WITNESS SIMONS: I wish it had. No, the
10 computer put the symbols representing the epicenters on the
11 map. The circles were unfortunately drawn by hand.

12 JUDGE JOHNSON: And they have disappeared from
13 what we see here? Those symbols have disappeared from what
14 we see here?

15 WITNESS SIMONS: Oh, yeah. Again in the interests
16 of legibility, the symbols were not placed at the centers of
17 the events, because it -- well, because the -- you know, the
18 radius of the circle was supposed to represent that.

19 JUDGE JOHNSON: Thank you.

20 JUDGE KELLEY: I gather, Mr. Simons -- did you,
21 by the way, were you here the other day for Sean Biehler's
22 testimony?

23 WITNESS SIMONS: Yes, I was.

24 JUDGE KELLEY: Okay. He testified about those
25 two events in particular, and I have forgotten the exact terms,

1 but the concept was that it was his view that those
2 earthquakes were on a different fault plane entirely, the
3 Cristianitos, say, coming at this angle, and they are coming
4 in at that angle.

5 The method of putting error circles on a map, I
6 gather does not include -- the term I hear around here all
7 the time is "parameter." Is that parameter accounted for
8 in this circle method? The fact that they would be at a
9 different -- on a different plane?

10 WITNESS SIMON: No, that is totally -- like --
11 independent information.

12 JUDGE KELLEY: But isn't it true that if you
13 had the information relevant to that kind of a determination,
14 a conclusion suggested by a circle might be changed?

15 WITNESS SIMON: Yes.

16 JUDGE KELLEY: I am interested, again referencing
17 Dr. Biehler as you do on page 5, you say that if the
18 equipment had stayed in place for a year, it would have
19 produced about 27 microearthquakes. I am not clear how you
20 get to that number.

21 WITNESS SIMON: Let me see if I can reconstruct
22 it. It is supposed to be this sort of conventional -- what
23 shall I say -- street wisdom here, just an extrapolation --
24 let us see --

25 JUDGE KELLEY: Three --

1 WITNESS SIMONS: He told me -- 45 days.

2 JUDGE KELLEY: Yeah.

3 WITNESS SIMONS: And that is what, a ninth of a
4 year?

5 JUDGE KELLEY: I think maybe -- you said there
6 were three of them in that period of time, so there are what,
7 eight times that? Maybe you are about right. Eight and a
8 half times. Okay, I understand.

9 WITNESS SIMONS: Just a -- through straightfor-
10 ward extrapolation.

11 JUDGE KELLEY: Okay. What is that -- what are
12 we to infer from the number 27 microearthquakes close to the
13 Cristianitos fault? I mean, is that a lot? What is the
14 significance of that?

15 WITNESS SIMONS: Okay. I guess I will try to
16 answer the way I did before. I am not sure what the
17 significance of it is, say, relative to, here we go again,
18 other parts of California, or the California average, so I
19 can't tell you in that sense whether that is a lot of
20 earthquakes or not. I said off the top of my head, it
21 sounds like quite a few earthquakes, even though they are
22 small, as we are talking about now in the magnitude one, one
23 point five range, the only significance I could make out of
24 it for sure is that they happened or would have happened, let
25 us say, by extrapolation and as I said before, something made

1 them happen, some system of stresses caused them to happen.
2 That is the only thing I can make --

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BAKON CRASSABLE BUNO
NOT FOR USE

T-28
-1

1 JUDGE KELLEY: I was interested in Dr. Biehler's
2 exhibit the other day. It struck me as quite significant
3 that you could go out and in effect sort of take the tempera-
4 ture of a fault, and I asked him what one of those maps
5 would look like with the San Andreas or some other very
6 active fault, and he testified, as I recall, and I am para-
7 phrasing, but words to the effect that the area would be
8 sort of black with dots, and it would be markedly different
9 from this depiction of a piece of the Cristianitos with sort
10 of a dot here and a dot there, albeit over 45 days.

11 Again, do you have any basis for disagreeing?
12 Does my description of Dr. Biehler's testimony roughly cor-
13 respond with what you heard the other day?

14 WITNESS SIMONS: It sounds like a fairly accurate
15 capitulation and I have no reason to doubt that that is abso-
16 lutely right. If you can compare it to the San Andreas
17 fault or some -- any number of well known fault zones in the
18 area, certainly.

19 JUDGE KELLEY: So in terms of dots on a map,
20 using this method, you would agree that the well known highly
21 active areas like, say, the San Andreas, would have a great
22 many more black dots on them than would the Cristianitos --

23 WITNESS SIMONS: Oh, yes.

24 JUDGE KELLEY: Thank you. I think subject to
25 the possibility of redirect, that finishes --

1-2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. WHARTON: Yes.

JUDGE KELLEY: Mr. Simons, thank you very much.
Do we have any business on or off the record?

MR. CHANDLER: Off the record.

JUDGE KELLEY: Okay, I guess we can go off the
record.

(Whereupon, at 5:52 p.m., the hearing was
adjourned, to reconvene at 9:00 a.m., Friday, July 17, 1981)

IRON-ERASABLE BOND
BY J. DUTTON

This is to certify that the attached proceedings before the
U.S. Nuclear Regulatory Commission

in the matter of: San Onofre Nuclear Generating Station, Units 2 and 3

Date of Proceeding: July 16, 1981

Docket Number: 50-361/362-OL

Place of Proceeding: San Diego, California

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

George Girton

Official Reporter (Typed)

Martin Kersels

George D. Girton

Official Reporter (Signature)

MCK