

NUCLEAR REGULATORY COMMISSION

ORIGINAL

ATOMIC SAFETY & LICENSING BOARD

In the Matter of: :

HOUSTON LIGHTING & POWER :  
 COMPANY, ET AL. :

South Texas Nuclear Project : DOCKET NOS. 50-498 OL  
 Units 1 and 2 : 50-499 OL

DATE: July 21, 1981 PAGES: 7020 - 7291

AT: Houston, Texas

*TRO1  
5.0%*

*Note: LPDR-3cys*



**ALDERSON *AR* REPORTING**

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

8107290037 810721  
 PDR ADDCK 05000498  
 T PDR

## 1 UNITED STATES OF AMERICA

2 BEFORE THE

3 NUCLEAR REGULATORY COMMISSION

4  
5 In the Matter of:6 HOUSTON LIGHTING & POWER  
COMPANY, ET AL.7  
8 South Texas Nuclear Project  
Units 1 and 2X  
X  
X  
X  
X  
XDocket Nos. 50-498 OL  
50-499 OL9  
10 Green Auditorium  
11 South Texas College of Law  
12 1303 San Jacinto Street  
13 Houston, Texas14 Tuesday  
15 July 21, 198116 PURSUANT TO ADJOURNMENT, the above-entitled  
17 matter came on for further hearing at 9:00 a.m.

## 18 APPEARANCES:

19 Board Members:20 CHARLES BECHHOEFER, ESQ., Chairman  
Administrative Judge  
Atomic Safety & Licensing Board  
U.S. Nuclear Regulatory Commission  
Washington, D. C. 2055521 ERNEST E. HILL, Nuclear Engineer  
Administrative Judge  
Atomic Safety & Licensing Board  
University of California  
22 Lawrence Livermore Laboratory, L-46  
23 Livermore, California 94550  
24

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 APPEARANCES: (Continued)

2 DR. JAMES C. LAMB, III, Environmental Engineer  
3 Administrative Judge  
4 Atomic Safety & Licensing Board  
313 Woodhaven Road  
Chapel Hill, North Carolina 27514

5 For the NRC Staff:

6 EDWIN REIS, ESQ.  
7 JAY M. GUTIERREZ, ESQ.  
8 Office of the Executive Legal Director  
U.S. Nuclear Regulatory Commission  
Washington, D. C. 20555

9 JOE TAPIA  
10 Office of Inspection and Enforcement  
Region IV  
11 Arlington, Texas 76011

12 For the Applicant, Houston Lighting & Power Company:

13 JACK R. NEWMAN, ESQ.  
14 MAURICE AXELRAD, ESQ.  
15 ALVIN H. GUTTERMAN, ESQ.  
Lowenstein, Newman, Reis & Axelrad  
1025 Connecticut Avenue, N.W.  
Washington, D. C. 20036

16 FINIS COWAN, ESQ.  
17 THOMAS B. HUDSON, JR., ESQ.  
Baker & Botts  
3000 One Shell Plaza  
18 Houston, Texas 77002

19 For the Intervenor, Citizens for Equitable  
20 Utilities, Inc.:

21 GEOFFREY M. GAY, ESQ.  
22 3245 South University Drive  
Fort Worth, Texas 76109

300 7TH STREET, S.W., REPORTERS BUILDING WASHINGTON, D.C. 20024 (202) 5. 2345

1 APPEARANCES: (Continued)

2 For the Intervenor, Citizens Concerned  
3 About Nuclear Power:

4 ALNNY SINKIN  
5 838 East Magnolia Avenue  
6 San Antonio, Texas 78212

7 MICHELLE FRAWLEY, Attorney at Law  
8 5106 Casa Oro  
9 San Antonio, Texas 78233

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

C O N T E N T S

	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u>	<u>RECROSS</u>	<u>BOARD</u> <u>EXAM.</u>
1					
2	<u>WITNESSES:</u>				
3	Gerald R. Murphy				
4	Gerald L. Fisher				
5	Charles M. Singleton				
6	Joseph F. Artuso				
7	Ralph R. Hernandez				
8	David G. Long				
9	(A Panel)				
10	Resumed				
11	By Judge Lamb				7025
12	By Judge Bechhoefer				7058
13	By Judge Lamb				7060
14	By Judge Bechhoefer				7075
15	By Judge Hill				7092
16	By Judge Lamb				
17	By Mr. Hudson	7114			
18	By Mr. Gay			7128	
19	By Mr. Sinkin			7159	
20	By Mr. Gutierrez			7191	
21	By Judge Bechhoefer				7223
22	By Mr. Sinkin			7233	
23	Albert D. Fraley, Jr.				
24	Gordon R. Purdy				
25	Robert A. Carvel				
26	By Mr. Hudson	7237			
27	By Mr. Gay		7242		

E X H I B I T S

	<u>For CEU</u>	<u>Identified</u>	<u>In Evidence</u>
23			
24	29	--	7276

P R O C E E D I N G S

1  
2 JUDGE BECHHOEFER: Good morning, ladies and  
3 gentlemen.

4 As a preliminary matter this morning we  
5 wanted to advise the parties that we are not going to  
6 rule on either of the CEU motions until a specific time  
7 comes up where we can judge the necessity for the type  
8 of information requested.

9 Are there any other preliminary matters before  
10 we begin the Board questioning of the Panel?

11 MR. SINKIN: Mr. Chairman, let me just be  
12 sure that I understand the ruling that you have just  
13 announced.

14 CEU asked that all persons who were not  
15 informants be identified. It seems to me that that might  
16 be useful and even necessary for the ultimate findings of  
17 fact, whether a particular occasion came up or not where  
18 a particular person needed to be identified.

19 It is hard to make a case in the abstract,  
20 but it is also hard to make a case that we need to know  
21 that in one Report A is C in another Report, because we  
22 don't know we need to know that unless we know who the  
23 people are in the first place. So it's kind of a catch  
24 22.

25 JUDGE BECHHOEFER: What I thought was that

1 it would become more apparent through cross-examination  
2 of the Staff witnesses at the time whether the particular  
3 incident is even an important one and what the importance  
4 would be to the case.

5 MR. SINKIN: I see.

6 JUDGE BECHHOEFER: And that is why we would  
7 defer any ruling probably until that time comes up.

8 Overnight we decided to shift order, so  
9 Dr. Lamb will start questioning for the Board.

10 JUDGE LAMB: Good morning, gentlemen.

11 Whereupon,

12 GERALD R. MURPHY  
13 GERALD L. FISHER  
14 CHARLES M. SINGLETON  
15 JOSEPH F. ARTUSO  
16 RALPH R. HERNANDEZ  
17 DAVID G. LONG

18 having been previously duly sworn, resumed the stand as  
19 witnesses herein, and were examined and testified further  
20 as follows:

21 BOARD EXAMINATION

22 BY JUDGE LAMB:

23 Q Mr. Artuso, looking at the root cause of the  
24 voids, could you clarify your judgment as to the extent  
25 to which those root causes should be found in the design  
or the construction, or both?

1 BY WITNESS ARTUSO:

2 A I would say the root cause of the voids at  
3 South Texas are twofold.

4 One is the design of the containment itself  
5 that has all of the congestion of rebar and plates.

6 The other was the failure to recognize that  
7 these were trouble spots before you started the  
8 construction, and before construction could alert design  
9 to make some changes so that the placement would be  
10 easier and capable of being performed without voids.

11 So in order to get a containment that is  
12 free of voids --

13 First of all, let me say this: I don't think  
14 there is any containment in the country that is free of  
15 voids, and I don't think that any procedure is capable of  
16 producing a containment completely free of voids. What  
17 you hope to do is set up a process whereby you can assure  
18 yourself that if they do occur you will know they are  
19 there and you can take remedial action, and one that would  
20 limit them to an absolute minimum.

21 In this case I would say that the construction  
22 procedures were faulty at the start. Now, I am a Monday  
23 morning quarterback, so I can say this. I don't know  
24 whether I would have said it if I had been involved in it  
25 from day one.



-4

1 I think that now particular at South Texas  
2 there is a very comprehensive construction procedure. In  
3 my estimation I have never seen any better. With it,  
4 following it, I would feel very confident that we would  
5 minimize voids completely, or if voids did occur we would  
6 have the means of finding them and repairing any  
7 significant or critical voids.

8 Q Do you feel that the structural design should  
9 have been different as one mechanism for avoiding --

10 BY WITNESS ARTUSO:

11 A Very definitely. In fact, if I were a  
12 licensee I would look real hard at my containment right  
13 now, particularly one similar to STP. It is a bad  
14 situation for consolidation of concrete.

15 South Texas has done a lot to improve it.  
16 There is no doubt there is some other areas of improvement,  
17 but design should have recognized congestion, but then,  
18 again, you can never be completely foolproof. It is  
19 something that requires really the installation to be  
20 made, and maybe even looking at the pour before your  
21 placing it, and then deciding how difficult it is,  
22 because drawings alone many times won't tell you that.  
23 You have to physically look at the placement.

24 Q Mr. Murphy, do you agree with all of that,  
25 or do you have some areas of disagreement?

1 BY WITNESS MURPHY:

2 A In general I agree with it, Judge Lamb.  
3 However, I must point out that this design is one that is  
4 used and has been used time and time again. It is a pre-  
5 stress containment, and it employs vertical and  
6 horizontal stiffening and embedments, as opposed to studs  
7 on some others, but essentially it is one that has been  
8 used in many other containments.

9 Q Mr. Hernandez and Mr. Long, do you have some  
10 thoughts on it?

11 BY WITNESS HERNANDEZ:

12 A I would like to point out that in the original  
13 concept for the containment liner we did originally have  
14 a studded liner concept.

15 This is -- I don't know if you are familiar  
16 with it. We still had the 3/8 inch carbon steel, but we  
17 had Nelson studs on the back of it to provide for anchorage  
18 or embedment of the liner.

19 An evaluation was performed by Brown & Root,  
20 and, subsequently, a recommendation came to HL&P, and we  
21 reviewed that recommendation, whereby we felt that the  
22 present configuration of the liner through a systems of  
23 vertical angles and horizontal stiffeners would provide  
24 better constructibility than the stud arrangement, because  
25 we were concerned with the amount of reinforcing that we

-6  
1 would put into the containment shell wall and the dome  
2 that we would have inadvertently have a problem with  
3 knocking the Nelson studs, okay, and, therefore, losing  
4 the anchorage of the containment liner.

5 Now, I agree in hindsight there are steps we  
6 can do, and we have taken, to provide better accessibility,  
7 better constructibility, but I take issue -- I do not see  
8 the design, itself, conceptually being at fault. I think  
9 it is a basis of looking at it from a constructibility  
10 standpoint to insure that you have done all you can with  
11 respect to the design to enhance constructibility, the  
12 accessibility.

13 I don't have any concern whatsoever with  
14 regard to the design concept. We have made some changes.  
15 We have put the 8-inch stiffener at the top of the pour  
16 rather than the bottom of the pour. That is not a design  
17 change. That is a construction change, a constructibility  
18 change. And we feel that that is significant.

19 We increased the diameter of the weep holes,  
20 or the holes in the stiffeners, horizontal stiffeners.  
21 We feel that enhances the ability to see what is happening  
22 as the concrete comes under the horizontal stiffeners.

23 So my case in point is I don't think  
24 conceptionally-wise the design is at fault. I think it  
25 was probably a basis of not looking at detail or to the

1 extent of the detail to insure that we had accessibility,  
2 that we had constructibility, that we could move  
3 reinforcing as we have done at this point in time.

4 So, that is my opinion.

5 BY WITNESS LONG:

6 A And I agree with Mr. Hernandez in the fact  
7 that I think the basic resolution where we have moved the  
8 8-inch stiffener to the top of the placement will enhance  
9 the integrity of the concrete pours greatly.

10 With the stiffener down at the bottom, in  
11 hindsight it could have presented some problems, but with  
12 the stiffener closer to the top portion of the pour it  
13 makes it readily available to the QC Inspectors, and also  
14 the Vibrator Hands to know what they are doing, to actually  
15 see the concrete at close distances, and how it goes into  
16 place.

17 And, basically, I think with this improvement  
18 we can pour very sound concrete.

19 Q Mr. Fisher, or Mr. Singleton, do you have  
20 any thoughts on that?

21 BY WITNESS FISHER:

22 A I would have just one thing to add: The  
23 problem is not just with the stiffener system, but with  
24 the congestion of reinforcing steel at certain locations  
25 primarily around areas of heavy penetrations, and in areas

1 of the vertical buttresses.

2 This reinforcing configuration turns out to  
3 be mostly a matter of fulfilling the design requirements,  
4 and there is very little that can be done about that  
5 directly. We have a design which encompasses the  
6 economical balance in the use of prestressing system and  
7 reinforcing steel.

8 We have also gone to a high-strength concrete,  
9 a 55 hundred pound concrete mix, in order to gain added  
10 strength in the concrete.

11 About the only thing else that could have been  
12 done would be to perhaps increase the wall thickness of  
13 the containment to something greater than four-feet  
14 nominal thickness. However, this is, to my knowledge, the  
15 thickest containment wall of any plant being built. There  
16 are many others four feet, but I don't know of any any  
17 thicker.

18 So, we are not dealing with, you know, an  
19 uncommon dimension in that regard.

20 ///

21 ///

22 ///

23 ///

24

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

2-1  
geu  
1 BY WITNESS SINGLETON:

2 A Judge Lamb, I'm not an engineer, so I can't  
3 really give you what I think about the design on it;  
4 but I do believe that the changes that had been made  
5 in the design, as far as the relocation of stiffeners  
6 and of the shear ties, horizontal shear ties and re-  
7 steel, from an inspection point, has made it easy as  
8 far as accessibility and visibility to get down and  
9 do the preplacement and the actual batch-in-place  
10 inspection.

11 Q Mr. Artuso, do you have any further  
12 thoughts as a result of those comments?

13 BY WITNESS ARTUSO:

14 A By my statements I don't mean to infer  
15 that the design was faulty from a safety standpoint  
16 at all.

17 Structurally, I have no question about it.-

18 What I am saying about the design were  
19 probably details of the construction requirements,  
20 details of rebar congestion, those types of things  
21 that could have facilitated a little easier placing.

22 Q Mr. Murphy, was I correct in understanding  
23 that one or more of the voids actually penetrated  
24 substantially through the concrete part of the wall?

25 //

1 BY WITNESS MURPHY:

2 A That is correct, Judge Lamb. Underneath  
3 the penetrations for the main steam lines there was  
4 a path that water took.

5 We used water under pressure and it  
6 did not come out the other side the same velocity and  
7 the same quantity.

8 There was evidence of a water path. So  
9 we said that it did penetrate through.

10 In other words, this was a bleed water  
11 path that was underneath the penetration. We grouted  
12 this in the normal sense that we did the other repairs  
13 and with perseverance we got some grout to the other  
14 side.

15 That's what we talk about when we say  
16 that there was a -- the void went through the  
17 containment shell.

18 Q I was trying to reconcile that with the  
19 point which has been made in several places in the  
20 testimony to the effect that the chances for voids  
21 in the center part of the wall would be much less or  
22 virtually non-existent.

23 I was trying to reconcile those, but if  
24 I understand it, it's because you had a penetration  
25 at that point?

2-3

1 BY WITNESS MURPHY:

2 A That is correct, yes.

3 Q How about at other penetrations? How  
4 could the presence or absence of a void of this type  
5 be detected at other penetrations, and were they  
6 detected?

7 BY WITNESS MURPHY:

8 A There were more than one of these situations  
9 that I just described. I do not consider that a void  
10 of this nature -- These were generally behind a  
11 flange that was welded to the penetration on both  
12 sides of the containment, if you will.

13 I don't believe that this size of void  
14 was of any significance.

15 Q Mr. Artuso, do you have some thoughts on  
16 that?

17 BY WITNESS ARTUSO:

18 A Yes, I'd like to make a statement regarding  
19 the presence of voids underneath penetrations.

20 In placing concrete, as the level of the  
21 concrete rises to the penetration and then works around  
22 it as you are consolidating it, the concrete remains  
23 plastic for a while and the free water in the mix  
24 bleeds to the surface.

25 Air travels to the surface as you vibrate.



2-4 1 So actually, as you vibrate more, you release more of  
2 these.

3 As you get away from this penetration, later  
4 you will find that there will be voids under every  
5 penetration. Every block-out will have voids.

6 The kind of voids that they encountered  
7 were in this case connected somewhat, but you will  
8 find many unconnected voids under every block-out; and  
9 this is very superficial voiding.

10 You just can't -- That's inherent in  
11 the kind of material and it's inherent in the type  
12 of construction.

13 BY WITNESS HERNANDEZ:

14 A I'd like to add that these type of voids  
15 that we're talking about were beneath the penetration  
16 where you have some measure of bleed water which then  
17 evaporates and leaving a small void.

18 They have no structural significance. You  
19 have a penetration which has an anchorage which extends  
20 deep into the surrounding concrete, if it's a  
21 mechanical penetration.

22 If it's an electrical penetration, it's  
23 not seeing that type of loading in terms of pipe break  
24 or anything else like that; therefore, they are  
25 inconsequential with regard to the structural adequacy

2-5 1 of the containment or providing a leak-tight barrier.

2 It's just an evaporation of the bleed water.

3 Q Thank you.

4 Mr. Murphy, on page 13, line 10, you mention,  
5 "As a contributing factor to void formation, the access  
6 visibility limitations."

7 I'm not clear on what you mean by that.

8 BY WITNESS MURPHY:

9 A This was what was alluded to in the  
10 beginning portion of our testimony today, Judge Lamb,  
11 in that the access to the bottom of these placements  
12 where the eight-inch channel was originally located  
13 in relationship to the construction joint was much  
14 more difficult to get to than after we moved the  
15 eight-inch channel up --

16 Q Excuse me. You mean, then, access for  
17 vibration?

18 BY WITNESS MURPHY:

19 A For vibration and for inspection, for  
20 people to actually get down there.

21 In conjunction with the relocation of  
22 the construction joint relative to the channel, we  
23 also moved shear ties, in other words, bundled shear  
24 ties, to make freer access, if you will, for personnel  
25 to get down to the bottom of the placement.

2-6 1 That's what is meant in this refererence up  
2 here.

3 Q In looking for voids by the process that  
4 you used, by the tapping process, am I correct in  
5 understanding that this will only detect voids next  
6 to the liner, or will this detecc voids farther into  
7 the wall?

8 BY WITNESS MURPHY:

9 A Q. The tapping in itself is not indicative  
10 of a void.

11 Tapping with additional information will  
12 define a void.

13 Now, if we -- in our analysis that we  
14 went through, we determined through many trial and  
15 errors, if you will, by drilling holes, that if we  
16 studied the geometry of the area when we got a hollow  
17 sound, and if that geometry was conducive to a void;  
18 namely, there was additional reinforcing steel there  
19 or there were horizontal members there, then we would  
20 drill.

21 Now, in addition to this drilling through  
22 the liner in Lift 15, we extended all of these holes  
23 that we drilled with a masonry bit approximately 16  
24 to 18 inches into the concrete, and in no case did we  
25 find any, if you will, internal voids.

2-7  
1 Again, the method of placing the concrete  
2 by depositing it relatively in the center of the wall  
3 and moving it to both extremities, along with the  
4 confidence that you would have if there were no voids  
5 on the outside, would give you confidence that the  
6 existence of voids in the center did not exist.

7 Q How about in the rebar area? What would  
8 be the probability of void existence in the rebar  
9 area, and would the system which you used to find  
10 these --

11 BY WITNESS MURPHY:

12 A The additional rebar that is in these is  
13 in the relatively same plane as the normal rebar, if  
14 you will.

15 So we're talking about the same depth into  
16 the containmen when we're talking about additional  
17 rebar.

18 Now, with the exception of the thickened  
19 portions of the shell around the equipment hatch and  
20 the personnel air lock, there are circumferential rings  
21 that penetrate in much further than the face steel in  
22 those cases; but generally, in the four-foot sections  
23 and around the brackets in Lift 15, there were  
24 additional bars, but they were put in the same layer,  
25 if you will, in the same relative position, as the

2-8

1 normal steel was.

2 So the holes that we drilled in Lift 15  
3 went through these areas, also, if we did not hit a  
4 piece of steel.

5 When we drilled past this steel, we were  
6 into the internal of the containment.

7 Q And so your conclusion that there are no  
8 voids in the central part anywhere except next to the  
9 line-up is based largely on the fact that in all of  
10 these holes that you drilled you didn't find any?

11 BY WITNESS MURPHY:

12 A That's right.

13  
14 - - -  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

3-1 1 Well, it's based on that fact and also just  
2 the nature of the placing process, if you will.

3 Q Does that seem reasonable to you, Mr. Artuso?  
4 BY WITNESS ARTUSO:

5 A I would say generally the sounding system is  
6 a relatively crude system. It depends upon one's ear-  
7 drums. It depends upon the size of the void and the  
8 separations, and all that.

9 It is an indicator, however, and once you  
10 find areas that, for other reasons such as the congestions  
11 and block-outs that exist in that area, and it does sound  
12 hollow, then you probe it and you find or do not find a  
13 void, and you dig, you go deeper into the wall and you  
14 have no case that you ever find an internal void, and  
15 the method of placing that concrete gives you tremendous  
16 assurance that there is no significant voids whatsoever  
17 inside that wall.

18 Q If you did have voids in the rebar area,  
19 what would be the structural significance of that?  
20 BY WITNESS ARTUSO:

21 A It would -- it depends upon the size of the  
22 void, of course. There is a -- the ultimate is all rebar  
23 be thoroughly imbedded in concrete.

24 Knowing that we cannot guarantee this a  
25 hundred percent, therefore the designers will use a

1 safety factor of two or three, so the safety factor is  
2 supposed to help take care of some of the deficiencies  
3 in the construction thereof.

4 I would say that there is, in the mass of  
5 concrete we have there, considering the exceedingly  
6 high strength of the concrete, way over the design, you  
7 could tolerate a lot of voids in that concrete without  
8 affecting your shear stresses or without increasing  
9 your shear stresses in your concrete.

10 That would be about the only significance  
11 I could see.

12 Q Is there any way to detect voids within the  
13 wall, other than by drilling?

14 BY WITNESS ARTUSO:

15 A The most conclusive way is drilling, of  
16 course.

17 We used our system of checking the soundness  
18 of walls in our verification program, used the sonic  
19 technique, where we pass the sound wave through the wall,  
20 and that is the most reliable nondestructive method that  
21 you can have.

22 In the containment structure with the steel  
23 liner, it's not very feasible. So the only method you  
24 have left then is the probing, and really it is the  
25 safest method.

3-3 1 Q You mentioned the volume, on Page 14, the  
2 volume of voids as being a tenth of a percent of the  
3 total volume of concrete.

4 What's the implication of that statement?

5 BY WITNESS MURPHY:

6 A What page was that, Judge Lamb?

7 Q Page 14, Line 14.

8 BY WITNESS MURPHY:

9 A Line 14. What is the significance of the  
10 one-tenth of a percent?

11 Q Well, what I was wondering is what the  
12 statement was directed towards.

13 I was not sure that I understood the  
14 implication of the statement.

15 BY WITNESS MURPHY:

16 A Well, I think it was an attempt to put in  
17 perspective and give somebody a concept of the amount  
18 of voids that we estimated in relationship to the  
19 structure itself. That's the attempt that was made  
20 there.

21 Q Is that a valid measure of concrete quality?

22 BY WITNESS MURPHY:

23 A A valid measure of concrete quality?

24 Q What I was wondering is, does that represent  
25 definitive evidence that you have good quality concrete



1 construction?

2 BY WITNESS MURPHY:

3 A No, not by itself, by any stretch of the  
4 imagination. This is including Lift 15, and that, we  
5 have testified previously, is a concern, and that does  
6 not mean that, you know, we've got good quality concrete  
7 because of just one percent. We had this area that it  
8 was woefully inadequate.

9 Q All right. That's what -- I just wondered  
10 whether that was supposed to imply that.

11 BY WITNESS MURPHY:

12 A No. It was made to give you some relative  
13 amount in relation to the whole. That's all.

14 Q Mr. Artuso?

15 BY WITNESS ARTUSO:

16 A I'd like to add something, if I may,  
17 Judge Lamb.

18 Actually, the one-tenth of percentage is  
19 very indicative. It indicates to me, knowing the size  
20 of the voids that were uncovered, that that's an  
21 exceptionally good structure.

22 If you can get one-tenth percent well  
23 distributed in your concrete, that's the containment  
24 I would like to have.

25 Q The distribution, as I recall, you testified

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 earlier, when we were meeting in June, that the  
2 distribution is --

3 BY WITNESS ARTUSO:

4 A Is very significant, right. And this was  
5 fairly widely distributed, this one-tenth of percent.  
6 This is why I made my statement that that structure  
7 would have behaved as designed even if we hadn't filled  
8 any of those voids with the exception of Lift 15.

9 Q Mr. Murphy, on Page 15 you're talking about  
10 the number of holes which were drilled without finding  
11 voids, other than the ones that were found by your  
12 tapping process.

13 I'm wondering about your feeling with respect  
14 to the probability of striking voids, with your low  
15 percentage voids that you describe on Page 14, I'm  
16 wondering whether this represents an adequate sample  
17 to reach a conclusion of this type.

18 BY WITNESS MURPHY:

19 A I feel it does, Judge Lamb, because these  
20 holes were drilled after we did initially some exploratory  
21 hole drilling and some sounding and a study of the  
22 configuration in the area; in other words, anywhere  
23 that lent itself to a void we investigated, and then in  
24 addition to that, we went in areas that were not  
25 conducive to voids, if you will.

3-6  
1 And so based on that analysis, I mean we  
2 just didn't go out and put 700 wherever we wanted to.  
3 We put them where voids would have existed.

4 Q Put them in what you considered to be the  
5 most likely location of voids?

6 BY WITNESS MURPHY:

7 A That's right. And if looking, again in  
8 retrospect, if you will, looking you can see areas in  
9 which it would be very difficult, without, you know,  
10 additional vibration, to get concrete in there. And  
11 these are the areas that we drilled holes in.

12 Q Mr. Hernandez?

13 BY WITNESS HERNANDEZ:

14 A I was going to make the same statement, that  
15 these were particular areas where we had already some  
16 information to say these were the most probable areas  
17 where we could anticipate having voids. These were the  
18 areas where we would be more concerned from a structural  
19 standpoint of having a void located there.

20 Therefore, we chose these areas and actually  
21 performed the drilling operation to investigate whether  
22 indeed we did have a void in the internal part of the  
23 containment. And again, the means is we identified  
24 through the drilling program that there was no evidence  
25 that this indeed was happening, even though we had a

3-7  
1 very high degree of reinforcing there, even though we  
2 had attachments to the bracket going towards the center  
3 of the containment internal -- the containment shell wall.

4 And I'd like to make the case also,  
5 completely at random we chose a bracket, okay, to  
6 perform a load test to verify both the void investigation  
7 and the void repair methodology, and we actually loaded  
8 that frame girder bracket to take its test load, and  
9 the performance of the bracket was in line with what  
10 was expected, it performed as anticipated.

11 Q At the top of Page 17, Mr. Murphy, in the  
12 beginning of your answer to Question 23, you indicate  
13 that all the voids were completely filled.

14 How do you know that?

15 BY WITNESS MURPHY:

16 A We had a verification drilling session, if  
17 you will, after we performed these -- this repair  
18 operation on Lift 15, and in addition to that, to  
19 investigate and develop the procedure that we used, we  
20 made several tests.

21 One of them was a composite concrete grout  
22 block in which we simulated the surfaces that we saw  
23 upon inspection, looking through the holes that were  
24 drilled in the liner, the roughened concrete as it  
25 would fall, and we just flowed grout over it, pumping

1 from the bottom with no pressure or anything else.

2 We took cores through this specimen,  
3 examined them and broke them, and failure was a  
4 composite failure, if you will, through both.

5 In addition to that, we took a portion --  
6 well, we took the imbedded items on the back of these  
7 polar crane brackets, simulated them on a mock-up,  
8 covered them with a plexiglass sheet and pressure  
9 grouted this configuration.

10 Now, this configuration had the studs and  
11 the vertical and horizontal stiffening members that  
12 were on the back of the bracket.

13 The holes that we cast into this mock-up  
14 were ones as we observed looking through the drilled  
15 holes again, and we grouted, and then we, after this  
16 was completed, we took core borings through this whole  
17 member and in no case did we find any area that there  
18 was not contact of the grout and the concrete.

19 Q On Page 18 you mention that the voids in the  
20 area that was uncovered were exactly the way you had  
21 predicted.

22 Were these predicted -- how, by tapping?

23 BY WITNESS MURPHY:

24 A Tapping and drilling.

25 Q Tapping and drilling?

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 BY WITNESS MURPHY:

2 A That's right.

3 Q And so you had mapped these ahead of time --

4 BY WITNESS MURPHY:

5 A That's right.

6 Q -- and then when you removed the plate you  
7 found that the voids were where you --

8 BY WITNESS MURPHY:

9 A Exactly where we had anticipated they would  
10 be, and the size that they would be.

11 Q You also indicate that the grout injection  
12 ports that had been placed through the liner were  
13 ideally located.

14 What constitutes an ideal location?

15 BY WITNESS MURPHY:

16 A Well, in these there was two ports, one at  
17 bottom, if you will, of a void area, and the other at  
18 the top of it, and these were as close to the top and  
19 as close to the bottom as one could hope to get.

20 Q The voids generally were filled from the  
21 bottom up?

22 BY WITNESS MURPHY:

23 A That's correct.

24 Q What is the situation relative to dead-ends  
25 in these voids, that is extending into the wall where you

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

couldn't vent the top, perhaps? Did this create a problem, or do you know?

BY WITNESS MURPHY:

A There was -- all of these voids were investigated with a fibroscope so that we knew what the configuration was.

In the polar crane brackets there was a configuration, the topmost imbedded item, we felt would have a problem venting because even although there was an air release port in the horizontal portion of this imbedment member the top of this port was covered with concrete from above, so we had to drill an angle hole up on the bracket through this vent hole, if you will, that was covered with concrete, and in that -- that's the case that we had to do something that you just described.

- - -

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

4-1  
1 BY JUDGE LAMB:

2 Q So that was considered in your program?

3 BY WITNESS MURPHY:

4 A Definitely. Yes. It was the -- all the  
5 voids had to have vents.

6 Q You mentioned something that you used to  
7 investigate the shape and size of the voids. What was  
8 that device?

9 A A fibroscope. Fibroptics.

10 Q Fibroptics?

11 BY WITNESS MURPHY:

12 A That's right.

13 Q On Page 20 in the answer to Question 29 you  
14 say that post-tensioning would cause observable  
15 structural failure in localized area if there were any  
16 significant voids.

17 What kind of failure would that be?

18 BY WITNESS MURPHY:

19 A It would either be tendon elongation, or in  
20 the local concrete failure --

21 Q Excuse me. You mean when you apply would  
22 tension, when you are tensioning that you are taking in  
23 more steel than you should, based on your stress --

24 BY WITNESS MURPHY:

25 A Yes.



1 Q -- code?

2 BY WITNESS MURPHY:

3 A You could have some crushing of the concrete  
4 in a localized area. If there was not adequate concrete  
5 there it would have nothing to push against, or as you  
6 tension it it is resisted by the concrete. If you had no  
7 concrete there or not adequate you could have localized  
8 compressive stresses on the concrete causing it to crush.  
9 Okay? That is what we mean by failure.

10 Q Right. Thank you.

11 Mr. Artuso?

12 BY WITNESS ARTUSO:

13 A Judge Lamb, there are two classic paces of  
14 just this thing on containments. At Calvert Cliffs-  
15 Baltimore Gas & Electric plant this actually happened.  
16 When they prestressed the vertical tendons the end dams  
17 caved in because of the voids underneath the end anchorages.  
18 At Turkey Point when they had the dome  
19 crushing they found voids, as well. There were two  
20 problems there. There was not a sequence of prestressing,  
21 but they also found voids, which probably contributed to  
22 the crushing effect.

23 So those were two cases which showed that  
24 you had to have structurally sound concrete in order for  
25 the system to work.

1 Q So we are not talking about failure of the  
2 structure, itself, but failure of --

3 BY WITNESS ARTUSO:

4 A Well, actually, in the --

5 Q -- in the vicinity of the --

6 BY WITNESS ARTUSO:

7 A It's a localized failure.

8 Q Yes.

9 BY WITNESS ARTUSO:

10 A It would be proper to say it would be a  
11 localized failure.

12 In the case that Mr. Artuso has said, if you  
13 have -- the point that you pull against on the post  
14 tensioning, it is called the trumpet plate. If you did  
15 not have concrete beneath or in back of that trumpet plate  
16 and you pulled against it you might see either a  
17 deformation of the trumpet plate as it move back into  
18 that void area, or you might have something of an  
19 anomaly with regard to the stressing leveling of the post  
20 tensioning.

21 It is not a catastrophic failure of the  
22 containment, by any means, I mean. It is a localized  
23 failure.

24 BY WITNESS ARTUSO:

25 A Yes. These are construction failures that

1 had to be corrected.

2 BY WITNESS HERNANDEZ:

3 A I would like to make the next point, though,  
4 in Mr. Murphy's testimony a continuation. The overall  
5 adequacy of the containment is checked through the  
6 performance of a structural integrity test, and that is  
7 a requirement of Reg Guide, I believe, 1.18, where you  
8 go back and actually demonstrate that the overall capacity  
9 of your containment is adequate for the design pressure,  
10 and the design pressure is even taken to 1.15 times the  
11 design pressure.

12 Q This is what you are referring to farther on  
13 in the same question?

14 BY WITNESS HERNANDEZ:

15 A Yes, sir. That's the structural integrity  
16 test.

17 Q The pressure test is a 65 psi?

18 BY WITNESS HERNANDEZ:

19 A Yes, sir.

20 Q What is the end point of that test in the  
21 event of failure?

22 BY WITNESS HERNANDEZ:

23 A Well, the point is if you cannot take the  
24 containment up to that design pressure, then you have a  
25 problem, because the NRC has placed a factor of 15 percent

-5

1 increase over your design pressure.

2 Your design pressure you receive through the  
3 NSSS supplier and the performance of your own internal  
4 calaculations as to the pressure transient, the maximum  
5 pressure you will have under a design basic accident.

6 If you cannot achieve that, then I think you  
7 then have to go back to the drawing boards and evaluate  
8 what the extent is.

9 It is an acceptance test. It is a no-go  
10 type of performance test.

11 Q Well, how would that test identify the  
12 presence of voids?

13 BY WITNESS HERNANDEZ:

14 A If you could -- What that test would  
15 demonstrate is that if there were -- if you met that test  
16 satisfactorily, it is exceeding any type of condition that  
17 you will see as a design-basis accident, okay, with  
18 respect to the pressure.

19 Therefore, you know that your containment  
20 will perform to the design pressure, and, therefore, it  
21 will meet its expected design; it will provide its  
22 expected design adequacy.

23 Q That would show up as a massive failure of  
24 some type, that is a crack, a wall crack?

25

1 BY WITNESS HERNANDEZ:

2 A Well, it could show up as a wall crack, but  
3 in light of the testimony that we are addressing here,  
4 if we had, if you will, significant voids behind the  
5 liner they would be evident at that time.

6 Q How would they become evident?

7 BY WITNESS HERNANDEZ:

8 A You could have some type of unexpected crack  
9 pattern. You could have deformations beyond what you  
10 would expect in terms of the design.

11 The containment is provided with strain  
12 gauges.

13 Q That was my next question. You have a lot  
14 of strain gauges located in this?

15 BY WITNESS HERNANDEZ:

16 A Yes, sir. We provide strain gauges as  
17 required by Reg Guide 1.18 in Section 3, Division 2,  
18 ACI 359, and those strain gauges back to the Design  
19 Engineer to say that he can evaluate to determine whether  
20 the containment is behaving as anticipated in terms of  
21 its design.

22 If you exceed the anticipated strain levels,  
23 then you have to go back and evaluate -- you are forced  
24 to go back and evaluate the condition that you have to  
25 say what is happening there? Has there been a design bust?

1 Has there been something that is happening that you had  
2 not contemplated in that manner?

3 So that is what would happen at that point  
4 in time.

5 Q So a strain gauge would represent one  
6 important method for determining the --

7 BY WITNESS HERNANDEZ:

8 A That is the method. It is very doubtful  
9 you will see some type of catastrophic failure in the  
10 containment.

11 Concrete has a capacity as one particular  
12 area. If it is overstressed, it will try to transfer  
13 that stress to an adjacent area. I believe it would be  
14 highly unlikely to get a catastrophic failure.

15 Q That's why I pursued that, because I wasn't  
16 clear on just how you would evaluate this.

17 BY WITNESS HERNANDEZ:

18 A It would be mainly through the measurements  
19 of the -- as required by the Reg Guide.

20 Q Now, is this something you also do under  
21 crane loadings?

22 BY WITNESS HERNANDEZ:

23 A I didn't understand your question.

24 Q Well, you do this in a pressure test as you  
25 check out your strain gauges in --

1 BY WITNESS HERNANDEZ:

2 A Yes, s' .

3 Q -- pressure testing.

4 BY WITNESS HERNANDEZ:

5 A Yes, sir.

6 Q Do you also do this in connection with your  
7 crane loadings?

8 BY WITNESS HERNANDEZ:

9 A We have already strain gauged a bracket. That  
10 is how we identified in the performance testing. To  
11 evaluate the repair of Lift 15 we chose a bracket at random.  
12 We then loaded that bracket.

13 The only way that we could identify short  
14 of a catastrophic failure of that bracket was to go back  
15 and provide strain gauges so that we would evaluate the  
16 movement of the bracket as we put the test load on that  
17 particular side of the bracket.

18 And, yes, we did evaluate those, and, yes,  
19 they were in line with the expected predictions. In fact,  
20 they were -- We had anticipated from a design standpoint  
21 higher strains than what we actually got with regard to  
22 the bracket that was actually tested by -- I might make  
23 the point it was tested by an independent testing  
24 laboratory.

25

1 BY JUDGE BECHHOEFER:

2 Q I wanted to ask one question on this point  
3 concerning the structural integrity test.

4 Could a failure caused by a void or voids be  
5 the result of pressure applied over a period of time? Is  
6 there a function of time in that test?

7 BY WITNESS HERNANDEZ:

8 A No, sir. Well, the test is taken over a  
9 period of time. It's sequence with regard to going up to  
10 certain pressures. Okay?

11 I believe our intended manner of doing it,  
12 is doing this after the leak rate test. It is also another  
13 test required by the NRC to evaluate the containment  
14 capability of fissionable products. Okay? And we are  
15 going to do, I believe, the structural integrity test  
16 following the leak rate test.

17 You keep the pressure for a certain period  
18 of time, and I would have to look up that period of time,  
19 but it is done once from that standpoint.

20 The reason we do a structural integrity test  
21 is because you are performing an evaluation of the over-  
22 all performance of your containment. You don't expect  
23 to have a design basic accident on a yearly duration. It  
24 is not that type of test where you are going back and  
25 saying, "Well, I can take this pressure 40 years, 40 times



1 in 40 years."

2 You go back and demonstrate the overall  
3 capability of the containment. There is no reason that  
4 I would believe that you would have to do this test  
5 every year. Once the containment has performed that in  
6 that manner, sufficient manner, nothing is going to  
7 happen that is going to alter that. The containment  
8 concrete is going to get stronger with time. You have  
9 an inspection testing, an in-service surveillance of  
10 the post-tensioning system that is going to monitor the  
11 performance of your post-tensioning.

12 There is nothing that would change, or that  
13 would require you to do this test in terms of every three,  
14 four, five years, that type of thing.

15 Q Would operation under normal pressures for  
16 an extended period --

17 BY WITNESS HERNANDEZ:

18 A Under normal pressure, I can't quote to you  
19 the pressure, but it is nowhere near 65 psi. 65 psi is  
20 the design accident temperate of pressure that has been  
21 increased by 15 percent.

22 I can't recall -- maybe someone here can give  
23 you the design, the actual operating pressure. It is,  
24 you know, it may be a negative pressure, that type of  
25 thing. It is no where near the design basic accident.

BY WITNESS FISHER:

A Chairman Bechhoefer, the actual design operating pressure is very insignificant as compared to the accident pressure. And to add something perhaps to the answer to your general question about whether if we sustain the pressure in the containment would that make a difference, the phenomena of any lastic creeps that might occur over a long period of time would tend to relax the stresses, rather than amplify them, and, if anything, would improve the situation, rather than cause a deterioration.

///

///

///

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

5-1

ge

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Mr. Artuso?

2 BY WITNESS ARTUSO:

3 A Judge Bechhoefer, your concern about  
4 over a period of time may be associated with this  
5 fatigue or cycling concern.

6 In concrete there isn't a fatigue problem.  
7 Concrete is not checked for fatigue; whereas, the  
8 steel components are, the prestressed strands are  
9 checked for fatigue properties and so are the  
10 reinforcing bars or connections are checked for  
11 fatigue properties.

12 So that concern -- Concrete is inherently  
13 not affected by that kind of cyclic type loading.

14 Now, I could see where a large void, if  
15 you had a large -- Let's assume that you had a  
16 large void behind the containment.

17 Under that pressure, if it were a critical  
18 void, you could get a rupture of the liner. So this  
19 is another means of knowing that you don't have any  
20 critical voids behind after you've run your structural  
21 integrity testing.

22 The system is well proven. For instance,  
23 the Three-Mile Island accident, there was a hydrogen  
24 explosion inside Unit 2.

25 All of the entries indicated no structural

5-2

1 damage at all. So this is a well proven system.

2 BY JUDGE LAMB:

3 Q Mr. Artuso, you mention on page 23 of  
4 your testimony that the structural design and safety  
5 margin is well in excess of a hundred percent.

6 Can you explain why the safety margins are  
7 that high?

8 BY WITNESS ARTUSO:

9 A Yes. Design stresses as made by designers  
10 are of a certain magnitude.

11 Let's assume for a method of explanation  
12 that the designer needs 1500 psi concrete. The actual  
13 concrete strength, then, is designed for something  
14 like 4,000 psi.

15 So each material is actually designed and  
16 checked for a much higher strength than the designer  
17 needs for that component material.

18 In the case of the concrete at the South  
19 Texas Project, it was designed in the containment, say,  
20 5,000 psi, and the other structures 4,000 psi.

21 We saw almost a doubling of those strengths  
22 in all of the testing that we did down there.

23 So that in addition gives you an additional  
24 safety factor.

25 Q I'm wondering if you could explain to us

5-3 1 the basis on which that safety margin or safety factor  
2 is determined?

3 In particular, I'm wondering whether built  
4 in to that is any consideration of the types of voids  
5 and things that we have been talking about during your  
6 testimony?

7 BY WITNESS HERNANDEZ:

8 A Judge Lamb, if I might answer that.

9 Q Yes.

10 BY WITNESS HERNANDEZ:

11 A With respect to the codes that we are  
12 required to design against, that is built in to the  
13 design allowables that are introduced into the codes.

14 You don't, as a general rule, or in the  
15 nuclear industry, with respect to the concrete and  
16 the steel portion of the structure, you do not design  
17 for its maximum creditable strength, its ultimate  
18 strength, its failure strength.

19 You design at some lower level, as  
20 determined by general industry. It's reviewed by the  
21 various bodies that have to to regulate that, the  
22 NRC and whatsoever; but you come back with a code  
23 allowable that is much less than where you have the  
24 ultimate capacity of the structure.

25 That is done because when you are constructing

5-4

1 anything, you have to make allowances for the potential  
2 for imperfection.

3 You may have -- All your reinforcing  
4 strength may be a yield strength of 60 ksi, kips per  
5 square inch. Okay.

6 Maybe you have a hundred pieces of rebar  
7 and maybe one is 59 that comes in. You build in that  
8 allowance with respect to the design.

9 The designer goes and designs on the basis,  
10 for the containment shell, 5,000 -- or is it 5500 --  
11 5,000 psi -- 5500, excuse me -- psi compressive  
12 strength.

13 Well, in the actual cylinders taken with  
14 regard to that concrete, they've proven to be much  
15 in excess of 5,500.

16 So you have in addition to that other  
17 factors built in with regard to the design, and when  
18 you add all these factors up, yes, you are -- as well  
19 as any containment or any nuclear powerplant structure,  
20 not necessarily just to South Texas, but to any within  
21 the United States, you are building in this over-design  
22 capability, okay, and that's done precisely for that  
23 reason, because you don't know what's going to be  
24 happening tomorrow with respect to something.

25 If what we're designing changes with

5-5 1 respect to the loading pattern changes or something  
2 to that, you want to have built in to the design some  
3 flexibility, some reserve, and you do that.

4 Let's take, for instance, a structure like  
5 a Category I structure, the fuel-handling building.

6 If we have a certain floor loading and  
7 then we decide to move equipment, after we've already  
8 poured the concrete and designed it, we may have that  
9 reserve margin to go put that additional weight on  
10 the floor, simply because we take and look and say we  
11 put this type of loading, and we've never seen it in  
12 the actual performance of the floor; but now we have  
13 this additional loading and we have that reserve  
14 capacity.

15 It's built in.

16 BY WITNESS ARTUSO:

17 A I'd like to add one thing, Judge Lamb.

18 Probably the final acceptance test is that  
19 structural integrity test.

20 Let's assume the designer designed it for  
21 specific stresses throughout that structure, and all  
22 of those stresses were just met. No over design  
23 whatsoever.

24 Then, theoretically, it could not take an  
25 over-pressure, such as they do give it, as a proof test.

5-6 1 Any kind of loading test is always more  
2 than your design.

3 So if you can pass your proof test, then  
4 that means that anything you have in that structure has  
5 been accommodated, that you have achieved your design  
6 paramters.

7 Q Would it be fair to state that you have a  
8 couple of bottom line tests after all the work and  
9 trying to find and solve a void problem, and those  
10 two would be in the pressure test and in the application  
11 of your prestressing to your concrete?

12 BY WITNESS ARTUSO:

13 A Yes, both of them. Absolutely. In fact,  
14 as I say, there are containments with voids in them  
15 that have satisfactorily passed the structural integrity  
16 test, and that's because all these are over-designed.

17 Q So in other words, whatever you may have  
18 missed, you stand a reasonable chance of picking up  
19 on those other two final tests?

20 BY WITNESS ARTUSO:

21 A More than a reasonable test. Almost --

22 Q Those are actual performance tests?

23 BY WITNESS ARTUSO:

24 A Those are actual performance tests, yes,  
25 sir.



5-7

1 BY WITNESS FISHER:

2 A Judge Lamb, if I might add just a comment  
3 relative to the safety margin within the containment  
4 shell design.

5 Q Yes.

6 BY WITNESS FISHER:

7 A Mr. Hernandez pointed out the various  
8 safety margins that are available within the code  
9 allowable stresses and within the load combinations  
10 that we're obliged to design to.

11 But there's also another area of  
12 conservatism available, and that is in an area of  
13 designer option.

14 As an example of this, and perhaps to  
15 put the question of voids in the containment wall in  
16 a little better perspective, the design of the containment  
17 shell, that is, the general shell area itself, exclusive  
18 of areas of high concentrated stress where in general  
19 we've thickened the wall, the design only requires a  
20 wall thickness of three foot, six inches; whereas, we  
21 have actually provided a four-foot thick wall.

22 So in theory, at least, the design would  
23 permit a total void of six inches of thickness, to be a  
24 bit ludicrous about it; but there is that inherent  
25 margin within the general shell design.

5-8 1 Q Thank you.

2 On cadwelds, I'm not sure who -- Well, let  
3 me pose the question and see who should respond. Maybe  
4 Mr. Singleton.

5 On the reliability of these, based on  
6 data given in the testimony, this sounds like a highly  
7 reliable process.

8 How does the reliability of this compare,  
9 let's say, with the other things that go into the  
10 construction of this type of facility?

11 For example, piping fittings, electrical  
12 devices?

13 BY WITNESS MURPHY:

14 A I could not properly address the examples  
15 you gave, piping fittings and electrical apparatus,  
16 but I would say that it is every bit as comparable as  
17 the reinforcing steel with which it's associated.

18 BY WITNESS ARTUSO:

19 A I'd like to add one thing, Judge Lamb.

20 It's because of the fact that as we have  
21 developed more test data during the use of these  
22 cadwelds, that we found the cadwelds to be actually  
23 more foolproof than we originally anticipated, so that  
24 the Code Committees now are considering relaxing the  
25 testing requirements of them.

5-9 1 We have found in our case -- I'll give you  
2 a specific example -- at Beaver Valley, that all of  
3 the welds that we rejected, all the cadwelds that we  
4 rejected due to visual examination were tested and  
5 every one of them passed the criteria.

6 So it's a very generous method of design.

7 BY WITNESS LONG:

8 A Judge Lamb, if I might add, on page 31 in  
9 Mr. Singleton's response to Question 52, I'd like to  
10 note that of the 1200 cadwells tested today, only two  
11 splices have failed the tensile test.

12 So that's a good indication of our  
13 reliability on the cadwelding process.

14 Q Thank you.

15 BY WITNESS SINGLETON:

16 A Judge Lamb, Mr. Long took all of the fire  
17 out of my speech here, but that was what I was wanting  
18 to point out, also.

19 Out of curiosity, we took some cadweld  
20 splices that failed a visual observation, visual  
21 inspection, whether it be slag, porosity or void, and  
22 we pulled those cadwelds, and even the ones that  
23 failed a visual inspection passed the tensile test  
24 requirements.

25 So based on the 1200 specimens that we

1 have tested and other shots that we have pulled to  
2 satisfy our curiosity, the cadwelds have done very fine  
3 for us.

4 Q Thank you.

5 On page 48, Mr. Murphy, line 31, you  
6 mention "full-scale, reinforced concrete models."

7 I'm not clear on what you mean by this.

8 BY WITNESS MURPHY:

9 A I'm sorry, Judge Lamb, what --

10 Q Page 43, line 31.

11 BY WITNESS MURPHY:

12 A Yes, sir, 31.

13 Q You talk of "full-scale, reinforced concrete  
14 models."

15 I'm not clear on what types of models. Is  
16 this of entire structures, you mean, or of sections of  
17 structures?

18 BY WITNESS MURPHY:

19 A Portions or sections thereof, but not  
20 scaled-down sections.

21 BY WITNESS HERNANDEZ:

22 A Judge Lamb, when Mr. Murphy was talking  
23 to you about the grout injection in response to your  
24 question on grout injection, what he was alluding to  
25 was a full-scale model made of the bracket area where

5-11

1 we did provide plexiglass on the exterior portion of  
2 it to review the adequacy of the grout injection method.

3 This is what we mean by full-scale model.

4 Q I see. This is a full-scale mockup of --

5 BY WITNESS HERNANDEZ:

6 A Of a specific section or portion, that's  
7 correct.

8 Q Thank you.

9  
10 - - -  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

6-1 1 Q These additional strain gauges that you  
2 mention in your testimony, Mr. Hernandez, this is just  
3 to provide more details of testing with respect to what  
4 happens in the case of a pressure test, for example?

5 BY WITNESS HERNANDEZ:

6 A Yes, sir. It is a requirement of the  
7 regulatory guide and the specific section in Section 3,  
8 Division 2, or ACI 359. It's a requirement to place  
9 strain gauges to measure the actual deformation of the  
10 containment as -- certain areas as well as areas where  
11 you would anticipate having high stress concentrations,  
12 such as the equipment hatch, those manners.

13 Q Now, you say that you put in additional  
14 strain gauges to allow for containment prototype testing  
15 should the need ever occur.

16 BY WITNESS HERNANDEZ:

17 A Yes, sir. When we had -- when we first  
18 started out on South Texas, this was the design of --  
19 the configuration of the South Texas containment utilizes  
20 post-tensioning in the form of -- vertical post-tensioning  
21 in the form of a "U" that goes from one side of the  
22 tendon gallery up over the top of the apex of the  
23 containment, down 180 degrees on the other side into the  
24 tendon gallery -- the other tendon gallery. It forms a  
25 "U" over the containment.

1 At the point in time that we first initiated  
2 the design, approximately '74 or '75, these were the  
3 newest types of containments. There were some  
4 predecessors of our design in terms of Trojan,  
5 Arkansas No. 1, and San Onofre, and it was felt that  
6 since at that point in time everyone looked to receiving  
7 an operating license in 1980, and this was the relative  
8 time frame of these other units, the requirement and  
9 Regulatory Guide 1.118 is that if you have a new type  
10 of containment, or a containment which has a configuration  
11 that has not been tested before as a prototype, you would  
12 be required to provide additional strain gauges over and  
13 above the standard amount, so that you could demonstrate  
14 the adequacy of this prototype containment.

15 Since then there are other containments that  
16 have already done this type of testing. A Trojan is  
17 already underway. Arkansas 1 will be finished fairly  
18 soon -- or I believe Arkansas 1 is finished.

19 San Onofre ought to be completed fairly soon.  
20 So we have excess strain gauges. That's what it amounts to.

21 Q So this doesn't just pertain to the 65 p.s.i.  
22 test? This is a more extensive testing program?

23 BY WITNESS HERNANDEZ:

24 A This is a more extensive program to  
25 demonstrate the adequacy of a prototype containment, a

6-3  
1 containment that has a configuration different than  
2 what has been tested in the past.

3 BY WITNESS FISHER:

4 A I think it might be said that it's a more  
5 extensive monitoring and analysis of the same structural  
6 integrity test.

7 Q Mr. Artuso, do you agree with the general  
8 idea that the membrane was not necessary?

9 BY WITNESS ARTUSO:

10 A The waterproofing membrane?

11 Q Yes.

12 BY WITNESS ARTUSO:

13 A Oh, yes. There's a lot of containments that  
14 are built without waterproofing membranes. It's just --  
15 in some cases it's desirable, as I say, as damp-  
16 proofing.

17 Q Yes. If the membrane that was installed  
18 had defects in it, would the presence of the membrane  
19 have any harmful effects beyond that which you would  
20 have if the membrane hadn't been present?

21 BY WITNESS ARTUSO:

22 A No. No, the presence of the membrane, per se,  
23 would not be detrimental.

24 I might add, let's assume that you did have  
25 a gash in that membrane and it tore. If we're in a



6-4  
1 building that didn't have a steel liner, you would -- if  
2 it tore and you had a water table that rose above that  
3 point and you had a crack in your wall, then you might  
4 see some leakage.

5 That's about the significance of membrane  
6 waterproofing.

7 Q Right, but the containment, you say some  
8 containments are built without the membrane entirely?

9 BY WITNESS ARTUSO:

10 A Yes. Some are built without a membrane  
11 entirely. Some containments use a membrane to protect  
12 the concrete from any corrosive waters that may exist  
13 in that particular locality, but generally moisture for  
14 the concrete is beneficial, it ages it more.

15 Q Mr. Long, what is a slick line?

16 BY WITNESS LONG:

17 A A slick line is an attachment to a concrete  
18 pump whereby you can transport the particular concrete  
19 mixture to its desired location, desired pour.

20 JUDGE LAMB: Thank you. That's all I have.

21 BOARD EXAMINATION

22 BY JUDGE BECHHOEFER:

23 Q On Page 10 there's a reference to the fact  
24 that voids were found in the containment shell walls of  
25 Unit 1 in October '78.

6-5

1 Is that the first time that any voids were  
2 found, or was that the first time that significant voids  
3 were found?

4 BY WITNESS MURPHY:

5 A In the containment shell, is that what  
6 you're talking about?

7 Q Yes.

8 BY WITNESS MURPHY:

9 A I would say that's the first time significant  
10 voids; now, I cannot remember if there were some cosmetic  
11 repairs made to the exterior of the shell prior to then.

12 I would assume that there would be.

13 Q But this was the first time that anything of  
14 significance of that sort?

15 BY WITNESS MURPHY:

16 A That is correct.

17 Q Now, you note on the next page that the voids  
18 were discovered by Brown & Root personnel.

19 Was this through the QA program, or QC program  
20 I should say, or was this the construction workers, or  
21 was it simultaneous, since a lot of the work is done  
22 together?

23 BY WITNESS MURPHY:

24 A It was originally discovered by a laborer  
25 working the construction joint, who in turn reported it

1 to his foreman, who in turn reported it to QA. So to be  
2 specific, two people did not identify it at the same  
3 time. QC did not identify it first, which they wouldn't  
4 have had any cause to be there then. It would have been  
5 premature to their first inspection of a placement.

6 Q Well, I understood QC people are there  
7 during concrete pours, are they not?

8 BY WITNESS MURPHY:

9 A Yes. That is correct.

10 Q But I take it you couldn't discover a void  
11 at that time.

12 BY WITNESS MURPHY:

13 A No. This was -- these voids were discovered  
14 by a, if you will, a man laying on his belly reworking  
15 a joint.

16 Q Perhaps your counsel could give you a copy  
17 of CEU Exhibit 4. I'd like to ask a question about that.

18 (Document handed to witness.)

19 I'd like to ask either Mr. Murphy or anyone  
20 else on the panel, have you ever seen this document?

21 (Witnesses review document.)

22 BY WITNESS MURPHY:

23 A I do not recall seeing this specific  
24 document.

25 Q What I was interested in is finding out what

6-7

1 was meant by the word "breakdown in QA," which concludes  
2 the first paragraph.

3 BY WITNESS MURPHY:

4 A I could only surmise on that, Judge  
5 Bechhoefer, in that he, Mr. Jordan, was reporting this  
6 before a total picture of the problem was available,  
7 and this was his first assumption that if there was a  
8 void there it should have been found by QA.

9 BY WITNESS HERNANDEZ:

10 A Judge Bechhoefer, if I might add -- could I  
11 take a look at that, Jerry?

12 On the requirements for HL&P to identify an  
13 item under the requirements of 10 CFR 50.55(e), we have  
14 chosen to interpret that to mean that we have only a  
15 definite period, a finite period to evaluate an item  
16 under the requirements of 10 CFR 50.55(e).

17 Sometimes they have been as short as 24  
18 hours from the time that this thing has been identified  
19 to the field -- in the field, and made known to Houston  
20 engineering or Brown & Root engineering.

21 And I think I can -- I'm aware of this telecom,  
22 telephone communication, and I believe this was also the  
23 case that this Mr. Jordan was providing information based  
24 on the best information at the time, and I think at that  
25 time it was identified that these voids, or at least the

6-8 1 apparent voids, because they had, I believe, by this  
2 time chipped away in a localized area to determine that  
3 indeed there was a potential void, the significance not  
4 at that time known to the extent to be at all brackets,  
5 but to at least be identified at this one particular  
6 bracket where the chipping was performed, and the basis  
7 is that we have to call in the reportability, under  
8 10 CFR 50.55(e), under some mechanism, a breakdown in QA,  
9 a construction defect, something that would represent a  
10 significant hazard, and it was determined at this point  
11 in time, based on available information, that it was a  
12 QA breakdown.

13 That's what was done at this point in time.

14 As later information came out through the  
15 investigation of the Lift 15 and Lift 8, I think it  
16 would be unfair to say it was purely a QA breakdown,  
17 QA/QC breakdown.

18 I think there were other contributing causes  
19 which we have since admitted to with regard to  
20 accessibility which would prevent -- or I think "prevent"  
21 is too harsh -- which would severely restrict the ability  
22 of a QC inspector to perform his job adequately.

23 There were other mitigating causes also in  
24 Lift 8, which we've touched on before, the equipment  
25 repair, the equipment breakdown, the long duration of the

6-9

1 pour, you know -- excuse me, on Lift 15.

2 Q Well, did any part of it arise out of a QA  
3 breakdown?

4 BY WITNESS HERNANDEZ:

5 A Well, we have QC as part of QA inspecting  
6 the pour.

7 Q Well, I was including QC.

8 BY WITNESS HERNANDEZ:

9 A Pardon?

10 Q I was not excluding QC. I was using QA  
11 broader.

12 BY WITNESS HERNANDEZ:

13 A Okay. We have QC on the specific pour to  
14 identify compliance with the specification and the  
15 construction procedures.

16 The specification, I believe, if I can  
17 paraphrase the wording, says that the pour shall be free  
18 of significant voids, or I don't know the exact wording,  
19 but we're trying not to build voids into the construction,  
20 practically free of voids.

21 Therefore, it's a QC inspector's responsi-  
22 bility to identify any situation that would represent a  
23 violation of those procedures. It was not done.

24 When we walked away from Lift 15, again it  
25 was the point that no one said there was a particular

6-10 1 problem with Lift 15 at that point in time.

2 Very shortly after the completion of the pour  
3 a laborer, when he was preparing, or cleaning up the  
4 construction joint on Lift 15, identified something  
5 that was amiss. He saw some type of separation of the  
6 concrete and the liner, and he immediately went to his  
7 foreman.

8 BY WITNESS MURPHY:

9 A Judge Bechhoefer, I might add here that  
10 because a void is discovered does not mean that there  
11 is a breakdown in a QC function or QA activity.

12 As we've testified throughout the past  
13 several days, voids are a thing we have to live with.  
14 When we're talking about concrete we're talking about  
15 voids.

16 We will have them as long as we're placing  
17 concrete. We have means, we hope, to identify all of them  
18 and find out their cause, and if possible and if feasible  
19 to change whatever we've done to possibly eliminate that  
20 from happening again in that situation, but a perfect  
21 example of this is in our most recent containment placement  
22 in Unit 2 there was more than adequate inspection on this  
23 particular placement because of some adverse weather  
24 conditions that we ran into with the onset of the  
25 placement, but upon removal of the forms there was a void

6-11 ✓  
1 discovered, evident, if you will, at the bottom side of  
2 the equipment hatch on the outside.

3 Now, all procedures were followed. There  
4 was no case in which there was evidence of any procedural  
5 violation occurring.

6 Pre-placement plans were gone over in detail.  
7 Post-placement meetings were held and there was nothing  
8 identified at that time.

9 There were engineers involved in this post-  
10 placement meeting and in the inspections during the  
11 placement, yet we ended up with a situation that we had  
12 a void.

13 It was discovered in the normal course of  
14 events in a post-placement inspection by QC at the  
15 appropriate time, and it's documented on an inspection  
16 repair card, and we will go about investigating and  
17 repairing this so that the adequacy of the structure is  
18 as good as was intended in design.

19 - - -  
20  
21  
22  
23  
24  
25



7-1  
ge  
1 Q I take it you think the procedures you  
2 go through now are at least somewhat better than  
3 what happened on this Lift 15?

4 BY WITNESS HERNANDEZ:

5 A Yes. I certainly hope that with the  
6 revisions that have been made, numerous revisions since  
7 Lift 15, that every one of them has in some measure  
8 improved the placing practices and will eliminate some  
9 of the possibilities for these voids occurring.

10 Q All right. Well, I guess, back to  
11 Mr. Hernandez, I take it almost as an aside that the  
12 last paragraph is not completely accurate, either.

13 BY WITNESS HERNANDEZ:

14 A I would make that statement, that I don't  
15 believe the last paragraph is accurate with regard to  
16 the information contained.

17 Q I think you mentioned yesterday that one  
18 of the steps you would hope to take to avoid situations  
19 such as this is to have, I think you used the word --  
20 well-qualified QC inspectors, or something along that  
21 line.

22 To the extent there was a QA breakdown or  
23 a QC breakdown here at all, would it have been caused  
24 by the qualifications or competence of the particular  
25 QC inspector?

7-2  
1 BY WITNESS HERNANDEZ:

2 A I think experience could play a factor in  
3 any type of pour like this. It's not just the  
4 qualifications.

5 Qualifications supply a measure of -- I'm  
6 speaking from my personal opinion.

7 Qualifications of a QC inspector provide  
8 one degree of measure of his ability to perform. I  
9 think that with all things, experience, having seen  
10 similar situations, having experienced similar situations,  
11 provides another degree of protection by having the  
12 QC inspector being able to witness an event going on  
13 in the field and mentally make a note to himself, is this  
14 significant or is this insignificant with regard to  
15 this.

16 Is this a procedural violation, and if  
17 so, does this procedural violation by itself contribute  
18 to an unacceptable performance of the activity going  
19 on, and I could pass to Chuck on that.

20 BY WITNESS SINGLETON:

21 A Being the only true dyed-in-the-wool QC  
22 man here, I've been sitting kind of quiet, sitting  
23 back, and first of all, this gets my dander up.

24 I take exception to anything blaming it on  
25 QC.

7-3

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 In the true sense, if you want to define  
2 quality control in the true sense, then you could say  
3 yes, it's a breakdown in QC, because we didn't realize  
4 the sequence of events that were occurring that would  
5 lead up to the possibility of a void.

6 If you want to say QC is the last measure  
7 to ensure quality, our QC inspectors, I feel, we have  
8 some of the best.

9 They have the experience. They are  
10 qualified and certified per ASME III, Section III,  
11 Division II.

12 In addition to meeting those requirements,  
13 they receive on-the-job training. They receive written  
14 examinations and they are qualified personnel.

15 Sometimes there may be a particular -- the  
16 way the thing is erected, the way the thing is designed  
17 may prevent -- the inspector could be watching the  
18 concrete or watching the placement, but a particular  
19 sequence of events or the configuration of the pour may  
20 prevent him from realizing that a void is occurring in  
21 a localized area.

22 Any time you pull a form and it's a void,  
23 it's a surprise. We never expect to see any voids.

24 During a concrete placement, a sequence of  
25 events occurs that we believe that if we continue along

7-4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 this route, that a void is going to occur, then we  
2 stop and we take immediate actions to remedy the  
3 situation then.

4 We never expect a void. If during a  
5 placement, we realize we've got trouble, we stop. We  
6 get the people together and we find out what we've got  
7 to do to remedy the situation, to correct it, and we  
8 continue on.

9 We never let any pour go that we expect a  
10 void.

11 This particular Lift No. 15, a sequence of  
12 events, the duration of the pour which led to fatigue  
13 among construction and QC; we had a problem with  
14 visibility as far as it was late at night, with  
15 adequate lighting.

16 We had equipment breakdown and failure, but  
17 when those inspectors walked off that pour, and a review  
18 of their paperwork and an interview with them, they had  
19 no problems at the time.

20 When the void was found, we went back and  
21 reviewed the paperwork again. We went back and we  
22 asked the two inspectors again, "Did you have any  
23 problems with Lift 15? Do you think there's going to  
24 be any problems up there?"

25 And, again, they said, "No," so we got into

7-5  
1 the void investigation and realized the extent of the  
2 voids, and we went back to the inspectors and said,  
3 "Hey, look. Your paperwork said everything was fine  
4 and you say everything was fine, but we've got all these  
5 voids. What happened?"

6 Then they sit down and begin to tell us  
7 some of the problems they had.

8 One of the questions last night that came  
9 up, and I kept quiet, because the question was, "Was a  
10 construction foreman terminated as a result of Lift  
11 No. 15?"

12 The two QC inspectors responsible for the  
13 inspection of Lift No. 15, those two inspectors were  
14 disciplined because they failed to realize the sequence  
15 of events that were occurring.

16 They were not on top of this situation.  
17 They failed to grasp what was happening that led to  
18 the void problem, and those two inspectors were  
19 disciplined.

20 Q When inspectors are hired, they have to  
21 meet certain standards. Do the standards include any  
22 sort of certification in the exact type of inspection  
23 that they'll have to be performing?

24 I use the word "certification" sort of  
25 loosely, because it may be training or approval.

7-6

1 BY WITNESS SINGLETON:

2 A Would you repeat that question again?

3 Q Are the people -- Are the inspectors who  
4 are employed by Brown & Root, I guess, are they  
5 certified in the particular type of inspection that  
6 they are going to perform?

7 BY WITNESS SINGLETON:

8 A Yes, sir. If I could go through the  
9 sequence of events, we receive an application or a  
10 resume from a man.

11 We look at it and we make sure that he has  
12 the qualifications as required ASME Section III, Division  
13 II; he has the education and he has the minimum work  
14 time experience required.

15 If this man's experience is in preplacement  
16 inspection, then he is certified. He must have the  
17 education and experience in preplacement to be  
18 certified in preplacement.

19 If he has the education and experience in  
20 batching and placing only, then he is certified only in  
21 batching and placing; but he must have the experience  
22 in preplacement to be certified as a preplacement  
23 inspector; and he must have the experience in batch-  
24 in-place to be certified as a batch-in-place inspector.

25 One thing I would like to add on this

7-7  
1 qualifications. For example, if a man has a four-year  
2 degree in science or engineering, and he's a civil  
3 engineer, he can come out there and he can be hired  
4 by construction, by design engineering, and he can go to  
5 work the next day.

6 But if he's a degreed engineer in applied  
7 science or engineering, then he's got to have a minimum  
8 of three months' experience to go to work in QC.

9 So an engineer has got to be qualified and  
10 have more experience to work in QC than he does to be  
11 an area engineer out there.

12 Yes, they are certified only in areas of  
13 their expertise or their experience.

14 Q Does not the Code, at least, have a waiver  
15 provision?

16 BY WITNESS SINGLETON:

17 A All of our concrete people are certified  
18 strictly to ASME III, ASME Section III, Division II, and  
19 it's been Brown & Root's position not to allow any  
20 waiver of experience or education. It's strictly per  
21 the guidelines of the Code.

22 Q Mr. Artuso?

23 BY WITNESS ARTUSO:

24 A Judge Bechhoefer, in relation to that waiver  
25 provision, ANSI Standards had a certification standard

7-8  
1 for the certification of QC inspectors and others.

2 In that particular standard, there was a  
3 waiver provision.

4 The ASME Code, which is the Section III,  
5 Division II, that South Texas is working on, does not  
6 have that waiver condition.

7 Now, since the evolution of the ANSI  
8 Standard, the NRC has taken the position that they  
9 will not permit the waiver condition.

10 So now there is no waiver condition.

11 Q Turning to page 13, just carrying forward  
12 the discussion we were having about Lift 15, who were  
13 the site personnel who were referred to on line 22 who  
14 led you to discover some problems with Lift 8?

15 BY WITNESS LONG:

16 A Judge Bechhoefer, I was that site personnel  
17 referred to there. I was that person.

18 Q I see.

19 JUDGE BECHHOEFER: That's all the questions  
20 I have.

21 Judge Hill will resume, but let's take  
22 about a 15-minute break first.

23 (Recess taken.)

24  
25 //



8-1 1 JUDGE HILL: Back on the record.

2 My reckoning here indicates that this is the  
3 fourth day of hearing on this particular panel, and what  
4 the Board would like to do is go through and sort of  
5 summarize all of your statements in your prepared  
6 testimony and also the cross-examinations, and I'm going  
7 to be working directly off of the stated contentions on  
8 Page 3 of your testimony.

9 This will be in the nature of -- the lawyers  
10 will appreciate this -- of polling the jury, and I'm  
11 going to ask each of you individually, those of you who  
12 have had direct testimony on each of these contentions,  
13 and I will ask each of you a two-part question.

14 The first question will be a sort of "have  
15 you stopped beating your wife, answer yes or no" question,  
16 and the second one will be a request for a statement on  
17 your part, a summary statement on your part having to do  
18 with that particular contention.

19 So we'll start with Contention 1(2), and the  
20 people I wish to address this to specifically are  
21 Mr. Murphy, Mr. Artuso and Mr. Hernandez and Mr. Long.

22 And by the way, Mr. Fisher and Mr. Singleton,  
23 who did not have direct testimony on this, can respond  
24 if they wish.

25 Let me just state the question once, and then

8-2  
1 we'll get the response from each of you on this first  
2 question.

3 BOARD EXAMINATION

4 BY JUDGE HILL:

5 Q Do extensive voids now exist in either of  
6 the containment building concrete walls as far as they  
7 are poured?

8 And I stress the word "extensive" in the  
9 context that it is listed here in the contention, and  
10 I think we'll have to define "extensive" as a void that  
11 would impair the structural integrity.

12 So let's start with Mr. Murphy.

13 BY WITNESS MURPHY:

14 A Yes, Judge Hill. Now there are no voids,  
15 no extensive voids in either of the containment building.

16 Q All right. Mr. Artuso?

17 BY WITNESS ARTUSO:

18 A There are no voids, no extensive voids in  
19 the containment building, to the best of my knowledge.

20 Q Yes. I should have added that, to the best --  
21 to each of you, to the best of your knowledge.

22 Mr. Hernandez?

23 BY WITNESS HERNANDEZ:

24 A Yes, Judge Hill, there were, in my opinion,  
25 extensive voids. By extensive I mean with regard to

8-3  
1 Left 15. Yes, to the best of my knowledge, those have  
2 been repaired and there are no existing significant, or  
3 there are no extensive voids at this time that have not  
4 been repaired.

5 Q And Mr. Long?

6 BY WITNESS LONG:

7 A To the best of my knowledge, there are no  
8 extensive voids that have not been repaired in the lifts  
9 in the containments.

10 Q All right. Now, let's move on to the second  
11 part of that question.

12 Would each of you state your degree of  
13 confidence, or the confidence that you feel that when  
14 both containment buildings are complete that the walls  
15 will be free of extensive voids, again used in the same  
16 context, that would impair the structural integrity of  
17 the containment building?

18 In other words, now I'm asking you to respond  
19 to what you expect. You have just responded to what  
20 exists today. Now I'd like your statement on what you  
21 think can be done in the next few months in completing  
22 these two buildings.

23 BY WITNESS MURPHY:

24 A Judge Hill, I have an extremely high level of  
25 confidence that future construction of the containments

8-4 1 will not result in any extensive voids.

2 BY WITNESS ARTUSO:

3 A Based on the studies that have been made and  
4 the repairs that have been performed, and the changes  
5 that have been made in construction procedures, I feel  
6 very confident that there will not be any additional  
7 significant extensive voids resulting from them.

8 However, the processes as are developed at  
9 South Texas do give sufficient, in fact in more detail  
10 than is normally found, the means of identifying any  
11 voids that may occur in future construction so they can  
12 be properly repaired and the structural integrity of  
13 the containments be maintained.

14 Q Thank you.

15 Mr. Hernandez?

16 BY WITNESS HERNANDEZ:

17 A At the time that the containment is intended  
18 to function, which is the structural integrity test, I am  
19 extremely confident, as Mr. Murphy is, that the  
20 containment will perform as a design function adequately,  
21 that there will not be at that point in time extensive  
22 voids in the containment shell.

23 I believe that we have at this point in time  
24 a system to produce quality concrete. I believe that we  
25 also recognize within HL&P that there always is the

8-5 1 potential for an isolated void to occur.

2 We believe that we have the means for  
3 identifying that void, evaluating its significance and  
4 also repairing the subject void to bring the containment  
5 shell wall back into conformance.

6 BY WITNESS KING:

7 A Based on the current construction procedures  
8 in effect now at South Texas Project, and in conjunction  
9 with the, shall we say, the proof of the pudding that we  
10 sounded at Lift 7 on the Unit 2 shell, that gives me a  
11 sufficient level of confidence that I don't believe that  
12 there -- or I believe it not to be the fact that there  
13 will be any more voids.

14 In other words, I believe that our procedures  
15 are good enough where we will not have any more voids in  
16 the containment shell pours.

17 Q Mr. Singleton, do you want to respond to that?

18 BY WITNESS SINGLETON:

19 A My observation is I believe that with the  
20 changes that have been made to the procedures, the design  
21 changes that have been made, the additional training and  
22 emphasis on training with both construction and QC, the  
23 formulation of the pre-placement and post-placement plans,  
24 that we have greatly reduced the chances of internal voids  
25 occurring.

8-6  
1                   However, I'd like to add I don't believe  
2 there's any way that you can refine a procedure to ensure  
3 that there will not ever be any voids. I don't think the  
4 problem is with the procedure. It's the problem that we  
5 utilize human beings to implement the procedure, and  
6 when you do that there are too many factors that can  
7 come into play.

8                   But I believe that we've got a good procedure  
9 and a good design and good people.

10                  Q        Mr. Fisher, do you wish to respond to that?

11 BY WITNESS FISHER:

12                  A        I can't really add anything other than to echo  
13 the confidence that's been stated so far.

14                  Q        All right.

15                         Let's move on to Contention 1(3), and for the  
16 purposes of what we're doing here, it seemed reasonable  
17 to combine Contention 1(3) and Contention 1(6) and put  
18 them together in one, so I have two questions pertaining  
19 to those two contentions, and the people that have  
20 provided direct testimony are Mr. Murphy, Artuso,  
21 Singleton, Hernandez and Long.

22                         The first question, to the best of your  
23 knowledge, have documents been lost or cadwelds been  
24 unverified?

25                         ////

8-7 1 BY WITNESS MURPHY:

2 Q I would like to clarify in my answer that  
3 there have been evidence in documentation that cadwelds  
4 have been lost.

5 However, I would like to state that all  
6 cadwelds that are required for the structural function  
7 are adequate for that, and that they will serve to meet  
8 design requirements.

9 Q Mr. Artuso?

10 BY WITNESS ARTUSO:

11 A Judge Hill, I had no specific part in trying  
12 to locate any missing documents or any means of trying to  
13 verify whether every cadweld is in place that was  
14 designed in place.

15 My testimony was primarily to the effect that  
16 of the capability of cadwelds, the means of determining  
17 whether a cadweld is satisfactory or not, those kinds  
18 of things.

19 Q Okay. Mr. Singleton?

20 BY WITNESS SINGLETON:

21 A On the first question, was a document lost,  
22 the document we're referring to FSQ 30, was never  
23 generated. A research of the cadweld inspection books  
24 indicated that the cadwelds had been inspected. They  
25 were located on the drawing. There was never any code or

8-8 1 design requirement that this field document, the FSQ, be  
2 generated.

3 The field sketches are generated that in case  
4 of a tensile test failure to identify adjacent splices  
5 so we may go back and locate them and test them. There  
6 were no failures in any of the splices that utilized the  
7 same sleeve lot or powder lot material, so the cadweld  
8 document being lost had no effect on the quality of the  
9 cadweld at all.

10 The final acceptance of the cadweld is based  
11 on your visual inspection. In the case of cadwelds being  
12 verified or not being able to be verified, all the  
13 cadwelds in the structures had been inspected, and after  
14 a very comprehensive review by a special task force, then  
15 the vast majority of all the cadwelds were capable of  
16 being verified as to acceptance.

17 Q All right.

18 Mr. Hernandez?

19 BY WITNESS HERNANDEZ:

20 A I share Mr. Singleton's statement with regard  
21 to the cadwelds.

22 I believe that there may have been a  
23 documentation problem, but that the cadwelds that were  
24 performed on the South Texas Project were adequately  
25 inspected and tested, and in addition to that, through a



1 personal review of the pour cards, of isolated pour cards,  
2 discussions with QC inspectors, it's been my judgment  
3 that the inspectors did indeed verify the location on  
4 the pour card that the cadwelds had been installed as  
5 stated in the design requirements.

6 Therefore, I have an extreme level of  
7 confidence that the cadwelds, as well as the reinforcing,  
8 are as they had intended to be per the design require-  
9 ments.

10 BY WITNESS LONG:

11 A I have no personal knowledge of any documents  
12 that have been lost, other than what was detected during  
13 the cadweld task force documentation review, which  
14 uncovered approximately 190 inspection reports, and of  
15 these 190 inspection reports that could not be located,  
16 150 of these could be located to the appropriate concrete  
17 placement in which they were located.

18 And as indicated earlier, on the concrete  
19 pour card there is a section for the concrete pre-  
20 placement inspector to indicate his verification that  
21 all the cadwelds within that placement have been inspected  
22 as verified by the white line on the cadweld.

23 And as far as documents, as far as cadwelds  
24 being unverified, I'm not aware of any that have not been  
25 finally checked by quality control.

8-10 1 Q All right. Several of you have anticipated  
2 my second question, and you have partially responded to it,  
3 so unfortunately I'll have to ask you this again.

4 The second question in this pair is, does  
5 the loss of the documentation, or the lack of verifi-  
6 cation, have a serious impact on the structural integrity  
7 of the structure involved?

8 Mr. Murphy?

9 BY WITNESS MURPHY:

10 A The fact that documentation is not there  
11 does not affect the structural integrity of the building.  
12 We have a high degree of confidence that the cadwelds were  
13 visually inspected. That is the end result and the  
14 criteria by which we accept the cadweld.

15 And based on the history of the apparatus,  
16 the cadwelds, and our inspection records, I feel that we  
17 have a high degree of confidence in them, and that the  
18 structural integrity is not at all jeopardized.

19 BY WITNESS ARTUSO:

20 A Judge Hill, based on my knowledge of the  
21 types of designs and construction of containments, knowing  
22 the types of excessive strength levels that are achieved  
23 in the materials, in the components, knowing that concrete  
24 although we have derighted it here about its voids, has  
25 an amazing property to transfer stresses and creep under

-11 1 load to help transfer the stresses in any localized  
2 conditions so that you pick up the uniformity, continuity  
3 aspect of a design, I would say that a cadweld or two  
4 cadwelds that are missing in a containment mat, or in a  
5 containment structure would be like a spit in the ocean.  
6 You will never see it in the structural integrity test,  
7 which is a proof test, you will never notice the absence  
8 or a single or two bars.

9 BY WITNESS SINGLETON:

10 A Speaking as a Quality Control person, if  
11 there is -- about documents being lost, inspection records  
12 being lost, if there is a procedure requirement that  
13 those inspection records be generated, and we are not  
14 capable of finding them, then as Quality Control I would  
15 be concerned that there is a procedure requirement for  
16 those records and we don't have the records.

17 I don't believe I am in a position to talk  
18 about whether the integrity of the structure -- I do  
19 believe if we have some cadwelds we are not capable of  
20 verifying the location or the inspection results, I believe  
21 based on our extensive tensile testing program that we have  
22 had, over 1200 specimens that have been tested, we have  
23 had five failures; three of them in the rebar, and only  
24 two in the splice itself. I would say that that would  
25 present itself as a high level of confidence in our cadweld

1 program that we have on the site.

2 Q Mr. Hernandez?

3 BY WITNESS HERNANDEZ:

4 A I would share the panel's previous answers  
5 to that comment. Despite the fact that we have had  
6 isolated documentation problems with the cadwelds, as a  
7 result of our own criteria for documentation of cadwelds,  
8 I remain convinced that we have provided adequate testing,  
9 inspection of the cadwelds into the overall design and  
10 construction of the safety-related structures, and more  
11 specifically the containment.

12 Again, stressing the fact that I am assured  
13 by the pour card itself that these have been witnessed,  
14 and that they have made a determination that all cadwelds  
15 called for in that specific pour have, indeed, been  
16 provided.

17 The testing that we have performed, the  
18 experience with cadwelds provides another additional  
19 degree of knowing that the performance of the cadweld  
20 system has been verified beyond any concern on my part.  
21 I can only state that it has a high level of performance,  
22 and it has a high degree of confidence.

23 BY WITNESS LONG:

24 A Being in Quality Assurance at the time, I  
25 would not feel that I had the engineering latitude to make

8-13

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

that kind of judgment. But as my experience as an Engineer, the test records do truly indicate that out of 1200 specimens we have two failures that indicates a high degree of confidence that we do have in the process, as stated by Mr. Singleton earlier.

///

///

///

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 BY JUDGE HILL:

2 Q Okay. Let's move to Contention 1(4), and  
3 this will be addressed, again, to Mr. Murphy, Mr. Artuso,  
4 Mr. Singleton, Mr. Hernandez, and Mr. Long.

5 The first question: To the best of your  
6 knowledge, were any of the membrane seals damaged?

7 BY WITNESS MURPHY:

8 A To the best of my knowledge, there were no  
9 membrane seals that ended up under backfill that were  
10 damaged. In other words, that are on the containments  
11 now, that are damaged.

12 BY WITNESS ARTUSO:

13 A Judge, my participation and my testimcny on  
14 this subject was not one of whether there were any  
15 damages, but what if there were damages. And I would just  
16 like to repeat that based on my knowledge of the soil  
17 condition, the water conditions, at the South Texas Project  
18 there was really no need for the membrane waterproofing,  
19 and the use of it or the lack of it will in no way affect  
20 the structural integrity of the containment structure.

21 BY WITNESS SINGLETON:

22 A As all the waterproofing membrane was applied  
23 at South Texas, it all was inspection by Quality Control.  
24 Any damage to the membrane at that time would have been  
25 immediately repaired.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

-2  
1 After the membrane system was turned over  
2 to construction, and prior to backfill, any damaged  
3 membrane that was detected at that time was noted on a  
4 non-conformance report.

5 A review of all the non-conformance reports  
6 have indicated that all of the damaged areas were repaired,  
7 corrected, and that all conformance was closed out.

8 And, to the best of my knowledge, there have  
9 not been any waterproofing membrane where backfill has  
10 been placed against that was damaged at the time.

11 Q Mr. Hernandez?

12 BY WITNESS HERNANDEZ:

13 A Judge Hill, it would be my position that I do  
14 not have any personal knowledge of any instances where  
15 waterproofing membrane was left in a damaged condition.

16 I know that it is impossible to construct,  
17 to place the backfill without possibly rubbing against  
18 the waterproofing membrane, but I am familiar with  
19 cases where that was immediately identified and  
20 subsequently repaired.

21 The ease with which the waterproofing repair  
22 or waterproofing membrane was repaired also would provide  
23 me with the judgment that the waterproofing membrane, if  
24 damaged, was subsequently repaired through the normal QC  
25 Inspection Program that was performed, and that of any

1 consequence, any membrane should have been not repaired  
2 is of no consequence to the containment design in and by  
3 itself.

4 Q All right. Mr. Long?

5 BY WITNESS LONG:

6 A I do not have any first-hand knowledge of any  
7 waterproofing membrane seals being damaged, but I am aware  
8 of the several NCR's that Brown & Root has generated on  
9 the issue, and being the repairs are very simple to  
10 accomplish, it is very easy and it is no reason why the  
11 repairs should not have been made.

12 So since the repairs is easy and it takes  
13 relatively a short period of time, the NCR's were  
14 dispositioned that the repairs were to be made and  
15 backfill to proceed as usual.

16 So I am not aware of any that were damaged,  
17 but there are several cases documented on non-conformance  
18 reports.

19 Q All right. The second part of this question:  
20 What is the importance of the damaged membrane seals,  
21 assuming that they were damaged, what is the importance  
22 of the damaged membrane seals to the structural integrity  
23 of the Containment Building?

24 BY WITNESS MURPHY:

25 A As Mr. Artuso testified to, the necessity



4 1 for having this membrane on the containment is a redundant  
2 choice, and if the membrane was damaged or was not there  
3 there would be no affect on the structural integrity of  
4 the containment.

5 BY WITNESS ARTUSO:

6 A I believe I included that answer in my  
7 previous answer. What I would like to do is just  
8 elaborate a minute.

9 Membrane waterproofing on concrete walls are  
10 not in the same sense as a roofing material that keep the  
11 rain out from your house. One hole in a roofing material  
12 will let the water pour in and ruin your furniture. One  
13 hole in a membrane may never get beyond the first inch  
14 of concrete.

15 BY WITNESS SINGLETON:

16 A Judge Hill, I'm afraid I'm going to have to  
17 pass on the structural integrity on that one.

18 Q Mr. Hernandez?

19 BY WITNESS HERNANDEZ:

20 A If I were to have to make the assumption that  
21 there were damaged waterproofing membrane on the exterior  
22 side of the containment, it would be my judgment based on  
23 the fact that this is a redundant feature that there was  
24 no significance to the overall structural adequacy of the  
25 containment either at this point in time or during its

1 design life of 40 years.

2 BY WITNESS LONG:

3 A Being in Quality Assurance at the time, I  
4 probably would not have that type of engineering latitude  
5 to make that kind of judgment.

6 But, nevertheless, if the seal was required,  
7 HL&P QA in their surveillance of the waterproofing membrane  
8 activity did insure, to the best of their ability, that the  
9 seal was in place.

10 Q All right. Let's move to Contention 1(5).  
11 This will be addressed to Mr. Fisher, Mr. Artuso,  
12 Mr. Singleton, Mr. Hernandez, and Mr. Long.

13 To the best of your knowledge, are there any  
14 missing rebars in either of the Containment Building  
15 structures?

16 Mr. Fisher?

17 BY WITNESS FISHER:

18 A To the best of my knowledge, there are no  
19 undocumented missing rebar in either of the containment  
20 structures, and I use the word "undocumented" deliberately  
21 because I am sure there have been cases where due to  
22 rebar congested or for other reasons there have been  
23 FREA's or FCR's requesting the omission or the shortening  
24 of, or the relocation of certain rebar for constructibility  
25 reasons. In these cases the requests are always evaluated

-6  
1 by Engineering against our design calculations, and  
2 judgements are made as to whether those exceptions can  
3 be taken.

4 In other cases, -- and I'm not quite sure  
5 whether they may have occurred in the containment shell  
6 or other places, but there have been NCR's written on  
7 occasion where reinforcing bars have inadvertently been  
8 omitted, and in those cases the NCR, again, is evaluated  
9 by Engineering and dispositioned to to either rework,  
10 replace the rebar by drilling and grouting, or by other  
11 means, or it is accepted as is, based on our evaluation  
12 of the design calculations for that particular instance.

13 Q Mr. Artuso?

14 BY WITNESS ARTUSO:

15 A My participation in this particular answer  
16 is not concerned with whether there are any bars. I made  
17 no study, or have no knowledge about missing rebars. My  
18 only statement is an opinion if occasional rebar were  
19 missing from a highly congested area, based on the over  
20 designs of containment structures, and the transfer of  
21 stresses under loading, an isolated rebar missing would  
22 have no appreciable affect whatsoever.

23 Q Mr. Singleton?

24 BY WITNESS SINGLETON:

25 A Any reinforcing steel missing or not capable

-7  
1 of being installed for the design drawings would have been  
2 brought to the attention of Construction and Engineering.  
3 Quality Control inspects to approve design drawings and  
4 design change notices to these drawings, and would not  
5 have permitted any placement of concrete in an area that  
6 did not conform to these design requirements.

7 And, to the best of my knowledge, there is no  
8 missing rebar in the containment structure that was either  
9 not documented on design change.

10 Q Mr. Hernandez?

11 BY WITNESS HERNANDEZ:

12 A Based on review of the documentation contained  
13 in my testimony, it is my judgment that there are no cases  
14 I could identify, or which I am aware, or which Engineers  
15 that I work with are aware of, where there have been  
16 instances where reinforcing was omitted and not documented  
17 on the project, as documented by the project procedures  
18 on then a non-conformance report or FREA, field request  
19 for engineering action.

20 These documents, in turn, have been evaluated  
21 by Engineering, and an Engineering disposition has been  
22 either to accept the omission of rebar, if that was indeed  
23 the case, or to ship back and grout, or provide the rebar  
24 as installed. So, therefore, to the best of my ability  
25 I have no information as to missing reinforcing in the

1 containment.

2 BY WITNESS LONG:

3 A I do not know of any missing rebar in either  
4 Containment 1 or 2, other than those that were documented  
5 on non-conformance reports or FREA's at the time.

6 Q All right. The second part of this question,  
7 assuming there are missing rebars, does the lack of such  
8 rebar represent a serious degradation of the structural  
9 integrity of the Containment Building?

10 Mr. Fisher?

11 BY WITNESS FISHER:

12 A In the event that there were isolated bars  
13 inadvertently omitted, I feel very confident, 100 percent  
14 confident that there would be no resulting degradation  
15 of the containment design.

16 The conservatism that we have incorporated  
17 into our individual design, as well as the inherent  
18 conservatism prevailing the applicable design codes and  
19 regulations, would provide such a high degree of  
20 conservatism that mammoth amount of reinforcing steel  
21 would have to be omitted, essentially concentrated in one  
22 area for there to be any adverse affect whatever.

23 Q Mr. Artuso?

24 BY WITNESS ARTUSO:

25 A I believe I covered this somewhat in my

1 earlier response, but I would like to elaborate a little,  
2 in that through the concrete technology and engineering  
3 and construction industry it is recognized that there  
4 will be human error, and the Engineers compensate by this  
5 human error by always over-designing.

6 And this over-design, in effect, takes care  
7 of an occasional random misplacement or loss reinforcement.  
8 So I feel that, again, any isolated bars that are missing  
9 would have no structural affect on that containment.

10 Q Mr. Singleton?

11 BY WITNESS SINGLETON:

12 A As a Quality Control, if there were missing  
13 rebars I would be concerned, because it is construction's  
14 responsibility to install per the drawing, Engineering to  
15 insure that the as-built meets design requirements, and  
16 Quality Control to insure that the as-built has been  
17 installed for the design drawing.

18 I would be concerned as to why they were  
19 missing rebars, whether it was a failure of Quality  
20 Control to properly inspect, or interpretation of a  
21 design intent. I would be concerned along that viewpoint.

22 I will have to pass on the structural  
23 integrity.

24 BY WITNESS HERNANDEZ:

25 A If I were to assume that there were isolated,

1 cases of missing reinforcement I was extremely confident,  
2 as Mr. Fisher is, that these instances of isolated  
3 missing reinforcement would not compromise the adequacy  
4 of the structure to perform as it has been designed.  
5 Therefore, I think it would be inconsequential.

6 BY WITNESS LONG:

7 A As a Quality Assurance man, we in our  
8 performance of our surveillance activities checked each  
9 individual placement we involved ourselves in to the  
10 design drawing, and verified that the adequate number of  
11 reinforcing steel was in place, but as far as structural  
12 integrity I would have to pass on that, too, being  
13 Quality Assurance.

14 Q Mr. Murphy, do you have any comment on this?

15 BY WITNESS MURPHY:

16 A I concur with Mr. Fisher's statements, and  
17 the rest of the Panel, Judge Hill.

18 (Bench Conference.)

19  
20 ///

21  
22 ///

23  
24 ///

25

10-1 1 JUDGE BECHHOEFER: Is there any redirect on  
2 this panel?

3 MR. HUDSON: Yes, Your Honor. We do have  
4 some limited redirect.

5 Do you want us to proceed at this time?

6 JUDGE BECHHOEFER: Right.

7 REDIRECT EXAMINATION

8 BY MR. HUDSON:

9 Q Mr. Singleton, I'd like to direct your  
10 attention to CCANP Exhibit No. 32, please.

11 (Witness reviews document.)

12 BY WITNESS SINGLETON:

13 A Okay, I have it.

14 Q I believe this is a DDR, Deficiency &  
15 Disposition Report, No. S-202, which you authored; is  
16 that correct?

17 BY WITNESS SINGLETON:

18 A That's correct.

19 Q Could you explain for us what the problem  
20 was here in more detail than is provided in this  
21 summary statement, so that we have a full understanding  
22 of the problem?

23 BY WITNESS SINGLETON:

24 A Yes, I can. Upon removal of the forms in  
25 this area, a void and honeycomb area was observed.



10-2

1 At that time, a non-conformance re ort  
2 was -- or a deficiency and disposition report was  
3 initiated by myself, and was forwarded to engineering.

4 The procedure requirements at the time for  
5 the issuance of this DDR was that no activity could  
6 occur in this area before an approved disposition or  
7 resolution had been obtained from design engineering.

8 What had happened, construction went down  
9 into the area and began some chipping to remove the  
10 honeycomb and unsound concrete in that area, which  
11 violated the procedural requirement that no activity  
12 occur in that area, no additional work until an  
13 approved resolution was obtained.

14 And what construction did in their effort  
15 to get the work done, they went down there and started  
16 removing the unscund concrete.

17 Q Had construction initiated any placement  
18 of new concrete or grout to repair this structure?

19 BY WITNESS SINGLETON:

20 A No, they hadn't done that yet. They  
21 had gone down there to remove the unsound concrete and  
22 to do their exploratory chipping to define the limits of  
23 the void.

24 Q Thank you very much.

25 Would you now, Mr. Murphy, direct your

10-3  
1 attention to CEU Exhibit 21, please.

2 (Witness reviews document.)

3 BY WITNESS MURPHY:

4 A I'm sorry, Mr. Hudson -- 21 --

5 (Pause.)

6 Q I believe this exhibit has previously been  
7 identified as NCR S-C881; is that correct?

8 BY WITNESS MURPHY:

9 A That's correct.

10 Q The problem documented here deals with a  
11 procedural violation, again in the making of some  
12 concrete repairs on three containment shell lifts,  
13 Nos. 12, 13 and 14, and three internal walls, Wall  
14 32, 22H and Wall 15; is that correct?

15 BY WITNESS MURPHY:

16 A That is correct.

17 Q Does the existence of the need for  
18 cosmetic repairs, as evidenced on the pour cards attached  
19 to this NCR, indicate to you the potential for the  
20 existence of significant voids against the liner  
21 opposite the areas where these cosmetic repairs were  
22 necessary?

23 BY WITNESS MURPHY:

24 A No, absolutely. It would be expected that  
25 every lift there would be cosmetic repairs required at

10-4 1 the construction joint, if you will; and they are, as  
2 simply stated, cosmetic repairs, and that's it.

3 Q These are not the types of surface  
4 indications which you would use as the basis for  
5 initiating a sounding program?

6 BY WITNESS MURPHY:

7 A Definitely not.

8 Q Mr. Singleton, would you take a look at  
9 that NCR, please.

10 (Witness examines document.)

11 Q Could you describe for me the nature of  
12 the problem that is documented by this NCR?

13 BY WITNESS SINGLETON:

14 A Yes. The requirement at the time was  
15 upon form removal the area engineer and the quality  
16 control inspector would do a visual examination of the  
17 form surface, and they would identify any type of  
18 repairs that was needed, be it cosmetic or structural.

19 The procedure requirement at the time was  
20 to document the evidence of this visual surface  
21 inspection.

22 The engineer would so denote on the back  
23 of the inspection -- or on the back of the pour card,  
24 as evidenced by the notation "cosmetic repair" was the  
25 type of repair that was required, and he would also

10-5

1 give the method of repair. For example, dry pack, grout.

2 What happened here, upon completion of the  
3 concrete pour, these concrete pour cards are forwarded  
4 to the QA vault.

5 It would have required the engineer to, upon  
6 the completion of the inspection, go to the QA vault  
7 and pull these pour cards and make the notation on the  
8 back.

9 During quality control's in-process  
10 inspection of the field activities, it was noted that  
11 the repair had begun on these walls, and the inspector,  
12 knowing the procedure requirements, went to the vault  
13 and looked at the back of the pour card to see if  
14 the evidence of the visual inspection had been  
15 documented on the back of the pour card.

16 It had not, so the inspector was following  
17 his procedures and doing his followup, and he so noted  
18 that the procedure requirement had not been done.

19 He had participated in the visual inspection  
20 of the walls himself, and that's why he knew that it  
21 had been done and it had to be on the back of the  
22 pour card. So as a followup and another check of the  
23 procedure requirement, he went to the vault to check  
24 on it.

25 Q. Does this NCR evidence any error on the

10-6 1 part of the QA/QC inspector?

2 BY WITNESS SINGLETON:

3 A No. I would say it's evidence that the  
4 QA/QC inspectors was doing his job.

5 He knew there was a procedure requirement  
6 that this happen upon the observation of the repairs  
7 being made.

8 He went to the vault to verify the  
9 compliance to this requirement, and so noted that  
10 the procedure requirement had not been adhered to; and  
11 he reported it, using the nonconformance report.

12 Q Mr. Artuso, in your professional judgment,  
13 would the existence of cosmetic defects on the exterior  
14 face of a reactor containment building pour indicate a  
15 possibility of significant voids against the liner?

16 BY WITNESS ARTUSO:

17 A First, I'd like to define what a cosmetic  
18 repair is. It's strictly a surface condition, and  
19 by nature of the type of condition, indicates that  
20 it's strictly cosmetic in nature, that it does not  
21 have any structural significance.

22 If you don't see a deep penetration, say,  
23 of a honeycomb section right at the surface of the  
24 concrete, you consider this a cosmetic condition, and  
25 it requires very little repair, if any. It's strictly

10-7 1 aesthetic, and it would not give you any concern that  
2 deeper in that concrete you had any voids.

3 Q Would you advise a client to sound the  
4 lift if the only indication of deficiencies in the  
5 pour were these surface cosmetic effects that you've  
6 just described, the honeycombing on the surface of the  
7 pour?

8 BY WITNESS ARTUSO:

9 A Absolutely not. This is to be expected that  
10 you will occasionally run into situations like that,  
11 that type of condition.

12 It doesn't indicate any severe condition  
13 that would warrant any more investigation.

14 Q Mr. Singleton, at an earlier point in your  
15 testimony when we were discussing waterproofing  
16 membranes, you mentioned that you had looked at  
17 thousands of NCR's and, therefore, you could not recall  
18 a specific NCR that was shown to you.

19 Did all thousands of those NCR's relate to  
20 waterproofing membrane?

21 BY WITNESS SINGLETON:

22 A I knew I was in trouble when I said that.  
23 No, my intention was that I've looked at  
24 so many NCR's. All the NCR's generated on site that  
25 deal with civil activities, whether if they are generated

10-8

1 by engineering or HL&P or what, come through the  
2 civil QC Department, so we can be aware and on top of  
3 everything that's going on.

4 What I meant there, I've looked at so many  
5 NCR's and so many pieces of paper, that I could not  
6 recall the particular one that was noticed.

7 No, it was not my intention to indicate that  
8 thousands of NCR's had been on waterproofing membrane.  
9 Absolutely not.

10 Q Mr. Murphy, at page 6574 of the transcript --  
11 I realize you don't have it in front of you -- you were  
12 describing the documentation that was generated under  
13 current practices when a structural repair was required.

14 I believe you stated that an NCR was  
15 normally written. Is this correct?

16 BY WITNESS MURPHY:

17 A An IRC is written.

18 Q What is an IRC, please?

19 BY WITNESS MURPHY:

20 A Inspection repair card.

21 Q What function does it serve; could you  
22 tell us a little more?

23 BY WITNESS MURPHY:

24 A It serves to document the location and  
25 method of repair.

10-9 1 Q This is the information that used to be  
2 written on the back of the pour card?

3 BY WITNESS MURPHY:

4 A That's correct.

5 Q And that requirement that Mr. Singleton  
6 just described for noting on the back of the pour  
7 card the need for repairs and the method has been  
8 deleted and replaced by the form --

9 BY WITNESS MURPHY:

10 A An inspection repair card.

11 Q -- IRC?

12 BY WITNESS MURPHY:

13 A That's correct.

14 Q Thank you very much.

15 Mr. Artuso, in discussion with Judge Lamb  
16 earlier about the root causes of the voiding at South  
17 Texas, you mentioned both the role of the design and  
18 the construction practices in causing the voids.

19 I was concerned that there may have been  
20 some suggestion left that you thought that there were  
21 further steps that HL&P or Brown & Root could take to  
22 reduce the possibility of voiding.

23 Is that the case? Do you think that there  
24 are further changes that we could make to our design or  
25 to our construction practice that would reduce the



10-10

1 possibility of voiding?

2 BY WITNESS ARTUSO:

3 A Based on my knowledge of your new  
4 construction practices and procedures, I believe that  
5 they are superior.

6 I can't, per se, offer any additional  
7 suggestions as to how you can improve them.

8 Now, I would assume that these are living  
9 documents and there will be times when situations will  
10 arise where you can see areas for improvement for  
11 specific cases.

12 This is normal. This is something that  
13 should be strived for, but based on what I see here,  
14 based on this method of checking for surface defects,  
15 I think South Texas Project is superior to most other  
16 plants i. .r attack of the problem.

17  
18 //

19

20 //

21

22 //

23

24 //

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 BY MR. HUDSON:

2 Q You mentioned that -- What about the  
3 design? Do you think there are any changes that we could  
4 make in our design that would --

5 BY WITNESS ARTUSO:

6 A The design features I am speaking of are not  
7 the stress analysis type. The design features I spoke  
8 about earlier were the locations and congestions of  
9 rebar and plates embedded in the placements.

10 I think you have done, or you designers have  
11 done everything they can by adjusting lift heights and  
12 bundling reinforcing, steps of that sort to minimize the  
13 possibility of unconsolidated concrete. I can offer no  
14 more improvement than that.

15 Q You mentioned earlier back in the beginning  
16 of your answer to my first question to you that with your  
17 knowledge of the current procedures. What is your  
18 knowledge? Have you reviewed CCP-25, the current concrete  
19 construction procedure?

20 BY WITNESS ARTUSO:

21 A Yes. I have reviewed your new construction  
22 procedure CCP-25.

23 MR. HUDSON: Your Honor, that is all of the  
24 cross-examination, redire ^, recross -- redirect, I  
25 guess, right now.

1-2

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I was wondering if we could suggest breaking for lunch now so that I could have an opportunity to review my notes. The length of time that this panel has gone on, I've got a full legal pad scribbling that I need to run through, and when we come back I may have a few more questions, but I don't think it would be more than ten minutes worth, perhaps.

JUDGE BECHHOEFER: The Board thinks that is a good procedure, so we will break for an hour and 15 minutes for lunch.

MR. HUDSON: Thank you very much.

(Whereupon, at 12:02 p.m., a recess was taken until 1:30 p.m., the same day.)

- - - -

AFTERNOON SESSION

1:27 P.M.

JUDGE BECHHOEFER: Back on the record.

MR. HUDSON: We have no further redirect at this time.

Before going into recross, however, I would like to bring up a procedural matter. We would suggest that the Board try and schedule two late sessions out of the next three days, so that we can get on all of the witnesses, all of the HL&P witnesses, with the exception of the Operation's Panel, and Mr. Williams, perhaps. In other words, the witnesses we said we would produce this week.

We did not expect this Panel to go as long as they have, and we are concerned that we won't get finished unless we do that, and I know it takes some time to set things up with the court reporter, so we wanted to suggest it now, that we think it would be appropriate maybe tonight and Thursday night to go late and get in some extra hearing time.

We offer that for your consideration.

MR. GAY: Mr. Chairman, I don't know what the cross-examination is from the other parties in this proceeding, but you may have noticed what I have indicated this morning, I do not have much cross for the next

1-4 1 several panels, and I don't envision a problem that the  
2 Applicant is addressing at this moment. I see the  
3 schedule that has been outlined by the Board, going to  
4 6:00 every evening, that we will more than finish in time  
5 this week.

6 JUDGE BECHHOEFER: Does the Staff have any  
7 comment?

8 (No response.)

9 JUDGE BECHHOEFER: Mr. Sinkin, do you have  
10 any comment?

11 MR. SINKIN: Mr. Chairman, I am not really  
12 certain that evening sessions are necessary. Our cross  
13 is fairly limited, also. The only panel I think I have  
14 any substantial cross on will be the welding panel.

15 MR. GUTIERREZ: With the exception of tonight,  
16 the Staff thinks it might be a good idea to tentatively  
17 schedule some late sessions either Wednesday or Thursday.  
18 If things move along in the interim it might not be  
19 necessary, but we do agree with the Applicant, that it  
20 will be helpful and desirable if the scheduled panels  
21 could be completed this week.

22 JUDGE BECHHOEFER: We will take this under  
23 advisement. Tonight we won't go late, but we will see  
24 where we get on other evenings, or other days.

25 I had one further message. The reporter has

1-5 1 asked if possible that the witnesses should not talk  
2 together. I guess the message applied to lawyers and  
3 the Board as well. So to the extent you can, wait until  
4 the preceding person has stopped before you start talking.

5 Mr. Gay, do you have recross?

6 MR. GAY: I have three, maybe four different  
7 matters to discuss with you.

8 RECROSS-EXAMINATION

9 BY MR. GAY:

10 Q Mr. Singleton, I would like to deal with you  
11 first. In discussion with Judge Bechhoefer this morning  
12 you indicated that with reference to Lift 15 there were  
13 two QC Inspectors who were disciplined.

14 Let me ask you first how many QC Inspectors  
15 were involved with Lift 15?

16 BY WITNESS SINGLETON:

17 A The inspection on the concrete placement?

18 Q Yes.

19 BY WITNESS SINGLETON:

20 A Two.

21 Q That was a rather substantial period of time  
22 that Lift 15 pour was in progress. Were there two  
23 inspectors there simultaneously, or did their periods of  
24 inspection overlap?

25

1-6

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 BY WITNESS SINGLETON:

2 A Let me clarify that. There were more than  
3 two inspectors utilized in the inspection of Lift 15,  
4 because these inspectors were relieved periodically for  
5 lunch breaks, or whatever type breaks are required.

6 During the placement of the concrete in the  
7 area of the polar crane brackets where the majority, or  
8 in the area where voiding occurred, there were two  
9 inspectors involved in that, and they were the two.

10 Q Could you tell us what discipline was  
11 involved for those two inspectors?

12 BY WITNESS SINGLETON:

13 A Yes. Each one received a three-day suspension  
14 without pay.

15 I would like to add that it was a three-day  
16 suspension without pay, based on a four-day work week, and  
17 I was a Lead Inspector at that time. I was not involved  
18 in the decision to discipline the Inspectors.

19 Q You were not involved?

20 BY WITNESS SINGLETON:

21 A I was not involved in that decision.

22 Q Are you generally aware of the reasons for  
23 that decision?

24 BY WITNESS SINGLETON:

25 A To the best of my knowledge, to sum it up,

1-7 1 the reason that they were suspended, because based on a  
2 failure of the Inspectors to grasp exactly what was  
3 occurring at that time, based on their failure to see that  
4 there was a problem that was occurring, particularly in  
5 the area of the polar crane brackets where the voiding  
6 occurred, basically to sum it up, they failed to grasp  
7 realm of what activity was going on at the time.

8 Their inspection reports revealed that  
9 everything was fine. We asked them on three separate  
10 occasions if they had any problems with the pour, and they  
11 indicated that they did not; when the extent of the voiding  
12 was discovered they sat back down again and they asked  
13 them again if they had any problems and then they came  
14 forward at that time and said, "Well, we may have had a  
15 problem here, or there," because their paperwork indicated  
16 they didn't have any problems it was decided -- they were  
17 not able to grasp what was going on at the time, and take  
18 appropriate measures to remedy the situation.

19 Q Now, you say that they were not able to  
20 grasp what was going on. Let me see if I can clarify that  
21 a little bit.

22 Are you saying that they were aware of the  
23 problem, and didn't report it, or that they were simply  
24 unaware and should have been?  
25



1-8

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 BY WITNESS SINGLETON:

2 A I guess they were not able to add two and  
3 two together to realize that the sequence of events that  
4 was happening right there could lead to the potential  
5 presence of a void. Not that they didn't report it, they  
6 just didn't -- they wasn't able to add up everything that  
7 was happening.

8 I might add that when this area was poured  
9 it was very late at night and there was several factors  
10 that were taken into consideration as far as personnel  
11 fatigue. It was nighttime. It was dark. Maybe there  
12 had been inadequate lighting. But all of these factors  
13 contributed to that.

14 Q What should the Inspectors have done,  
15 Mr. Singleton, had they been able to, as you say, put two  
16 and two together? What would have been the natural course  
17 for them to follow?

18 BY WITNESS SINGLETON:

19 A Based on what I would do is how I am going to  
20 respond to it, because I don't know -- In an area when  
21 they are placing concrete and they realize that maybe  
22 their visibility is limited, or there is not enough lights,  
23 or the method that they were placing it and consolidating  
24 it there is a doubt whether it is adequate enough, then  
25 you would stop and you would get Engineering involved, and

1 say, okay, this is what is happening. I think we need  
2 more lights up here. I think the way we are placing it  
3 and the way we are consolidating it is not quite adequate  
4 and that we've got the potential for a void, and you as  
5 an Engineer, what do you recommend that we do to relieve  
6 this situation?

7 The Engineer could have made several  
8 recommendations, and we would have gone based on what the  
9 Engineer's recommendation would have been.

10 Q Should the QC Inspectors have issued a stop  
11 workorder at any point during that pour?

12 BY WITNESS SINGLETON:

13 A Was the question could they have?

14 Q Should they have?

15 BY WITNESS SINGLETON:

16 A Should they have? I'm talking hindsight now.  
17 If they had realized, like I just mentioned, the events  
18 that were leading up that would develop into sequence of  
19 events that we would have possibly had a potential for a  
20 void area, yes, I believe they probably should have  
21 stopped the pour and until we had taken steps to remedy  
22 the situation got Engineering involved and got their  
23 recommendation from it. Hindsight, that's what should  
24 have been done, probably.

25 Now, you would have to be up there. You would

1-10 1 have to be up there from 8:00 or 9:00 o'clock in the  
2 morning until 4:00 or 5:00 o'clock the next morning. You  
3 would have had to have seen what was going on. You could  
4 not just sit here and say, yes, that's what they should  
5 have done. You would have to get involved in it, and see  
6 what was going on up there.

7 Q Do you recall, Mr. Singleton, how many pump  
8 failures occurred during the period of time that Lift 15  
9 was being placed?

10 BY WITNESS SINGLETON:

11 A An exact number, no. I want to say three,  
12 four. We had things like hydraulic hoses would break, or  
13 the connection on the hydraulic hose would break.

14 I believe they had a problem with one of the  
15 butterfly valves in one of the pumps. Three or four.

16 Q Mr. Singleton, I have a memo to C. W.  
17 Vincent from T. B. Schreeder, Jr., dated November 1978,  
18 that talks about the Lift 15 problem. And within that  
19 memo it cites the discipline of the two Inspectors.

20 But also attached to that is some description  
21 of the pump failure, and I just wanted to show you that  
22 to refresh your memory.

23 JUDGE BECHHOEFER: Is this a document we have,  
24 or --

25 MR. GAY: I don't think so, Your Honor. I

1 just want to refresh his memory.

2 (Document hadned to witness.)

3 BY MR. GAY:

4 Q Have you had a chance to review that?

5 BY WITNESS SINGLETON:

6 A Yes. I briefly scanned over it.

7 JUDGE BECHHOEFER: Does that refresh your  
8 memory?

9 BY MR. GAY:

10 Q Does that refresh your memory regarding that  
11 particular incident?

12 BY WITNESS SINGLETON:

13 A Yes. It does.

14 Q I believe that the notations there reflect  
15 that there were five different pump failures. Does that  
16 seem correct.

17 BY WITNESS SINGLETON:

18 A To the best of my knowledge. Like I said,  
19 three or four. Mr. Spooner was one of the Inspectors  
20 involved during that placement, yes, sir.

21 Q Can you tell me --

22 BY WITNESS SINGLETON:

23 A And he was there the complete time. So if he  
24 says there were five failures, there is no reason to doubt  
25 that.

1 Q Can you tell me when the first pump failure  
2 occurred; at what time?

3 BY WITNESS SINGLETON:

4 A According to Mr. Spooner, 10:10 a.m.

5 Q Do you recall when the last failure was  
6 reported?

7 BY WITNESS SINGLETON:

8 A Again, according to Mr. Spooner's note  
9 here --

10 MR. HUDSON: Your Honor, we are going to have  
11 to object to this questioning and answering. It is  
12 apparent that the witness does not know this. He is  
13 simply reciting from a document that has not been  
14 introduced and is not in the record, that no one here  
15 has seen, except he and the witness.

16 If we want the document in for the truth of  
17 the matters stated, then let's have a motion to put it in  
18 and we will argue. But to just have the witness read that  
19 off, I don't think it is credible testimony and is not  
20 really the testimony of this witness.

21 MR. GAY: Mr. Chairman, I asked the witness  
22 if it refreshed his memory, and he said "yes." My last  
23 question was do you recall, and he started to answer. I  
24 think the objection was not well taken.

25 MR. HUDSON: I believe in his answers he said,

1 "According to Mr. Spooner," and then he says something.  
2 It is obvious that he does not recall it. He is simply  
3 reading from the document.

4 MR. GUTIERREZ: Mr. Chairman?

5 JUDGE BECHHOEFER: Let me ask the witness.  
6 Maybe we can clarify it.

7 Do you recall these things, or are you just  
8 reading it from the document?

9 WITNESS SINGLETON: Judge Bechhoefer, I am  
10 strictly reading from the document.

11 JUDGE BECHHOEFER: This is not your independent  
12 recollection?

13 WITNESS SINGLETON: No, sir. This is not  
14 from my recollection at all.

15 JUDGE BECHHOEFER: I will sustain the  
16 objection then.

17  
18 ///

19  
20 ///

21  
22 ///

23

24

25

12-1 1 BY MR. GAY:

2 Q Mr. Singleton, do you recall how many pump  
3 failures occurred, from your personal knowledge?

4 BY WITNESS SINGLETON:

5 A I think I previously answered that three to  
6 four, to my personal knowledge, and that's strictly a  
7 guess.

8 In all honesty, in November 6, '78, you know,  
9 I'd been on a lot of placements and the figure doesn't  
10 stick out. There to four is what I recalled.

11 Q Do you recall from your personal knowledge  
12 when the first failure occurred on the Lift 15 placement?

13 BY WITNESS SINGLETON:

14 A That's kind of hard to do now after having  
15 read what Mr. Spooner said here, you know.

16 In all honesty, Mr. Gay, if I had not read  
17 Mr. Spooner's thing here, I could not tell you when the  
18 first pump failure occurred.

19 It's not that I'm trying to forget or anything,  
20 it just -- from November the 6th, '78, to the present,  
21 there's been so many pours and I just can't recall. I'm  
22 sorry.

23 Q Well, Mr. Singleton, let's assume for a  
24 moment that there were anywhere from three to five pump  
25 failures over the course of that placement, and going

12-2

1 back to the hindsight, quarterbacking situation of whether  
2 or not there should have been a stop work order issued,  
3 in light of those placements do you think that one of  
4 those inspectors should have stopped the placement of  
5 concrete on Lift 15?

6 BY WITNESS SINGLETON:

7 A Well, the --

8 MR. HUDSON: I object to that, Your Honor.  
9 It's been asked and answered.

10 JUDGE BECHHOEFER: Yes, I think that has.  
11 That's the same question you asked a few minutes ago,  
12 was it not?

13 MR. GAY: Well, there's a slight modifi-  
14 cation. I'm particularly citing the pump failures and  
15 not any other incident involved in consideration, so I  
16 think my earlier question was more of a generic question.  
17 In this I rely solely upon the pump failure.

18 MR. HUDSON: Is the question now that if the  
19 only thing that had gone wrong was the pump failure  
20 should the placement have been stopped?

21 MR. GAY: That is the only consideration  
22 that I am assuming.

23 MR. HUDSON: Okay. Well, I'd like to have  
24 the question restated, because the way I heard the  
25 original question was in light of the pump failures,



12-3  
1 which did not exclude anything else.

2 BY MR. GAY:

3 Q Mr. Singleton, I'll rephrase it for you.

4 If a QC inspector is aware of a series of  
5 pump failures, and that's his only consideration, the  
6 pour has gone on for quite some length of time, would  
7 that be a sufficient justification, or should it be a  
8 sufficient justification for in and of itself stopping  
9 the placement of that concrete?

10 BY WITNESS SINGLETON:

11 A I don't believe so, Mr. Gay. I think you'd  
12 have to look at each individual instance.

13 For example, when a pump goes down, pump  
14 breaks, the first thing you should do is get with  
15 construction and say, okay, what's the problem now, what  
16 do you plan on doing, are you going to put another one in  
17 or are you going to repair this one; and if you're going  
18 to repair this one, how long do you estimate that it's  
19 going to take.

20 Your first consideration would be, for me,  
21 would be to make sure that a cold joint in the concrete  
22 does not occur.

23 There's a lot of things that's taken into  
24 consideration there; how long the concrete has been  
25 sitting there, the amount of retarder, the ambient

12-4  
1 conditions as far as is it cool, in direct sunlight, any  
2 wind, or what like that.

3 You'd have to take a look at each instance  
4 of pump failure as it occurred and how long it was going  
5 to take to repair the pump, and go based on that.

6 If they said, no, it's going to take us  
7 four to five hours, then you've got to come up with  
8 something. You've got to come up with a back-up pump  
9 or another way of placing the concrete.

10 To have just a pump breaking down four to  
11 five times during a pour, I would not say that was  
12 justification for an inspector to stop a placement.

13 Q Do you know, Mr. Singleton, whether the QC  
14 inspectors involved in evaluating this particular  
15 placement in Lift 15 carried on that kind of dialogue  
16 with construction?

17 Did they go to them and ask them about the  
18 problems that were occurring, particularly the pump  
19 failures?

20 BY WITNESS SINGLETON:

21 A Mr. Gay, I was there approximately maybe half  
22 the length of the pour, and we do carry -- this is normal  
23 for us to carry on this type of dialogue because we're in  
24 constant radio contact with construction, that we need to  
25 know what step they're going to do next so that we can

12-5  
1 be prepared.

2 I know this happened during my presence.  
3 After I left the placement, I don't have any recollection,  
4 I don't have any knowledge that this type of dialogue  
5 took place, but it's a typical type dialogue that takes  
6 place every day on each pour, the communication with  
7 construction.

8 We question, and construction, they let us  
9 know what's going on, because we've got to work together.  
10 We've got to know what we're going to do.

11 Q I asked you a question a moment ago,  
12 Mr. Singleton, about the reasons for the discipline of  
13 the QC inspectors.

14 One of the things mentioned in the memo that  
15 I showed you I think refers to those QC inspectors'  
16 failure to report to their supervisors.

17 Would you agree with that as a grounds for  
18 discipline of those QC inspectors?

19 MR. GUTIERREZ: Mr. Chairman, the Staff would  
20 object. The question is meaningless, absent an  
21 explanation of what that document says and an identifi-  
22 cation of that document. I didn't follow the question.  
23 It presupposes something is in the record that he's  
24 referring to.

25 MR. GAY: I don't think it presupposes

12-6 1 anything, Mr. Chairman.

2 What I was asking Mr. Singleton was the  
3 failure to report to QC supervisors the incidents that  
4 were occurring at Lift 15 a grounds for the disciplinary  
5 action that was taken against them.

6 I think that question can stand apart from  
7 any reference to the memo.

8 MR. GUTIERREZ: Well, maybe I was mistaken.  
9 I thought Mr. Gay referred to the memo.

10 MR. GAY: Oh, I did. I asked him if he  
11 agreed with that, and essentially that's --

12 MR. GUTIERREZ: Well, you see, that's the  
13 problem, the Staff has never seen the memo and therefore  
14 didn't understand the question.

15 JUDGE BECHHOEFER: I take it you've rephrased  
16 the question.

17 MR. GAY: I've rephrased the question.

18 WITNESS SINGLETON: What's the question?

19 BY MR. GAY:

20 Q I'm asking you, from your personal  
21 recollection, whether or not the failure of the QC  
22 inspectors involved, the two that were disciplined, was  
23 a reason for the discipline that they failed to report  
24 the events that were occurring at Lift 15 to their  
25 immediate supervisors.

12-7  
1 BY WITNESS SINGLETON:

2 A Well, let's see. Memo from Tom Shreeder to  
3 Mr. Vincent, Mr. Schreeder was to cite QC supervi or,  
4 Mr. Vincent, I believe at the time was project QA manager.

5 Now, I wasn't involved in the decision to do  
6 this, but I believe your question is was the failure of  
7 the inspectors to report to their supervision exactly  
8 what went wrong out there, or to report --

9 Q Well, let me see if I can explain this a  
10 little bit.

11 A while ago you mentioned that there were  
12 two or three instances that these QC personnel were  
13 asked questions and they failed to give explanations as  
14 to what went wrong.

15 Now, I'm just trying to get some explanation  
16 first of all, if there was any consideration in  
17 disciplining them based upon the fact that they did not  
18 immediately, during the progress of that pour, go to their  
19 supervisors and explain what was going on, or if there was  
20 a subsequent consideration in disciplining that they  
21 refused to acknowledge under cross-examination by their  
22 supervisors what went wrong.

23 BY WITNESS SINGLETON:

24 A Mr. Gay, I'm going to bring up again that I  
25 wasn't involved in the decision to discipline these

12-8

1 people.

2 Q Well, I understand that, Mr. Singleton.

3 BY WITNESS SINGLETON:

4 A In my opinion, was that justification enough  
5 to give them disciplinary action; is that the question?6 Q No, I'm just asking if the failure to report  
7 to supervisors was a consideration for the disciplinary  
8 action, and if so, what that involved; was it a failure  
9 to report immediately on the site, or was it a failure  
10 to respond under cross-examination?

11 I mean, you did --

12 JUDGE BECHHOEFER: Well, let's have him  
13 answer the first question first, and if he knows, then  
14 maybe you can go on. If he doesn't, it will cut it off.15 WITNESS SINGLETON: Not involved in the  
16 decision to discipline these people, but the best of my  
17 knowledge, I do believe it was a consideration, it was  
18 considered in the decision to discipline them.

19 BY MR. GAY:

20 Q Now that you've said that, do you say that  
21 because it would have been logical for those QC inspectors  
22 to inform their supervisors of the events that were  
23 occurring at Lift 15 placement, or was it because they  
24 failed to communicate to their supervisors at some  
25 subsequent period of time?

12-9 1 BY WITNESS SINGLETON:

2 A It was a combination of both. If they  
3 experienced problems in Lift 15, then it would have  
4 been their responsibility to seek assistance from their  
5 supervisor to help remedy the situation, and also  
6 immediately following the placement the inspectors were  
7 asked several times, two to three times, did you have  
8 any problems and they indicated that they did not, so  
9 I think both of those things were taken into consideration  
10 for them to be disciplined.

11 Q I have a broader question about the question  
12 of supervision, Mr. Singleton.

13 Do you think the failure of the QC inspectors  
14 at Lift 15 could have been in any way attributable to a  
15 failure of supervision of QC?

16 BY WITNESS SINGLETON:

17 A No.

18 Q No?

19 BY WITNESS SINGLETON:

20 A No.

21 Q So could we assume from that that you would  
22 not accept any personal blame as a QC supervisor for the  
23 events that occurred at Lift 15 placement?

24 BY WITNESS SINGLETON:

25 A I wouldn't accept any blame at all. I would

12-10

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 be concerned as a QC supervisor, again, that we had the  
2 requirements to inspect for the procedures and when we  
3 run into problems to seek the help from our own super-  
4 vision, from engineers and everything, and if our  
5 inspectors had failed to do this I would be concerned  
6 as, you know, this is something they should be doing,  
7 and why didn't they seek assistance from their super-  
8 vision or why they didn't get with engineering or what,  
9 I would be concerned with the root problem of why it  
10 did not occur.

11 Q Prior to Lift 15 placement, Mr. Singleton,  
12 were QC inspectors trained as to what to do under a  
13 series of events as occurred at Lift 15?

14 BY WITNESS SINGLETON:

15 A As a series of events that were unique to  
16 Lift 15 or that if you ran into a problem during a  
17 placement, this is what you did.

18 Q Well, I had in mind the series of events  
19 regarding the pump failures and the high congestion of  
20 rebar, and those type of events.

21 BY WITNESS SINGLETON:

22 A Yes, we have been. We have been in the  
23 course of our training and our qualification training,  
24 our periodic retraining, our what we call safety and  
25 training sessions which are held weekly, we deal with



1 how to handle problems.

2 As part of our testing we were given situations,  
3 for example, you're on a concrete placement, the form tie  
4 breaks, the foreman wants to do this, the engineer wants  
5 to do this, what do you as an inspector do? This has  
6 been part of our test, of our questions, and it was done  
7 to handle situations like this.

8 We have, not procedures, but we have  
9 instructions on how to handle auditors, how to handle  
10 NRC when they come on a pour, you know.

11 Yes, we have been trained to handle situations  
12 like that. We've had sessions, we've had questions,  
13 we've had tests.

14 Q Could you inform us as to the two individuals  
15 that were disciplined? What were the names of the two  
16 individuals?

17 BY WITNESS SINGLETON:

18 A Jerry Souther, S-o-u-t-h-e-r, and Charlie  
19 Spooner, S-p-o-o-n-e-r.

20 Q And that's the same Mr. Spooner that -- whose  
21 notes you were referring to a moment ago?

22 BY WITNESS SINGLETON:

23 A That's correct.

24 Q I think you identified him at the time as a --  
25

12-12 1 you say he was a lead QC inspector?

2 BY WITNESS SINGLETON:

3 A No, sir. Both of them were Level II batching  
4 and placing inspectors.

5 Q Okay. This question can go to any member of  
6 the panel that perhaps would know the information.

7 Who was the seniormost individual knowledgeable  
8 of the events that were occurring at Lift 15 at the time  
9 that they were occurring?

10 In other words, who was the Brown & Root  
11 individual on the jobsite that was aware of what was  
12 occurring at Lift 15?

13 Mr. Murphy, do you happen to know that?

14 BY WITNESS SINGLETON:

15 A Present on the jobsite during the pour?

16 Q Yes. Someone who was aware of the events  
17 that were occurring, the seniormost person in Brown & Root.

18 MR. HUDSON: Could we have a clarification;  
19 is that in QC or in construction?

20 JUDGE BECHHOEFER: I was just about to ask  
21 that.

22 BY MR. GAY:

23 Q Well, let's take it first with QC,  
24 Mr. Singleton, do you know the answer with regard to  
25 QC?

12-13

1 BY WITNESS SINGLETON:

2 A Well, when the placement started, the senior-  
3 most QC man that would have been knowledgeable of the  
4 activities that were going on would have been the civil  
5 QC supervisor, Mr. Allen Hammons.

6 Q Was he aware of the progress of Lift 15?

7 BY WITNESS SINGLETON:

8 A He was aware of the progress of Lift 15.

9 Q And he was aware of the pump failures? Would  
10 he been aware of that?

11 BY WITNESS SINGLETON:

12 A He would have been aware of the pump failures  
13 by communication with -- his communication with the lead  
14 inspectors, his communication on the radio and everything,  
15 his monitoring of the radio as far as the progress of the  
16 pour.

17 - - -

18

19

20

21

22

23

24

25

13-1 1 Q Who was the senior-most construction person  
2 at the site aware of mistakes or the sequence of  
3 events that were occurring on Lift 15?

4 BY WITNESS SINGLETON:

5 A I guess the senior-most construction man  
6 that would have been familiar with the activities would  
7 have been the general civil superintendent.

8 I think that was Mr. Jim Salvetti at the  
9 time.

10 Q Now, were either Mr. Salvetti or  
11 Mr. Hammons disciplined for failing to take this  
12 information up the ladder and discuss it with either  
13 engineering or someone else in construction during  
14 the progress of this pour?

15 Do you know, Mr. Murphy?

16 BY WITNESS MURPHY:

17 A No, I do not, Mr. Gay.

18 BY WITNESS SINGLETON:

19 A The pump failures as they occurred, as  
20 I am looking at Mr. Spooner's memo here, the pump  
21 failures here would not have been -- strictly QC now --  
22 would not have been a reason to go to higher  
23 management of a concern on the progress of the pour.

24 Broke down for 30 minutes; broke down  
25 for an hour; broke down for 45 minutes.

13-2

1 Our main concern would have been the  
2 prevention of a cold joint occurring in the concrete and  
3 would not have been a concern for taking it to higher  
4 management at that time.

5 When most of this activity occurred, as far  
6 as placement of concrete around the polar crane brackets  
7 and at the top, it occurred very early in the morning,  
8 3:00, 4:00 o'clock, 5:00, from 3:00 to 6:00 in the  
9 morning.

10 Mr. Hammons would have left approximately  
11 6:00 or 7:00 o'clock that night. I don't know how  
12 long Mr. Salvetti was out there.

13 The concrete superintendent, concrete  
14 general foreman, they were all present.

15 Q Mr. Artuso, do you agree with the comments  
16 that Mr. Singleton just made that the series of pump  
17 failures showed no reason for construction personnel to  
18 take this matter of the ladder and discuss a  
19 possible solution?

20 BY WITNESS ARTUSO:

21 A This is generally a procedural affair for  
22 a given site, and for a QC person to identify a problem,  
23 if he can on his level readily resolve a problem, then you  
24 handle it on that level; if it is a problem that is  
25 beyond the scope of his responsibilities, then it would

13-3 1 go up the ladder.

2 Let's look at this particular situation,  
3 for example.

4 There's an old axiom that you cannot  
5 inspect quality into the product. It's the constructor  
6 or the construction people's primary responsibility to  
7 get that placed without a cold joint, without any  
8 honeycomb.

9 The inspector there is to verify that they  
10 are doing that. It's the inspector's responsibility to  
11 identify if they don't find it.

12 Now, to timely call a cessation of that pour  
13 would be almost primarily an economic situation.

14 If he has enough intelligence and experience  
15 that he can fall back on and say this is going to be a  
16 real time-consuming and expensive repair, we had better  
17 stop it now, he can suggest that.

18 His counterpart in construction should  
19 have that responsibility of actually performing the  
20 stop.

21 Q There's one thing that I recall you  
22 mentioning when we were in San Antonio, Mr. Artuso, and  
23 that is in your Monday morning quarterbacking situation  
24 as TMI, you might have suggested to them that they  
25 simply, upon reaching a particular point in the pour,

13-4 1 have just turned on the hoses and washed that concrete  
2 out.

3 I'm not asking you whether or not that  
4 should have been done at South Texas Project. What I  
5 am asking you is from the knowledge that you have of  
6 the events that took place during Lift 15, should the  
7 personnel there have gotten together and decided, "We've  
8 got to take some action, or we need to discuss this with  
9 upper management"?

10 BY WITNESS ARTUSO:

11 A. Here again, it's a matter of time. Upper  
12 management -- It may be too late to go to upper  
13 management.

14 This is a decision that has to be made  
15 quickly. If you had an experienced senior-type person  
16 on the job, his responsibilities should be well-defined  
17 as to whether he stops the pour if he contemplates a  
18 problem.

19 Had I been there and I received reports  
20 that there were continual breakdowns and I was the  
21 inspector, just a Level 2 inspector looking at it, I  
22 could foreseeably do the same thing he did.

23 I didn't see any specific cause.

24 But on the other hand, if I were an  
25 engineer there who had more experience, who had seen

13-5 1 much more construction and who could detect that there  
2 was a possibility of voids, then it would be my  
3 responsibility to stop the pour, for one reason, and  
4 that is to save my employer the time and cost of  
5 repairing that.

6 Q Mr. Artuso, do you have an opinion as to  
7 whether or not there ought to be a procedural step  
8 involved in the process of a concrete pour where an  
9 engineer is contacted upon a certain sequence of  
10 events, or reaching a certain point in time?

11 BY WITNESS ARTUSO:

12 A I would say that any procedure should have  
13 a stop-work requirement in there. If you see that  
14 there is no question whatsoever at certain levels of  
15 work being performed that is not in compliance with  
16 the specifications, you should have the procedures  
17 established so that it can be stopped, much like --  
18 Let's simplify it.

19 The Level 2 inspector has to see to it that  
20 concrete of only a certain temperature, of only a  
21 certain slump, goes into the placement.

22 If a truck comes up and it doesn't have  
23 that slump and temperature, he can reject it.

24 That is his primary responsibility. That  
25 is his so-called stop-work limitation, whereas the



13-6 1 construction engineer or a senior-type construction  
2 fellow on that project, if he knows, and in this case  
3 I assume from all of the discussions, it was not readily  
4 known about the honeycomb formations.

5 If he knew that there were honeycomb  
6 formations, he would have been very wise to have  
7 stopped the pour.

8 Q Do you have an opinion that there was a  
9 lack of experience of the personnel involved in Lift 15  
10 placement that contributed to the problems there?

11 BY WITNESS ARTUSO:

12 A I would say that -- again, you know,  
13 second guessing is easy, and Monday-morning quarterbacking  
14 is easy.

15 Knowing what developed there, I would have  
16 said that there should have been some concern on the  
17 part of the Level 2 inspector that there were honeycombs  
18 being formed.

19 He should have known that much. Now,  
20 whether he -- I don't think he necessarily could be  
21 given the responsibility of stopping the pour, but he  
22 certainly should have had the responsibility of reporting  
23 those possibilities, so that then the next day they  
24 could have investigated it and determined whether  
25 corrective action was required.

13-7

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Mr. Murphy, earlier this morning Judge Lamb  
2 asked you questions about penetrations through the  
3 wall.

4 I think you responded by citing one that  
5 occurred under the steam line.

6 Was there also a penetration that went  
7 through the wall in the Lift 8 at I guess it would be  
8 the personnel air lock, personnel air hatch?

9 BY WITNESS MURPHY:

10 A Yeah, the personnel air lock is in Lift 8,  
11 or a portion of it is in Lift 8.

12 Q Was there a penetration that went through  
13 the wall in that area?

14 BY WITNESS MURPHY:

15 A The personnel air lock went through the  
16 wall.

17 Q I mean, was there a void in or around that  
18 air lock that went through the wall?

19 BY WITNESS MURPHY:

20 A I think there was a -- There is one there,  
21 as I said earlier. There was three or four of these  
22 situations in the containment that we came across.

23 Without going back and specifically looking  
24 at drawings, I couldn't say for certain, but I would  
25 say that that could have been a likely spot.

13-8

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Do you recall a consulting engineer by the  
2 name of John King?

3 BY WITNESS MURPHY:

4 A Yes, I most certainly do.

5 Q Did he deal with the void problem at Lift 8?

6 BY WITNESS MURPHY:

7 A Yes. As a matter of fact, Mr. King was  
8 involved from the onset in the development of the  
9 repair procedures and the methods that were used to  
10 investigate and repair all of these.

11 As I stated in previous testimony, I think,  
12 Mr. King was the primary developer of the material that  
13 we ended up using to repair this.

14 It was the cementitious non-shrink grout.

15 Q With regard to the --

16 BY WITNESS MURPHY:

17 A It was a cementitious cement grout.

18 Q This is a clarifying question regarding the  
19 waterproofing membrane.

20 Can someone tell me where that waterproofing  
21 membrane begins and what is covered by the waterproofing  
22 membrane?

23 I guess what I'm asking is what level --

24 BY WITNESS MURPHY:

25 A The waterproofing membrane begins at the

13-9 1 bottom and ends at approximately Elevation 28.

2 Now, I say the bottom. The bottom varies  
3 throughout the plant, depending upon the structure that  
4 we're talking about.

5 We pour a mud slab, if you will, which is  
6 a construction working surface; and on that -- this is  
7 a horizontal surface, and there's a layer of waterproofing  
8 membrane applied there.

9 Over that there is a seal slab, if you will, to  
10 protect that while the reinforcing steel and additional  
11 work is being done above it.

12 Then when you get into a vertical surface,  
13 the waterproofing membrane is applied from that point  
14 up to elevation, approximately 28.

15 Q Is Elevation 28 below ground?

16 BY WITNESS MURPHY:

17 A It's grade.

18 BY WITNESS SINGLETON:

19 A It's grade.

20 MR. GAY: I pass the witness.

21  
22 //

23  
24 //

25

14-1 1 JUDGE BECHHOEFER: Did he say he was through?  
ged 2

3 MR. SINKIN: He passed the witness.

4 RE-CROSS-EXAMINATION

5 BY MR. SINKIN:

6 Q Mr. Singleton, you said that you were  
7 present for Lift 15 for about half the pour; is that  
8 correct?

9 BY WITNESS SINGLETON:

10 A That's correct.

11 Q Which half would that have been?

12 BY WITNESS SINGLETON:

13 A Approximately 10:00, 11:00 o'clock at  
14 night; it would have been the first portion of it.

15 Q I heard you say 10:00, 11:00 o'clock at  
16 night. That was when you left or arrived?

17 BY WITNESS SINGLETON:

18 A I left.

19 Q You left?

20 BY WITNESS SINGLETON:

21 A I left at approximately 11:00 o'clock,  
22 10:00 to 12:00, somewhere along in there.

23 Q In what function, in what capacity were  
24 you there? Why were you there?

25 BY WITNESS SINGLETON:

A I was a lead inspector, I believe for Unit 1,

1 lead inspector for Unit 1.

2 Q As lead inspector for Unit 1, then, were you  
3 essentially a supervisor of Mr. Spooner and Mr. Souther?  
4 Did they work under you?

5 BY WITNESS SINGLETON:

6 A They worked for the -- We had lead  
7 inspectors for preplacement activities, and we had a  
8 lead inspector that was over batching and placing  
9 concrete activities.

10 In the absence of the QC supervisor,  
11 civil supervisor, and in the absence of the Level 2  
12 batching and placing inspector, then I would have been  
13 supervising those two inspectors.

14 Q During the time you were at Lift 15, were  
15 the other two persons there, the Level 2 --

16 BY WITNESS SINGLETON:

17 A I believe the Level 2 batch and placing  
18 inspector left at approximately 5:30.

19 He lived quite a distance from the site, was  
20 in a van pool, and had no way of getting home. So he  
21 left approximately at 5:30.

22 I believe Mr. Hammons left probably about  
23 6:30 or 7:00.

24 Q Who was -- I'm sorry. It seems to me that  
25 earlier you had described Mr. Sooner and Mr. Souther

14-3

1 as Level 2 batching and placement inspectors.

2 BY WITNESS SINGLETON:

3 A That's correct.

4 Q But there's a Level 2 supervising --

5 BY WITNESS SINGLETON:

6 A There's a lead inspector over batch and  
7 placing.

8 Q And who would that have been?

9 BY WITNESS SINGLETON:

10 A I would say at the time I believe it was a  
11 man by the name of Jerry Lacey.

12 Q And he was the one that didn't have a ride  
13 home and left at around 5:30?

14 BY WITNESS SINGLETON:

15 A Yes.

16 Q And as far as Mr. Spooner and Mr. Souther,  
17 were they there for the full 20 hours with just breaks  
18 for meals?

19 BY WITNESS SINGLETON:

20 A I don't know if Mr. Spooner and Mr. Souther  
21 began the pour. Again, I wasn't supervising their  
22 activities at the time.

23 They were not there the -- They were  
24 relieved periodically. I don't know if they were  
25 there the full 20 hours, not counting relief.

14-4 1 I do know they were there from approximately  
2 5:30 p.m. to the duration of the pour.

3 Q Mr. Artuso, when you were discussing the  
4 stopping of work, it seemed to me that what you were  
5 saying was the primary authority for stopping work under  
6 these kind of conditions should rest with a construction  
7 engineer who was either watching what was going on or  
8 at least was continually aware of what was going on.

9 Is that your feeling of how the authority  
10 should be arranged?

11 BY WITNESS ARTUSO:

12 A Actually, I guess regulatory requirements  
13 really govern who performs the stop-work function, and  
14 they require QC to have stop-work authority; they require  
15 construction to have stop-work authority.

16 The primary goal is not to allow any  
17 shoddy construction stay in the structure.

18 So I believe that in this particular case a  
19 wise construction engineer, knowing that there were  
20 voids, or should have -- maybe -- again, let me say I  
21 am not sure how I would have behaved under those  
22 circumstances.

23 Certainly, if you know there are major  
24 voids, you should have stopped and washed out all the  
25 concrete and started from scratch.



14-5

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 I even envision a scenario where the next  
2 day you would probably be fired, because they would say,  
3 "Why did you ruin all that good concrete? There's no  
4 voids there."

5 So it's a very delicate situation. It  
6 takes someone with considerable experience to make that  
7 judgment and put it on the line.

8 Q Mr. Singleton, did you have the feeling --  
9 well, let me ask a first question.

10 Were you involved at all in questioning  
11 Mr. Spooner and Mr. Souther as to whether there were any  
12 problems on the pour?

13 Were you personally involved in that  
14 questioning on any of the occasions on which the  
15 questioning took place?

16 BY WITNESS SINGLETON:

17 A I was standing there when the supervisor,  
18 Mr. Hammons, asked Mr. Spooner or Mr. Souther if they  
19 had any problems with the pour. Probably twice -- two  
20 of the three times they were asked, I was there.

21 Q Was it your impression that they didn't  
22 want to say and they were embarrassed or for some other  
23 reason did not want to say they had had problems; or  
24 was it that they did not recognize that they had  
25 problems?

4  
15-6  
1 BY WITNESS SINGLETON:

2 A I think that they believed that under the  
3 conditions that existed out there, as far as the  
4 duration of the pour, the lighting, the accessibility,  
5 that they believed that construction had done the  
6 best job that they could.

7 I honestly believe that they didn't think  
8 that there were any voids in there, because any  
9 inspector, if they had thought that voids were occurring,  
10 then it would have been the proper thing to stop,  
11 remedy the situation; and if you could remedy the  
12 situation, continue; and if you couldn't, then make  
13 a decision.

14 But I honestly believe that they thought  
15 that construction had done the best job that they  
16 could under conditions, and I don't believe that  
17 they thought that there were any voids there.

18 Q Who decided on the three-day no-pay  
19 discipline?

20 BY WITNESS SINGLETON:

21 A I guess the over-all responsibility of it  
22 and the approval of it would have rested with Mr. Schreider.

23 I don't know if it was Mr. Hammons' suggestion  
24 and Mr. Schreider agreed with it. Knowing Mr. Schreider,  
25 I would say it was his suggestion.

15-7 1 Q You think it was Mr. Schreider's suggestion  
2 because he was particularly tough or....

3 BY WITNESS SINGLETON:

4 A I know how to answer you in construction  
5 language, but I'm trying to say something that I can  
6 say.

7 Q Would you describe him with three initials?  
8 I mean, what are you saying about Mr. Schreider?

9 BY WITNESS SINGLETON:

10 A He was tough.

11 Q He was tough. Okay.

12 Did you feel that the three-day, no-pay  
13 discipline was warranted under the circumstances?

14 BY WITNESS SINGLETON:

15 A I believe some disciplinary action was  
16 probably warranted, whether it was sitting them down  
17 and, you know, chewing them out and getting on their  
18 case and finding out what the problem was, or maybe  
19 putting a letter to the file where you had a discussion  
20 with them and your opinion that it was a failure on  
21 their part to perform their duties.

22 My own personal opinion is that I think the  
23 three days was a little extreme.

24 Q You talked about concern that a cold joint  
25 would form. Could you just describe briefly for me

15-8 1 what a cold joint would be?

2 BY WITNESS SINGLETON:

3 A I'm going to let Mr. Murphy give you the  
4 technical or the engineering definition of that.

5 BY WITNESS MURPHY:

6 A A cold joint as applied to in this  
7 situation would be a construction joint that was not  
8 prepared.

9 In other words, one in which you could  
10 not penetrate with a vibrator, a running vibrator, when  
11 you placed subsequent layers of concrete on it or by  
12 itself.

13 Q In other words, a vibrator wouldn't move  
14 through it?

15 BY WITNESS MURPHY:

16 A That's correct.

17 BY WITNESS SINGLETON:

18 A That was one of the tests of a cold joint is  
19 a vibrator when it's operating will penetrate in its  
20 own weight.

21 That's one of the things that when a pump  
22 goes down or you have a problem like that, that's  
23 something that you continuously monitor.

24 You may do it, depending on, again, the  
25 ambient conditions and stuff; you may do it every 15 or 20

15-9

1 minutes, go around and check for a cold joint situation.

2                   When you see one developing, that's when  
3 you get into it and get with the engineers and say, "Okay,  
4 this is what we've got. Now what are you going to do?"

5           Q        To your knowledge, was there ever a  
6 pour at South Texas where QC stopped the pour in the  
7 middle of it?

8 BY WITNESS SINGLETON:

9           A        I didn't hear the last. Stopped --

10          Q        Stopped the pour in midstream, in the  
11 middle of the pour?

12 BY WITNESS SINGLETON:

13          A        Yes, sir, there was. I did it once or twice  
14 myself.

15  
16 //

17

18 //

19

20 //

21

22 //

23

24 //

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

15-10

1 Q Was there ever one on the complex concrete  
2 pours?

3 BY WITNESS SINGLETON:

4 A You could call this one complex. It was  
5 the base mat for fuel handling building in Unit 1. I  
6 believe it was approximately twenty-four or twenty-five  
7 hundred cubic yards, a very congested pour.

8 Q Why did you stop it?

9 MR. HUDSON: Objection. Your Honor, we  
10 are getting far afield here, I think, and using a  
11 lot of time.

12 That's not relevant to the testimony of  
13 the witness. It's not relevant to the containment  
14 building or any of the contentions.

15 I think we're just exploring things for  
16 curiosity's sake.

17 This is redirect. It's not direct  
18 examination. If he had wanted to inquire into these  
19 areas, he could have done it earlier.

20 He didn't use all his time last night. Why  
21 didn't he ask these questions then.

22 JUDGE BECHHOEFER: Let me ask you, where  
23 are you going on this line?

24 MR. SINKIN: I was starting with the fact  
25 that Mr. Singleton was asked, "Should QC have stopped

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

15-11 1 this pour?"

2 His opinion was, "Perhaps they should  
3 have."

4 What I'm trying to elicit from him -- He  
5 has just told me that he actually stopped a pour once.

6 What I'm trying to elicit from him is the  
7 criteria for when a pour is stopped by QC and whether  
8 there have been instances where they have been stopped  
9 by QC, and if so, why were they stopped.

10 I think it's the same general area that's  
11 being explored about stop-work authority.

12 MR. HUDSON: Your Honor, we question, with  
13 that explanation, is any of that relevant to the issues  
14 before the Board, the contentions, and I don't see that  
15 they are.

16 MR. SINKIN: Well, there's one about  
17 technical competence, I believe.

18 JUDGE BECHHOEFER: I think we will sustain  
19 that objection. It's getting pretty far afield.

20 BY MR. SINKIN:

21 Q Mr. Long, when you were asked earlier by  
22 Mr. Gutierrez, I believe, why there was no tap test  
23 used prior to the Lift 15 breakdown and all the subsequent  
24 events, you said that procedures were thought to be  
25 sufficient at that time.

15-12 1           Were you aware of voiding in concrete at  
2 South Texas prior to Lift 15?

3 BY WITNESS LONG:

4           A        Would you specify which structure you are  
5 talking about, or the plant in general?

6           Q        Were you aware of voids that occurred in  
7 the fuel handling building, the containment base mat,  
8 the secondary shield wall?

9 BY WITNESS LONG:

10          A        I was aware of the FH-1 S-2 spent fuel pool  
11 slab, Elevation 21-11; it had some voiding on the  
12 underside of that slab prior to Lift 15.

13          Q        Did that voiding in any way raise in your  
14 mind a concern that there might be future voiding and  
15 that perhaps some special measures should be taken?

16 BY WITNESS LONG:

17          A        This was a very unique slab, and I think  
18 Mr. Murphy could probably tell you a little bit about  
19 the configuration of the rebar on that particular  
20 slab.

21          Q        Well, I'm not really asking that question.

22                    I was asking if, in your mind, the occurrence  
23 of those voids raised a more generic concern.

24                    I think I'm hearing you say not really,  
25 because --



15-13

1 BY WITNESS LONG:

2 A It was very unique in the fact that it  
3 had bundle No. 11's, which do not occur at any other  
4 place, to my knowledge, in the plant, and did not have  
5 a steel liner, as the containment shell does.

6 Q At what elevation in the containment  
7 building does the steel liner start?

8 BY WITNESS HERNANDEZ:

9 A Mr. Sinkin, I'm not altogether sure. I  
10 believe it might be as minus 11.3.

11 Q And let me get the relationship between the  
12 bottom of the steel liner at minus 11.3, where you  
13 think it is, and the -- I guess it would be the mud  
14 seal that's the lowest possible --

15 BY WITNESS HERNANDEZ:

16 A It's 18 feet below that.

17 Q The mud seal is 18 feet below the edge of  
18 the steel liner?

19 BY WITNESS HERNANDEZ:

20 A That's in general. I'm talking about --  
21 What we have is we have a two-foot internal fill slab  
22 on top of the three-eighths-inch carbon steel liner.

23 Then beneath that we have an 18-foot thick  
24 concrete mat; and below that, you would have the  
25 waterproofing membrane.

15-14 1 It wouldn't be its lowest point, because on  
2 the outside circumference of the containment mat we  
3 have a lower area which is called the tendon gallery.

4 Q Mr. Singleton, you testified that when you  
5 were the lead inspector for Power Block Unit 2, that  
6 Mr. Swayze was the lead inspector for Unit 1, the  
7 power block for Unit 1; is that correct?

8 BY WITNESS SINGLETON:

9 A That's correct. We changed up several  
10 times and switched things around, but at the time I  
11 was testifying about, that's correct.

12 Q To your knowledge, was Mr. Swayze the  
13 first QC hired for this plant?

14 BY WITNESS SINGLETON:

15 A No, he wasn't.

16 Q Do you know who was?

17 BY WITNESS SINGLETON:

18 A I believe there were two or --

19 MR. GUTIERREZ: Mr. Chairman, the Staff  
20 has to object to that question, just on the basis of  
21 relevancy.

22 (Bench conference.)

23 JUDGE BECHHOEFER: Why is that relevant?

24 I think the Staff's objection is well  
25 taken there, unless you can give me some explanation.

15-15

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. SINKIN: I was basically laying some foundation questions about his knowledge about Mr. Swayze's background at the project, and I was going to ask him to characterize Mr. Swayze's work.

JUDGE BECHHOEFER: How does that relate to this panel's testimony? It doesn't have anything to do with Mr. Swayze's work, I don't think.

MR. SINKIN: Well, you have a lead inspector in charge of an entire power block unit, and my questions are going to the characteristics of that inspector's work, whether he did good work, poor work, whether Mr. Singleton had confidence in that work, just like we've explored his opinions of the work of Mr. Souther and others.

//

//

//

//

//

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

15-1

1 MR. HUDSON: Your Honor, can we be heard on  
2 the Staff's objection?

3 JUDGE BECHHOEFER: Well, if you're going to  
4 support it, you can't be, because we're going to uphold it,  
5 but if you're against it --

6 MR. HUDSON: I'll withdraw.

7 JUDGE BECHHOEFER: It isn't relevant to  
8 either to the -- any questions asked by the Board or  
9 the Staff, as far as we can determine.

10 BY MR. SINKIN:

11 Q Mr. Singleton, earlier you were questioned  
12 by Mr. Gutierrez about Roger Forte, and I believe you  
13 said that he was a lead inspector for Units 1 and 2 and  
14 at the same time you were QC supervisor. Is that  
15 correct, or were you changing positions in the midst of  
16 that?

17 BY WITNESS SINGLETON:

18 A We're in a transition period here. I was  
19 lead inspector for Fuel Handling 1 and 2. Mr. Forte was  
20 lead inspector for Reactor 1 and 2.

21 And then in March '79 I assumed the position  
22 of the civil QC supervisor, which at that time prior to  
23 that I worked with Mr. Forte. As of March '79 I super-  
24 vised Mr. Forte's activities.

25 Q Are you familiar with a memorandum that

15-2

1 Mr. Forte wrote about the cleanliness of a particular  
2 pour and your role in okaying that pour?

3 BY WITNESS SINGLETON:

4 A I've almost got it memorized. I could say  
5 I was familiar with it.

6 Q Earlier you answered some questions regarding  
7 that, and you said that you were not involved in the  
8 disciplining of Mr. Forte, I remember, and that you were  
9 not involved in the decision and then you went on and  
10 named who had.

11 Did you agree with that decision? Did you  
12 feel that Mr. Forte should have been placed on probation?

13 BY WITNESS SINGLETON:

14 A Yes, I did.

15 Q Were you disciplined in any way for the topic  
16 of that memorandum?

17 BY WITNESS SINGLETON:

18 A No, I wasn't.

19 Q Was there any --

20 JUDGE BECHHOEFER: Where is this line of  
21 questioning going?

22 MR. SINKIN: That's the last question right  
23 there, Your Honor.

24 BY MR. SINKIN:

25 Q Mr. Hernandez, was there any tap test ever

15-3  
1 done on any lift prior to finding the Lift 15 problem  
2 at any time?

3 BY WITNESS HERNANDEZ:

4 A No, not to my knowledge.

5 Q You stated that you felt there would be a  
6 problem in doing it generally because you would end up  
7 drilling a lot of holes in the liner where there was  
8 just a small separation.

9 BY WITNESS HERNANDEZ:

10 A That was one of my reasons.

11 Q One of your reasons. If you could take that  
12 a step further, what is the actual problem? Are you  
13 saying that you're weakening the liner by drilling the  
14 holes?

15 BY WITNESS HERNANDEZ:

16 A No, sir, you're not weakening the liner by  
17 drilling the holes.

18 I just see no reason to indiscriminately  
19 drill into -- except into the steel liner, on the basis  
20 of a sounding approach as a result of the tap test.

21 I don't believe that the tap test, in and by  
22 itself, can be used as a means of providing conclusive  
23 evidence as to whether there exists a void on the other  
24 side of the carbon steel liner. I just don't believe  
25 that. I believe that you have to have specific

1 information regarding that pour, you have to evaluate  
2 where that is relative to the structural features of the  
3 liner.

4 I think that you have to go back and review  
5 what happened with respect to the characteristics of the  
6 pour and with all that information then yes, as an  
7 engineer, I can go back and evaluate a specific area  
8 as to the merits of an area that has been marked out  
9 relative to the tap test.

10 But my position is that if tomorrow someone  
11 draws some area on the containment liner, in and by itself  
12 I would not go out and drill in through the containment  
13 liner on that basis alone. I would not agree.

14 Q The voids in Lift 8 around the stiffener,  
15 were they above or below the stiffener, do you recall?

16 BY WITNESS HERNANDEZ:

17 A I'm not sure; with respect to what we found  
18 in the Lift 8 investigation, and Jerry can correct me,  
19 the only time that we found voids were beneath the eight-  
20 inch stiffeners, or let's say the channels, and the  
21 eight-inch steel plate stiffeners where we had an  
22 unusual amount or what we have characterized as a heavily  
23 reinforced congested area, but the voids were beneath  
24 the eight-inch channel.

25 Q They were beneath. Judge Lamb was asking a

15-5 1 series of questions about the strain meters, or the  
2 strain gauges, I guess they're called.

3           Would I be correct that in Containment  
4 Building No. 1 that Carlson stress and strain meters  
5 were installed? Is that correct?

BY WITNESS HERNANDEZ:

7           A       I believe that's the name given to that type  
8 of strain gauge, Carlson strain gauge.

9           Q       Carlson strain gauge. Is that the same strain  
10 gauge as installed in Unit 2?

11 BY WITNESS HERNANDEZ:

12           A       I believe it -- I would have to go back and  
13 look. I don't know if we have installed strain gauges.  
14 I believe Reg. Guide 1.1<sup>2</sup> is with respect to the first  
15 unit. I don't believe we actually installed strain  
16 gauges in Unit 2. I'd have to go back and check on that.

17                   I think it's doubtful that we did. I don't  
18 think that there's a regulatory requirement, but I'd have  
19 to check the document.

20           Q       Well, let me be sure I understand. What  
21 specifically is the strain gauge designed to measure?

22 BY WITNESS HERNANDEZ:

23           A       The strain gauge is designed to measure --  
24 let me start from the beginning.

25                   When you have the containment you have



15-6  
1 certain documents which state that you will place a  
2 strain gauge at certain stress locations. Okay.

3 You build your containment, and in the  
4 process of building the containment you locate the  
5 strain gauge as required.

6 You get to the point that the strain -- that  
7 the containment has been completed. You're in the  
8 process of performing the structural integrity test,  
9 which is the actual "go/no go" test for the containment.

10 Q Excuse me. Is that the pressure test now  
11 you're talking about?

12 BY WITNESS HERNANDEZ:

13 A Yes, sir. It's a pressure test.

14 You take the pressure up to 1.15 times your  
15 accident pressure that's been determined on the job.

16 You have digital analyzer with leads to these  
17 various strain gauges. As you take up the pressure  
18 you'll be able to read out the strains with respect to  
19 how the containment is expanding, okay, or how it's  
20 moving differentially, circumferentially and radially.

21 You then take that information and you  
22 analyze it against what you had predicted in terms of  
23 design strains that you would see as a result of the post-  
24 tensioning and the SIT.

25 Q Then can you explain to me why you would want

15-7  
✓  
1 to do that kind of test on Unit 1 but not want to do it  
2 on Unit 2?

3 BY WITNESS HERNANDEZ:

4 A Because you have the same type of contain-  
5 ment. You're verifying the adequacy of the containment  
6 design.

7 Unit 1, okay -- I should say Unit 2 is a  
8 replica of Unit 1. You're actually going back and  
9 baselining the containment configuration. It's a  
10 replication.

11 MR. SINKIN: Pass the witness, Your Honor.

12 JUDGE BECHHOEFER: Oh, good. I was just  
13 going to inquire when we could take a break. We'd like  
14 to take a break.

15 We'll take a 15-minute break.

16 (A short recess was taken.)

17 - - -  
18  
19  
20  
21  
22  
23  
24  
25

6-1 1 JUDGE BECHHOEFER: Back on the record.

2 Before we go to the Staff, Dr. Lamb has a  
3 couple of questions based on the last series of questions.

4 WITNESS HERNANDEZ: Excuse me, Judge  
5 Bechhoefer. I would like to make a correction of the  
6 statement I made with respect to a response to  
7 Mr. Sinkin. I don't see him here, but I checked --

8 With respect to the structural integrity  
9 test, I am in error. We do perform a structural integrity  
10 test both on Unit 1 and Unit 2.

11 However, the Unit 1 containment does contain  
12 all the strain gauges that are required as if the  
13 containment were to be considered a proto type. It does  
14 contain the strain gauges.

15 Whereas, on the structural integrity test  
16 performed for Unit 2 per the Reg Guide requirements, we  
17 are going to make a gross deflection check of the  
18 containment, and we will also perform the visual  
19 examination of the containment consistent with what we  
20 are doing on the Unit 1 containment for crack patterns,  
21 et cetera.

22 That's a correction.

23 MR. SINKIN: Does that mean there are no  
24 strain gauges in Unit 2, though?

25 WITNESS HERNANDEZ: There are no strain

6-2 1 gauges in Unit 2 embedded in the concrete. They are  
2 provided in Unit 1.

3 BOARD EXAMINATION

4 BY JUDGE LAMB:

5 Q My question was related to that then. We  
6 talked about the use of strain gauges this morning in  
7 connection with the 65 psi test.

8 BY WITNESS HERNANDEZ:

9 A Yes, sir.

10 Q That can't be done in Unit 2?

11 BY WITNESS HERNANDEZ:

12 A The pressure test, sir?

13 Q Yes.

14 BY WITNESS HERNANDEZ:

15 A Yes.

16 Q You do have strain gauges in it for that?

17 BY WITNESS HERNANDEZ:

18 A No, sir. We do not have -- The require-  
19 ment is that we will strain -- The requirement is to  
20 strain gauge the Unit 1 containment.

21 We have provided additional strain gauges  
22 in the Unit 1 containment, as I stated before in this  
23 morning's testimony, to consider it as a potential proto-  
24 type, because --

25 Q Those are the ones you referred to on Page 57

6-3 1 of your testimony?

2 BY WITNESS HERNANDEZ:

3 A Yes, sir.

4 Q Now in Unit 2?

5 BY WITNESS HERNANDEZ:

6 A In Unit 2 we will perform the same type of  
7 test. We will do a leak rate test to test the leak  
8 tightness of the containment membrane, the liner, and  
9 then we will also take the containment up to its  
10 structural integrity test.

11 We will also perform a visual examination  
12 of the containment and monitor any gross deformations of  
13 the containment.

14 The requirement is that on the Unit 1  
15 containment we will go back and be required to review the  
16 actual strain gauge measurements against predicted  
17 strains in the containment. If those indeed are  
18 acceptable, then you are allowed to go back to the Unit 2  
19 containment and say the Unit 2 containment will be  
20 performed on a structural integrity test without the  
21 strain gauges. There is no requirement for the Unit 2  
22 containment to be strain gauged. But there is a require-  
23 ment for the licensee to perform the structural integrity  
24 test.

25 Q So you would not in Unit 2 be able to

6-4

1 determine the presence of voids, for example?

2 BY WITNESS HERNANDEZ:

3 A Yes. We would.

4 Q You would?

5 BY WITNESS HERNANDEZ:

6 A The pressure test is a pressure test. It --  
7 The strain gauges do not tell you if the liner is going  
8 to deform to an unacceptable amount.

9 The strain gauges are placed in the concrete  
10 itself. They are providing information relative to the  
11 strain or movement of the concrete itself at different  
12 points in the concrete. Okay?

13 Whereas, when you take the pressure test up,  
14 you are putting the pressure inside the containment. If  
15 you had a localized area where you did not identify a void,  
16 and you had a void in back of the liner, and you pressure  
17 tested the 65 psi, this would exceed the yield value of  
18 the liner, because it would not have support because of  
19 an absence of concrete if you had a void. And you would  
20 see a permanent set or deformation in the liner, okay, at  
21 that point in time, or any type of voids that were on  
22 the -- let me clarify that -- any voids that were adjacent  
23 to the liner surface.

24 The pressure is an internal pressure. It is  
25 like a tin can, pressurizing a tin can. Okay? If you

6-5  
1 over pressurize it, you are going to deform the tin can.  
2 That is why there is a jacket, or the containment shell  
3 around the containment liner. The containment liner in  
4 and of itself is not a structural member. It provides a  
5 leak-type membrane. That's its only function.

6 Therefore, if we had portions where the  
7 concrete was not placed back of the liner, and we did take  
8 the pressure test up, you would be able to tell if you had  
9 gross deformation of the liner. It would be an acceptance/  
10 rejection test of the liner, itself, and it is an  
11 acceptance/rejection test of the overall performance of  
12 the containment as its ability to constrain that pressure.

13 Q All right. But there is something that will  
14 be determined only by a visible change and a permanent  
15 visible change in the character of the liner?

16 BY WITNESS HERNANDEZ.

17 A That's correct.

18 Q You would not -- do not have the capability  
19 to do that with strain gauges in Unit 2?

20 BY WITNESS HERNANDEZ:

21 A There are no strain gauges on the liner.  
22 My point is that you are not going to be able to tell,  
23 other than a permanent deformation either on Unit 1 or Unit  
24 2 with respect to the liner.

25 Q On Unit 1 in your testimony on Page 57 you

1 say that HL&P requested the incorporation of additional  
2 strain gauges. This is in addition to what strain  
3 gauges? This is more strain gauges.

4 BY WITNESS HERNANDEZ:

5 A Those are more strain gauges than the  
6 requirement for Reg Guide 1.18. When we consider the  
7 containment as a prototype, or the potential for having  
8 it considered as a prototype, what we did is we met the  
9 criteria of the Reg Guide by providing additional strain  
10 gauges that were required when you consider the containment  
11 as a prototype.

12 As I stated before, when we first started  
13 out on the construction of the containment we did not know  
14 if these other units that were preceding us, which were  
15 similar in configuration, would be completed on time with  
16 respect to their construction schedule. Therefore, we  
17 did not want to have the situation whereby we were now,  
18 because our production had proceeded at a rapid rate where  
19 we were the first containment to undergo the SIT as the  
20 configuration we have.

21 Therefore, to alleviate this concern we  
22 required that we consider ourselves and potentially  
23 prototype and that we provide the additional strain  
24 gauges required by the Reg Guide as a consideration of  
25 a prototype containment, so that we wouldn't get down and



1 be in the position of just before going to -- get in the  
2 position of going and performing the SIT, and having to  
3 argue with the NRC, or any regulatory body, gentlemen,  
4 you didn't put additional strain gauges and we are  
5 considering you a prototype. We didn't want to be in  
6 that argument.

7 It was far more economical for us to just  
8 include those strain gauges and provide some additional  
9 pieces of information.

10 Q What I am having trouble with you say  
11 "additional strain gauges." That suggests that in  
12 connection with prototype testing you installed strain  
13 gauges in addition to strain gauges which you would have  
14 installed if you were not going to make the prototype  
15 test.

16 BY WITNESS HERNANDEZ:

17 A That's correct. That's on Unit 1.

18 Q So then there is a base group of strain  
19 gauges installed in Unit 1 --

20 BY WITNESS HERNANDEZ:

21 A Yes, sir.

22 Q -- regardless of the possibility of prototype  
23 tests?

24 BY WITNESS HERNANDEZ:

25 A Exactly.

6-8 1 Q But those are not in Unit 2?

2 BY WITNESS HERNANDEZ:

3 A Those are not in Unit 2.

4 Q Yes, Mr. Artuso.

5 BY WITNESS ARTUSO:

6 A I would just like to add that in concrete  
7 technology, the proof testing of concrete members, is  
8 primarily one of measuring deflections. And you measure  
9 deflections against the calculated deflections that you  
10 would get under the loadings, under the stresses that  
11 you would get.

12 The logic for containment SIT testing is  
13 very much the same. You load test the containment, and  
14 you measure how much it deflects. And if it meets within  
15 the calculated deflections, then it is considered  
16 acceptable.

17 Now, let's assume that you had tremendous  
18 voids in there, you may get a permanent deflection, or  
19 you may get unusually large deflections. This would mean  
20 then that, the SIT test would tell you that that contain-  
21 ment is not acceptable.

22 Q Right, but that will -- You will only be  
23 able to do that, if I understand what I am being told,  
24 you will only be able to do that on containment 1?  
25

6-9  
1 BY WITNESS ARTUSO:

2 A No. You don't need strain gauges to measure  
3 overall deflections. You can do it by other means.

4 Q Okay.

5 BY WITNESS ARTUSO:

6 A I had mentioned on Unit 2 that we would take  
7 gross deflections. We will monitor the deflection of the  
8 containment on Unit 2. We just won't have strain gauges  
9 inside the containment shell wall that are actually  
10 providing data as to how the concrete is moving, at the  
11 outside face, the middle face, and the inside face.

12 BY JUDGE BECHHOEFER:

13 Q If you were going to use the test to detect  
14 voids, would your information be as useful after you did  
15 the Unit 2 as after you did the Unit 1 test?

16 BY WITNESS HERNANDEZ:

17 A Yes, sir. That's --

18 Q In terms of detection of voids.

19 BY WITNESS HERNANDEZ:

20 A Yes, sir. That's what I am trying to say.  
21 When you pressure test, you have a containment that is  
22 filled with a pressure. That pressure is an internal  
23 pressure and it is pushing out radially. It is trying to  
24 press against the containment liner. The point is, if  
25 we have any internal voids, or if we have voids that are

6-10 1 on the inside face of the containment liner, on the inside  
2 face of the containment liner you will see a deformation  
3 of the liner. That is one way of telling.

4 The other way is if you go back and you see  
5 something unusual happening with regard to the Unit 2  
6 containment because deformations and deflections are not  
7 in line with predicted values that you have already  
8 calculated both from Unit 1 and predicted on the basis  
9 of calculations for Unit 1 and Unit 2 you will readily be  
10 able to ascertain there is a problem.

11 You will also have, as the containment  
12 swells up, the concrete is going to crack. You are going  
13 to form a crack pattern. If you see any cracks over and  
14 above a certain size or thickness, then those are grounds  
15 for concern, also. Those are written into specification.

16 So it is not just that the strain gauges  
17 by themselves are going to tell you whether the containment  
18 is acceptable or not. It is going to tell you Unit 1 is  
19 acceptable, and it is going to tell you that the  
20 configuration of that containment whether it is Unit 1,  
21 whether it is Unit 2, or whether it be a Unit 3 or  
22 Unit 4 is an acceptable configuration that it will perform  
23 as it has been designed.

24 Q But strictly in terms of void, the strain  
25 gauges really have no affect at all, whether they are

6-11 1 there or not, strictly in terms of voids?

2 BY WITNESS HERNANDEZ:

3 A Strictly in terms of voids they are not  
4 going to tell you that there is a problem, but the  
5 instrument that is going to tell you a problem is when  
6 you take the pressure up and perform the SIT, all the  
7 strain gauges are telling you is as the containment swells  
8 this is the strain. That is all of the information that  
9 that is telling you.

10 JUDGE BECHHOEFER: Mr. Gutierrez, recross?

11 MR. GUTIERREZ: Yes. Thank you, Mr. Chairman.

12 RECROSS-EXAMINATION

13 BY MR. GUTIERREZ:

14 Q First, Mr. Hernandez, I understood you say  
15 in answer to a question by Dr. Lamb that HL&P thought the  
16 use of horizontal stiffeners would be a better design  
17 relative to constructibility than using Nelson studs.  
18 I have two questions in that regard.

19 First, briefly could you explain what a  
20 Nelson stud is, and, secondly, could you give HL&P's  
21 thinking behind choosing the horizontal stiffener design  
22 over the Nelson stud design?

23 BY MR. HERNANDEZ:

24 A Yes, sir, if I can describe a Nelson stud.  
25 It's a piece of -- It is like a metal rod, which is

6-12 1 welded on to the back of the containment liner. It has a  
2 little button at the end of it. It is a proprietary  
3 type arrangement. It's specific purpose is to provide  
4 anchorage into the concrete through the capacity of the  
5 extended piece of rod.

6 When we evaluated Brown & Root's  
7 recommendation at that point in time we were concerned  
8 with regard to the fact that the Nelson studs, as they  
9 were typically going to be welded on to the containment  
10 liner -- you have some type of configuration, a diamond  
11 pattern -- in other words, the Nelson studs would be at  
12 all corners of a diamond. We call that a diamond pattern.  
13 Or you could have a square pattern, or something of that  
14 nature.

15 And the concern that we had was they would  
16 have to be placed on the containment liner prior to its  
17 erection, from a constructibility standpoint. You have a  
18 transportation problem when you have the circular ring of  
19 the liner, and it is laying down on a truck being shipped  
20 out. You have a very high tendency to break off some of  
21 the Nelson studs attached to it. And this was a concern  
22 with regard to replacing of the Nelson studs.

23 It was just something we felt that even once  
24 we got the liner in place that we would be looking at  
25 damage to the studs when we were placing the reinforcing

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 next to the containment liner, that we would inadvertently  
2 damage some of the stud, and probably have a very hard or  
3 have a very high degree of difficulty in replacing those  
4 studs.

5 Second, we were aware that the configuration  
6 of the, the revised configuration of the containment liner,  
7 with the horizontal channels and the vertical angle  
8 stiffeners was a design that had been accepted through the  
9 Bechtel topical report submitted to the NRC. That  
10 Bechtel topical report was used as a basis for our review  
11 with regard for reviewing for constructibility, as well  
12 as for insuring that the configuration met the design  
13 intent.

14 Those were some of the outstanding reasons.

15  
16 ///

17  
18 ///

19  
20 ///

17-1

geu

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Q Okay, thank you.

2 Just to be clear and to close this, once the  
3 liner plate is erected and the pour has been prepped --  
4 you are ready for the pour -- is there any difference in  
5 ease of inspection and accessibility for inspectors, if  
6 you are using Nelson studs versus the horizontal  
7 stiffeners?

8 BY WITNESS HERNANDEZ:

9 A I think you would not -- With the Nelson  
10 stud you would not have the problem that you have a  
11 horizontal surface, in terms of the eight-inch channel  
12 which could -- which we found to restrict the  
13 visibility of the concrete beneath it, as the concrete  
14 is coming up.

15 But on the same standpoint, with the  
16 Nelson studs, if you are taking a vibrator -- this is  
17 just my personal opinion.

18 If you are taking a vibrator and you are  
19 using a very heavy vibrator, a three-inch diameter  
20 vibrator, and you are going very close to the reinforcing,  
21 you may have a tendency to knock off some of the studs.

22 It's a give-and-take proposition with regard  
23 to the design of the vertical stiffening system versus  
24 a studded system.

25 Q Okay, thank you.



17-2 1 BY WITNESS FISHER:

2 A Might I add just a comment, Mr. Gutierrez?

3 Q Yes, Mr. Fisher.

4 BY WITNESS FISHER:

5 A One consideration in using the stiffened  
6 liner in lieu of a liner with studs was simply a  
7 matter of constructability from another aspect, and that  
8 is that the liner with the stiffeners is self-supporting  
9 as an interior form; whereas a liner with studs would  
10 require supports from the interior of the containment  
11 in terms of large ring girders, bracing and so forth  
12 during placing of the concrete.

13 This type of apparatus has a tendency to  
14 get in the way of work going on inside the containment,  
15 and so it's a constructability consideration, as well  
16 as the other factors that Mr. Hernandez mentioned.

17 Q Thank you, Mr. Fisher.

18 Mr. Artuso, in response to a question  
19 from Dr. Lamb, I understood you to say that voids are  
20 always present under penetrations; and I'm asking you  
21 did you mean that, or is it more correct to say that  
22 the potential for voids are particularly present under  
23 penetrations?

24 BY WITNESS ARTUSO:

25 A Well, here again, we'll have to get into

17-3

1 a definition of what is a void.

2 A void would be entrapped air pocket, let's  
3 say, and you can name the size.

4 I would say categorically that under any  
5 horizontal plane, bleed water and air will rise and  
6 become entrapped under there.

7 So all penetrations, all flat areas, have a  
8 certain number of voids.

9 Q Okay. Let me ask you this: Relative to  
10 significant voids, which we've gone into great deal in  
11 the past, is it your testimony that significant voids  
12 are always present under penetrations, or that the  
13 potential for significant voids are particularly  
14 present under penetration?

15 BY WITNESS ARTUSO:

16 A I would say that insignificant voids are  
17 always present under penetrations; significant voids only  
18 if it's not placed properly.

19 Q Mr. Murphy, I'd like to ask you the question:  
20 What are you doing, Brown & Root doing, now different  
21 from what you were doing prior to Lift 15 to counteract  
22 the potential for the occurrence of significant voiding  
23 underneath penetration?

24 BY WITNESS MURPHY:

25 A The major change is that there has been

17-4 1 in blockouts over a given dimension, which I cannot  
2 recall exact, but I think it's something like 18 inches,  
3 there will be a vibrator port, if you will, through the  
4 middle of the blockout, in which a vibrator can be  
5 lowered through that and concrete placed through that  
6 port, also.

7 That is the major change, then until now.

8 Q And by "blockout," do you mean -- I have  
9 the mental picture of actually what I described as a  
10 mini-form, I guess, and you are --

11 BY WITNESS MURPHY:

12 A You are correct.

13 Q -- actually making a special placement for  
14 the penetration areas?

15 BY WITNESS MURPHY:

16 A That's correct.

17 Q Now, Mr. Hernandez, during the Board  
18 questioning, a number of tests were discussed, and I  
19 jotted down the names of tests when they came up.

20 I jotted down four. It's my understanding  
21 that to date none of these tests have occurred, but that  
22 all of them at the appropriate time will be performed.

23 Let me just run down this list and you  
24 tell me if I'm correct.

25 The structural integrity test?

17-5

1 BY WITNESS HERNANDEZ:

2 A That is correct.

3 Q Leak rate test?

4 BY WITNESS HERNANDEZ:

5 A That is correct.

6 Q Post-tensioning test?

7 BY WITNESS HERNANDEZ:

8 A Yes, sir.

9 Q And pressure loading test?

10 BY WITNESS HERNANDEZ:

11 A Well, the pressure loading test is the  
12 structural integrity test.

13 Q Right.

14 BY WITNESS HERNANDEZ:

15 A But you are correct; those have not been  
16 achieved at this point in time.

17 They are acceptance tests in the future  
18 upon completion of the construction of the Unit 1 and  
19 Unit 2 containments.

20 Q Mr. Artuso, we've had extensive testimony  
21 relative to the unimportance of the membrane seal, and  
22 you said that in some cases it is desirable. You  
23 cited to protect concrete from corrosive waters.

24 My question is, is such water present around  
25 the South Texas Project?

17-6 1 BY WITNESS ARTUSO:

2 A That was one of the first questions I  
3 asked when I was consulted on this matter.

4 Concrete is effected by sulfates in water  
5 and soil, and I was told that the tests indicate that  
6 there are no sulfates present at any of the prescribed  
7 magnitude that would require protection for the concrete  
8 against sulfate effect.

9 Q Who was it that told you that?

10 BY WITNESS ARTUSO:

11 A The engineers.

12 Q Brown & Root?

13 BY WITNESS ARTUSO:

14 A Brown & Root.

15 Q Did you, yourself, perform any independent  
16 tests to assure that was the case?

17 BY WITNESS ARTUSO:

18 A No, I did not.

19 Q Mr. Hernandez, do you have any knowledge  
20 relative to the --

21 BY WITNESS HERNANDEZ:

22 A I have no knowledge of the contents of the  
23 water being high in sulfates.

24 Q Does any member of the panel?

25 //

17-7

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY WITNESS MURPHY:

A The sulfate concentrations of the groundwaters at South Texas are below, well below, any concentrations that would need to be addressed.

In addition to that, if they were there, the mix design and the water/cement ratio and the type of cement that is being used would also accommodate much higher concentrations of sulfate than we experienced.

//

//

//

//

//

//

//

//

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

17-8 1 Q I believe it was Mr. Long -- I could be  
2 mistaken. One of the panel members said that the  
3 voiding on Lift 15 was originally discovered by a  
4 laborer working on a construction joint.

5 Was that -- Was it Mr. Long or Mr. Murphy?

6 BY WITNESS MURPHY:

7 A That was I, Mr. Gutierrez.

8 Q Now, am I correct in saying that that would  
9 have been in preparation for Lift 16, the next lift?  
10 Is that what that laborer was doing?

11 BY WITNESS MURPHY:

12 A As I recall, and as I got information  
13 regarding this situation, the general superintendent,  
14 Mr. Salvetti, made an inspection of that construction  
15 joint upon his arrival the next morning, shortly after  
16 the placement had been completed.

17 He noticed that the slick lines had been  
18 discharged on top of the construction joint, if you  
19 will, at the completion of the placement; and that he  
20 had told the foreman to have the laborers clean that up  
21 and dress it up as a construction joint.

22 So it was much prior to the preparation of  
23 the next placement. It was the completion of this one,  
24 and they were removing hardened but green concrete in  
25 this operation.

17-9

1 Q So as I understand you, that would also be  
2 prior to final QC sign-off on Lift 15; post-placement  
3 inspections had not occurred at that time?

4 BY WITNESS MURPHY:

5 A No. This was hours after the placement.

6 Q I see. That might be unclear.

7 Is your answer that this laborer discovered  
8 the voiding that gave rise to the investigation prior to  
9 the final QC post-placement inspections on Lift 15?

10 BY WITNESS MURPHY:

11 A Yes.

12 Q Okay.

13 You also stated that the most recent pour  
14 found some voiding, even though, to your knowledge, all  
15 the new procedures were implemented and properly  
16 carried out. Is that what you said earlier?

17 BY WITNESS MURPHY:

18 A That is correct.

19 Q Could you elaborate a little bit as to  
20 where the placement was and the extent of the voiding?

21 BY WITNESS MURPHY:

22 A The placement? It was CS2W9, which is the  
23 ninth lift in the Unit 2 containment shell.

24 The placement in question encompassed the  
25 bottom portion of the equipment hatch.



17-10

1           The preplacement plan provided for the use  
2 and the placement of grout underneath this area, underneath  
3 this penetration.

4           The plan required that there be several  
5 locations underneath here in which a grout lance, if  
6 you will, would be fed to the liner from the outside of  
7 the containment.

8           If you will, this is a very congested area,  
9 and these lances had to be threaded, if you will, where  
10 a clear path existed.

11           In conjunction with these ports that were  
12 cut in the forms for inspection -- or to facilitate these  
13 lances there were inspection ports that were also  
14 provided in there.

15           The placement proceeded. I might add at  
16 this point that this is after we had some inclement  
17 weather and there was a two-hour delay because of rain  
18 and the removal of subsequent water that had resulted  
19 from the rain.

20           The placement proceeded, and up underneath  
21 this equipment hatch, approximately at 7:00 o'clock,  
22 there was an inspection port and a grout port.

23           The lance was used to inject grout underneath  
24 the penetration, and it was withdrawn as the grout  
25 moved forward.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

17-11 1 Just prior to the grout reaching the front  
2 end or the outside of the containment, the inspection  
3 ports were closed and this grout lance, which is probably  
4 eight or ten feet long -- probably ten feet long at  
5 this point -- was pulled out prematurely.

6 Subsequent placement, because of the  
7 congestion and what have you, did not permit subsequent  
8 lifts to flow into this area.

9 In the normal course of a post inspection after  
10 the placement was finished, there was an indication  
11 on the outside of the equipment hatch on a circumferential  
12 flange that was attached to the equipment hatch, there  
13 was an opening that you could put your fist in.

14 Subsequent to this, it was investigated and  
15 found that it was of approximately three feet from  
16 possibly 6:30 to 8:00 o'clock, if you will on a clock,  
17 and extending approximately seven to ten inches below  
18 or away from the equipment hatch sleeve, if you  
19 will; and it went into the shell approximately two,  
20 two-and-a-half feet.

21  
22 //

23  
24 //

25

18-1

1           The area was very visible and you could  
2 evaluate the condition of the surrounding concrete and  
3 grout, and it was an error in judgment, I guess, that  
4 the lance was pulled out when it was.

5           Q       Now, what you're saying is this is the only  
6 void that was found since new procedures were -- have  
7 been implemented?

8 BY WITNESS MURPHY:

9           A       I doubt that very seriously. I cannot tell  
10 you that for sure. I know that there was a rock pocket  
11 found in one of the set of previously approved pours, if  
12 you will.

13          Q       Is what you're saying then that this is the  
14 only void of significance that's been found subsequent?

15                   I'm wondering. My initial question was for  
16 you to elaborate on the voiding you were referring to  
17 this morning following the implementation of these new  
18 procedures.

19 BY WITNESS MURPHY:

20          A       This is the one, and this is what I was  
21 alluding to then, that no matter what we do to the  
22 procedures, we are never going to get to the point that  
23 we will assure ourselves of eliminating every void.

24 BY WITNESS HERNANDEZ:

25          A       Mr. Gutierrez, I might add, from an

18-2  
1 engineering standpoint, I think Brown & Root has  
2 evaluated this specific void located around the equipment  
3 hatch in this localized area, and we have also done the  
4 same.

5 We do not consider the void in and by itself  
6 to be significant from a structural standpoint, but your  
7 question did go back and say, have you identified any  
8 voids. Yes, we have.

9 We have also instituted, per procedure, the  
10 program to evaluate the void, to go back and chip out  
11 the concrete to determine the extent of the void, and  
12 have done so.

13 And on that basis, engineering has evaluated  
14 or is in the process of evaluating the void, but from our  
15 standpoint we find the void as not being significant in  
16 nature.

17 I might add at the time that this occurred  
18 to ensure that we had a proper indication of what was  
19 happening, as soon as the form was removed at that  
20 particular point, we sent the construction manager, we  
21 sent the engineering manager, we sent the site civil  
22 engineer from HL&P, and I think a couple of other people  
23 all at the same time to personally witness the extent of  
24 the void at that point in time.

25 It was their judgment, as well as our

18-3 1 engineering judgment, once we got the photographs and  
2 the actual extent of the void, this was not structurally  
3 significant.

4 Q I guess what's troubling me is in your new  
5 procedures, absent visual inspection for surface voids,  
6 how are you guaranteeing that you're going to detect  
7 internal voids?

8 What procedure do you have to see that those  
9 are picked up?

10 BY WITNESS HERNANDEZ:

11 A Mr. Gutierrez, I guess my point again is that  
12 if you're talking about any type of wall system, and  
13 there you're talking about, I assume, an internal void  
14 in some inner space between the exterior face and the  
15 interior face, whether there's a carbon steel there or not.

16 Is that the extent of your question?

17 Q Between the external face and the liner.

18 BY MR. HERNANDEZ:

19 A Okay. So your question --

20 Q That doesn't show itself on the surface.

21 BY MR. HERNANDEZ:

22 A Your question only relates to the containment,  
23 then?

24 Q Yes.

25 / / /

18-4 1 BY WITNESS HERNANDEZ:

2 A Okay. We are placing the concrete in the  
3 middle portion of the containment shell. I guess a  
4 picture would be worth a thousand words, but we have  
5 the -- the concrete is being placed in the middle  
6 portion of that containment shell wall.

7 If there's going to be any type of problem  
8 it's not going to be in the internal portion of the  
9 containment shell wall. It's going to be as the concrete  
10 has a tendency to flow through the reinforcement to get to  
11 the interior face or to the -- to the interior face where  
12 the liner is, or to the exterior shell.

13 Q Well, therein lies the problem, it seems.  
14 You've got a procedure to check if it flows to the exterior  
15 face and a void occurs. That's through visual inspection.

16 If the other problem occurs, namely it flows  
17 to the interior face, the liner, how do you pick up voids  
18 that occur there?

19 BY WITNESS MURPHY:

20 A There have been changes made to the procedure  
21 in which the application of grout in congested areas is  
22 being used more frequently.

23 The practice of injecting grout next to the  
24 liner and having it flow to the exterior of the contain-  
25 ment in these areas will eliminate a concern there.

18-5 1 In the other areas we have moved the prime  
2 cause of voids to a much more visible and accessible  
3 position, and there is -- then with those two things in  
4 mind, and then barring any problems with the placement,  
5 if you will, pump breakdowns and the like, and the  
6 industry practice of using inspection during the placement,  
7 the concerns are not justified.

8 BY WITNESS HERNANDEZ:

9 A I'd like to add, Mr. Gutierrez, also that  
10 before, and this is something that we can't over-stress,  
11 is that we had highly reinforced congestion. We admit  
12 to that.

13 We also admit to the point that this  
14 reinforcing congestion severely restricted the ability  
15 of both the concrete hand who was placing the vibrator  
16 and the QC inspector from getting to the point of  
17 accessibility where he could inspect the pour, or where  
18 he could be down there actually ensuring the adequacy of  
19 the concrete placement.

20 We have made changes with regard to the  
21 reinforcing configuration so that we have provided a  
22 much larger degree of accessibility for the inspectors,  
23 and again, we have made changes in the configuration, we  
24 have made changes with regard to visibility, lights, we  
25 have made changes with regard to the time the pour will

18-6  
1 start. If we can't get our act together by a certain  
2 drop-dead time, the pour is not going on during that day  
3 and will have to be shut down until the next day or the  
4 next time that they can make the pour.

5 For all of these reasons we don't feel that  
6 there is a rational reason to go back and tap the external  
7 surface of the containment liner for each individual pour.

8 Q Just let me close this line with one question  
9 that continues to trouble me.

10 I hear what you're saying, that your new  
11 procedures, from an engineering point of view, satisfy  
12 you that voids will not occur, significant voids will not  
13 occur.

14 In the same breath I hear you saying  
15 relative to Lift 7 in order to verify that your new  
16 procedures worked that you performed a sounding test  
17 to satisfy yourselves of that.

18 Now, I'm sitting here thinking, well, if you  
19 thought it was a good idea for Lift 7, why do you also  
20 say in the future it's not only redundant but could add  
21 problems or create problems?

22 BY WITNESS HERNANDEZ:

23 A Because, Mr. Gutierrez, you're relying on a  
24 tapping of the containment liner. It's an audible  
25 mechanism whereby if my ears are better than somebody



18-7 1 else's ears, where I say I think that sound sounded a  
2 little bit more distinct or hollow sound than the  
3 gentleman next to me, I would be going back and marking  
4 the containment liner.

5 Q Well, now, Lift 7 you did sounding, right?

6 BY WITNESS HERNANDEZ:

7 A Yes, sir.

8 Q As contrasted to tapping?

9 BY WITNESS HERNANDEZ:

10 A Yes, sir.

11 Q Let me ask you this question. In light of  
12 that, do you think it's a desirable feature to -- as a  
13 post-placement QC check to sound lifts for voids?

14 BY WITNESS HERNANDEZ:

15 A I would rather place the -- and again I can't  
16 state this too strongly -- I would rather have my QC in  
17 the middle of the pour during the inspection than having  
18 to provide a false sense of satisfaction against tapping.

19 I would rather have QC in the pour witnessing  
20 the pour. I would rather have construction adequately  
21 trained and performing against a construction procedure  
22 and I would rather have a site engineer available to  
23 witness the pour to ensure if anything does occur unusual  
24 that it's taken care of.

25 I believe that that's the proper method for

18-8

1 ensuring the adequacy of the pour, not in and by itself  
2 tapping.

3 Q Let me ask you this, relative to the Lift 9  
4 and the void Mr. Murphy described.

5 If the void went the other way, toward the  
6 liner, as opposed to toward the surface, how would that  
7 have been picked up? How would it have been detected?

8 BY WITNESS HERNANDEZ:

9 A It was adjacent to the liner, and it was on  
10 the exterior surface.

11 Q I'm saying now if it had gone the other way,  
12 in other words, if it had flowed to the interior, or the  
13 void was created in the interior, how would that have been  
14 picked up, assuming all procedures, all new procedures  
15 were implemented?

16 BY WITNESS HERNANDEZ:

17 A Well, that is a very unlikely occurrence.  
18 The pre-placement plan required that grout lances be  
19 placed through the thickness of the shell up against the  
20 liner, the carbon steel liner, and this is the point that  
21 the placement began.

22 In other words, grout was ejected against  
23 the liner and it was witnessed through inspection ports  
24 as it flowed to the outside of the containment.

25 So the method of placing, it was visually

18-9 1 watched and inspected.

2 We had provided inspection ports to witness  
3 that. I guess it's hard to visualize, but this lance is  
4 in a horizontal plane. There is enough visibility to  
5 see that the lance has been placed against the liner.

6 The grout is ejected from the lance and is  
7 slowly withdrawn back from, away from the containment  
8 liner.

9 At this particular point, at the time as the  
10 lance was withdrawn, because of the height of the  
11 inspection pour, there was a concern that the grout was  
12 going to come through the inspection port.

13 Therefore, that inspection port was closed  
14 and you could not witness what was occurring in the last  
15 six to eight inches as you withdrew the lance to ensure  
16 that grout was actually being filled in that exterior  
17 portion against the wooden form.

18 Q It's my understanding from Mr. Murphy's  
19 testimony that the void wasn't six or eight inches but  
20 three feet by two and a half feet.

21 BY WITNESS HERNANDEZ:

22 A I'm talking with respect to depth.

23 BY WITNESS MURPHY:

24 A The inspection port was closed. The inspection  
25 port and the point at which the grout lance was injected

18-10 1 were not coincident. They were somewhat removed.

2 The grout was at a lower elevation than the  
3 injection port, and consequently would have come out the  
4 inspection port had it remained open.

5 BY WITNESS HERNANDEZ:

6 A Mr. Gutierrez, when I said six to seven  
7 inches, or I believe six to seven inches, my -- in depth,  
8 what I meant is if you have the center line of the  
9 equipment hatch and you move radially from the  
10 theoretical center line of the equipment hatch, you'll  
11 have the outside ring of the equipment hatch.

12 My six to seven inches was moving along that  
13 radial line away from the equipment hatch. If you want  
14 to take it in terms of depth, that's what I meant with  
15 respect to.

16 Q If it's any comfort, I understand it now.

17 BY WITNESS HERNANDEZ:

18 A All right.

19 Q Mr. Singleton, relative to Lift 15, after  
20 Mr. Hammons left at approximately six and the Level II  
21 batching-placement inspector left at approximately 5:30,  
22 who were Mr. Souther and Mr. Spooner's supervisor at that  
23 point?

24 BY WITNESS SINGLETON:

25 A I would have been their supervisor at that

18-11

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

point.

Q And were you their supervisor from, I guess, somewhere right after 6:00 o'clock to 11:00 p.m., when you left?

BY WITNESS SINGLETON:

A That's correct.

Q During that time why didn't you perceive any problems with the pour?

BY WITNESS SINGLETON:

A During that time we didn't have any problems with the pour other than the pump failure.

At the beginning of the pour we had what we considered to be -- not at the beginning of the pour, as it got dark we perceived the problem to be with adequate lighting, where we got with construction and indicated we needed additional lighting, and which they complied with it.

The time element that you're talking about where the problems occurred in and around the polar crane brackets was after 11:00, close, you know, to 4:00, 4:00 to 6:00, 3:00 to 6:00 o'clock in the morning.

- - -

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

19-1 1 Q Well, it's my understanding that the  
ge 2 principal reasons for the voiding on Lift 15 have been  
3 cited as the pump failure and the duration of this  
4 pour, the unusual duration.

5 As I look at this, you say the pump failure  
6 had already occurred, and by this time the pour had been  
7 going on for some almost 13 or 14 hours.

8 Were you subject to any disciplinary  
9 action as a result of the subsequent discovery of voids  
10 on Lift 15?

11 BY WITNESS SINGLETON:

12 A Why would I have been subject to disciplinary  
13 action?

14 No, I wasn't.

15 I didn't mean to answer the question with  
16 a question.

17 BY WITNESS HERNANDEZ:

18 A Mr. Gutierrez, we've also cited other  
19 contributing factors beyond the pump breakdown in our  
20 testimony.

21 That is of significance to us as the  
22 engineers, okay, but we've also cited the other  
23 aspects, the undeniably long duration of the pour,  
24 the limited accessibility, the rebar congestion with  
25 respect to the containment bracket area, the extent

19-2 1 of the bracket, the portion of the bracket that  
2 extends into the shell wall itself, added to the  
3 congestion in the area.

4 So, therefore, I don't want to leave you  
5 with the impression that it was only the pump breakdown  
6 that brought about this event.

7 BY WITNESS SINGLETON:

8 A If I could expand a little bit further on  
9 that, the pump breakdown contributed to the pour lasting  
10 as long as it did.

11 The fact that the pumps broke down, in itself,  
12 did not say, "Okay. The pumps broke down. That's why  
13 you had a void."

14 That's why I got my hair a little bit up on  
15 my neck just then.

16 Q From 6:00 to 11:00, did you bring any of  
17 the concerns that Mr. Hernandez just listed to anyone's  
18 attention, engineering's attention, construction's  
19 attention?

20 BY WITNESS SINGLETON:

21 A From 6:00 to 11:00, like I said, the only  
22 concerns that the inspectors brought to me, or even  
23 talked to me about any problems they had at all during  
24 that time period was inadequate lighting, which we  
25 took immediate steps with the electrical superintendent

19-3

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

and the concrete superintendent to remedy that situation.

The inspectors did not indicate that they had any problems at all during that placement.

Q And then after you left at 11:00, who was the inspectors' immediate supervisor?

BY WITNESS SINGLETON:

A Prior to my leaving -- At the time that I left, everything was, you could say, was going smooth. There was no problems.

I talked to the inspectors. They had no problems.

When I left, it would have been -- I don't remember, it was either Mr. Souther or Mr. Spooner, would have been in charge of the pour.

They had instructions that if any problems did occur, they had our telephone numbers where they could contact us and let us know that they had a problem, and we could come back out there.

We had other QC inspectors there monitoring the concrete testing agency at the time.

Q Is what you are saying, then, that after 11:00, there were no QC supervisors present during the pour? Is that what you are saying?

//

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



19-4 1 BY WITNESS SINGLETON:

2 A There was not a concrete -- a civil QC  
3 supervisor present or a lead inspector present. That's  
4 correct.

5 Q Before you left at 11:00 did you ascertain  
6 how long the two inspectors, Souther and Spooner, had  
7 been on duty?

8 BY WITNESS SINGLETON:

9 A Would you repeat that last part, please?

10 Q Did you ascertain or ask them or find out  
11 through any other means how long these two inspectors  
12 had been on duty before you left at 11:00?

13 BY WITNESS SINGLETON:

14 A I believe Mr. Souther and Mr. Spooner had  
15 came onto the pour approximately a little after  
16 5:30 or right at 5:30.

17 Q And your source for that information is  
18 your memory?

19 BY WITNESS SINGLETON:

20 A Memory.

21 Q One other comment relative to Lift 15 you  
22 made I'd like to ask you about.

23 You stated that construction did the best  
24 they could under the conditions. I believe that was  
25 your testimony.

19-5 1 My question is, is that the QC inspector's  
2 job, to make such a judgment? Is that what you're out  
3 there for, to determine whether construction put forth  
4 its best effort?

5 BY WITNESS SINGLETON:

6 A I believe my comment was based on the  
7 observation of what I thought Mr. Souther or  
8 Mr. Spooner, if they had had any problems, and I was  
9 reading off of a memo that Mr. Gay had given me; and it  
10 was my observations that I felt that the inspectors  
11 believed that under the conditions that existed, as far  
12 as duration of the pour, the accessibility, the  
13 visibility, they believed that construction had done  
14 the best job that they could.

15 Q But isn't the role of the QC inspector not  
16 to determine whether construction did the best job they  
17 could, but whether construction followed the specifications  
18 and procedures?

19 BY WITNESS SINGLETON:

20 A The role of the QC inspector is that  
21 construction requires with the requirements of the  
22 specifications and the procedure.

23 Q Just a few more questions.

24 Mr. Murphy, did you state that in the  
25 review of the voiding problem following Lift 15 that

19-6

1 approximately three or four voids underneath  
2 penetrations went all the way through the containment?  
3 Did I understand that correctly?

4 Of the voids you discovered, you found  
5 about three or four of them that had actually gone  
6 through --

7 BY WITNESS MURPHY:

8 A As I recall, that's the approximate number,  
9 yes.

10

11 //

12

13 //

14

15 //

16

17 //

18

19 //

20

21 //

22

23 //

24

25 //

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2545

19-7 1 Q Mr. Artuso, do you have any basis for  
2 telling us what percentage of containments within the  
3 nuclear industry are built with membranes?

4 BY WITNESS ARTUSO:

5 A I don't know what percentage are built with  
6 membranes. I said some are and some are not.

7 I don't have any idea.

8 Q Do you have any knowledge relative to the  
9 percentage of containment built with membranes when  
10 those containments are built in areas where there's a  
11 high groundwater table?

12 BY WITNESS ARTUSO:

13 A Seabrook is built with membrane. There it's  
14 a -- one of the primary reasons is to protect the  
15 concrete from seawater attack.

16 The other reason is they have some deep pits  
17 where they want to provide greater assurance that  
18 there is no leakage of water.

19 Q With that exception or with that -- Is  
20 that the only plant you know that was built with a  
21 membrane, and also was built on an area where there was  
22 a high groundwater table?

23 My question was whether you know what  
24 percentage of plants?

25 //

19-8

1 BY WITNESS ARTUSO:

2 A No, I don't know the percent. I was trying  
3 to recall of all the plants I've been associated with  
4 which had and which had not membranes; and many of them  
5 were in high water level. Most of the ones in Florida  
6 were, and I can't recall which ones of those had  
7 waterproofing membrane.

8 MR. GUTIERREZ: Thank you.

9 That's all, Mr. Chairman.

10 (Bench conference.)

11 BOARD EXAMINATION

12 BY JUDGE BECHHOEFER:

13 Q I want to go back just briefly to this  
14 area of lighting in connection with Lift 15 pour.

15 First, on page 13, I guess, Mr. Murphy  
16 indicated that visibility limitations, and I think you  
17 said included lighting, were one of the factors that  
18 caused the voids in that Lift 15; is that not correct?

19 BY WITNESS MURPHY:

20 A That's correct, Judge Bechhoefer. Part of  
21 the visibility limitations were attributable to  
22 insufficient lighting, but also because of congestion  
23 and just the access for visibility.

24 Q Now, I believe Mr. Singleton mentioned, and  
25 I'll ask you this, if the people involved in the pour

19-9  
1 had reported to your inspectors that there were lighting  
2 problems, and I think you stated that they did that and  
3 they were corrected.

4           Were they corrected adequately or was enough  
5 done in this area? Either one of you can answer that.

6 BY WITNESS MURPHY:

7           A.       Well, probably not as much as could have  
8 been done, because we've ended up with some voids there.

9           Now, whether it was done soon enough, I guess,  
10 is the question.

11 BY WITNESS HERNANDEZ:

12           A.       Judge Bechhoefer, at that point in time --  
13 My understanding is that at that point in time when they  
14 requested additional lighting, you had to get these  
15 portable lamps.

16           They are high intensity lamps, but you had  
17 to physically move them from where they were located on  
18 the plant site, and then place them on the top of the  
19 containment where this pour or the top of Lift 15 where  
20 this placement was occurring.

21           In addition to that, concrete is a gray  
22 color. At night, even with lighting, you run into  
23 difficulty with shadows and everything else like that.

24           Now you are in this area of a high degree  
25 of rebar congestion and you are tired and everything

19-10

1 else like that.

2 It only amplifies the situation of the  
3 problems that we had there.

4 Even with this lighting there, you've got  
5 the contrast of bright lights, dark shadows obscuring  
6 some of the portions of where you are working in.

7 You can't have continuous floodlights on  
8 every square inch of that pour.

9 So I don't think that even if we had  
10 provided the lights at 2:00 or 3:00 o'clock in the  
11 morning, that's a little late.

12 Q Should complex pours be undertaken --

13 BY WITNESS HERNANDEZ:

14 A We have changed that.

15 Q -- pardon?

16 BY WITNESS HERNANDEZ:

17 A We have changed that with regard to -- I  
18 think that will be discussed in the next panel as part  
19 of the restart program as to the steps that have been  
20 initiated as a result of looking at specifically this  
21 pour and saying it's obvious that we need to take steps  
22 to correct deficiencies that we had built into the  
23 system through inadequate provision of lighting.

24 In other words, if there was going to be  
25 the potential that this was going to go into the evening

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

19-11 1 or into the dusk, the lighting already should be up  
2 there, so that you are not having to go back and say, "I  
3 don't have adequate lights. I'll go run around and  
4 get them."

5 You are supposed to make that provision  
6 already in the pre-pour planning so that they are  
7 accessible. You are supposed to have a duration of the  
8 pour that's reasonable so that it can be performed in  
9 one continuous operation without the complete physical  
10 exhaustion of all the participants in the pour.

11 There should be rotation of inspectors, if  
12 indeed something is happening at that point in time.

13 I think that's something the restart panel  
14 could address probably in more detail than we can right  
15 now, but we have taken steps with regard to that.

16 Q I was going to ask whether there are  
17 standards for lighting in situations like that, any  
18 standards in terms of degree of illumination required,  
19 or --

20 BY WITNESS HERNANDEZ:

21 A No.

22 Q -- don't the standards get that specific?

23 BY WITNESS HERNANDEZ:

24 A We do not have that type of standards in  
25 terms of illumination, foot candles or anything like



19-12

1 that.

2 It's from the standpoint of do we have  
3 enough visibility through illumination to see what we're  
4 supposed to see in that specific pour.

5 It's a judgment factor with regard to that.

6 Q It may be addressed more by the next panel,  
7 but there was a reference to Procedure CCP-25.

8 Is that the procedure under which you would  
9 try to anticipate problems of this sort?

10

11 //

12

13 //

14

15 //

16

17 //

18

19 //

20

21 //

22

23 //

24

25 //

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

19-13

1 BY WITNESS HERNANDEZ:

2 A Yes, sir. That's the modified construction  
3 procedure.

4 Q Mr. Singleton?

5 BY WITNESS SINGLETON:

6 A Let me tell you about the light situation  
7 on that pour.

8 At approximately 5:30 or 6:30, the two  
9 inspectors, particularly Mr. Souther, said, "We're  
10 going to need some more lights up here."

11 Prior to that pour we had what we considered  
12 to be adequate lighting. It's hard to check out what's  
13 adequate lighting in the daylight.

14 So as it got darker, we decided that we  
15 needed additional lights.

16 I got with the concrete general foreman,  
17 Roy Pardon, and I said, "Roy, we're going to have to  
18 get some more lights up there."

19 He said, "Okay. I'll get with the general  
20 electrical superintendent, and we'll get the lights up  
21 there."

22 About 15 minutes later, Roy came back and  
23 said, "Hey, I got with the electrical man, but I'm  
24 having a little bit of trouble getting the lights up  
25 there. He doesn't want to seemingly get up there as

19-14

1 quick as he should. Can you help me out?"

2 I said, "Yeah, I can help you out."

3 I got on the radio, and I called

4 Jerry Souther. I said, "Jerry, if you don't have the

5 lights that you need up there within 30 minutes, let

6 me know and we'll stop the pour until we get the lights."

7 You say those magic words and it brought

8 a flurry of activity real quick, and the general

9 electrical superintendent got up there and got the

10 lights up there.

11 I got back with Jerry and I said, "Okay, have

12 you got everything you need? Got your lights? Got

13 any more problems?"

14 He indicated no more problems.

15 Q But I take it that even additional lighting

16 would have been desirable in view of -- through

17 hindsight?

18 BY WITNESS SINGLETON:

19 A Through hindsight. We had the lighting up

20 there, and in addition, the inspectors had a hand-held

21 flashlight; but again, the lights, the shadows, the

22 darkness, the glare, a hand-held flashlight can only

23 show you one small area.

24 In hindsight, yes. Now we've got it that

25 it's got to be adequate lighting, just, you know, not

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

19-15

1 say, okay, you can use adequate lighting and a  
2 flashlight.

3 It's got to be enough lighting that you  
4 can see the bottom of the joint. It can be clear,  
5 almost like it's got to be daylight inside those  
6 forms.

7 That's the way it is, and that's one of  
8 the considerations in CCP-25, and that's one of the  
9 considerations on the preplacement plan, that adequate  
10 lighting is available; a backup power source is  
11 available in case your primary power source goes out;  
12 and we have those considerations built in to the  
13 procedure now.

14 (Bench conference.)

15 JUDGE BECHHOEFER: That's all the questions  
16 the Board has.

17 Do you have any re-redirect, I guess it  
18 is, or further followup questions?

19 MR. HUDSON: Could I hold up just a  
20 second?

21 (Counsel conferring.)

22 MR. HUDSON: I don't believe we do.

23 JUDGE BECHHOEFER: Do any of the other  
24 parties have followup questions?

25 MR. GAY: Mr. Chairman, I have a bit of a

19-16 1 special request.

2 This memo that took place between  
3 Mr. Vincent and Mr. Schreeder seems to be more important  
4 to me now after the discussion that's gone on, and  
5 I would like to get it into the record.

6 I was not apprised of its existence until  
7 this morning and, therefore, did not have an opportunity  
8 to show it to Counsel ahead of time and get the copies.

9 Mr. Singleton is going to be up late in the  
10 week, and what I would like to do is to take five  
11 minutes with Mr. Singleton at that time just to offer  
12 this memo into the record.

13 I will have it available to all the parties  
14 in the morning, and Counsel for the Applicant can have  
15 an opportunity to evaluate it and have Mr. Singleton  
16 review it or check its accuracy before that time.

17 But rather than my wasting time on  
18 hypothetical questions at the moment, or to get this  
19 material into the record, or trying to prove it up with  
20 just one copy, I would like to make that special  
21 request, having five minutes to do that later on in the  
22 week.

23 MR. HUDSON: Your Honor, he showed the memo  
24 to Mr. Singleton earlier, but I don't recall that  
25 Mr. Singleton was either the author or addressee or

19-17

1 recipient of the memo.

2 I'm not sure he even asked him if  
3 Mr. Singleton had ever seen the memo before.

4 He just used it to refresh the witness'  
5 recollection.

6 I don't see how this document could come in  
7 through Mr. Singleton.

8 There's nobody on the panel that I've heard  
9 of that will attest to the accuracy of the memo.

10 (Bench conference.)

11 MR. GAY: Mr. Chairman, it's my recollection  
12 that Mr. Singleton testified that he sat through several  
13 conversations where Mr. Spooner was asked about Lift 15  
14 and about the events that transpired there.

15 I think that the important thing about this  
16 memo are some of the notes from Mr. Spooner regarding  
17 his recollection of what happened there, and I think  
18 that Mr. Singleton has testified that he is generally  
19 aware of those comments that were made.

20 I think that he has an opportunity to  
21 testify about that to prove that up.

22 MR. GUTIERREZ: Mr. Chairman, if the Staff  
23 could be heard.

24 Before we get into this document's  
25 admissibility or whether Mr. Singleton can sponsor it,

19-18

1 why don't we ask Counsel to at least reproduce it so  
2 we all can read it.

3 I don't have any idea what he's talking  
4 about in the document. Then we can at least discuss it  
5 intelligently.

6 MR. GAY: That would be fine, Your Honor.

7 JUDGE BECHHOEFER: Let's do that.

8 I can't rule on a hypothetical. It's  
9 difficult.

10 Other than that, did any party have any  
11 further questions, based on the --

12 MR. SINKIN: Just one, Your Honor.

13 FURTHER RECROSS-EXAMINATION

14 BY MR. SINKIN:

15 Q A very interesting description was being  
16 given of the gray concrete and the white light and the  
17 dark shadows and all of that.

18 I'm wondering, if there's been any general  
19 consideration of whether concrete pours should be done  
20 at night at all?

21 BY WITNESS HERNANDEZ:

22 A Mr. Sinkin, with regard to concrete pours  
23 at night, they can be done if there is provided  
24 adequate illumination to ensure that you can see the  
25 bottom of the pour.

19-19

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

If you cannot see the bottom of the pour,  
then I don't think as a general rule of thumb that you  
have provided adequate illumination.

Q Does that mean the answer to my question  
is --

BY WITNESS HERNANDEZ:

A I would not restrict pours with regard to --  
If I had a specific -- If I as a construction engineer,  
changing hats, and I wanted to make a pour at night for  
some unusual reason, I would not restrict myself to the  
fact that it was being done at night.

I would go back and provide the proper  
characteristics that would allow me to make the pour  
and make the pour correctly.

So I would have no restriction on the fact  
that if a pour is being placed at, say, 7:00 o'clock at  
night to 9:00 o'clock and it's getting from dusk to  
dark, I don't have a particular concern about that, as long  
as the proper steps are taken to ensure the illumination  
of the pour.

//

//

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345



0-1  
1 BY MR. SINKIN:

2 Q I am not sure I got a direct answer. Let me  
3 just ask one more time.

4 Based on this experience with Lift 15, and  
5 your other experiences with nighttime pours, has there  
6 been any general reconsideration of whether nighttime  
7 pours should be discouraged as a policy?

8 BY WITNESS HERNANDEZ:

9 A As a policy, not to my knowledge, have night-  
10 time pours been discouraged in and by themselves.

11 There has been consideration of starting the  
12 pour if you have a pour that is going to require an  
13 unusual amount of time, 1200 cubic yards, you would want  
14 to start that by no later than 9:00 o'clock, if my memory  
15 serves me correctly, on the restart program.

16 If you haven't gotten it together by that  
17 time, a certain time early in the morning to allow the  
18 most time with regard to daylight, then you junk the pour.  
19 You don't go through with it.

20 BY WITNESS ARTUSO:

21 A I would like to make a comment, Mr. Sinkin,  
22 to your question. There are some nuclear power plants  
23 that only place concrete, or most of the concrete is  
24 placed at night because there are certain advantages of  
25 placing concrete at night.

0-2  
1 Q Would that be the drying versus the not  
2 drying?

3 BY WITNESS ARTUSO:

4 A The workability lasts longer; right.

5 JUDGE BECHHOEFFER: Does the Staff have any  
6 further questions?

7 MR. GUTIERREZ: No, Mr. Chairman, we have no  
8 further questions.

9 JUDGE BECHHOEFFER: This panel may be excused.

10 (Witnesses excused.)

11 JUDGE BECHHOEFFER: I would like to comment  
12 that the Board will ask Mr. Singleton the questions it  
13 outlined at the next time Mr. Singleton is here, concerning  
14 the card games. We issued a memo. Well, we anticipate  
15 asking those questions at the time that Mr. Singleton is  
16 back with the next panel.

17 We will take just a short break.

18 (Whereupon, a short recess was taken.)

19 MR. HUDSON: Your Honor, at this time the  
20 Applicant would like to call Mr. Fraley, Mr. Purdy, and  
21 Mr. Carvel to the stand, and I believe they are currently  
22 on the stand.

23

24

25

20-3  
1 Whereupon,

2 ALBERT D. FRALEY, JR.  
3 GORDON R. PURDY  
4 ROBERT A. CARVEL

5 were called as witnesses and, having been first duly  
6 cautioned to tell t e truth, the whole truth and nothing  
7 but the truth, were examined and testified upon their  
8 oaths as follows:

9 DIRECT EXAMINATION

10 BY MR. HUDSON:

11 Q I would ask each of you gentlemen to give  
12 your name, employer, and current position, please?

13 BY WITNESS FRALEY:

14 A My name is Albert Fraley. I am Assistant  
15 Project Manager, Construction, South Texas Project,  
16 Brown & Root.

17 BY WITNESS PURDY:

18 A My name is Grodon Purdy. I am the Manager  
19 of Quality Engineering at South Texas Project for  
20 Brown & Root.

21 BY WITNESS CARVEL:

22 A My name is Robert Carvel. I am the Project  
23 Quality Assurance Supervisor, Civil Structural, for  
24 Houston Lighting & Power at the South Texas Project site.

25 Q Do each of you gentlemen have in front of  
you a document entitled Testimony On Behalf Of Houston

20-4  
1 Lighting & Power Company, Et Al, of Mr. Alb ert D. Franley,  
2 Jr., Mr. Gordon R. Purdy, Mr. Robert A. CARvel On The  
3 Concrete Restart Program?

4 BY WITNESS FRALEY:

5 A Yes, sir.

6 BY WITNESS PURDY:

7 A Yes, sir.

8 BY WITNESS CARVEL:

9 A Yes, sir.

10 Q Is your testimony in this proceeding that  
11 portion of the document which I just identified, which  
12 is preceded by your initials?

13 BY WITNESS FRALEY:

14 A Yes, sir.

15 BY WITNESS PURDY:

16 A Yes, sir.

17 BY WITNESS CARVEL:

18 A Yes, sir.

19 Q Mr. Fraley, do you have any changes in your  
20 testimony?

21 BY WITNESS FRALEY:

22 A Yes, sir. I have one I think it is on  
23 Page 4. That needs to read, line eight needs to read  
24 "...McPherson, Kansas. Starting in 1964, I became a  
25 carpenter, reinforcing ironworker, and foreman for four

1 projects."

2 JUDGE BECHHOEFER: Do you want to repeat that?

3 WITNESS FRALEY: Yes, sir.

4 JUDGE BECHHOEFER: Is that on the second line?

5 WITNESS FRALEY: On the seventh and eighth  
6 lines. "I became a carpenter, reinforcing ironworker, and  
7 foreman for four projects."

8 BY MR. HUDSON:

9 Q As I understand the change, you are just  
10 inserting the words "reinforcing ironworker" in that  
11 sentence as it now reads?

12 BY WITNESS FRALEY:

13 A Yes, sir.

14 On Page 5, Line 12, "...all aspects of the  
15 construction of the diesel generator..." and that should  
16 be "turbine generator." The word "diesel" should be  
17 changed to "turbine."

18 Line 23, "...directly in charge of all  
19 building..." instead of "civil construction at STP."

20 Page 7, Line 22, "...until certain aspects  
21 of the site QC concrete program were resolved," instead  
22 of "control."

23 Page 16, Line 31, there is the word  
24 "statements," "making the seven initial complex  
25 statements," that should be "placements."

20-6  
1 Line 44, "QC requirements were required,"  
2 instead of "offered."

3 On Page 18, Line 32, "yearly" should be  
4 "tri-annual."

5 Those are all of the corrections that I have.

6 Q Mr. Purdy, do you have any changes in your  
7 testimony?

8 BY WITNESS PURDY:

9 A Yes, sir. One.

10 On Page 5, Line 36, "Prior to joining  
11 Brown & Root, I spent 19..." Slice twenty-one.

12 Q Mr. Carvel, do you have any changes?

13 BY WITNESS CARVEL:

14 A Yes. Just one.

15 On Page 19, Line 48, "Our staff now has 30  
16 man-years nuclear experience..." At the time this  
17 testimony was filed the "34" was a correct number, but  
18 because of personnel changes since that time the correct  
19 figure today is 30.

20 Q With these changes is the testimony reflected  
21 in the document entitled "Testimony On Behalf Of Houston  
22 Lighting & Power Company, Et Al, Of Mr. Albert D.  
23 Fraley, Jr., Mr. Gordon R. Purdy, Mr. Robert A. Carvel  
24 On The Concrete Restart Program" true and correct to the  
25 best of your knowledge, information, and belief?

20-7

1 BY WITNESS FRALEY:

2 A Yes, sir.

3 BY WITNESS PURDY:

4 A Yes, sir.

5 BY WITNESS CARVEL:

6 A Yes, sir.

7 MR. HUDSON: Your Honor, we would move the  
8 admission of this testimony into evidence as if read.

9 MR. GAY: No objection.

10 MR. SINKIN: No objection.

11 MR. GUTIERREZ: No objection.

12 JUDGE BECHHOEFER: Without objection, the  
13 testimony will be entered into evidence and bound into  
14 the record as if read.

15 (See attached pages)

16 ///

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of: §  
HOUSTON LIGHTING & POWER § Docket Nos. 50-498OL  
COMPANY, ET AL. § 50-499OL  
(South Texas Project, §  
Units 1 & 2) §  
\_\_\_\_\_ §

TESTIMONY ON BEHALF OF HOUSTON LIGHTING & POWER COMPANY, ET AL.

OF

MR. ALBERT D. FRALEY, JR.  
MR. GORDON R. PURDY  
MR. ROBERT A. CARVEL

ON

THE CONCRETE RESTART PROGRAM



1  
2  
3  
4 UNITED STATES OF AMERICA  
5 NUCLEAR REGULATORY COMMISSION  
6  
7

8  
9 BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

10 In the Matter of: §  
11 §  
12 HOUSTON LIGHTING & POWER § Docket Nos. 50-4980L  
13 COMPANY, ET AL. § 50-4990L  
14 §  
15 (South Texas Project, §  
16 Units 1 & 2) §  
17 §  
18

19  
20 TESTIMONY OF ALBERT D. FRALEY, JR.  
21 GORDON R. PURDY, AND ROBERT A. CARVEL  
22 ON THE CONCRETE RESTART PROGRAM  
23

24  
25 Q. 1 Please state your names.

26  
27 A. 1 Albert D. Fraley, Jr., (ADF), Gordon R. Purdy (GRP)  
28 and Robert A. Carvel (RAC).  
29

30 Q. 2 By whom are you employed?

31  
32 A. 2 (ADF, GRP): Brown & Root, Inc. (B&R).  
33

34 (RAC): Houston Lighting & Power Company (HL&P).  
35

36 Q. 3 Describe your current position and responsibilities.  
37

38 A. 3 (ADF): I am Assistant Project Manager, Construction  
39 for B&R at the South Texas Project (STP). I am responsible for  
40 managing the Construction Engineering group, cost, scheduling,  
41 planning and all other construction activities at the STP Site,  
42 where I report to B&R Construction Manager.  
43  
44  
45  
46

1  
2  
3  
4  
5 (GRP): I am the Quality Engineering (QE) Manager for  
6 the B&R Power Group. I am responsible for the management and  
7 direction of QE personnel at the STP site where I report to the  
8 B&R Project QA Manager for STP.  
9

10  
11  
12 (RAC): I am the Project QA Supervisor - Civil/  
13 Structural for HL&P at the STP Site. My group provides pro-  
14 grammatic and technical direction in the formulation and imple-  
15 mentation of B&R's QA/QC program for Civil/Structural activities.  
16 We conduct implementation reviews to ensure compliance with  
17 project quality requirements. We follow up on nonconformance  
18 reports (NCR's) to ensure timely and effective corrective  
19 action, and we review all dispositioned NCR's for technical and  
20 QA/QC adequacy and feasibility. We also review and approve the  
21 QA/QC programs of potential suppliers and sub-contractors and  
22 we serve as the contact group for NRC personnel inspecting  
23 civil/structural activities.  
24  
25  
26

27  
28  
29 Q. 4 Please summarize your professional qualifications  
30 and experience.  
31  
32

33  
34  
35 A. 4 (ADF): I have nineteen years of experience working  
36 for B&R in various areas of construction in nuclear and fossil  
37 power plants and other heavy industry projects. I started, in  
38 1962, as an apprentice carpenter and carpenter's helper in  
39 three construction projects: the International Paper Company  
40 paper mill in Evadale, Texas; the U.S.I. Chemicals plant in  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4  
5 Deer Park, Texas; and the McPherson fossil power plant in  
6  
7 McPherson, Kansas. Starting in 1964, I became a carpenter  
8 *reinforcing iron worker, and*  
9 foreman for four projects: the Giddings Power Station Unit #2  
10 (fossil fired) in Bastrop, Texas; the Pan American Petroleum  
11 Company petroleum and sulphur plant in Edgewood, Texas; the  
12 Premier Fertilizers fertilizer plant in Pasadena, Texas; and  
13 the Elmendorf Power Plant (fossil fired) in San Antonio, Texas.  
14 In the Giddings and Elmendorf projects I also worked as a "rod-  
15 buster" (a person engaged in erecting reinforcing steel in  
16 concrete structures) and also worked in concrete placements.  
17 Starting in 1965, I worked in the construction of the Nekgosa-  
18 Edwards Paper Company paper mill in Ashdown, Arkansas. In that  
19 job I was responsible for supervising the placement of concrete,  
20 the erection of rebar, and the carpentry work in the ground  
21 floor and all the offsite structures of the mill. In 1966, I  
22 was put in charge of all carpentry work, form design and temp-  
23 orary construction at the Gulf States Utilities Company's  
24 Willis Power Plant, Unit #1 (fossil fired), Willis, Texas. In  
25 1967, I was appointed General Foreman in charge of all civil  
26 construction activities relating to the machine room building  
27 and all the offsite structures, including all architectural  
28 work, excavation, structural steel erection, reinforcing steel,  
29 concrete carpentry work, and painting, at the Boise Southern  
30 Paper Mill in De Ridder, Louisiana.  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

In February, 1970, I was made Assistant Building Superintendent for construction of the Carolina Power & Light Co.'s Brunswick Units 1 and 2 nuclear power plants in Southport, North Carolina. At Brunswick, I was originally in charge of all aspects of the construction of the ~~diesel~~ <sup>turbine</sup> generator buildings and all offsite work, as well as all the switchyard, bridges, and railroad trestle construction. While at Brunswick, I was promoted in 1974 to Building Superintendent in charge of all civil construction on the project. I began working in the STP project as Building Superintendent in September 1975, being directly in charge of all ~~civil~~ <sup>building</sup> construction at STP. In 1979, I was promoted to Area Manager in charge of all construction (electrical, mechanical and civil) in the Reactor Containment Buildings for Units 1 and 2 at STP. In 1980, I was promoted to Project General Superintendent and placed in charge of all construction on the site. On March 1, 1981, I was appointed to my current position as Assistant Project Manager, Construction.

(GRP): Prior to joining B&R, I spent ~~twenty-one~~ <sup>nineteen</sup> years working in the nuclear power industry, eighteen of which were spent in the United States Naval Nuclear Power Program. I worked primarily in the area of construction, operation and maintenance of nuclear power plants. I also spent approximately one year with Bechtel Power Corporation as a mechanical Quality Control (QC) Engineer.

1  
2  
3  
4  
5 (RAC): I received a B.S. degree in Civil Engineering from  
6  
7 Cornell University in 1973. Before joining HL&P in June 1980,  
8  
9 I had worked for Stone & Webster Engineering Corporation for  
10 approximately seven years. During this period, I spent five  
11 years in various civil quality control positions at four nuclear  
12 power plants and one petrochemical plant. For the last year  
13 before joining HL&P, I was responsible for supervising all  
14 Quality Engineering activities for the Civil/Structural and  
15 Mechanical disciplines at the River Bend Nuclear Power Plant.  
16  
17  
18  
19  
20

21 Q. 5 What is the purpose of your testimony?  
22

23 A. 5 (ADF, GRP, RAC): The purpose of our testimony is to  
24 describe the program that has been implemented to resume complex  
25 concrete placements at STP and the respective roles of each of  
26 our organizations in the program.  
27  
28  
29

30 Q. 6 Please summarize your recent involvement with the  
31 placement of concrete at STP.  
32  
33

34 A. 6 (ADF): In August 1980, I was assigned, together  
35 with John Ruud of B&R QA, as coordinator of the complex concrete  
36 restart activities at STP, an assignment which I have carried  
37 out to date and in which I expect to continue until normal  
38 complex concrete placement operations are resumed.  
39  
40  
41  
42

43 (GRP): In May 1980 I was assigned the responsibility of  
44 QE Manager for STP. As such, I am directly responsible for the  
45 Civil QE Discipline and its participation in both the concrete  
46 restart program and the normal concrete placement activities.  
47  
48  
49  
50  
51

1  
2  
3  
4  
5 (RAC): I have had responsibility for HL&P's QA program  
6 for concrete activities since June 1980.  
7

8  
9 Q. 7 Mr. Fraley and Mr. Carvel, when was concrete con-  
10 struction stopped at STP and why?  
11

12 A. 7 (ADF, RAC): On December 21, 1979, a meeting was  
13 held between HL&P officers and the Director of Region IV of the  
14 NRC. At the meeting, the Director informed HL&P of noncompliances  
15 identified relative to concrete placement activities. On that  
16 same date, HL&P verbally instructed B&R not to place any safety  
17 related concrete until certain aspects of the site QC ~~control~~ <sup>concrete</sup>  
18 program were resolved.  
19  
20  
21  
22  
23  
24

25 Q. 8 Once work was stopped, what actions were taken by  
26 HL&P and B&R to respond to the problems cited by the NRC that  
27 led to the decision to stop work?  
28  
29  
30

31 A. 8 (ADF, RAC): On December 28, 1979, as described in  
32 the testimony of Mr. Oprea and Mr. Frazar, HL&P proposed to the  
33 NRC a "Nine Point Action Plan" to address the problems identified  
34 by the NRC. With the presentation of this plan, HL&P asked,  
35 and obtained authorization from NRC, to resume placement of  
36 safety-related non-complex concrete at STP. Such work was  
37 resumed on December 31, 1979. Complex safety-related place-  
38 ments were to remain suspended until authorization to proceed  
39 with them was given by HL&P.  
40  
41  
42  
43  
44  
45  
46

47 Q. 9 What is the difference between complex and noncomplex  
48 concrete placements?  
49  
50  
51

1  
2  
3  
4  
5 A. 9 (ADF, RAC): The decision to classify a placement as  
6 "complex" is arrived at jointly by Construction Engineering,  
7 Construction Supervision and QA. Factors involved in the  
10 decision are the rebar density and configuration; the quantity  
11 and size of embedments; and the pour volume, geometry and  
12 location. All placements in the Reactor Containment Building  
13 shell walls are classified as complex.  
14  
15

16  
17  
18 Q. 10 Was action taken to implement the items in the Nine  
19 Point Action Plan relating to concrete placements?  
20

21 A. 10 (ADF, RAC): Yes. On January 25, and February 28,  
22 1980, HL&P wrote to the Director of I&E's Region IV describing  
23 the actions taken by B&R and HL&P to respond to the items in  
24 the Nine Point Action Plan. As stated in those letters, the  
25 Nine Point Action Plan was fully implemented as of the end of  
26 February 1980.  
27  
28

29  
30  
31  
32 Q. 11 Were complex concrete placements restarted once the  
33 response to the Nine Point Action Plan was completed?  
34  
35

36 A. 11 (ADF, RAC): No. On April 30, 1980, the I&E Director  
37 issued an Order to Show Cause requiring HL&P to show cause why  
38 safety-related construction activities at STP, including complex  
39 concrete placements, should not be stopped and/or remain stopped  
40 until certain actions were taken. In its response of July 28,  
41 1980 to the Order to Show Cause, HL&P committed to taking a  
42 number of steps, beyond those already implemented in the area  
43 of complex concrete placements. These commitments included:  
44  
45  
46  
47  
48  
49  
50  
51

- 1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51
1. Revision and reissuance of concrete placement procedures.
2. Training of personnel in the revised procedures.
3. Review by Construction, Engineering and QA management of the results of the Concrete Special Task Force investigation of the Unit 1 Reactor Containment Building for impact on existing procedures and methods; and performance of modifications in these procedures and methods as necessary.
4. Assignment of a complex pour coordinator from B&R Construction to oversee complex concrete placement operations until such time as Construction management determined that performance was satisfactory.
5. Assignment of a complex pour coordinator from B&R QA to oversee concrete placement inspection activity until QA management determined that B&R QC performance was satisfactory.
6. Verification of the availability of qualified Pittsburgh Testing Laboratory concrete testing personnel.
7. Reconfirmation of the qualification and certification of QC inspection personnel.
8. Review of the concrete supplier's quality program to assure there were no unresolved quality program deficiencies.
9. Reverification of the availability of adequate concrete placement equipment and personnel.
10. Resumption of complex concrete placement on a limited basis.



1  
2  
3  
4  
5 11. Review of the quality of the placement and documenta-  
6 tion of the work for conformance with requirements.  
7

8  
9  
10 12. After the processes described in the above items had  
11 been completed, expansion of the complex concrete placement  
12 program into other areas as additional B&R personnel were  
13 qualified.  
14

15  
16 Q. 13 What actions were taken to implement the July 28,  
17 1980, commitments?  
18

19 A 13 (ADF, RAC): B&R had primary responsibility for  
20 developing the complex concrete restart program embodied in  
21 these commitments. Some of the actions included in the July 28,  
22 1980 response (such as the revision of the concrete placement  
23 procedures) were well under way at the time the formal commit-  
24 ment to the NRC was made. In addition to rewriting the concrete  
25 construction procedures, HL&P and B&R took a number of other  
26 steps to insure that future complex concrete placements would  
27 be conducted fully in accordance with those commitments and  
28 with the revised procedures. First of all, a Complex Restart  
29 Review Committee, which Mr. Fraley chairs, was organized to  
30 oversee the restart program. In addition, the Project instituted  
31 a simulated complex concrete pour program; reevaluated the  
32 Construction organization so that people with strong backgrounds  
33 in relevant areas would be assigned to those areas; instituted  
34 a zero defect program; conducted the training program on the  
35 revised concrete procedures in such a way as to assure consistent  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

interpretation of the procedure by the various affected organizations; gave QC Inspectors the authority to stop work if there are any doubts that the work meets acceptance criteria; and established individual personnel qualification and training files, as well as reviewing the qualifications of subcontractor personnel. Most importantly, we devised a demonstration program of seven complex placements to test out the new procedure and to confirm that complex placements can be resumed at STP.

(RAC): In addition to participating in the procedure revision process itself, HL&P reviewed the final product to assure that it complied with all commitments and addressed all areas of concern. We also provided programmatic direction to B&R personnel engaged in the revision effort.

Q. 14 Please describe the process by which the concrete placement procedures were revised and reissued.

A. 14 (ADF, RAC): The reevaluation and rewriting of the STP concrete procedures was a multidisciplinary undertaking by B&R and HL&P. In April 1980, at the direction of the B&R Project General Manager, Construction Engineering established a detailed plan for the rewrite effort. Under the plan, Construction Engineering reviewed the existing concrete procedures in the light of significant input from the construction crafts, and proposed a number of changes to the procedures, which changes were then reviewed and commented upon by QA/QC personnel, including Quality Engineers. B&R and HL&P Construction Engineers

1  
2  
3  
4 then prepared a redraft of the procedures, which was reviewed  
5 by the Design Engineers, as well as the Training Department.  
6  
7 After final meetings by Construction, QC and Design Engineering,  
10 final revisions were agreed upon and the new procedures were  
11 approved by all affected B&R disciplines and HL&P Construction  
12 and QA.  
13  
14

15 (GRP): The Civil QE and QC disciplines have been intimately  
16 involved in the formulation and implementation of the complex  
17 concrete restart program from the time the task was initially  
18 defined. During development of the new procedure covering all  
19 aspects of concrete activities, QE assured the proper translation  
20 of engineering design requirements into the procedure including  
21 all applicable inspection acceptance and rejection criteria.  
22 QE and QC working together assured that the inspection require-  
23 ments were clearly identified in the new procedure, that the  
24 requirements conveyed clear direction for field implementation  
25 and that the required quality inspection reports provided  
26 objective evidence of all activities which required quality  
27 documentation.  
28  
29

30 QE actively participated in the extensive training program  
31 prior to the implementation of the new concrete procedure.  
32 This included participating in the training presentations to  
33 Construction and Engineering, performing training for field QC  
34 inspection personnel, participating in the pre-planning phase  
35 of the simulated dry-runs and participating in the pre-planning  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4 and performance of the trial placements conducted on non-complex  
5 concrete placements.  
6

7  
8 Q. 15 What areas were given special attention in your  
9 review?  
10

11  
12 A. 15 (ADF, RAC): We focused our attention on the follow-  
13 ing areas in the procedures: providing greater continuity and  
14 clarity; eliminating references to codes and standards outside  
15 the procedures; improving documentation flow; eliminating  
16 conflicting directives where they existed; providing additional  
17 information where required; more clearly defining hold points;  
18 clarifying responsibility assignments; and increasing input from  
19 affected craft, QC, and engineering personnel.  
20  
21  
22  
23  
24  
25

26  
27 Q. 16 Have craft personnel been trained in the revised  
28 procedure?  
29

30  
31 A. 16 (ADF): The procedure reexamination and revision  
32 effort resulted in a comprehensive single procedure, Concrete  
33 Construction Procedure CCP-25, which was approved in July 1980.  
34 It replaced and incorporated Concrete Construction Procedures  
35 CCP-3, 4, 6, 8, 11, 12 and 19. Training on CCP-25 began in  
36 July 1980. Training was in three phases: classroom instruction,  
37 videotaped instruction on the basics of the procedures, and  
38 controlled "hands on" field training administered to affected  
39 personnel in QC and Engineering and to Construction personnel  
40 working on concrete, rebar and carpentry. Individual training  
41 files have been established for concrete consolidation personnel  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4 documenting that all training steps have been met for each  
5 individual. In addition, as provided in the new procedure, B&R  
6 has established a 90-day cycle for retraining all concrete  
7 consolidation personnel.  
9

10  
11 (GRP): QE actively participated in the extensive training  
12 program prior to the implementation of the new concrete proce-  
13 dure. This included participating in the training presentations  
14 to Construction and Engineering, performing training for field  
15 QC inspection personnel, participating in the pre-planning  
16 phase of the simulated dry-runs and participating in the pre-  
17 planning and performance of the trial placements conducted on  
18 non-complex concrete placements.  
19  
20  
21  
22  
23  
24  
25

26 (RAC): HL&P has monitored B&R's retraining to assure that  
27 changes were adequately explained to QC Inspectors and the  
28 accept/reject criteria were fully understood. In addition, we  
29 have monitored the generic B&R quarterly refresher training  
30 sessions.  
31  
32  
33  
34

35  
36 Q. 17 Panel, how do the new concrete procedures address  
37 the problem areas found to exist in its predecessors?  
38

39 A. 17 (Panel): Lack of clarity problems have been solved  
40 by simplifying words, definitions, forms and document flow  
41 where possible, and by giving great weight to the input from  
42 construction craft personnel and their supervisors, who will be  
43 the people utilizing the procedure in the field. The need to  
44 refer to other sources has been eliminated by placing all  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4  
5 required information in the procedure so that it "stands alone"  
6 without need for outside reference material. Documentation  
7 flow problems have been dealt with by combining all concrete  
8 procedures into one. The lack of sufficient information as to  
9 what the procedure requires has been remedied by spelling out  
10 "inspection checklists" that tell construction personnel what  
11 they are responsible for at each inspection checkpoint.  
12 Inspection hold points at which QC review and verification are  
13 to take place have been more clearly defined. Further, the new  
14 procedures expand and clarify the QC Inspectors' stop work  
15 authority. The procedures also outline what to do in the event  
16 that interpretation questions arise due to conflicting require-  
17 ments in drawings, specifications and procedures.

18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29 Q. 18 Mr. Fraley, please describe how the seven initial  
30 complex concrete placements in the restart program were selected.

31  
32 A. 18 (ADF): The seven initial complex concrete place-  
33 ments were chosen so that they would provide as broad a spectrum  
34 of complex placements as possible. The placements chosen  
35 represented each of the main types of complex placements, and  
36 contained every obstacle to placing concrete that is likely to  
37 be encountered. Four of them were placements featuring high  
38 rebar congestion, a large number of embedments, difficult  
39 placement configurations, and the need for uncommon placement  
40 techniques. Another of the placements had highly congested  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4 rebar, a wall and a slab being placed together monolithically,  
5 and a requirement for the use of grout in conjunction with  
6 concrete to reach areas for which there was difficulty assuring  
7 that concrete could flow uniformly. Another placement was a  
8 typical shell wall placement, and also required the use of  
9 grout. The last placement was a typical dome pour, utilizing a  
10 large amount of grout together with concrete, and requiring  
11 pumping over 130 feet vertically and then over 400 feet hori-  
12 zontally.  
13  
14  
15  
16  
17  
18  
19  
20

21 Q. 19 Mr. Fraley and Mr. Carvel, what actions were taken  
22 in preparation for making these seven initial complex placements?  
23  
24

25 A. 19 (ADF): In addition to those undertaken to imple-  
26 ment the commitments made in response to the Order to Show  
27 Cause, the following actions were taken in preparation for  
28 making the seven initial complex ~~placements~~ <sup>placements</sup> in the concrete  
29 restart program. The Review Committee for ~~Safety~~ Related  
30 Complex Pours, which includes Mr. Carvel and me, conducted a  
31 review of past complex placements, identifying potential areas  
32 of improvement and making appropriate recommendations. Construc-  
33 tion and QC personnel were trained in the use of the new concrete  
34 procedures, and quarterly refresher courses on procedures and  
35 QC requirements were ~~offered~~ <sup>required</sup>. Finally, nine non-complex place-  
36 ments were made following the procedures applicable to complex  
37 ones in order to simulate complex placement conditions. Our  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4 evaluation of these pours showed them to be entirely  
5 satisfactory.  
6  
7

8 (RAC:) Prior to initiating the restart program, B&R  
9  
10 conducted nine non-complex pours as if they were complex in  
11 order to familiarize all personnel with the procedural and  
12 documentation requirements for safety-related complex pours.  
13  
14 HL&P QA personnel attended the pre and post-placement meetings  
15 and had personnel present for the entire duration of all of  
16 these pours. All documentation relating to these pours was  
17 reviewed and found in compliance with the new procedures.  
18  
19  
20  
21  
22

23 With regard to implementing the restart program, HL&P QA  
24 personnel participated in all pre- and post-placement meetings  
25 for the safety-related, complex pours. A minimum of two HL&P  
26 QC Inspectors and one HL&P QA Specialist were present on each  
27 pour to monitor the performance of the B&R and PTL Inspectors.  
28  
29 The documentation for these pours has been reviewed for com-  
30 pliance with Project requirements.  
31  
32  
33  
34  
35

36 We also conducted an implementation review in conjunction  
37 with the first restart program placement. The implementation  
38 review was an in-depth examination of the pour to verify adherence  
39 to procedures, specifications, codes, standards and licensing  
40 commitments and to assess the effectiveness of the implementation.  
41  
42 Our review indicated that all aspects of the performance and  
43  
44  
45  
46  
47  
48  
49  
50  
51



1  
2  
3  
4 documentation of this first restart pour were accomplished in  
5 strict accordance with Project procedures.  
6  
7

8  
9 Q. 20 Were there any further conditions set by the NRC to  
10 its authorization of the seven initial complex placements?  
11

12 A. 20 (ADF, RAC): Yes. On October 2, 1980, HL&P requested  
13 NRC's clearance to perform the seven initial complex placements.  
14 The NRC requested that certain actions be taken prior to commenc-  
15 ing the placement of complex concrete. They included establishing  
16 management systems and special procedures to control the work  
17 on the seven placements; training personnel in those procedures  
18 and ensuring that adequate staffing existed to perform and to  
19 manage the placement activities; completing corrective action  
20 for previously identified deficiencies relating to concrete  
21 placements; utilizing concrete correlation testing in lieu of  
22 taking samples at the pump line discharge; and completing the  
23 ~~yearly~~ <sup>tri-annual</sup> inspection and evaluation by the National Bureau of  
24 Standards Cement and Concrete Reference Laboratory of the  
25 concrete testing facilities maintained at the STP site by  
26 Pittsburgh Testing Laboratory.  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39

40 Q. 21 Were all of these conditions satisfied?  
41

42 A. 21 (ADF, RAC): Yes. The NRC acknowledged on January 13,  
43 1981 that all conditions had been satisfied and released the  
44 seven complex placements for performance.  
45  
46  
47  
48  
49  
50  
51

1  
2  
3  
4 Q. 22 Mr. Carvel, have there been any changes in the HL&P  
5  
6 QA program for Civil/Structural activities which accompanied  
7  
8 the formulation of the restart program?  
9

10 A. 22 (RAC): Yes. We have become more involved in the  
11  
12 planning and analysis of complex pours as reflected by our  
13  
14 participation in the pre- and post-placement meetings. HL&P  
15  
16 also increased its involvement through the creation of a QC arm  
17  
18 which provides Inspectors in addition to those from QA.

19  
20 Notwithstanding our increased involvement in complex  
21  
22 pours, HL&P QA has generally decreased its participation in the  
23  
24 day-to-day aspects of B&R's QA/QC program and redirected its  
25  
26 attention to spotting problems as they develop. We now monitor  
27  
28 the programmatic aspects of the B&R program, rather than the  
29  
30 daily results of the program. A Project Trending Program was  
31  
32 developed by HL&P to aid in identifying recurring nonconfor-  
33  
34 mances so that root causes may be addressed. This program is  
35  
36 independent of the B&R NCR trending program.

37  
38 This additional effort by HL&P QA has been made possible  
39  
40 by a significant expansion in the number of professional personnel  
41  
42 on the staff. There are si. professionals at present and we  
43  
44 are still recruiting for an additional two places. We also  
45  
46 have increased significantly the total years of nuclear experience  
47  
48 of our staff through hiring experienced, highly qualified  
49  
50 individuals. Our staff now has <sup>30</sup>~~24~~ man-years nuclear experience  
51  
as compared to 13 man-years prior to November 1979.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

A formal training program has been established for the HL&P QA staff. The training needs of each individual are assessed yearly and quarterly by the supervisors and specific training is assigned as it becomes available. Each person receives the technical training required for his or her specialty and general QA and STP program training. The technical training is provided primarily by specialized institutes to which we send selected individuals.

Q. 23 Please describe the results of the complex placements made since the NRC's release.

A. 23 (ADF,RAC): The seven complex placements have now been completed, all successfully and in accordance with the Concrete Restart Program and applicable procedures. While some minor problems were experienced during the course of two of the placements, they were of the usual type encountered during complex concrete placements (for instance, plugged slick lines, an insignificant rock pocket observed upon form removal, vibrator breakdown), they were resolved expeditiously, and the quality of the placements was maintained. The satisfactory completion of these placements demonstrates the adequacy and effectiveness of the procedures controlling the complex concrete work and the adequacy of the training of the personnel performing the work.

Q. 24 Is a "rock pocket" the same as a void?

A. 24 (ADF, RAC) No. A "void" is an area within the placement that was never filled with concrete. A void

1  
2  
3  
4 indicates that some condition or set of conditions prevented  
5 the concrete from reaching that specific location. In contrast,  
6 a "rock pocket" is an area that was filled with concrete initially  
7 but solidified without the mortar binding the aggregate.  
8  
9

10  
11  
12 Q. 25 Does the occurrence of this rock pocket indicate a  
13 programmatic problem?  
14

15 A. 25 (GRP, RAC) No. The area involved was small and  
16 while B&R attempts to prevent all such occurrences, it is not  
17 unusual to occasionally have a rock pocket appear when forms  
18 are removed. We doubt that there is anything QC could have  
19 checked to prevent this rock pocket from occurring. It is  
20 important to remember that concrete placement is not an exact  
21 science. Even the best procedures, followed exactly, will not  
22 always produce perfect concrete.  
23  
24  
25

26  
27  
28  
29  
30 Q. 26 Mr. Fraley, is there a plan for further complex  
31 concrete construction at STP?  
32

33 A. 26 (ADF): Yes. B&R has formulated a plan for fourteen  
34 (14) additional complex placements in the reactor containments  
35 buildings. HL&P concurred in the plan and submitted it for NRC  
36 approval. On April 16, 1981, the NRC approved the placement of  
37 all but three dome placements on Unit 1 and requested additional  
38 information on the three remaining placements.  
39  
40  
41  
42  
43

44  
45 Q. 27 Panel, are you confident that the current concrete  
46 program will enable B&R and HL&P to continue producing high  
47 quality concrete?  
48  
49  
50  
51

1  
2  
3  
4  
5 A. 27 (Panel): Yes, most definitely. As evidenced by  
6  
7 the Task Force investigation, the concrete placed prior to the  
8  
9 I&E Investigation 79-19 was high quality concrete. Since then,  
10 we have strengthened the program. The new procedures work  
11 well, are understood by the implementing personnel and have  
12 produced high quality concrete during the limited restart  
13 program. We suspect that further improvements can and will be  
14 made as we gain more experience. The key point is that HL&P &  
15 B&R have in place good concrete procedures and a QA/QC program  
16 that will detect any deficiencies, assure that they are cor-  
17 rected and take appropriate action to prevent or minimize  
18 recurrence.  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31

32 T.Hudson:11:02:C  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51

0-8  
1 BY MR. HUDSON:

2 Q Mr. Fraley, on April 16th, 1981, you received  
3 permission to perform 11 additional complex safety-related  
4 placements under the Concrete Restart Program.

5 What is the current status of those 11  
6 placements?

7 BY WITNESS FRALEY:

8 A We have made two of those in Phase 2.

9 Q Mr. Carvel, as I recall, there were three  
10 dome placements for which you requested permission to  
11 make as part of the restart program, but were not  
12 authorized on April 16th, 1981. What is the status of  
13 those dome placements for Unit 1 at this time?

14 BY WITNESS CARVEL:

15 A We have received verbal authorization from  
16 the NRC to proceed with those pours, but we have not  
17 received the follow-up written notification.

18 Of course, we will not proceed until we have  
19 received that written notification.

20 MR. HUDSON: Your Honor, with those two  
21 updating questions, that concludes our direct examination.

22 JUDGE BECHHOEFER: Mr. Gay.

23 CROSS-EXAMINATION

24 BY MR. GAY:

25 Q Mr. Purdy, am I correct in understanding that

1 QE is more related to QA than to Design Engineering?

2 BY WITNESS PURDY:

3 A Yes, sir.

4 Q And am I correct in assuming that what QE  
5 is charged with doing is to insure that the code and  
6 standards are written in clear, concise, succinct English?

7 BY WITNESS PURDY:

8 A Among other things, yes.

9 Q What other things does QE do?

10 BY WITNESS PURDY:

11 A Quality Engineering's responsibility is to  
12 insure the translation and incorporation of all of the  
13 STP quality commitments into our program, whether these  
14 are the applicable quality assurance commitments  
15 established by Regulatory Guide, by reference to codes,  
16 by reference to standards.

17 Also, those particular commitments or design  
18 criteria, the design engineering is specified and which  
19 would require a Quality Control verification to assure  
20 adequacy of the construction to satisfy the design  
21 base.

22 Q Mr. Purdy, at several points in this  
23 proceeding to date there has been testimony that part of  
24 the problem with QA was a implementation, and also part  
25 of the problem with QA to date was a lack of understanding

20-10 1 of the QA requirements.

2 Was it your responsibility within QE to  
3 insure that the QA standards were clearly written so that  
4 they could be understood by the people charged with  
5 interpreting and enacting those standards?

6 BY WITNESS PURDY:

7 A Are you referring to misinterpretation or  
8 unclear guidance to Quality Control personnel  
9 specifically?

10 Q If there is a particular word or phrase that  
11 is not understood by QA, is there some fault that lies  
12 with QE as a result of that?

13 BY WITNESS PURDY:

14 A I think in order to satisfy your question,  
15 I believe, it is necessary to understand that Quality  
16 Engineering in its current form was implemented on the  
17 South Texas Project after the Order to Show Cause.

18 Q Okay.

19 BY WITNESS PURDY:

20 A Today, yes, definitely that would be the  
21 case. That is, it should not be construed to mean that  
22 a form of Quality Engineering was not on the project  
23 previously.

24 There had been for quite a period of time,  
25 and I am not sure of the exact date or how long, a group



20-11  
1 that was called Quality Control Engineering, the Quality  
2 Control Engineers worked with the actual disciplines  
3 through the Superintendent, and, yes, part of their  
4 function at the time wa. to try to insure the field had  
5 the proper tools they needed to do their job, whether  
6 that was software or hardware.

7 And there was a group in Houston whose  
8 responsibility was to interface with that particular  
9 organization and with Project QA to expend every effort  
10 to insure that those requirements were understood.

11 Q How many persons are in QE at the moment?

12 BY WITNESS PURDY:

13 A I have 49 people on my staff.

14 Out of that 49 there are approximately 12 who  
15 are more documentation coordination or clerically  
16 oriented than they are technically oriented.

17  
18 ///

19  
20 ///

21  
22 ///

23

24

25

21-1 1 Q What do the other 37 individuals do? Are  
2 they divided into any divisions?

3 BY WITNESS PURDY:

4 A They're divided into disciplines. The  
5 quality engineering disciplines are established  
6 obviously by expertise, technical expertise, but they  
7 are divided into a civil discipline, a mechanical  
8 discipline, a nondestructive examination discipline,  
9 a procurement or materials discipline, and the electrical  
10 discipline.

11 And I have in addition to that a group which  
12 is called procurement quality engineering, and procurement  
13 quality engineering consists of one of each of those  
14 discipline personnel.

15 Q Would I be correct in assuming that it is  
16 the civil discipline of those 37 individuals that is  
17 responsible for dealing with concrete?

18 BY WITNESS PURDY:

19 A Yes.

20 Q How many persons are in that particular  
21 discipline?

22 BY WITNESS PURDY:

23 A I have seven personnel currently in the  
24 civil discipline, and one assistant manager who sits  
25 over the civil/electrical disciplines.

21-2 1 Q Mr. Purdy, much of the testimony this panel  
2 is giving concerns new criteria or new procedures for  
3 concrete placement.

4 Was your group, the civil division of your  
5 group in QE charged with the responsibility of actually  
6 writing those particular standards?

7 BY WITNESS PURDY:

8 A The civil quality engineering group  
9 participated in the development of the new concrete  
10 procedures, and in fact were responsible for writing  
11 the inspection portion of those procedures.

12 Q That is, you originated the inspection part  
13 or you shared ideas and you were responsible for just  
14 going back and putting it on paper?

15 BY WITNESS PURDY:

16 A The development of the new concrete procedure  
17 was a very complex, well thought out, well planned  
18 activity.

19 I'm not sure it's so easy to just see it,  
20 you know, in that type of language. A great deal of time  
21 was expended and it was the intent in the development of  
22 the concrete procedure to start first of all with those  
23 individuals in the field that had to implement the  
24 program.

25 That started with the soliciting of comments

21-3 1 from field QC personnel, from field construction personnel,  
2 the crafts, area engineering personnel, in trying to  
3 establish where their problems actually existed, where  
4 they lay, and then to develop a comprehensive procedure  
5 which would lay that out in a format which could be  
6 clearly understood by all interfacing parties.

7 That's probably a very simple statement for  
8 a very massive effort.

9 Q I understand that there were a lot of persons  
10 involved in the effort and a lot of sharing of ideas, but  
11 is it fair to say that the words that finally appeared on  
12 paper are a product of this particular division that you  
13 supervised?

14 Let me ask it another way. In terms of the  
15 final clarity of the language, the understandability  
16 that's communicated, the precise definitions that are  
17 communicated to the laborers, is your division responsible  
18 for the selection of the words, the communication of ideas  
19 that originated in the field?

20 BY WITNESS PURDY:

21 A My organization was responsible to assure  
22 that the quality assurance department personnel clearly  
23 understood the requirements, the sequences and the  
24 activities associated with it, and not necessarily the  
25 actual construction.

21-4

1 BY WITNESS CARVEL:

2 A I'd like to add there that the interfaces  
3 between the construction people, be they craft people  
4 or supervisors, the interfaces between those people and  
5 quality control were also explicitly outlined in that  
6 construction procedure, and Mr. Purdy's organization was  
7 instrumental in seeing that that kind of information got  
8 into the procedures as well.

9 BY WITNESS FRALEY:

10 A I'd like to add one thing there on the  
11 procedures. Construction engineering was charged to do  
12 the leg work and to sponsor the meeting set-up and chair  
13 the meeting set-up and to put all of the information  
14 together, which included information from construction,  
15 information from construction engineering, information  
16 from Houston engineering and also QE and QA, and all of  
17 this information was put together by Mr. Jim Akinson and  
18 Jim Dunning, which are senior civil engineers on the  
19 project, and all of this went together and meshed  
20 properly to make our new CCP 25.

21 Q Mr. Fraley, what were those two names again?

22 BY WITNESS FRALEY:

23 A I beg your pardon?

24 Q The two names that you mentioned.

25

// //

21-5  
1 BY WITNESS FRALEY:

2 A Jim Dunning and Jim Akinson, senior civil  
3 engineers.

4 Q Now, I'm going to skip over your qualifi-  
5 cations and credentials and let someone else talk to you  
6 about that.

7 I'd like for you to turn to Page 7. In  
8 Answer No. 8, Mr. Fraley and Mr. Carvel, you mention the  
9 nine-point action plan.

10 Were either of you involved in the origination  
11 of that plan?

12 BY WITNESS CARVEL:

13 A As stated elsewhere in the testimony, I  
14 started working at the South Texas Project on June 25th,  
15 1980, so I was not directly involved in that nine-point  
16 action plan at all.

17 Q Mr. Fraley?

18 BY WITNESS FRALEY:

19 A No. I might add that we did have some  
20 construction input on the project as to where that we  
21 had talked about problems.

22 Q Mr. Fraley, are you generally aware of  
23 Brown & Root's involvement in the creation of that plan?

24 BY WITNESS FRALEY:

25 A No, sir, I'm not.

21-6

1 Q Mr. Purdy, are you?

2 BY WITNESS PURDY:

3 A Yes, sir, I am.

4 The nine-point action plan, several of the  
5 items on there, and you'll have to bear with me, I'm not  
6 sure I remember what all the items are, but several of  
7 the items on that action plan directly involve quality  
8 activities.

9 In that particular instance Brown & Root  
10 presented some proposed immediate action to that plan,  
11 which was reviewed by the licensee, HL&P, and was  
12 ultimately discussed until we had every degree of  
13 confidence that we were in fact addressing the concerns  
14 at the time, prior to submitting them to the Commission  
15 as a nine-point action plan.

16 Q That's exactly what I wanted to get to. It's  
17 your understanding that Brown & Root originated the plan  
18 and submitted it to HL&P for approval?

19 BY WITNESS PURDY:

20 A Most of the items on there, and there are  
21 several items on there that deal -- if I'm not mistaken,  
22 or as I recall, dealt with some management actions that  
23 I did not personally participate in, but to the best of  
24 my knowledge, yes, Brown & Root did actively participate  
25 in the development of those actions.

21-7

1 Q At the bottom of the page you're asked a  
2 question about the difference between complex and non-  
3 complex concrete placements, and your answer is given at  
4 the top of Page 8.

5 The first sentence of your answer states  
6 that the decision to classify a placement as complex is  
7 arrived at jointly by construction engineering, which is  
8 you, Mr. Purdy, construction supervision and QA.

9 Can any one of the three of you tell me how  
10 this decision making process is arrived at? How do you  
11 sit and make a joint decision?

12 BY WITNESS FRALEY:

13 A Yes. First of all, we sit and identify a  
14 problem, potential problems that we see in a placement.

15 The next thing is -- that's the first step.  
16 Another thing is there's some standard criterias that are  
17 set out, which are spelled out in this statement, and  
18 that's the configuration, the complexity of the pours.

19 Really the only judgment call that we have  
20 is the degree of difficulty in placing the concrete. The  
21 other things are pretty well cut.

22 Now, there's some density of rebar, where it's  
23 located, the uncommon practices that you may have to  
24 perform to get the concrete into the final location, the  
25 quantity and the size of imbeds, the massiveness of it.



21-8 1 Q You spoke of standard criteria. Is that the  
2 same as the three factors that you list in the second  
3 sentence in Response No. 9?

4 BY WITNESS FRALEY:

5 A I'm not sure that I understand your question.

6 Q Well, in responding how the decision was  
7 made, you said first that you identify problems and then  
8 you proceed with a standard criteria for evaluating that.

9 I'm just asking you if the standard criteria  
10 that you're using is one and the same, the factors that  
11 you're referring to in the second sentence.

12 BY WITNESS FRALEY:

13 A No, not necessarily. We can identify it.  
14 It's very easy to identify massiveness in concrete  
15 placement. It's very easy to identify a configuration.  
16 It's easy to identify the things that we've put down  
17 here, but when a QC supervisor or a construction engineer  
18 or a constructor questions the capabilities of placing  
19 concrete, then that's the discussions that you sit down  
20 and you talk about.

21 We've also got the flexibility to classify a  
22 placement as noncomplex but also identify a complex area  
23 or areas in that placement, which we exercise.

24 Q Back to this joint decision making, is this  
25 a case where Brown & Root identifies the problem and then

21-9 1 submits it to HL&P for approval, or was --

2 BY WITNESS FRALEY:

3 A No, sir. This is a case where we sit down  
4 and if anyone has a problem, then we identify that problem  
5 on the pre-placement plan, and that problem may classify  
6 that pour as complex, it probably would.

7 Those things are determined jointly, but  
8 keep in mind that QC has the ultimate decision there to  
9 make. What I'm saying is if there's a gray area that the  
10 constructor doesn't really feel is that difficult, then  
11 the QC makes that decision. They have the final decision  
12 on rating a pour.

13 BY WITNESS CARVEL:

14 A I think it's important, before we move off  
15 the topic, to state that any one of those three groups  
16 who consider that placement complex would ultimately lead  
17 to that placement being classified complex.

18 In other words, if construction engineering  
19 says that they think it should be complex and the other  
20 two organizations don't think so or aren't sure, then it  
21 is automatically classified complex.

22 Q Just to summarize your response in Answer  
23 No. 9, I understand that there was an occasion when these  
24 three groups sat down and attempted to go through every  
25 concrete placement at the plant that was to be made in

21-10 1 the future and to classify that as either complex or non-  
2 complex, and then at some subsequent occasion there will  
3 be a pre-placement plan that's arrived at for the complex  
4 pours; am I correct?

5 BY WITNESS FRALEY:

6 A Okay. Let me answer that question, or that  
7 statement.

8 Q All right.

9 BY WITNESS FRALEY:

10 A We've got a two-week schedule that we look at.  
11 We've also got a 90-day schedule. When a pour shows up  
12 on the two-week schedule it's required that it shows up  
13 classified what pour it is, and that sets our priorities  
14 towards our job by looking at these pours.

15 When it comes aboard, or when we see it on  
16 two-week placement, it has been classified at that time.

17 Q Are you saying that this decision making  
18 process is an ongoing thing, or was there a classification  
19 complex versus noncomplex that was made at some point in  
20 the past?

21 BY WITNESS FRALEY:

22 A It's an in-process, everyday thing.

23 Q All right.

24 BY WITNESS FRALEY:

25 A But I'm saying that it is required a minimum

21-11

1 of two weeks prior to making that pour.

2 Q Who is involved in that decision? You  
3 mentioned the groups, but who are the specific  
4 individuals involved?

5 MR. GUTIERREZ: Mr. Chairman, the Staff would  
6 object to that, unless there's going to be a showing that  
7 the Applicant is somehow misclassifying pours as non-  
8 complex when they should be complex.

9 I don't see the relevancy of going into such  
10 great depth as to how the decision is made.

11 JUDGE BECHHOEFER: Mr. Gay, what are you  
12 driving at?

13 MR. GAY: I was questioning the direct  
14 testimony, Your Honor. I think it's clearly relevant.  
15 We're just trying to get at the decision making process  
16 and who made it.

17 I'm not going to challenge the decision on  
18 any one pour. I don't have the ability to do that, but  
19 I think that we need to have an understanding of HL&P and  
20 Brown & Root's decision making process in this particular  
21 event.

22 MR. GUTIERREZ: The Staff isn't saying that  
23 it's not addressed in the direct testimony. It is  
24 addressed in the direct testimony relative to the stop  
25 work order, and in a way the stop work order went to

21-12 1 complex concrete pours, and the question was, well,  
2 what's the difference.

3 Beyond that, I don't see the relevance of  
4 this line of questioning, unless there's going to be a  
5 showing that somehow the Applicant is mischaracterizing  
6 these pours.

7 (Board conference.)

8 MR. SINKIN: Mr. Chairman, if CCANP could wade  
9 in with one word, in defining the purpose of this  
10 testimony on Page 6 the panel says the purpose of the  
11 testimony is to describe the program that has been  
12 implemented to resume complex concrete placement at STP  
13 and the respective roles of each of our organizations in  
14 the program.

15 I think what Mr. Gay is asking is what are  
16 those roles, who's playing them.

17 JUDGE BECHHOEFER: At this time we'll over-  
18 rule the objection. We'll see how far this line goes and  
19 where it's driving at, but it is mentioned in the direct  
20 testimony.

21 BY MR. GAY:

22 Q The question, gentlemen, was what individuals  
23 are involved in the decision making process? What I'm  
24 trying to get at is are you the individuals involved, or  
25 is it someone higher than you, or is it someone subordinate

21-13

1 to you who is making these decisions?

2 BY WITNESS FRALEY:

3 A We at the South Texas Project are in an  
4 area concept. The persons that make those decisions  
5 day by day are the area manager, the chief engineer, the  
6 area chief engineer -- that is the chief engineer -- the  
7 QC discipline, in the area meeting, along with the concrete  
8 superintendent's concurrence, of course.

9 Q Is it generally true that all safety related  
10 concrete placements are classified a complex?

11 BY WITNESS FRALEY:

12 A No, sir.

13

- - -

14

15

16

17

18

19

20

21

22

23

24

25

22-1 1 Q On line 29, you note that the nine-point  
ge 2 action plan was fully implemented. What do you mean by  
3 "implemented"?

4 BY WITNESS CARVEL:

5 A I think with respect to that that all of  
6 the steps committed to in the nine-point action plan had  
7 been filled as of that date.

8 Q Beginning at the bottom of page 8, you  
9 list the commitments that were made.

10 On page 9 you have a commitment, No. 4,  
11 "Assignment of a complex pour coordinator from Brown &  
12 Root Construction to oversee complex concrete placement."

13 Can you tell me who this individual is?

14 BY WITNESS FRALEY:

15 A Yes, sir, that's myself, Albert Fraley.

16 Q Does that mean, Mr. Fraley, that you have  
17 to be at the actual site where the concrete placement  
18 is being made and oversee the entirety of that  
19 placement?

20 BY WITNESS FRALEY:

21 A No, sir.

22 Q What is your understanding of your duties  
23 as charged by this commitment addressed on page 9?

24 BY WITNESS FRALEY:

25 A My duties, sir, are that I would oversee

22-2 1 the complete program, along with Mr. John Rudd.

2 That's any aspect of the program, whether  
3 it be at the placement, engineering support, anything  
4 concerning complex concrete.

5 Q Does Mr. Rudd work with you?

6 BY WITNESS FRALEY:

7 A Mr. John Ruad works with me as a co-chairman.  
8 He has been replaced by Mr. Glenn Yiesley.

9 Q Can you spell that for me, please?

10 BY WITNESS PURDY:

11 A Y-i-e-s-l-e-y.

12 BY WITNESS FRALEY:

13 A Which is QE.

14 Q Can you tell me who the person is with  
15 regard to Commitment No. 5, the assignment of a  
16 complex pour coordinator from QA?

17 BY WITNESS PURDY:

18 A Yes, sir. That's Mr. Glenn Yiesley, who we  
19 just related to you.

20 Q Okay. Do you know Mr. Yiesley's background  
21 and qualifications?

22 BY WITNESS PURDY:

23 A Yes, sir.

24 Q Would you address that for me?

25 //



22-3

1 BY WITNESS PURDY:

2 A He's a graduate civil engineer from Lehigh;  
3 approximately seven years of nuclear QA/QC experience  
4 between Bechtel and Brown & Root; and he is currently  
5 assigned the responsibility of assistant supervisor to  
6 the civil quality engineering discipline.

7 Q On page 10 you address at the bottom of the  
8 page the Complex Restart Review Committee, which you  
9 chair, Mr. Fraley.

10 Can you tell me the purpose of that  
11 committee?

12 BY WITNESS FRALEY:

13 A Yes, sir.

14 That committee is -- The purpose of that  
15 committee is to look to the future and look at our  
16 past.

17 What I mean by that is to anticipate problem  
18 areas and to evaluate each pour weekly and to make  
19 recommendations accordingly.

20 That panel is made up from engineering,  
21 construction, QE and QC personnel.

22 BY WITNESS CARVEL:

23 A And HL&amp;P personnel, as well.

24 Q Mr. Fraley, when you say "make recommendations  
25 accordingly," what do you envision when you say that?

22-4

1 What are the possibilities of your decision making?

2 BY WITNESS FRALEY:

3 A. There is anything possible, when it's --  
4 I don't mean to sound candid when I say this, but in  
5 placing concrete there's so many unknowns, weather,  
6 heat, slick lines.

7 We try to anticipate these problems. There  
8 are things that you can do to do away with -- or to  
9 limit the problems.

10 Our job is to look at those things and  
11 make recommendations and make sure that they are  
12 followed out; to take a program that we have right now  
13 and to make it better day by day.

14 Q As I understand it, a possibility might be  
15 that you would recommend corrective action with regard  
16 to a particular pour that's been placed, or you might  
17 recommend a procedural change?

18 BY WITNESS FRALEY:

19 A. Yes. We may make any recommendations that  
20 we might feel necessary or helpful.

21 BY WITNESS CARVEL:

22 A. I think we're looking more toward the  
23 procedural end of things in this committee than we  
24 are the specific problems that come up on each  
25 individual placement, because they are addressed prior

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

22-5

1 to our meeting in this Review Committee.

2 Q You state this project instituted a  
3 simulated complex concrete pour program. How was that  
4 done?

5 BY WITNESS FRALEY:

6 A We took and made non-complex pours and  
7 treated them according to our new specs -- I mean our  
8 new procedures. Pardon me.

9 We made seven initial pours and got into two  
10 more before we started pouring complex pours.

11 What we did is after we got our program put  
12 together, we tested the program, which we did find  
13 satisfactory.

14 Q Could you tell me what a zero defect program  
15 is?

16 BY WITNESS FRALEY:

17 A Yes, sir. Zero defect is a quality  
18 improvement program that we have on the project, and it  
19 is in the area of attitude.

20 We build things to tolerances, all of us,  
21 and what we're looking for is zero tolerances. We're  
22 looking for zero defects.

23 We're trying to get better at what we're  
24 doing.

25 Q Can you give me a little bit more information

22-6 1 about how you carry this out.

2 Are you offering incentives to employees?  
3 Are you designing special programs?

4 BY WITNESS FRALEY:

5 A. There's approximately 13 or 14 steps to the  
6 quality improvement program. I spent about two weeks in  
7 Florida going to a college there myself on it.

8 It's a very simple program. There's 14  
9 steps to implementing the program.

10 There are measurements in the program to  
11 tell where you are at today and where you will be  
12 tomorrow.

13 It's a very beneficial program, not only to  
14 construction but anything that anybody would try to do  
15 with their hands.

16 Q You mention on line 42, page 10, that you  
17 re-evaluated the construction organization to move some  
18 people around.

19 Is this an ongoing process in light of your  
20 zero defect program? Are you continuing to do that?

21 BY WITNESS FRALEY:

22 A. What we did, we recognize that the containment  
23 building is very important. We've always recognized that.

24 We re-evaluated and put the key people that  
25 we had on the project and could get in those areas.

22-7

1 That's what we did.

2 Q Were there any individuals that were fired  
3 as a result of this re-evaluation? Was it that intensive?

4 BY WITNESS FRALEY:

5 A No, sir. There were some individuals that  
6 were moved to different locations in the plant.

7 In simple layman terms, what we did was pull  
8 the best we could get and put in that area.

9 Q Did you recruit any new people?

10 BY WITNESS FRALEY:

11 A Yes, we did.

12 We brought in a civil general superintendent,  
13 who was the assistant project manager on another site, to  
14 take the civil activities over on the site.

15 Q Can you tell me the name of that individual?

16 BY WITNESS FRALEY:

17 A Yes, sir, I can.

18 Q Who was it?

19 BY WITNESS FRALEY:

20 A Harlon Fowler.

21 Q When was Mr. Fowler hired?

22 BY WITNESS FRALEY:

23 A I can't answer that question. I couldn't  
24 even get within a month of it, but I can get it for you.

25 Q Could you give me his qualification and

22-8

1 background again?

2 BY WITNESS FRALEY:

3 A Twenty-some-odd years in civil, heavy civil,  
4 which 12 or 13 of those, I think, were with Brown &  
5 Root.

6 Q Continuing to page 11, you list some other  
7 items that you've done in your program in addition to  
8 the ones we've just discussed.

9 Can you tell me, Mr. Fraley, how you've  
10 involved the issue of proper supervision in your  
11 recommendations and changes?

12 BY WITNESS FRALEY:

13 A Sir, I don't understand the question. I'm  
14 sorry.

15 Q Well, what I'm trying to get at is you  
16 tell me on the bottom of page 10 that you've re-evaluated  
17 all the construction organization and you've implemented  
18 a zero defect program.

19 You've got an ongoing training program and  
20 you've given QC inspectors the authority to stop work.

21 What I'm asking you is how do you ensure  
22 that in addition to all these steps and instilling the  
23 quality in the construction personnel themselves, how  
24 do you deal with whether or not they are obtaining  
25 proper on-the-job supervision?

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

22-9

1 BY WITNESS FRALEY:

2 A Of course, the answer to that is daily  
3 monitoring the situation and having good craft  
4 superintendents in the areas, which I'm very confident  
5 that we do.

6 And by getting involved in meetings,  
7 personal, one-on-one, which I do personally.

8 Q Had you had any prior problems with  
9 supervision of crafts that you are aware of?

10 BY WITNESS FRALEY:

11 A Yes, we've had several problems with  
12 supervision of craft.

13 Q Can you tell me when and where that  
14 occurred?

15 BY WITNESS FRALEY:

16 A No, sir, not right now. I'd have to go  
17 back and check and -- you know, off the top of my  
18 head, I can't say that.

19 Q Well, would you agree with me that  
20 irrespective of procedural changes that are made in  
21 a program, that improper supervision can subvert  
22 potential progress?

23 BY WITNESS FRALEY:

24 A Would you repeat that, please?

25 Q Would you agree with me that if you've got

22-10

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

1 improper supervision, if the manager or supervisor isn't  
 2 doing their job, that that's going to subvert the work,  
 3 the quality of the work irrespective of the procedural  
 4 changes that have been made?

5 BY WITNESS FRALEY:

6 A Yes, I think that applies to anything that  
 7 we would talk about.

8 Q I'd like to ask your Counsel to hand to you  
 9 what has been marked for purposes of identification as  
 10 CEU Exhibit No. 29.

11 (Document handed to witness.)

12 (Witness reviews document.)

13 Q Do you have that, Mr. Fraley?

14 BY WITNESS FRALEY:

15 A Yes, sir.

16 Q Would you take a moment to look that  
 17 over?

18 (Witness reviews document.)

19  
20 //

21

22 //

23

24 //

25



3-1

1 BY WITNESS FRALEY:

2 A All right, sir.

3 Q You are the same Albert Fraley to whom this  
4 memo is addressed, are you not?

5 BY WITNESS FRALEY:

6 A I am.

7 Q Mr. Fraley, in the fourth paragraph of that  
8 memo Mr. Tolley is addressing the fact that HL&P  
9 Engineering Design is mentioned or address the ability  
10 or inability of Brown & Root to manage and control  
11 activity to craftsmen.

12 Were you aware of the problems in this area  
13 at the time of the writing of this memo in 1979?

14 BY WITNESS FRALEY:

15 A Yes, sir. I was aware that we had some  
16 problems on the job, yes, sir. And if you will look in  
17 the personnel records you will see that we did dismiss  
18 some supervision because of being incapable of following  
19 or capable of doing their assigned tasks.

20 We have had that problem in the Containment  
21 Building. We have had it on several areas of the job.  
22 We have had some supervisors that were not capable. We  
23 identified those problems, and, in my opinion, professional  
24 took care of them.

25 Q Were you directly responsible for any of those

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

3-2 1 decisions that were made? Did you have a role to play in  
2 the firing of any individuals of craft supervisors?

3 BY WITNESS FRALEY:

4 A Well, let me answer that this way: The  
5 positions that I have had on the Project, the various  
6 positions that I have had on the Project, I have not  
7 personally fired a man on the Project, but I have  
8 personally been involved with the decisions that have  
9 been made in several cases.

10 Q Can you name those cases for me?

11 BY WITNESS FRALEY:

12 A No. I would have to go back and look.

13 Q Mr. Fraley, on the second page of that memo  
14 the next to the last, Mr. Tolley is apparently  
15 re-emphasizing to you that he wants to make sure that you  
16 realize that more control has to be maintained over men  
17 performing the "hands on" task of constructing the  
18 components of the plant.

19 What was your response to this memo after  
20 you received it?

21 BY WITNESS FRALEY:

22 A Well, I identify -- when Ed wrote this letter,  
23 I identified it with the problem. We were working on  
24 problems, continuously working on problems. We are  
25 working on problems now.

3-3

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 We had a good amount of work that was going  
2 on in the reactor, and what this problem is is people  
3 problems. We had a supervisor who had took a piece of  
4 paper and went down and performed an activity prior to  
5 the authorization or the closeout of an NCR.

6 Q When did that event take place?

7 BY WITNESS FRALEY:

8 A Beg your pardon?

9 Q What was the time that event took place?

10 BY WITNESS FRALEY:

11 A It was in May. I think it was in May.

12 Q May of 1979, 1980?

13 BY WITNESS FRALEY:

14 A Yes. May of 1979.

15 Q Can you give me some more factual information  
16 about that occurrence?

17 BY WITNESS FRALEY:

18 A What happened was that we had 20 blockouts,  
19 and we had an upper and lower blockout, which are the  
20 large supports that support your steam generators.

21 We had some hairpin movement in the blockouts,  
22 the placement. And the placement was congested,  
23 massive. We had some movement in the blockouts.

24 We asked for disposition. There was an NCR  
25 written up on it. The NCR was written, was dispositioned,

3-4 1 and to expedite the work we had a three-part memo that  
2 was signed, which was not uncommon, it was signed by PSE,  
3 site engineer, authorizing us to go ahead with the work.

4 We did, which that was the people problem  
5 that I spoke of awhile ago. We violated a procedure, and  
6 the procedure simply says that when an NCR is placed on a  
7 condition it does stop the work.

8 The Foreman in good faith took the three-part  
9 memo from an Engineer, and proceeded with the work.

10 Q Was the Supervisor disciplined in that  
11 particular instance?

12 BY WITNESS FRALEY:

13 A Yes. He was.

14 Q Was he terminated?

15 BY WITNESS FRALEY:

16 A No, sir.

17 Q Would you identify that Supervisor for us,  
18 please?

19 BY WITNESS FRALEY:

20 A Sir, that has been -- I could not give you  
21 that name. I can probably back track and get it for you.

22 Q Mr. Fraley, do you recall any similar  
23 incidents that occurred, like you address people problems.  
24 Is this a recurring problem at that point in time, in  
25 1979?

1 BY WITNESS FRALEY:

2 A I can recall two or three NCR's that I  
3 dispositioned, or helped dispositioned that were people  
4 problems.

5 In all those NCR's I addressed to those  
6 people problems, but the problem was that we needed to  
7 follow our procedure. There wasn't anything wrong with  
8 the procedure, and one of them was for removal. I don't  
9 remember what the other one or two were, but I did address  
10 those as people problems.

11 In all cases that I remember it was people,  
12 you know, going out to expedite work.

13 But, yes, I can say that I personally have  
14 experienced two or three of those problems.

15 Q Mr. Fraley, do you know of any way that the  
16 people problems can be addressed or avoided in the  
17 context of implementing new procedures to take care of --

18 BY WITNESS FRALEY:

19 A Yes, sir.

20 Q -- hold concrete placements?

21 BY MR. FRALEY:

22 A Hold, physical hold points that we put in  
23 in the procedure, inspection hold points.

24 Clarity on what an NCR is for everyone, which  
25 has been done.

23-6 1 Q Should there be any requirements demanding  
2 that a Supervisor be constantly in a certain position  
3 overlooking the work that is being performed?

4 BY WITNESS FRALEY:

5 A Pardon me? I'm sorry.

6 Q I said should there be any procedural  
7 requirement that a Supervisor be at a particular point  
8 constantly overlooking the work that is being performed,  
9 particularly with regard to complex concrete placements?

10 BY WITNESS FRALEY:

11 A Are you asking should we write a procedure  
12 covering this or addressing this?

13 Q Yes.

14 BY WITNESS FRALEY:

15 A In my opinion, no.

16 MR. GAY: Mr. Chairman, I would move for the  
17 admission of CEU Exhibit No. 29.

18 MR. SINKIN: No objection.

19 MR. HUDSON: Your Honor, we would observe  
20 that it is not within the scope of this panel's direct  
21 testimony, and as far as I can tell from the examination  
22 regarding the document it is not related to any of the  
23 contentions.

24 Therefore, we would oppose its introduction  
25 into evidence as being irrelevant.

23-7 1 MR. GAY: Mr. Chairman, I think is -- Are  
2 you ready for me to respond?

3 JUDGE BECHHOEFER: Go ahead.

4 MR. GAY: I think it is clearly relevant  
5 within the context of the character incompetence. Clearly  
6 relevant in the historical context of supervisory problems  
7 that have existed at this plant, and the need to  
8 constantly supervise or to re-evaluate the supervision  
9 of crafts at the South Texas Project.

10 This is the area that Mr. Fraley is involved  
11 in. He is the one that this memo is addressed to. He has  
12 indicated that this is a recurring problem. And I think  
13 that this memo is illustrative of the problems that have  
14 existed out there in this area, and the need to be aware  
15 of that problem in any context in establishing new  
16 procedures, and requirements, and in meeting really head  
17 on to the problems that existed out there before.

18 I think if we are going to find a remedy we  
19 have to put the problems in historical context. I think  
20 that this memo is clearly relevant.

21 MR. GUTIERREZ: If the Staff could be heard.

22 JUDGE BECHHOEFER: Go ahead.

23 MR. GUTIERREZ: Under the rule that chair  
24 announced relative to when a document should be moved into  
25 evidence, Mr. Fraley is presented admittedly for another

23-8  
1 purpose, but he is the only sponsoring witness. It seems  
2 that this is the proper time.

3 With respect to relevancy, as we read the  
4 document it is relevant to managerial attitude, which is  
5 an issue in this proceeding.

6 Therefore, the Staff would not oppose its  
7 motion, CEU's motion to move it into evidence.

8 MR. SINKIN: Mr. Chairman, if I could comment  
9 for one second on that, too. A point I wanted to make,  
10 that Mr. Gutierrez had made, we ran into a problem with  
11 introduction of certain evidentiary documents in  
12 San Antonio, and it was called to our attention that one  
13 of the people on the documents is coming on later on in  
14 a panel. The document does not necessarily relate to the  
15 panel at all, but we were told, well, introduce it through  
16 that sponsoring witness. That's the proper way to do it.

17 (Bench conference.)

18 JUDGE BECHHOEFER: The Board will admit this  
19 document.

20 (The document heretofore marked  
21 CEU Exhibit No. 29 was  
22 received in evidence.)

23 JUDGE BECHHOEFER: Have the proper number of  
24 copies been given to the reporter, or did that happen  
25 when it was identified?



23-9

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. GAY: It was previously identified as Exhibit 29. I think everyone should have copies.

The Board does have copies?

JUDGE BECHHOEFER: Yes.

MR. GAY: Gentlemen, I just have a few more questions.

BY MR. GAY:

Q I would like for one of you, again, to explain to me the basic difference between the complex Restart Review Committee, and the Review Committee For Safety Related Complex Pours. How would you distinguish those two, and strictly point out what this Safety Related Complex Pour Committee does.

BY WITNESS FRALEY:

A Would you repeat that, please?

Q Yes, sir. I was asking you to distinguish the two committees that you refer to. The first one is on Page 10, the Complex Restart Review Committee. And on Page 16 you refer to the Review Committee For Safety Related Complex Pours.

BY WITNESS FRALEY:

A That is the same committee. The word "Safety" should have been struck out of that.

Q Okay. On Page 11, Line 35, you talk about a multi-disciplinary undertaking between Brown & Root and

23-10  
1 HL&P. Are you referring to the disciplines previously  
2 addressed, the QE involvement in construction and QA,  
3 or is this -- or you envision something else?

4 BY WITNESS FRALEY:

5 A All right. We are referring to here that  
6 in addition to craftsmen, craft supervisors, engineers  
7 that are involved in civil activities.

8 BY WITNESS CARVEL:

9 A With respect to HL&P, both HL&P QA and  
10 construction were involved in the re-evaluation and re-  
11 writing of the concrete procedures.

12 Q How was HL&P involved in that, Mr. Carvel?

13 BY WITNESS CARVEL:

14 A We participated in all of the meetings and  
15 all of the decision making process along with the  
16 Brown & Root personnel.

17 Q Were you the person from HL&P that had  
18 that responsibility?

19 BY WITNESS CARVEL:

20 A No. There was a gentleman from my staff  
21 that participated in those meetings. The same man for  
22 the whole duration.

23 Q Who was that man?

24 BY WITNESS CARVEL:

25 A His name is Brian Shulte.

2-11 1 Q On Page 13, gentlemen, in Response No. 15  
2 you mention that you focused your attention on the  
3 following procedures, and you go on to list them.

4 Can you tell me why or how you selected  
5 these particular matters?

6 BY WITNESS FRALEY:

7 A Let me give you a shot at it first.

8 Q Okay, Mr. Fraley.

9 BY WITNESS FRALEY:

10 A I'd like to focus in on eliminating  
11 references to code and standards, and I believe Bob  
12 would be more capable of talking about some of the others,  
13 but eliminating references to code and standards outside  
14 the procedures, this was confusing somewhat to the  
15 supervisors in that we had seven procedures that all  
16 referenced codes and standards, which when you'd pull a  
17 procedure out you'd have to run to the standards, or  
18 what have you, and get a good clear picture of the whole  
19 entire need, and what we did there, instead of referring  
20 to these standards we incorporated those into the  
21 procedures where it's very clear, there's no gray areas.

22 We took it verbatim out of the standards  
23 put them into the procedures. That improved our  
24 documentation flow. Improving our documentation flow  
25 also was in the fact that we had incorporated seven

12-12

1 procedures into one. That meant that the construction  
2 supervisor, or the supervisor, whoever, would need one  
3 document instead of seven different documents, and that  
4 would lessen the burden or the possibility of problems  
5 in documentation also, providing additional information  
6 where required.

7 We had some -- we identified some gray  
8 areas and we clarified those gray areas, more clearly  
9 defined hold points. We actually put hold points in  
10 the process on the paper that stopped the work, or  
11 not necessarily stopped the work but told the inspector  
12 that here's the inspection points.

13 BY WITNESS PURDY:

14 A Let me add something to that, if you would,  
15 Al. There's one point that I believe is very germane to  
16 the presentation, and that's the last part of it, the set  
17 increasing input from affected craft, QC and engineering  
18 personnel.

19 The particular environment under which we  
20 were operating, management felt it was very, very  
21 necessary to re-orient the attitude and the philosophy of  
22 all the interfacing organizations and activities.

23 We have done this not only in this  
24 procedure but in the procedures that we have developed  
25 in accordance with our commitments to improve those

12-13

1 programs. It is in essence a move of trying to develop  
2 a sense of motherhood, and it's a cliché you may not be  
3 familiar with, but what we are trying to develop, and I  
4 think very effectively developing in many instances is  
5 it's my plan, it's my program, it's good, it's valid  
6 and we'll make it work, and I believe that that was a  
7 very critical point in the particular procedure the  
8 development moved.

9 BY WITNESS CARVEL:

10 A I think also to clarify one point Albert  
11 made, with respect to eliminating references to codes  
12 and standards outside the procedures, my understanding  
13 was that previous to the implementation of CCP 25 we  
14 made excessive reference to -- well, we made many  
15 references to national codes and standards without the  
16 particular tolerances being stated that we were  
17 referring to, in which case the construction procedure  
18 did not stand on its own.

19 Our attempt here was to come up with a  
20 construction procedure that would stand on its own so  
21 that no outside references were needed to do the work  
22 or to do the inspection.

23 BY WITNESS FRALEY:

24 A I'd like to add one other thing to that  
25 that was very important to me. I'd like to relate to it.

12-14 ✓  
1 And that is in the clarity of it. We've got some  
2 supervision on the job that don't have college  
3 educations. We had some big words in there that was  
4 confusing to some of them and we cleaned those things up  
5 and we made it to where people with that level of  
6 education could understand the procedures, and that's  
7 one reason why we got them in and they were actually  
8 involved in looking at the procedure and shaking their  
9 heads that yeah, I can understand this, and I think  
10 that's one of the most important things that we've  
11 done with the procedures.

12 - - -  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

24-1  
ge

1 Q Mr. Purdy, you mentioned the importance of  
2 structuring attitude development into these changes  
3 that were made and into the procedures; and previously  
4 Mr. Fraley had mentioned the importance of attitude  
5 with regard to evaluation of personnel and moving them  
6 in a certain direction.

7 Is there any way that you've developed of  
8 monitoring attitudinal improvement over time? Is  
9 there a self-critiquing process involved in these  
10 changes?

11 Can you state with any certainty that  
12 positive improvement is being made in attitude?

13 BY WITNESS PURDY:

14 A Perhaps I can field that one.

15 Brown & Root management and HL&P  
16 management had requested the services of a human  
17 resource development specialist out of Management  
18 Analysis Company, an individual who would interview  
19 personnel involved in the construction, the quality  
20 activities.

21 He interviewed personnel in Brown & Root  
22 and in Houston Lighting & Power, and part of that  
23 program was to ascertain what, in essence, was the  
24 pulse of the project, or did they in fact feel that  
25 we were making progress in the management concepts and

24-2

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 translating philosophy and making the work easier for  
2 the people to do.

3 Were attitudes improving? Were relationships  
4 improving?

5 To this particular point, although I have  
6 not seen an official report, I have talked to the  
7 individuals involved, and I am very optimistic that he  
8 has found that it has improved the particular attitudes.

9 When you get a project as large as South  
10 Texas Project, it's impossible to assume that at some  
11 particular point, you know, that it's going to be  
12 Utopia and that everyone is going to be floating along  
13 and just happy as a lark with everyone else.

14 But I believe that the desire is there to  
15 work together. The way the supervision and management  
16 of both the Engineering, Quality Assurance Department  
17 and construction organization is at South Texas Project,  
18 I would find it very hard to believe that if a serious  
19 difference in philosophy or associations, relationships  
20 occurred at this particular point, that some of us or  
21 someone in a position to do something about it would  
22 not be made aware of the situation.

23 Q On page 17 of the testimony, Mr. Carvel, you  
24 mention an HL&P QA specialist in line 29.

25 Can you tell me who that person is?



24-3

1 BY WITNESS CARVEL:

2 A Presently I have two QA specialists on my  
3 staff. That could be one of two people.

4 Q Who are those people?

5 BY WITNESS CARVEL:

6 A Mr. Clark Von Mybenheim -- I'm serious.  
7 V-o-n Capital M-y-b-e-n-h-e-i-m.

8 And Mr. Thomas McGriff, M-c Capital  
9 G-r-i-f-f.

10 Q Tell me what a QA specialist is.

11 BY WITNESS CARVEL:

12 A That's a title that is given to a person  
13 on the HL&P QA staff who has no four-year degree, although  
14 the experience might qualify him for the job. If he  
15 had a four-year degree, his title would be QA engineer.  
16 Without the degree, he's a QA specialist, and that's  
17 the only distinction between them.

18 Q So the QA specialist without the degree is  
19 monitoring the performance of Brown & Root PTL  
20 inspectors?

21 BY WITNESS CARVEL:

22 A Yes. He is one of the people.

23 Mr. Shulte is also involved in this  
24 effort, and he is a QA engineer.

25 Q Mr. Carvel, let me complete my questioning

4-4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 with reference to your testimony on page 19.

2 In the first paragraph of your response  
3 to Question No. 22, you talk about the creation of a QC  
4 arm within HL&P that provides inspectors in addition to  
5 those from QA.

6 Is your reference here specific with  
7 regard to your testimony for this panel? That is, is  
8 this arm specific with regard to the concrete or does  
9 it have broader QC functions?

10 BY WITNESS CARVEL:

11 A. It's got much broader implications. There  
12 are QC inspectors on our staff for all the disciplines,  
13 as a matter of fact, civil, mechanical and electrical  
14 at this point.

15 Q. Then this isn't any different than the  
16 testimony of Mr. Frazar or Mr. Oprea would indicate  
17 with regard to over-all QA/QC functioning within HL&P?

18 There's nothing particular special about  
19 this QC arm?

20 BY WITNESS CARVEL:

21 A. No, that's the QC arm, I'm sure, that  
22 Mr. Frazar alluded to.

23 This was just an indication that in addition  
24 to people from my QA staff, that generally two of the  
25 QC inspectors were involved in the placement, HL&P QC

1 inspectors, were involved in this placement as well.

2 Q You don't mean to infer that you supervise  
3 this QC arm, do you?

4 BY WITNESS CARVEL:

5 A No, not at all.

6 MR. GAY: I pass the witness.

7 JUDGE BECHHOEFER: I think we'll adjourn for  
8 the day at this time.

9 MR. NEWMAN: Mr. Chairman, may I just have  
10 one last word before we close?

11 JUDGE BECHHOEFER: Yes. I was just going  
12 to make sure that we were all anticipating the same  
13 testimony tomorrow.

14 Am I correct that the welding panel is  
15 next after this panel?

16 MR. AXELRAD: Yes, Mr. Chairman.

17 I had a couple of matters with respect to  
18 the scheduling that I did want to address before we  
19 adjourn, and I'll be glad to do that right now.

20 JUDGE BECHHOEFER: Okay.

21 MR. AXELRAD: The next panel after this  
22 panel will be the welding panel.

23 In connection with their testimony, we had  
24 previously served on the Board and all the parties a  
25 report entitled, "Review of Safety-Related Welding at

24-6

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 South Texas Project Electric Generating Station, April  
2 1981," which will be an exhibit that members of that  
3 panel will sponsor.

4 Since the time that that report was served  
5 on all the parties, there has been one set of revisions  
6 to that.

7 I will provide copies of that to the parties  
8 and to the Board so that they can have a chance to look  
9 at it before it's discussed in the testimony tomorrow.

10 The other thing that I was going to mention  
11 is that after the welding panel testifies, we had  
12 previously indicated in our letter to the Board of  
13 several weeks ago that we would have Mr. Peverley  
14 testify on two contentions; to then be followed by  
15 the Singleton, Warnick, Wilson panel.

16 What we would like to do is to reverse that  
17 order. In other words, after the welding panel, we  
18 would like to present the Singleton, Warnick, Wilson  
19 panel, just to make sure that they do get finished this  
20 week.

21 Mr. Warnick is coming from out of town and  
22 we would like to have them finished.

23 We will also hope, as Mr. Hudson indicated  
24 earlier today, to be able to complete Mr. Peverley's  
25 testimony this week; but just in case, as he is only a

24-7

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 single individual, we would prefer to have Singleton,  
2 Warnick, Wilson come before Mr. Peverley.

3 JUDGE BECHLOEFER: Any objections to that  
4 shift?

5 MR. SINKIN: No objections.

6 MR. GUTIERREZ: No objections.

7 MR. GAY: None.

8 MR. AXELRAD: We also indicated the  
9 possibility that Mr. Williams might testify this week.

10 Mr. Williams has been ill the earlier part of  
11 this week and has commitments at the site toward the  
12 end of the week.

13 So we would like to just inform the parties  
14 we will bring Mr. Williams on to testify in September,  
15 instead of this week.

16 MR. NEWMAN: Your Honors, before we close  
17 for this evening, with the permission of the Board and  
18 my colleagues appearing before you, I would like to  
19 take a moment to recognize the loss of Alfred Geisler,  
20 Brown & Root Senior Licensing Engineer.

21 Al was tragically killed in an automobile  
22 accident on his way home from the hearing last night.

23 He worked tirelessly for years assisting  
24 my client, Houston Lighting & Power Company, the other  
25 parties, and at times this Board, in assembling the

24-8

1 large and complex record that has occupied all of us  
2 here for months.

3 While you may not have known Mr. Geisler by  
4 name, you have seen him at every session of this hearing.

5 His unusual dedication and spirit made it  
6 possible to gather and evaluate and present to you the  
7 vast amount of information about this project which has  
8 been and will be made a part of this record.

9 Al had scheduled a long-delayed vacation with  
10 his wife and young children for this week.

11 After driving them from Houston to New Jersey  
12 last week, he in typical fashion flew back to Houston  
13 on Sunday evening so that he could be available for these  
14 reconvened hearings.

15 All of us who have worked with Al have been  
16 enriched by the experience. He had endless energy and  
17 was endlessly resourceful.

18 We will miss a very bright and kind man and  
19 a very good friend.

20 I thought it would be appropriate to express  
21 for the record at this proceeding for which Al Geisler  
22 worked so very hard and long our heartfelt condolences  
23 to his wife Judy, his son Mike and daughter Melissa.  
24 We share in their great loss.

25 JUDGE BECHHOEFER: The Board joins your

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

24-9

1 expression of regret, expresses condolences to  
2 Mr. Geisler's family.

3 MR. NEWMAN: We will convey that to his  
4 family, Mr. Chairman.

5 MR. SINKIN: On behalf of Citizens Concerned  
6 About Nuclear Power, we will join in that, also.

7 MR. GUTIERREZ: Staff joins in the  
8 sentiments expressed.

9 MR. GAY: Certainly, CEU joins, also.

10 JUDGE BECHHOEFER: I guess with that we  
11 will adjourn until 9:00 in the morning.

12 (Whereupon, at 5:51 p.m., the hearing was  
13 adjourned, to reconvene at 9:00 a.m., Wednesday,  
14 July 22, 1981.)

15  
16 //

17  
18 //

19  
20 //

21  
22 //

23  
24 //

25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

This is to certify that the attached proceedings before the  
NUCLEAR REGULATORY COMMISSION

in the matter of: HOUSTON LIGHTING & POWER COMPANY  
SOUTH TEXAS NUCLEAR PROJECT UNITS 1&2

DATE of proceedings: 21 July 1981

DOCKET Number: 50-498 OL; 50-499 OL

PLACE of proceedings: Houston, Texas

were held as herein appears, and that this is the original  
transcript thereof for the file of the Commission.

Lagailda Barnes  
Official Reporter (Typed)

*Lagailda Barnes*  
Official Reporter (Signature)