


NUCLEAR REGULATORY COMMISSION

ORIGINAL

T-6990

In the Matter of:

ACRS - SUBCOMMITTEE MEETING ON
RELIABILITY AND PROBABILISTIC ASSESSMENT



DATE: July 29, 1981 PAGES: 302 thru 507
AT: Inglewood, California

*TR04
50/1
Delete: B. White*

*TR 04
Delete B. White*

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3
4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5
6
7
8 SUBCOMMITTEE MEETING ON
9 RELIABILITY AND PROBABILISTIC ASSESSMENT

10
11 Belmont Room
12 Best Western Airport Park Hotel
13 600 Avenue of the Champions
14 Inglewood, California 90301

15 Wednesday, July 29, 1981

16 The meeting of the subcommittee was convened, pursuant
17 to notice, at 8:30 a.m.

18 PRESENT: DR. DAVID OKRENT, Chairman
19 W. KERR
20 C. SIESS
21 M. GRIESMEYER
22 J.C. MARK
23 M. PLESSET
24 H. LEWIS
25

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 CHAIRMAN OKRENT: Good morning.

4 According to the agenda, there is to be an opening
5 statement by the Chairman, but the only thing I'm going to offer
6 now is that I'm going to ask both the speakers who are on the
7 agenda and other participants to try to offer proposals for
8 what they think can and should be done in this area in various
9 ways as they see it. And they should feel free to label these
10 as strawmen, things raised for purposes of discussion, anything
11 that leaves them free to put ideas forward as to what they think
12 might be useful approaches.

13 I'm going to try to get ahead of the agenda, since
14 I'm sure we won't stay that way. And if Dr. Joksimovich is here,
15 we'll begin.

16 MR. JOKSIMOVICH: Good morning. It is my
17 privilege and pleasure to be here this morning, in my new capacity
18 as manager of San Diego office for NUS Corporation, which is
19 specializing in reliability and risk assessment.

20 CHAIRMAN OKRENT: I thought we had a prohibition
21 against us --

22 MR. JOKSIMOVICH: Fleming challenged me to that last
23 night, so I thought I should respond to the challenge. Like
24 Fleming, I'd like to emphasize that my background in risk assess-
25 ment has been at General Atomic, where, among other things, I

2 1 directed a risk assessment study named AIPA. Before that, in
2 the field of risk assessment, I made some pioneering contribu-
3 tions in Great Britain where I worked together with people
4 like Rech Farmer (ph) and his associates. My boss at NUS, who is
5 Sol Levine, was going to be here this morning. Unfortunately
6 he is prevented from attending by virtue of orders from his
7 doctor. So I asked him whether he had any suggestions for my
8 presentation, and he said, "Say whatever you want, but don't
9 think that's a license for the future." So I intend to make
10 the best I can today, because it may be my last opportunity to
11 speak freely on the subject.

12 As a believer in historical perspectives, I like to
13 start out by quoting some of the recommendations that I made
14 to the Lewis Committee on the use of PRA in licensing over three
15 and a half years ago. Among other things, my recommendations
16 before the Lewis Committee in December '77 were that PRA should
17 be employed in licensing because it provides balance of frame-
18 work for assessing existing and proposed regulations.

19 I felt very strongly that it is a powerful decision-
20 making tool via value/impact type of considerations. I was
21 critical of the siting dose guidelines in -- 100, and I
22 suggested they be replaced with some new approach which would
23 recognize the risk of public injury.

24 I've also advocated the replacement of single failure
25 criterion with reliability criteria for systems. Now, since

1 then, I've listened to a number of people who suggested that
2 in addition to having reliability criteria for systems we may
3 have to have reliability criteria for functions, and I go along
4 with that.

5 I've also advocated that the level of acceptable risk
6 be predefined, namely that safety goals be specified. I've
7 also at the time, I said I was at General Atomic, and I was
8 frustrated with the way ACGR was attempted to be licensed in
9 the first two applications. So I felt that PRA should be used
10 as a principal tool for evaluating advanced reactors like ACGR
11 or LMPR. I also felt that the kind of methodology that we have
12 developed in the ARP study for the selection of safety R&D can
13 be used for water reactors or any other reactor system.

14 I advocate training programs, and the programs that I
15 advocated were both for the operators to be trained on beyond
16 design basis accident sequences. I also recommended training
17 programs for the future PRA practitioners, recognizing shortage
18 of qualified ones.

19 And I also advocated something like the procedures
20 guide. With regard to the procedures guide, I have advocated
21 that in the sense that Jack Hickman was talking about yesterday,
22 namely that innovation under no circumstances should be stifled,
23 that it shouldn't be overly prescriptive, and that it shouldn't
24 be a check list for somebody to just use it as a way to assess
25 PRA study in another plant.

4 1 And some of my analogies, maybe not very good ones,
2 were that it's like, I don't know, the United Nations having
3 representatives from hundred plus countries speaking hundred plus
4 languages, and trying to communicate. To do so, they have to
5 use five languages. And I feel much the same in this field,
6 that there are a lot of individuals who have made individual
7 contributions, and they're very specific to what these individ-
8 uals perceived should be done. And I think we're reaching now
9 the point that we have to streamline that into a number of
10 approaches that can be deemed acceptable, like in the case of
11 the common cause failures, would be recommending always the
12 beta factor approach as an effective one, not necessarily the
13 only approach but one that should be one of the approaches to
14 be employed. And there are others viable, but we shouldn't
15 have more than three or four.

16 Beyond the Lewis presentation, I delivered the
17 presentation less than two months from TMI occurrence to the AIF
18 workshop on safety and licensing. And in that paper, I have
19 added some recommendations beyond those in the Lewis report
20 presentation. I, for instance, suggested that PRA be used as
21 a tool for selecting design basis accidents which would be then
22 specified in Chapter 15 of SARs, replace the existing content
23 of that section.

24 I advocated that they be used for technical specifica-
25 tion requirements. And my bottom line was that we should be

5 1 using PRA for generating plant-specific PRA profiles, which
2 then would contain the feedback mechanism from our operating
3 experience when the plants start operating.

4 And in addition, since at that point in time defense
5 of that type of concept was severely criticized by some critics,
6 I felt that PRA provides a focus for that approach as opposed
7 to undermines the way some people were suggesting last week at
8 the NRC workshop at Harper's Ferry.

9 Now, where do we stand in 1981? From my narrow view-
10 point, I believe that significant progress has been made in a
11 number of areas. One of them is safety goals. I think that many
12 viable proposals have been made, like ACRS's, like AIF's, like
13 Sol Levine's, Ed's, and to be modest, like my own.

14 Last week, I felt that at Harper's Ferry we may not
15 have moved forward; it perhaps was a move in the wrong direction.
16 But nonetheless I'm still satisfied with the overall progress
17 that's being made. I believe that a paper that was presented
18 last week -- and George is here -- has plenty of room for signi-
19 ficant improvement and needs to be revised before we can go any
20 further. We had three workshops on this subject here, two of
21 them sponsored by the NRC, and one of them sponsored by EPRI.

22 I suggest that somebody like the NRC sponsor a workshop
23 inviting main proponents to argue their proposed approaches, and
24 I believe that many confusing issues that people say are in
25 my proposal, or Dave Okrent's, could be hopefully clarified that

6
1 way.

2 The second item, the procedures guide, I'm delighted
3 that such an activity is in progress. I think it's a great
4 thing just to initiate that. And I give credit to the NRC, and
5 I understand also DOE and EPRI are now sponsoring, I give them
6 credit for that. With regard to the quality, I reserve my judg-
7 ments when I see the draft. And I'm one of the peer reviewers.

8 Plant-specific PRA profiles. I'm absolutely delighted
9 with the progress that has been made in this respect, including
10 IREP programs which have some deficiencies, but nonetheless
11 I think the move is in the right direction. I am in particular
12 delighted to see that utilities have initiated PRA studies, some
13 of them voluntarily and some of them involuntarily. I'm
14 particularly impressed with statements made by many utilities,
15 including TVA and Commonwealth Edison, that they plan to PRA
16 all their plants on a voluntary basis. So we talk about signi-
17 ficant progress in this area.

18 Well, the areas where I don't perceive significant
19 progress are listed on this viewgraph. With regard to the
20 assessment of existing and proposed regulations, I'm not aware
21 that very many regulations have been phased out. I believe
22 that there is plenty of room for doing that.

23 I'm not impressed with value/impact type of considera-
24 tions that I've seen for the new regulations. I was disturbed
25 to hear that NRC might propose some design changes, irrespective

1 of any impact type of consideration, which reminds me of going
2 back into the mode of operation of X years ago.

3 On the siting guidelines, I was very disappointed to
4 see NUREG 0625. In my view it's a major retro-step.

5 With regard to replacement of single failure criterion,
6 I haven't heard a viable proposal. There are some, I believe,
7 we have developed at GA, but otherwise I haven't heard of any
8 others.

9 And the same is true for selection of design basis
10 accidents.

11 Now, with regard to selection of safety R&D, I think
12 some progress has been made, but I still haven't seen a compre-
13 hensive rationale for why the public funds are used for funding
14 all the safety R&D programs.

15 MR. KERR: I'm sorry. I'm not quite sure how PRA
16 decides whether public or private funds should be used to sponsor
17 research. Maybe you didn't mean to imply that.

18 MR. JOKSIMOVICH: I didn't. I think that's a very good
19 issue. I'm talking about primarily NRC safety research budget.
20 I think there is no other kind of rationale in that budget
21 that I perceive one can come up with. Now, when it comes to
22 private -- I think private budgets, I'm not aware how some
23 organizations have handled that, using or not using PRA.

24 CHAIRMAN OKRENT: Since we're asking questions, and
25 since you alluded to the existence of some GA proposal for

1 replacement of the single failure criterion, can you tell me
2 where I can readily find that proposal?

3 MR. JOKSIMOVICH: I'll come to that. And Bill
4 Houghton (ph) from General Atomic, who has pioneered this, is
5 in the audience. And he may wish to make a statement on the
6 subject.

7 CHAIRMAN OKRENT: Fine.

8 MR. JOKSIMOVICH: I'll just give him the introduction.
9 And I'll use this viewgraph for that. This is a kind of
10 approach that was developed at GA for how one can apply PRA
11 to a conceptual design. So we're talking about the new plant,
12 not existing one. The steps in the approach are that once we
13 have some kind of conceptual design, something to work with,
14 then we should perform both safety and investment risk studies.

15 The results of these studies should be compared with
16 some pre-specified quantitative goals, both for public safety
17 and investor risk considerations. From that, we move into the
18 area where we go through a safety and investment optimization
19 study for the concept.

20 The outcome of that is that we select the system
21 design options that we believe represent the optimized plant,
22 from both public safety and investor risk consideration. And
23 the same time, we have to modify the PRA study to reflect these
24 changes. And from there, we define, what are the licensing
25 design basis accidents, so that they can be presented to the NRC.

9 1 And also, we define safety and reliability criteria for the
2 plant which have to be observed by the designers.

3 Now, with regard to design basis events you may recall
4 that I presented this viewgraph last year when I appeared before
5 this committee on the subject of my proposal of -- safety
6 goals. And when I talk about design basis events, I'm talking
7 about events which are in the design basis region.

8 Now, this region can also be called prevention
9 region, if you wish. And I've also allowed for the mitigation
10 region, or design capability region, and hence both prevention
11 and mitigation aspects are represented in the proposal that I --
12 that we developed for selection of design basis events.

13 Now, when it comes to safety and reliability criteria,
14 that's a more complicated process. So I have a table here.
15 Unfortunately, I don't have the viewgraph. And I'll just make
16 a few statements. And then if you wish, Bill Houghton can
17 expand on that. The way we have approached that is that we would
18 select a particular system of safety significance, like core
19 auxiliary cooling system. And then we would define responses
20 of the plant, typically in terms of failure to start, failure
21 to operate, each loop, and restoration of the function.

22 And then we would go through the event conditions
23 for which we want this system to function, and we would list
24 those. The next step would be to pick the system parameter. And
25 typically, for the failure to start type of response, we're

10 1 talking about the failure probability. And then we would assign
2 a reliability value to that.

3 When it comes to failure to operate, we would assign
4 system parameters like failure rate, or common cause factor.
5 And we would assign numerical values for that. When it comes
6 to restoration of the function, we would talk about mean repair
7 time for accessible components, and we will specify a number of
8 hours.

9 And finally, we would talk about the probability of
10 the failed components, whether they're accessible or not, and
11 we would assign a probability that they're accessible.

12 I know it's difficult to follow that, so I think
13 Houghton can expand on that. And if you want me to, I'll just
14 finish what I have to say, and then Houghton can contribute.

15 I'd like to make a few observations on what I heard
16 yesterday. I was very impressed with Consumers Power's approach
17 on Big Rock Point. That's something that I was visualizing for
18 many years, and some, I guess, of my dreams are coming true.

19 The second issue is with regard to perceived lack of
20 emphasis on the uncertainty assessments in PRA studies. I'd
21 like to make a statement that in the AIPA study we placed great
22 emphasis on that. And we considered always that to be an
23 extremely important part of the study. We have assessed uncer-
24 tainties, not only for probabilities but also for consequence.
25 And I'm not aware that any other team has made an attempt to

11 1 assess uncertainties for the consequences.

2 If these uncertainties, by some people are deemed to
3 be large, in my opinion they simply reflect the state of our
4 knowledge. And blaming the tool for that is some kind of escap-
5 ism.

6 With regard to the statement that PRA might be an
7 art rather than a science, I would say that it's a combination
8 of the two, and a very delicate combination. If it wasn't, I
9 wouldn't be in it. That's one of the things that attracted me
10 to PRA, that artistic element. There are a lot of artists in
11 the part of the world where I came from, but not very many good
12 engineers.

13 MR. KERR: Let me inquire as to whether you take the
14 attitude of older artists or modern artists. It's my impression
15 that older artists meant their art to be understood generally,
16 and modern artists are insulted if their art is understood.

17 MR. JOKSIMOVICH: Well, I'm personally very conserva-
18 tive. I prefer in music Beethoven and Brahms to hard rock or
19 whatever.

20 MR. KERR: Okay. If that's characteristic of your
21 approach, I understand.

22 CHAIRMAN OKRENT: You're one of the stars in "Clockwork
23 Orange", are you?

24 MR. JOKSIMOVICH: So with regard to a statement, I
25 think that Frank made yesterday, providing I understood what he

12 1 said, the individual who can fix cars and TV sets in my view
2 is not going to be necessarily a good PRA analyst. And probably
3 the opposite, because he needs to have imagination. And I know
4 that some of the people who can do that well don't have the
5 kind of imagination.

6 And with regard to the strawman proposals for peer
7 reviews that Dave was advocating, some people have claimed that
8 I'm brave. So I guess to demonstrate that I will make a suggest-
9 ion, and the suggestion would be that the peer reviewers should
10 be certified PRA practitioners, in a similar manner like
11 utilities people appoint people to the review boards these days,
12 on the basis of their extensive track record in the field of PRA.
13 I think that peer review is an extremely important process, and
14 that people who have been in the field for many years and have
15 credentials and credibility, I believe that those people should
16 be doing those peer reviews.

17 I think that ANS, IEEE effort is moving that way. They
18 have appointed a number of people to do the peer reviews. I
19 guess I'll be modest and mention some names, like Norm Rasmussen,
20 John Garrick, I was also there. So I believe that the process
21 should be to certify some people with experience, and those
22 people at least for the time being could provide this type of
23 an elite, which would provide quality.

24 MR. KERR: Speaking of artists, have you seen the
25 movie -- what is it, "The Over-the-Hill Gang", or something?

13 1 MR. JOKSIMOVICH: No. I missed that.

2 CHAIRMAN OKRENT: Before we leave the subject of peer
3 review, there is some kind of a trend in society toward making
4 engineers legally responsible for the work they do. Would you
5 have these certified practitioners legally responsible?

6 MR. JOYSIMOVICH: Well, I would, in the same manner
7 like brain surgeons are accountable for what they're doing.
8 However, I would not write the laws in such a manner that we
9 can have malpractice suits every week. So I think the laws
10 should be written in such a manner so that the laws don't abuse it.

11 CHAIRMAN OKRENT: My question was only half facetious.
12 It seems to me that if we're going to do the kinds of things
13 that you have been advocating, and use PRA very strongly in
14 the decision-making process, somebody has to be willing to stand
15 up and say, "I'll put my professional reputation behind this
16 work."

17 MR. JOKSIMOVICH: I agree with that. I think we have
18 to do that. And I think in particular it's important in the
19 hearing. For instance, we're going to face Indian Point hearing,
20 I understand. And that's going to be the hearing where PRA is
21 going -- trial. I think it's very important that the witnesses
22 there have credentials in the field, and to just -- you know,
23 not go through a type of rigorous process of selecting the
24 witnesses I think would be disservice to the field of PRA.

25 CHAIRMAN OKRENT: Well, if I can pursue this a bit,

14 1 it was suggested yesterday that even the most qualified peer
2 reviewers, if they only spend a few days reviewing or even a
3 few weeks, will have had a limited ability to review. If there's
4 an obvious error that falls in their area of experience, they
5 may catch it, but -- so what's your definition of peer review?

6 MR. JOKSIMOVICH: Well, I can tell you right now, as
7 a consultant, I have a client who wants me to review a major
8 study. And they're asking for cost estimates. And the one that
9 I haven't provided yet but I will this week will be for about a
10 month of my time, plus a month of the time of my collaborators.
11 And I believe that with the kind of expertise that we've gained
12 over the number of years that we're selective enough. And
13 despite the fact that, I think Jack was saying yesterday that
14 we end up with PRA studies, like FSAR, with all these multiple
15 volumes, and it's true that the material is voluminous, but I
16 believe that the experience of PRA practitioners can focus on
17 the issues very quickly.

18 Like I understand from my former associate, Karl
19 Fleming, that in Indian Point study, that for one of the units,
20 the dominant contributor is wind, and for the other one it's
21 fire. Well, it doesn't take much imagination -- so these are
22 the new -- WASH-1400 didn't suggest anything of that description,
23 so here's a new study, and it suggests new dominant contributors
24 to risk.

25 And I'm going to focus on that. I'm going to focus and

15 1 see what are the validity of the assumptions which went into
2 conclusion that wind is the dominant contributor, and also the
3 fire. So it's not that, I think, tough to focus on the major
4 issues.

5 Now, in the process of doing that, of course, I
6 wouldn't be able to go into every detail of the fault tree and
7 event tree and that kind of stuff, but we do have experience
8 with that. I mentioned this, I think, in some of the meetings
9 before, that the AIPA study that we did was duplicated by the
10 Germans. And in the process of that duplication they spent
11 something like 10 man years. And during those 10 man years,
12 they replicated our event trees and fault trees. And I don't
13 think that what they've done was worth it, because I think they
14 simply were learning how to do things, and the end product is,
15 they had about three or four objections to the way we've done it.

16 So I wouldn't go into those type of details in the
17 reviews, but I would focus on the major issues, like dominant
18 contributors.

19 Have I answered your question?

20 CHAIRMAN OKRENT: Well, you've given me an answer.
21 Do you have other parts to your presentation?

22 MR. JOKSIMOVICH: No, I'm done. Thank you.

23 MR. KERR: Earlier on, you indicated some disappointment
24 about the NUREG that has to do with siting. Could you give a
25 little additional detail on what you had hoped, or what you

16 1 might have hoped could result?

2 MR. JOKSIMOVICH: Yes. I was hoping that after all
3 these years -- I think when the first guideline came out, my
4 memory holds, it was maybe something like '62, so here we are
5 20 years later, nearly. We're coming up with a document which
6 basically is very qualitative in nature and suggests that we go
7 back to remote siting type of considerations, and that we don't
8 give credit to the plant design. And I don't think there's any
9 evidence that I know of which suggests that this remote siting
10 is so great. And in particular, it doesn't reduce significantly
11 the number of latent cancers.

12 Like, I was involved in California with a study that
13 we did for California utilities where we looked at the Sun Desert
14 site, ill-fated Sun Desert project. And that was, I think, the
15 best site there was in the country, to the best of my recollec-
16 tion, or if not the best, one of the best. There was nobody
17 living around. But because of San Diego and Phoenix and Los
18 Angeles in the background, I think we ended up with a significant
19 number of latest cancers.

20 So from the standpoint of reduction of latent cancers,
21 I don't think that remote siting is very helpful. Now, from the
22 standpoint of reducing the number of early fatalities, yes, it
23 would be. But in my opinion, there wouldn't be any early
24 fatalities. I think that the source terms in WASH-1400 have
25 been overstated, and I think that the source terms are much

1 lower in reality. So I think even if we do have the kind of
2 accidents that have been presented in WASH-1400, there will be
3 few if any early fatalities.

4 MR. KERR: Thank you.

5 CHAIRMAN OKRENT: Yes. There's a hand. Please identify
6 yourself.

7 MR. HICKMAN: Jack Hickman, Sandia. I'd like to make
8 two comments, one on the peer review process. I think Wayne is
9 right that the selection of peer reviews is very important. And
10 in the procedures guide effort, that was given a great deal of
11 consideration. I don't know about the certification, but I do
12 know that there needs to be, first of all, a recognition, to be
13 a good peer reviewer, that first of all you need to be a peer.
14 And so those have to be selected.

15 With respect to the peer review process, however, I
16 think there's two things one has to treat. One has to do, as
17 you have suggested, look at those accident sequences which have
18 been identified as dominant, and those features, and try to
19 convince yourself that these are in two valid sequences. And
20 perhaps you can do that in a couple of months.

21 Now, what I don't believe you can do is look at those
22 other things which, through oversight or whatever, might have
23 been left out, or down in -- because of some assumption that
24 may or may not be valid. And I think to dig in and do a review
25 and that level -- and that's what one must do before -- when he

1 gets done, he says, "I now agree with the answer." I think that's
2 a much larger effort.

3 MR. JOKSIMOVICH: I agree with Jack, but implicitly,
4 I assumed that NRC would be reviewing these studies, and will
5 be doing the kind of job they're doing now. I'm talking about
6 an extra peer review that is necessary.

7 So, for instance, with Zion, Indian Point study, I
8 still believe that Jack Hickman would be asked to review that
9 for the NRC. So he won't be without a job.

10 At Brookhaven, they're also involved in the review of
11 Limerick.

12 MR. KERR: Well, now, it begins to sound as if a peer
13 review, the party's interested in, and assumes that the NRC will
14 pick up the pieces.

15 MR. JOKSIMOVICH: That's right.

16 CHAIRMAN OKRENT: I guess --

17 MR. JOKSIMOVICH: And they have to come up with their
18 own procedure, how to be selective in looking at the pieces that
19 they're concerned about. I know Frank may have thought about
20 that, what's the way to do that. And I think he advocated some
21 procedures which have been written for the IREP, which I didn't
22 quite understand yesterday. But obviously NRC is moving in the
23 direction of designing something which is kind of a guideline
24 how they're going to do their own reviews.

25 Am I right, Frank?

19 1 MR. ROWSOME: I don't have a plan for the review of
2 the licensee submittals. I do have a plan that is built into
3 the IREP procedures that we have used to facilitate peer review,
4 and it's based upon a mode of documentation called for in the
5 report that enables the decoupling of the analysis of whether
6 the model of the plant really represents the way the plant is
7 built, that is, all of the assumptions in the PRA are also
8 portrayed in conventional engineering language, so that someone
9 who is not familiar with PRA methodology but who is familiar
10 with the plant, is capable of establishing the validity of the
11 assumptions and to discuss the limitations of the modeling
12 approximations, without necessarily being an expert in PRA.

13 So that the manpower allocated to consistency checks
14 between the plant description in the report and the quantitative
15 reliability models and event trees can be decoupled, and the
16 expertise used most efficiently.

17 MR. JOKSIMOVICH: Then emphasis is here on education.
18 I'm not suggesting that. I think the emphasis has to be on
19 how selectively to review a voluminous document like Zion, Indian
20 Point study. I believe that NRC should develop some guidelines
21 how to do that.

22 CHAIRMAN OKRENT: Yes. I guess I myself find the
23 definition and amplification of peer review that you gave not
24 fully satisfying to me as a, let's say, member of the public.
25 I can understand very well what it was you were saying you

20 1 were going to do, and it meets a certain kind of a need. And
2 that's why I made the comment I did when you defined that
3 particular approach.

4 I must say I have the feeling that there is a need
5 for a much deeper kind of peer review. In fact, there is a need
6 for a much deeper kind of PRA than we have had, if in fact PRA
7 is to meet your aspirations, and deserve meeting them. It may
8 meet them, and not deserve it. Now, let me give an example
9 from just one small issue.

10 As you well know, recently cold repressurization of
11 PWRs has become a subject of interest. There have been some
12 quick studies done by staff of the NRC, by industry and so forth,
13 arriving at some preliminary judgments on the likelihood of
14 something occurring, and decisions that was okay for a year or
15 so, or whatever -- could go on. I guess my own feeling is, this
16 is a not unimportant question. And it warrants a rather detailed
17 PRA, looking at all the factors that go into this, including
18 where you might be wrong on material in the weld, and how this
19 could affect things, and what kind of flaws might be there
20 in different vessels, because there is not a generic situation,
21 really, plus the -- over the whole range, and in fact in the end
22 displaying what you don't know, the uncertainties, as well as
23 what you think you do know.

24 And in the absence of that kind of a detailed original
25 study, in fact it's hard to know what a peer review means, unless

21 1 the peer does the study. So you don't -- at least I haven't
2 seen the original starting analysis in the degree of sophistica-
3 tion that I think is needed if you're really going to treat
4 this as a serious business. And both the doer of the analysis
5 of the certifier are, let's say, willing to be subject to legal
6 accountability and so forth.

7 But that's only one issue --

8 MR. JOKSIMOVICH: But it's an idea issue for PRA
9 application.

10 CHAIRMAN OKRENT: In fact it is. It's one of those
11 that is subject to less uncertainty, in my opinion. You at
12 least start with a basis of information which is substantially
13 greater than for many of the things we have to address, like
14 the one Alan Cornell mentioned yesterday. It's less complicated
15 than that, and also you have more knowledge. But there still will
16 be uncertainties.

17 If we don't somehow go into the thing in this kind
18 of detail, both in the original analysis and, I guess, a number of
19 times in the peer review, somewhat similar to what you said was
20 done by the Germans for the AIPA study, maybe by people who are
21 more skeptical than they were, or whatever it is --

22 MR. JOKSIMOVICH: Or more elective.

23 CHAIRMAN OKRENT: I don't know about more selective.
24 Until we've done this, I think, a few times, I don't know if
25 we'll know -- we know how good we are or where the questions are,

22 1 and so forth.

2 Now, I don't believe that if you've done this kind
3 of detailed work, which I think would be a lot of effort, until
4 you've done it a few times, it's hard to predict the outcome.
5 But it could be that you have now a fairly substantial basis
6 for what I'll call engineering judgment in the PRA sense, and
7 you have really a better handle on, not only what are the uncer-
8 tainties, but which are the important ones. And in fact it would
9 mean that you've tackled not only what you know how to analyze,
10 but what you don't know how, now, I think.

11 MR. JOKSIMOVICH: Well, I agree, Dave. I suggested
12 that the German approach is not something I could recommend
13 be replicated for every PRA study. But I think doing it
14 several times by total independent group of people, like Americans
15 and Europeans, or something, I think definitely is productive.
16 But the Germans have also replicated the RSS as a part of doing
17 their Deutscharidikastudie (ph). And they've done the same
18 thing with regard to AIPA study. So I think a lot of that has
19 already been done.

20 I think we can draw a lot from those experiences --

21 CHAIRMAN OKRENT: Right, but none of the studies that
22 I have seen published so far looked at the cold overpressurization
23 event, and none of them considered that there might be a factor
24 of 2 error in predicting something, et cetera.

25 MR. JOKSIMOVICH: That's very true. I haven't seen

1 that, either.

2 MR. KERR: I guess I also have some concern about
3 an attitude on the part of any of us that says, "We will sort
4 of leave the final responsibility for review to the NRC." It
5 seems to me that that attitude may have made some sense in a day
6 when it was assumed that some of the NRC rules were not
7 physically plausible, and so you have to go through the process,
8 but they have very little to do with safety.

9 To me, one of the advantages of PRA over the previous
10 approach is that I think it can permit one to get closer to a
11 treatment of physical reality. It therefore begins to have some
12 implications for determining whether the plant is safe or not.
13 And if it can do that, then it seems to me it is something the
14 owner and operator wants very much to have done accurately, and
15 not leave to the NRC.

16 MR. JOKSIMOVICH: Well, I strongly advocate heavy
17 utility participation in the PRA study. And there have been a
18 number of examples already where -- well, as a matter of fact,
19 I can go beyond that, and I can say that no utility that I have
20 talked to would let just consultants do the PRA study. They
21 want to be involved. It's the degree of their involvement
22 which varies these days.

23 So I think that the utilities have recognized that,
24 and it's just a matter of having rather limited resources right
25 now. But I see that their involvement in PRA studies is going

24 1 to grow. And they are obviously ultimately the ones who are
2 going to be the beneficiary of the approach.

3 And so while utilities will be looking over the
4 shoulders of the -- I think the consultants, by the way, have
5 to continue doing this for a number of years, because that's
6 where the most talent right now is. And I think the utilities
7 will be gradually coming on board and taking over that, and I
8 think several years from now I think they will be probably
9 capable of doing their own PRA studies.

10 By the way, I don't think there is a TVA representative
11 in the room. but -- yes. Sorry. You may wish to expand on
12 that, but it's my understanding that TVA's policy is that Brown's
13 Ferry study would be done by and large by the consultants, with
14 heavy TVA participation. And beyond that, their policy is,
15 they're going to be on their own. Is that correct?

16 MR. MONAHAN: (From audience.) John Monahan, TVA.
17 That's correct. We hired Pickard, Lowe & Garrick to help us
18 with the Brown's Ferry PRA. And we intend to, or we hope to
19 continue to do PRA on --

20 CHAIRMAN OKRENT: Yes.

21 MR. HOUGHTON: I'm Bill Houghton of General Atomic.

22 I would like to give a brief discussion after lunch
23 during the general discussion. Perhaps that would be a better
24 time for me to incorporate comments wherein my name was used
25 previously.

25

1 CHAIRMAN OKRENT: Sure.

2 Questions for Dr. Joksimovich? Well, if not, we'll
3 stay a little bit ahead of the agenda. We're in good shape.

4 Thank you.

5 MR. JOKSIMOVICH: Thank you.

6 CHAIRMAN OKRENT: The next speaker is Mr. Bitter from
7 General Electric. I see we have another speaker.

8 MR. HILL: My name is Richard Hill from General
9 Electric. Dave Bitter was unable to be here this morning,
10 a case of strep throat. You wouldn't have been able to hear him
11 if he had appeared.

12 MR. KERR: I have to gather from what I've heard this
13 morning that the life of PRA analysts must be rather stressful.

14 MR. HILL: I guess from time to time we all undergo
15 some stress.

16 MR. MARK: Is it only in the throat?

17 MR. HILL: Excuse me? I didn't hear you.

18 Again, my name is Richard Hill, and I work for
19 General Electric. And I want to discuss some of our views on
20 PRA, and safety goals, as they apply in the licensing area. An
21 overview or an outline of what I have to discuss today, use of
22 PRA analysis, evaluations in our BWR/6 design, and the use of
23 PRA in design improvements we've made, not only are looking
24 at in the BWR/6 design but also in previous product lines,
25 the PRA applications in the licensing process, as well as

26 1 improvements we feel could be made in that application.

2 An evaluation of our PWR/6 Mark III design, the
3 approach we've used -- and I should say that this evaluation is
4 ongoing right now, it's not complete, but it's similar to the
5 WASH-1400 study, that type of methodology. The analysis of
6 the Mark III is looking at, as it shows there, both core damage
7 as well as the total risk.

8 And we're going to use that analysis to look for
9 design improvements, potential improvements, and we'll do a
10 reanalysis, if you will, for the delta, or difference in the
11 core damage probability, as well as total risk. I believe some
12 of the results of this were presented previously to the ACRS in
13 May. And we have this program scheduled for completion early
14 in 1982.

15 Some of the same type of things have been looked at,
16 as far as design improvements are concerned, for the total
17 product lines, methodology for identification of improvements,
18 as stated here, is basically to take a look at the reliability
19 of the systems, and the design, the way it is, identify potential
20 improvements, make those improvements basically in the system
21 models, and reanalyze to find out what resultant risk reductions
22 there are.

23 The planned standard BWR/6 improvements are listed
24 here, and that includes the improved ADS logic, and that is the
25 logic to take care of steam line breaks outside of containment

27 ? 1 type of thing that was identified by a bulletin and orders
2 task force, increased RCIC reliability, alternate decay heat
3 removal, which we're looking at as being a containment over-
4 pressure relief type system, and ATWS Brown's Ferry modifications.

5 To give you a feel for the results, looking at those,
6 these are examples, preliminary results. Across the bottom of
7 the events that we're looking at, from loss of feedwater, stuck-
8 open relief valve, loss of off-site power, various break sizes,
9 ATWS, and loss of heat removal. And you can see the before
10 modification and after modification levels of risk. And you
11 can see especially the large risk reduction in the ATWS area.

12 Application of PRA in the licensing process, we see
13 both benefits and potential problems. In the way of benefits,
14 as it shows there, it's really -- can be a useful tool in
15 decision-making. And we've listed two areas of decision-making
16 underneath that, and -- providing a basis for rule change deci-
17 sions as well as assessing backfitting of requirements. And we
18 feel that this ability to lend more definitive nature in
19 decision-making processes is the real benefit of the PRA.

20 Potential problems, as listed here, is that if it
21 becomes a requirement, it could be a real resource limitation
22 in trying to do all of the PRA analyses. Right now there is
23 a lack of consistent PRA scope. Some only go to core melt, some
24 others go out to total risk, and calculate the consequence models.
25 And there seems to be a lack of methodology, consistency, and

1 right now the IEEE and ANS groups are working to come up with a
2 standard in that area.

3 There's a lack of quantitative safety goals. And
4 right now OPE is working in their workshops -- they just finished
5 last week a workshop discussing safety goals, and I'll touch on
6 that a little bit later -- as well as if -- with these other
7 potential problems, that all could kind of cascade into potential
8 licensing delays, which in itself is a problem.

9 Basically, our conclusion is that the PRA is really
10 a good tool for decision-making, and helping to do that. It's
11 not necessarily a good thing if it's put as a requirement.

12 CHAIRMAN OKRENT: Could you put that back a minute,
13 please?

14 MR. HILL: Certainly.

15 MR. MARK: Why do you suppose that PRA will lead to
16 an extension of licensing delays?

17 MR. HILL: In the process of trying to uniquely evaluate
18 each one of the PRAs, if it's a requirement for each utility,
19 the lack of resources, as well as some of these other things
20 that I've mentioned up above here, could lead to delays. We're
21 not saying it's a probability of one that we're going to have
22 delays, but just in trying to review a PRA as a requirement for
23 a license -- could very easily lead to delays.

24 MR. MARK: That might, I suppose, be true, in some
25 short range. But I would have, myself, hoped that once you'd

1 done a PRA on the BWR/6, that the utility doesn't have to do
2 the same thing over again, nor does the staff have to look at
3 the same thing again.

4 MR. HILL: I would agree that we would encourage
5 generic PRAs, if you will, or product line type of PRAs, however,
6 not every plant within a particular product line, like BWR/6,
7 is identical. When I mention requirement there, I'm looking
8 at a plant-unique requirement, where each licensee would be
9 required to have his own PRA.

10 Again, I'm not saying it's bad to have -- we would
11 support any utility that would want to have their own PRA, and
12 that's probably a good thing for them to have. And I missed
13 some of the earlier discussion here, but I'm sure you've touched
14 on that. But in the realm of a requirement for license, where
15 a review has to be completed and approved, then I think that
16 we're in an area where manpower and other decision-making tools
17 that are not available right now consistently would cause --
18 could cause delays.

19 MR. MARK: I wonder if Mr. Thadani could comment on
20 the thoughts he would have.

21 Supposing you have a plant with a BWR/6. And supposing
22 you have reviewed a PRA for things specific to that -- to the
23 NSSS, I guess that would be. Each plant is different, but they're
24 not different in all respects. Would it be imaginable that NRR
25 would use some of these things by reference?

1 MR. THADANI: Dr. Mark, obviously, at least I would
2 hope, myself, that there would be no need to repeat some of
3 the analyses, if indeed the analyses are applicable, to, let's
4 say a similar design located somewhere else. I suspect that
5 the reality would be somewhat different, because of a number
6 of factors.

7 Certainly the external environmental effects would be
8 different. The power supplies, the role of the architect-
9 engineer would play, in my opinion, a very significant role in
10 terms of risk assessment to the plant. NSSS supply -- in terms
11 of -- let me go through some examples. I think that might be
12 a little easier to get into.

13 Let's say that Westinghouse designs auxiliary feedwater
14 systems. Let's say that they have typically three trend system,
15 and let's say there is a standard plant with certain power
16 rating, associated aux feed trends, flows, et cetera. Presum-
17 ably success-failure criteria are specified. And I would expect
18 similar criteria would apply to a plant located elsewhere.

19 An area where I'm not so sure one can apply the same
20 PRA, if I may use reliability analysis of the auxiliary feedwater
21 system, would be how many diesel generators are available, in
22 the event of a loss of off-site power event? Is there a backup
23 power supply to diesel generators? What DC power supplies you
24 have? It's just not clear to me at the outset that General
25 Electric performing some risk analysis for a BWR/6 product line

31 1 would be applicable to all, or even a large number of BWR/6
2 plants which may be built.

3 CHAIRMAN OKRENT: If I could ask one or two questions
4 that arise from this viewgraph, under potential problems, you
5 didn't list uncertainties. Do you think there's a problem there?

6 MR. HILL: Well, I believe the treatment of uncertain-
7 ties is with the lack of consistent methodology. Right now
8 there may not be a consistent treatment of uncertainties. I
9 do believe that until we decide -- "we", industry and NRC,
10 decide on how uncertainties ought to be treated, and what's
11 acceptable methodology, acceptable assumptions, et cetera,
12 I believe that fits into that category.

13 Those are the things that need to be, at least in some
14 sort of consistent manner, addressed, before we -- probably is
15 a good thing to do -- you know, if the NRC is involved in making
16 a requirement out of this, that would have to be addressed.

17 CHAIRMAN OKRENT: Do you think that when the IEEE, ANS
18 committee has their methodology, we'll then have the uncertain-
19 ties in hand, or what?

20 MR. HILL: I doubt that we'll have the uncertainties
21 in hand. I would hope that we would have the methodology by
22 which we could look at as a -- some sort of base line, and make
23 judgments from. In the area of probabilistic risk assessment,
24 I'm not sure that we'll ever totally have the uncertainties in
25 hand. Maybe you have a different concept of what "in hand" means

1 than I do, but there are always going to be uncertainties in
2 your various assumptions that you make.

3 CHAIRMAN OKRENT: I suspect I may have a different
4 concept.

5 Dr. Kerr, do you have a question on this point?

6 MR. KERR: Well, I interpreted your question to mean,
7 how one dealt with the uncertainties, and not with the method-
8 ology used to treat the uncertainties. And I agree, the method-
9 ology is a problem, but it seems to me a greater problem may be
10 the fact that the uncertainties exist. And I think almost any
11 methodology is going to demonstrate that they do.

12 And they exist in precisely the area in which they're
13 crucial, the high consequence area. And it would seem to me
14 that this is difficult.

15 MR. HILL: I agree.

16 CHAIRMAN OKRENT: You didn't tell us in your presenta-
17 tion what you would consider to be adequate peer review. No
18 reason why you should, but as you can tell, I'm interested in
19 the question. What do you feel would constitute adequate peer
20 review within General Electric, and then after you've done
21 your generic PRA?

22 MR. HILL: An adequate peer review of our, for instance,
23 BWR/6 assessment --

24 CHAIRMAN OKRENT: Well, of a product that you would
25 put out, that's a PRA.

33 1 MR. HILL: I would consider adequate peer review
2 being the design process that General Electric goes through in
3 its own design review methods, including the review and internal
4 approval of our own risk assessments.

5 CHAIRMAN OKRENT: Well, in the past, the design approach
6 that has been used from time to time has been not trouble-free.
7 I mean, we've had a lot of interest, for example, in dynamic
8 forces in pressure suppression systems, and steam relief systems,
9 for example. So I'm trying to see better how General Electric
10 thinks the process of peer review should be done, and to what
11 standard it should strive, and what responsibilities should be
12 accepted by those who advance a PRA as the basis for decision-
13 making. Because you're saying in fact that you would do that.

14 MR. HILL: PRA is not the only tool, obviously, for
15 decision-making --

16 CHAIRMAN OKRENT: But it's being proposed as an
17 important tool.

18 MR. HILL: Yes. And I do believe that the standard
19 design practices that General Electric uses would be those
20 practices by which we would arrive at a particular design, and
21 then, if you will, maybe, in your language, the peer review would
22 be -- the PRA risk assessment would be a complement to the
23 design, and looking for various improvements in that design,
24 especially if that reliability work is done in conjunction
25 with the development of the design.

34 1 CHAIRMAN OKRENT: I'll leave it as an open question.

2 MR. HILL: Maybe I'm not truly understanding the
3 question, but I believe there's a lot of philosophy in the
4 question that it's not easy to nail down in a single answer.

5 CHAIRMAN OKRENT: Well, let me just make one comment.
6 I have a little concern with the proposal, which I well under-
7 stand why it's made, that we should not have regulations that
8 require PRAs. We should use PRA as a decision-making tool. And
9 the concern goes like this. I can envisage a situation where
10 subconsciously or consciously PRA is advanced selectively for
11 decision-making. People advance it where it supports what they
12 want to achieve. They think, "Here's a weak area. If I do
13 PRA --" weak from my point of view. In other words, the regula-
14 tion that shouldn't exist, or somebody may say, "It's a weak
15 safety area", either way.

16 And they'll use PRA only to advance their point of
17 view, but not be willing to do it comprehensively, because
18 comprehensively it may turn up some things that go against my
19 current point of view, or whatever I'm advocating.

20 Do you have any concern that way?

21 MR. HILL: The problem you've stated is definitely
22 a potential problem within industry or the NRC.

23 CHAIRMAN OKRENT: Yes, indeed.

24 MR. HILL: In trying to use analysis to show your own
25 point of view. The root to that problem I guess lies in human

1 nature, of trying to get the designers and the regulators to
2 look at the problem beyond their own interests, and look at it
3 very open-mindedly for both the benefits of a particular change
4 as well as the negatives of that change.

5 And, yes, there could be a problem there. I think that
6 problem, though, will be checked and balanced as we deal with
7 various other organizations within industry and the NRC in any
8 particular design change.

9 CHAIRMAN OKRENT: Maybe.

10 MR. HILL: Continuing, improvements in the application
11 of PRA that we see, that, as we've discussed, need to have
12 a standardized methodology in a uniform application. And this
13 would include a consistent -- or a safety goal that would provide
14 a consistent measuring stick for the PRA results that are --
15 that you've calculated.

16 The basic elements that we see that have surfaced in
17 all the safety goal proposals to date are those three right
18 there, the individual health, societal health effects, as well
19 as core damage probability. And as we look at these major
20 elements, we see that they're actually very similar --

21 MR. KERR: Excuse me. Before you go to the next slide,
22 you referred to the need for standard methodology for uniform
23 application. I'm trying to get an understanding of what you mean
24 by standard. For example, do you think pressure vessel design
25 is done by using a standard methodology in the sense in which

1 you made it here?

2 MR. HILL: No. That's the sense in which I mean --
3 standard methodology here is a standard or an acceptable set
4 of assumptions, modeling assumptions, as far as systems are
5 concerned. I guess I would go back to all the various uncer-
6 tainties, if you will, those type of things --

7 MR. KERR: I'm trying to draw an analogy. In your
8 view, is pressure vessel design, as it is done by various people
9 who sell pressure vessels and design them, done using a standard
10 methodology?

11 MR. HILL: ASME Code, yes.

12 MR. KERR: So that you would like to see something
13 like an ASME Code if it could be assembled?

14 MR. HILL: Something of that nature. I believe that's
15 the area in which the IEEE, ANS organization --

16 MR. KERR: Well, I'm puzzled by this, because I keep
17 hearing of an IEEE, ANS effort. My impression before this
18 meeting was that IEEE was going to work on safety goals, and that
19 ANS was going to work on methodology, and the two activities
20 seemed to be mingled. But that's probably not a question for us
21 to settle at this point.

22 MR. SIESS: I got the impression from your response to
23 Dr. Kerr that you think that the standardization may turn out
24 to be something like Division 3 of ASME Code. That's a third
25 party type of agreement, a voluntary standard type thing.

37
1 What's the possibility that it'll turn out to be something like
2 Appendix K, which is also a sort of standardized assumption,
3 standardized methodology, which, if followed, is an acceptable
4 procedure, but quite a bit different than the ASME Code?

5 MR. HILL: Well, the difference between those two,
6 outside of obviously the technical differences are, one is a law,
7 or one is a rule, and the other one is voluntary, as you mentioned.

8 MR. SIESS: That's a big difference.

9 MR. HILL: We would hope that it would be a voluntary
10 type of standard, more as the ASME, rather than having to take
11 something of that and put it into a rule-making type of process.
12 I don't see any particular need for that. When you make anything
13 into a rule, then you've obviously locked the technology into the
14 law. And in this area specifically where technology is changing
15 quite a bit, it would really, I think, be a disservice to the
16 practitioners of PRA to have the methodology locked that tightly.

17 MR. SIESS: Sounds very much like the triumph of hope
18 over reason.

19 MR. HILL: This next chart is just here to point out
20 the various proposals for safety goals. And the point that I'm
21 headed towards is really the safety goal elements that have
22 been proposed are actually very consistent. And as you can see,
23 there are various categories; core melt and mitigation systems,
24 as well as societal, individual health effects, latent early,
25 cost-benefit type of proposals. And the little circles there

38 1 indicate which proposal has which qualities. And you can study
2 that maybe a little more thoroughly. But -- that'll fit
3 horizontally.

4 What I'm intending to show here is how those various
5 proposals group in each category. The top category there is
6 core melt, in other words the core damage type of goal. And as
7 you see, that that groups around, and this is plus or minus a
8 decade, basically, it groups around the 10^{-4} number.

9 The individual groups here right in this area -- and
10 if you come over to the societal risk, you're at the one, death --
11 this is at the 10^{-5} . And these happen to be the particular
12 numbers that the AIF proposed in their goal, and also happen to
13 be the numbers that were used at the OPE workshop last week.

14 The point here is that really, although there are
15 several safety goals being proposed, all the proposals are
16 relatively uniform in these three. And as the last chart
17 showed, those are the three that seem to be consistent through
18 most of the proposals, as a general consensus.

19 CHAIRMAN OKRENT: Can I make a comment here?

20 MR. HILL: Yes.

21 CHAIRMAN OKRENT: I think the comparison that you just
22 made, which I've seen made before, suggests a similarity which
23 I don't feel exists. I'll speak for what is in NUREG 0739. And
24 I guess speaking for myself, I look at it as a package. And to
25 have, for example, the goals on individual and societal risk

39 ? 1 without an alara would be only half a package, in my opinion.
2 And so to say, for example, that the goals on individual and
3 societal risk appear to be in the same ball park, among all of
4 them, and therefore these are similar, and these words have
5 been used here, to me is in fact not a real representation
6 of the situation.

7 I think a proposal that does not have an alara has
8 a different philosophy in it, even though it seems to be very
9 similar where the two are the same.

10 Similarly, the AIF proposal, which has an alara, does
11 not have any requirement on mitigation. Again, I think that's a
12 basic philosophic difference in the proposal, in NUREG 0730.
13 It proposes that both prevention and mitigation have goals.
14 So let me suggest that when people say that these approaches
15 are similar, in the future, that they make the point that there
16 are fundamental differences. I have seen comparisons on slides
17 and in books that say that these are very similar in their ways
18 of doing it. I find, myself, important differences, very impor-
19 tant differences.

20 MR. HILL: You make a good point, Dr. Okrent. And I
21 do acknowledge the fact that there are fundamental differences
22 in the philosophy in which the various safety goals were devel-
23 oped. However, if you look at them from a quantitative nature
24 or quantitative view, and those three major areas, they do become
25 similar quantitatively. but you make the point very well that

1 they're different fundamental philosophies.

2 CHAIRMAN OKRENT: Dr. Griesmeyer would like to
3 comment, if he can reach the microphone.

4 MR. GRIESMEYER: Again, when you make comparisons
5 about the numerical values in the three categories that seem to
6 be common, you have to remember that until you specify how you're
7 going to calculate the numbers and in what context you're going
8 to interpret them, and how you're going to treat uncertainties,
9 the numbers are not similar at all. Because without a context,
10 the numbers don't mean anything.

11 MR. HILL: In general, however, if -- and this is one
12 of the points made earlier. Once you standardize, if I may use
13 that word, the context of the way in which you calculate the
14 numbers, the numbers that are specified in the goals are gener-
15 ally the same measuring stick for that number.

16 And you're right, if you calculate the number differ-
17 ently for a different goal, you could have a different measuring
18 stick.

19 CHAIRMAN OKRENT: Let me elaborate on it, because I'm
20 very glad Dr. Griesmeyer made the point. We've been talking
21 about uncertainties and so forth, and for example, how one
22 brings uncertainties into a calculation of the mean value. It
23 can have a big effect on what answer you get. And whether or
24 not you exclude some accident sources from the calculation can
25 have a very big effect. In other words, if you do it without

41 1 including natural events and sabotage, for example, you
2 might have a rather different conclusion than if they were
3 included.

4 So this question of how you treat uncertainties, and
5 the context in which you're doing the calculation, again may
6 represent a difference. We tried to make, I think, the point that
7 uncertainties were to be treated fully, and all accident scenar-
8 ios were to be considered in the suggestion that we proposed
9 for discussion. It's not clear to me, and some of the others,
10 just what the intent is.

11 MR. KERR: I would suggest that one put the emphasis
12 on "similar", which I think is the word you used, rather than
13 "identical".

14 MR. HILL: Yes.

15 In summary, I guess the points that I would like to
16 have you take out of the presentation today, from our point of
17 view, is that we do believe PRA can be a useful tool in design
18 evaluation of nuclear power plants. And it can also be useful
19 in analysis of various safety improvements that you'd want to
20 make. We don't believe that PRA should be a regulation or
21 required for every plant.

22 We do believe that PRA can be used very effectively
23 in decision-making. And the last bullet there is really,
24 methodology development of the safety goal formulation and
25 application in the licensing process should proceed in parallel.

42

1 All of these things should be developed on the same time frame.

2 That completes my formal presentation. Any further
3 questions?

4 MR. KERR: We have raised this question earlier, but
5 let me pursue it a little more. Your slide indicates that the
6 results of PRA should be used in the decision-making process.
7 If I put myself in the position of people responsible for regulat-
8 ing and licensing nuclear power plants, this means to me that
9 they must take the results of somebody's analysis and use that
10 to judge whether a plant is licensable and whether it should
11 continue to be operated.

12 Now, they may not require that one do a PRA to get
13 those results, but if they require that the results be available
14 in order that a decision be made, what is the difference between
15 that and requiring that a PRA be done?

16 MR. HILL: Dr. Kerr, I might have missed just the
17 first part of your question, because, in shuffling my paper
18 here -- I apologize. The first part -- somehow you arrived
19 at the fact that the results were required.

20 MR. KERR: Well, you said that they should be used to
21 make decisions. Presumably this means decisions by, for example,
22 a regulator.

23 MR. HILL: I see.

24 MR. KERR: I guess. I mean, I don't want to misquote
25 you. I assume that --

43 1 MR. HILL: No, I think that's a good point of clarifi-
2 cation. I was coming from the standpoint that vendors or
3 architect-engineers, utilities could use the results in decision-
4 making tools as how to best optimize the design for safety, in
5 that area. I wasn't using them in the context that you would
6 regulate the plant by the results of the PRA.

7 MR. KERR: But having reached this conclusion, it
8 seems to me it has to be demonstrated to the organization respon-
9 sible for regulation, as a valid conclusion. And if PRA is
10 useful to the person making the initial decision, it should be
11 useful to others who have to make decision, or would you anti-
12 cipate that the NRC, for example, would use an entirely differ-
13 ent decision-making process?

14 MR. HILL: I wouldn't anticipate necessarily they'd
15 use a different decision-making process, however, I do believe
16 that from a vendor's point of view, as we look, for instance,
17 at the BWR/6, we could do a standard generic type of PRA that
18 would fulfill our purposes in the way of results for optimizing
19 the design, which may not fill, as Mr. Thadani said, his purpose --

20 MR. KERR: No, I -- I thought you were referring to
21 people who were going in for licensing and were saying that
22 they shouldn't be required to do PRAs.

23 MR. HILL: True.

24 MR. KERR: And yet they should use the results of
25 PRAs to make decisions. And my question is, how is one to

1 demonstrate that a decision is valid, unless he can demonstrate
2 that the results of the PRA have some general validity?

3 MR. HILL: I think the difference there is, I changed
4 the subject of the sentence. In one case, those that have done
5 the PRA for the purpose of design work or evaluation of a design,
6 which does not necessarily mean each utility or each licensee,
7 where those going in for regulation would be each licensee.
8 Maybe I'm missing your point, Dr. Kerr. I don't --

9 MR. KERR: Well, I think even at present, although in
10 a sense NRC requires that each utility prepare safety analysis
11 report, much of the contents is identical with other contents.
12 So in that sense, although there is a requirement that all this
13 paper be assembled, it isn't, in practice, a requirement that
14 each person do a safety analysis de novo, but rather than in
15 many cases much of what has been developed previously is used.

16 Now, it would seem to me that if a PRA is needed in
17 those situations in which they can be identical, one can use
18 the results of previous work.

19 MR. HILL: I agree. And in doing so, it is possible
20 to lock generically at a group of plants. And that information,
21 as you say, if it's useful to the designer, it could be useful
22 to the regulator also.

23 CHAIRMAN OKRENT: Dr. Joksimovich.

24 MR. JOKSIMOVICH: I'd like to endorse what Dr. Okrent
25 said about lack of similarity in the various approaches proposed.

45 1 And that led me to my proposal this morning that we get
2 together and debate the thing so that we can tell the rest of
3 the world that there might be some similarities but there are
4 some gross dissimilarities, and then we put those things in
5 perspective.

6 CHAIRMAN OKRENT: Yes. And I think certainly your
7 proposal is one that is quite different from the others, in that
8 you have a limit line kind rather than numbers.

9 MR. JOKSIMOVICH: I think that's a very fundamental
10 difference.

11 CHAIRMAN OKRENT: I agree.

12 Mr. Temmy.

13 MR. TEMMY: I'm Mark Temmy from General Electric
14 Advanced Reactor Systems. And there are two points of the
15 discussion just past that I wanted to respond to briefly. The
16 first is the apparent confusion over which technical society
17 is doing what in this business that Dr. Kerr expressed. And I
18 feel that perhaps I've contributed to his confusion myself. So
19 let me attempt to clear things up, hopefully not make them worse.

20 The joint ANS, IEEE effort which has been mentioned
21 a number of times yesterday and today to produce a document
22 which describes some sort of standard methodology for carrying
23 out PRA is an ad hoc activity which is sponsored in part by
24 NRC. And in fact, NRC has given grants to both organizations
25 to carry this out. DOE is also a financial contributor. And

1 the whole activity is outside of the standards organizations
2 of both societies.

3 It has a fairly well defined purpose, with a specific
4 schedule that's unusual with respect to the schedules under
5 which standards-writing groups operate. So it's not an organiza-
6 tion, it's not an activity that's within the framework of the
7 standards-writing groups in either ANS or IEEE.

8 In ANS, there is at least on the organization charts
9 of the standards groups a group that has the charter to write
10 a standard that describes PRA methodology. That is an inactive
11 group, but it exists on the books. It has a scope.

12 In IEEE, there is a working group in operation which
13 I chair which is focused on writing a standard which expresses
14 safety goals. And there's been discussion of coordination
15 between these two groups.

16 There also happens to be in ANS a standards working
17 group to write quantitative safety goals for breeder reactors.

18 Does that help or hinder, Dr. Kerr?

19 MR. KERR: Well, I have more information now on which
20 to misunderstand it than I did before.

21 MR. TEMMY: Well, then I'll get on to the other point
22 I wanted to respond to, and that's the question, the point that
23 came up about the similarity of numerical goals. And I wanted
24 to express a personal reaction that I have to some of this. I
25 have seen and heard statements to the effect that although they

47 1 are arrived at by vastly different forms of logic and rationale,
2 the conclusions, namely the numbers stated by various groups and
3 individuals, are remarkably similar.

4 Personally, I take little or no comfort in that kind
5 of statement, and in fact quite the contrary. I find it a very
6 disturbing statement. It leads me to wonder to what the common
7 cause failure is there. And one of the important reasons that
8 I feel that way is exactly what Mike Griesmeyer stated. So I
9 don't think we should feel content and satisfied because if we
10 plot all the numbers proposed on the same graph they all fall
11 within some narrow range. It's been suggested to me, and I
12 certainly haven't confirmed it, that that may just be a reflection
13 that everybody's quoting WASH-1400, for example.

14 That's all I wanted to say on that point.

15 MR. KERR: Mark, it may go back to the old story that
16 they used to tell about, what is an engineer, in the days when
17 there were slide rules. An engineer is a guy who takes a slide
18 rule and says, "Two times two is 3.98 -- oh, hell, call it four."
19 These goals may not have much to do with the logic that was
20 used to arrive at them.

21 CHAIRMAN OKRENT: Well, thank you.

22 We're at the point on the agenda where it calls for
23 a break. We'll reconvene at 10:15.

24 (Brief recess.)

25 CHAIRMAN OKRENT: The meeting will come to order.

1 If Dr. O'Donnell is here, we'll begin.

2 MR. O'DONNELL: Good morning, Dr. Okrent, members of
3 the subcommittee. My name is Ed O'Donnell. I'm a Division
4 Vice-president with Ebasco Services, Inc. And I also serve as
5 the Chairman of the Atomic Industrial Forum Subcommittee on
6 PRA. The subcommittee is composed of representatives of utili-
7 ties, A-Es, all four reactor vendors, and many of the consultants
8 that you've heard during the session.

9 I'm here in that capacity today as Chairman of the AIF
10 Subcommittee to give you our views, our thinking on the use of
11 PRA in quantitative safety goals in the regulatory process.
12 We believe that these are very important issues and are pleased
13 that the ACRS Subcommittee has seen fit to undertake this inquiry.

14 Much of the discussion regarding PRA to date has
15 focused on numbers, quantitative safety goals and methodology.
16 These issues are also important. But it appears to us that
17 very little thought or discussion has been given to how the
18 NRC would actually use these tools in formulating its regulatory
19 decisions.

20 We do endorse the use of PRA as a tool by utilities,
21 and I was very impressed, as others were, with the steps taken
22 by Consumers Power in applying PRA as an internal management
23 tool to Big Rock Point. And we endorse and encourage utilities
24 as well as A-Es and NSSS vendors to use these tools in deter-
25 mining need for modifying designs.

1 However, the question of how the NRC should use
2 these tools is quite different and requires much more focusing
3 and discussion. The Atomic Industrial Forum's views on these
4 issues is spelled out basically in two documents. On June 2nd
5 of last year, we sent a letter to Harold Denton that detailed
6 our views in general on how PRA should be used in licensing, and
7 gave some overall thoughts on establishing of quantitative
8 safety goals.

9 In May of this year, we issued a policy statement that
10 dealt with the establishment and use of quantitative safety
11 goals in the regulatory process, and detailed, in some degree,
12 our thoughts on how the decision-making process should be formu-
13 lated. And in my presentation this morning I will summarize
14 and hopefully elaborate on these views in these two documents.

15 I'd like to start off with a general discussion of
16 the considerations that should be taken into account in using
17 PRA in the regulatory process. And these basically come out of
18 our June 2nd, 1980 letter. Number one, we believe that PRA
19 should be used to support and not supplant deterministic require-
20 ments. That is, we do not envision a regulatory regime in
21 which the current deterministic approach would be totally with-
22 drawn and supplanted by, let's say a set of numbers or state-
23 ments of acceptable risk, or quantitative safety goals.

24 The general design criteria we believe should remain
25 in place and we should adopt PRA as a basis for justifying the

1 need for change in those requirements. And that cuts both ways.
2 That is, in terms of justifying additional requirements, or if
3 someone proposes to reduce the existing requirements, that
4 PRA should be part of the underlying justification for any change.

5 In doing PRAs, we feel that it must be done as realis-
6 tically as possible. And the degree of uncertainty and conserva-
7 tism in the results should be very explicitly stated. We feel
8 this is necessary to avoid any bias towards looking at sequences
9 that appear to be major risk contributors in that they are high
10 consequence events but may be very low probability events.

11 We feel it is essential for introducing PRA in this
12 process that we have quantitative safety goals to be used as
13 the basis for evaluating whether or not a decision should be
14 made if PRA is being introduced as part of that decision-making
15 process. And lastly, we feel that it's necessary that both the
16 NRC and the industry are using a common set of rules in doing
17 these assessments.

18 MR. KERR: Excuse me, Ed. I'm not quite sure that
19 I understand the distinction between bullet two and the next
20 to the last one in which PRAs shouldn't be used as a licensing
21 condition, but it is apparently to be used for PRA-based
22 decision-making. What --

23 MR. O'DONNELL: Yes. I'm sorry. I must have skipped
24 over bullet two. Bullet two is basically that we do not feel
25 at this time that PRA should be introduced in individual

51 1 licensing cases. That is, that an applicant for a CP or an
2 OL should be required, in addition to meeting the deterministic
3 requirements in place that he somehow come forth with a PRA
4 that demonstrates that his plant is safe.

5 We feel that the introduction of PRAs should be done
6 on a gradual basis, and as generically as possible. That is,
7 the NRC should use PRA, at least initially, in determining
8 whether these existing requirements are in fact adequate with
9 respect to some safety goal.

10 That is, if one complies with the GDC, does that
11 deliver a level of safety that is adequate for protecting the
12 public health and safety? The onus should not be on an indi-
13 vidual applicant to demonstrate de novo that his plant in fact
14 is safe. We feel that's an undue burden. As a very practical
15 matter, neither the NRC staff nor the industry has the resources
16 currently to do this. Number two, we do not have in place the
17 last two items on this list; that is, the decision criteria
18 that one would use in making a decision in a specific case,
19 nor do we have agreement on what the methodology would be if
20 one were to use PRA.

21 And I think bullet two just basically reflects what
22 we're doing, that the NRC is in fact continuing to issue
23 licenses, the ACRS is continuing to support those license
24 issuances, without having to do a PRA as part of a license
25 application.

1 MR. KERR: What is the PRA-based decision-making
2 then that is referred to in the next to last bullet?

3 MR. O'DONNELL: Well, I think it's primarily generic,
4 that is, if the NRC proposes to change a rule, we are in
5 bullet three saying, "Well, PRAs should be part of that justi-
6 fication." And in making that decision on whether there is
7 a need for a rule change that we should have some decision
8 criteria. So I'm divorcing --

9 MR. KERR: So you're suggesting that PRAs should be
10 made to make generic decisions, but not individual decisions?

11 MR. O'DONNELL: Well, I'll get into that in more
12 detail, but I think the primary application is in a generic sense.

13 CHAIRMAN OKRENT: I wonder whether you're sort of
14 suggesting it's okay for the NRC to devote a lot of effort using
15 PRA to evaluate its requirements, past and proposed future ones,
16 but you're not willing to propose that licensees use resources
17 to evaluate their existing plants and plants that are under
18 construction, using PRA to see if there are things that it
19 would be prudent to fix.

20 MR. O'DONNELL: No, on the contrary, I am endorsing
21 the use of PRA by utilities. And in fact, much of the work
22 that's going on at present that I will refer to later is in
23 fact work that is being supported either by individual utilities
24 or by groups such as NSAC or EPRI.

25 What I'm suggesting is that we do not at this time

53 1 introduce PRA directly into a decision on a specific applica-
2 tion regarding whether or not a license should be issued.
3 That's quite apart from the question of whether we need to do
4 better. And I think what I'm saying is very consistent with
5 what's going on right now and what is being -- the course that
6 is being pursued both by the NRC staff and being supported by
7 the ACRS. That is, licenses are being issued without the need
8 to do a detailed PRA as part of the licensing application.

9 CHAIRMAN OKRENT: But the proposal is that it be used
10 generically. I keep hearing these terms, and not on a plant-
11 specific basis, when the NRC is doing decision-making. And it's
12 actual plants that are running --

13 MR. O'DONNELL: Yes.

14 CHAIRMAN OKRENT: -- and actual plants that pose safety
15 questions, and as we well know, that have differences from
16 generic studies. So I'm still trying in my own mind to under-
17 stand whether in the package you're proposing there is a suffi-
18 cient emphasis on using PRA to look at specific plants.

19 MR. O'DONNELL: Yes. Well, I hope I will get into
20 this in my presentation, but when I say generic studies,
21 obviously one cannot do a -- one must have a specific design to
22 do a PRA. I guess what I'm saying is that the NRC should try
23 and draw generic conclusions from a sample of plant-specific
24 PRAs, if that's possible. And I think it is possible. I'll
25 get into this a little bit later.

54 1 With respect to the specific applications of PRA
2 in the regulatory process, we see a number of areas that could
3 most benefit from this. In doing value/impact analyses for
4 introducing new requirements, it appears to us that PRA is a
5 very important component of that and could hopefully give us a
6 more global aspect on what the value is of any new requirement.

7 Many of the value/impact assessments that have been
8 done in the past have focused very narrowly on what the value
9 or impact on the NRC staff is of some new requirement. And
10 a broader view of this would certainly tend to look at the value
11 in terms of risk reduction and the impact in terms of cost of
12 some new requirement.

13 In prioritizing and resolving existing and future
14 generic unresolved safety issues, we feel that PRA can be used
15 to great effect and in fact has been in reducing what was
16 once the list of 133 open items down to 14, in our view a very
17 effective use of ranking and prioritizing these issues.

18 In the generic rule-makings, we feel that PRA and
19 safety goals are a very essential part of resolving these issues
20 and making decisions, again on a generic basis.

21 Establishing priorities for safety research, again,
22 by looking at the things that are on the table, and from a
23 PRA standpoint, one can determine where the research dollar
24 could best be spent.

25 Determining need for backfitting. Now, this gets

1 into a plant-specific application. And in particular on those
2 plants that are included in the systematic evaluation program,
3 we feel that the use of PRA can lead to better decision-making
4 than if one merely goes through the standard review plan and
5 lines up all the deficiencies of those plants against what's in
6 the standard review plan.

7 In determining need for plant shutdown orders, when
8 new safety issues arise, again PRA we believe can serve a very
9 useful function here. And the Commission's order to shut down
10 five plants in early 1979 because of a discovered problem in
11 a seismic analysis comes to mind here. And one would feel that
12 if that issue had been looked at from a PRA standpoint, the
13 outcome of that decision might have been quite different.

14 In establishing technical specification requirements
15 on LCOs and testing, again, PRA can help to improve those exist-
16 ing requirements and make them more rational from the point
17 of view of minimizing unavailability of the systems that are
18 covered in the tech specs.

19 And lastly, in evaluating operating experience, this
20 again appears to be an area where PRA could have useful function
21 in sorting out and prioritizing the various events that are
22 covered by LERs.

23 MR. KERR: Let me ask a question. In determining
24 the need for backfitting, is it anticipated that that will be
25 done on an individual plant basis?

1 MR. O'DONNELL: Yes. When I speak of backfitting
2 here, I'm talking about on a plant-specific basis, as opposed
3 to a rule change --

4 MR. KERR: So you think it could be used there on a
5 plant-specific basis but it couldn't be used in licensing on
6 a plant-specific basis?

7 MR. O'DONNELL: Well, I guess I distinguish -- when I
8 speak of licensing, I speak of the basic decision on whether
9 or not a license should be issued.

10 MR. KERR: Yes, I understand that.

11 MR. O'DONNELL: Okay. And there I do not believe that
12 it is appropriate at this time to use that as a basis for that
13 decision.

14 MR. KERR: I understood that that's what you thought.
15 I'm trying to understand how one can use it for a backfitting
16 decision on an individual plant basis but it's inappropriate to
17 use it for licensing on an individual plant basis. I don't
18 disagree with you, I just don't --

19 MR. O'DONNELL: Well, I think one gets to the basic
20 regulatory philosophy under which the NRC operates. If one
21 applies for a license, the NRC has a list of regulations that
22 one must meet as a basis for that license issuance. Now, if
23 we are to say, "Well, we don't have confidence in those regu-
24 lations but we feel you must submit a PRA in order for us to
25 determine whether or not we should issue a license", it seems to

57 1 me we are undermining any confidence that we have in the
2 existing system. That does not seem to be justified on the
3 basis of operating experience or the facts.

4 It would seem prudent that we can continue to issue
5 licenses based on the existing regulations. What we're talking
6 about in terms of backfitting or rule-changing is fine-tuning
7 those. And those are not the basic decisions of whether a
8 license should be issued or not, but whether or not, having
9 issued a license, one needs to change the conditions under
10 which the license was issued.

11 MR. KERR: That distinction is too fine for me, but
12 maybe I just haven't thought about it enough.

13 MR. O'DONNELL: Well, it would seem to me if we were
14 to adopt a position that we must have a PRA before we can issue
15 a license, I would think that we would be in a very uncertain
16 regime and certainly would not be in a position to issue any
17 licenses within the next couple of years, because we do not have
18 in place either the manpower resources, number two, the method-
19 ology that we would agree would be acceptable for doing this,
20 and number three, the safety goals upon which the decisions
21 would be made.

22 MR. KERR: Okay. I understood your earlier comment to
23 be one which said that one simply couldn't do it on an individual
24 plant basis. What you're now saying is that if one had the
25 resources and technique in place, maybe one could, but one

1 couldn't do it starting tomorrow.

2 MR. O'DONNELL: I think that's right.

3 MR. KERR: Now, let me also ask, in determining the
4 need for plant shutdown orders, you used as an example the
5 plants that were shut down. Would, in your view, the applica-
6 tion of PRA there have had to be done on an individual plant
7 basis, or could it have been done on a generic basis?

8 MR. O'DONNELL: Well, I think there, in keeping with
9 our philosophy, which I'll explain later, if it was determined
10 that those plants were somehow in noncompliance with the
11 conditions of their license, that is, they had set forth some
12 methodology for calculating the seismic stresses, on which the
13 NRC said, "Yes, we agree, that's acceptable", it was later
14 determined that in fact that had not been the case, that is,
15 those things were not calculated in that manner, it would appear
16 to me at that point the burden of proof would be on the appli-
17 cants. That is, they were found to be in noncompliance with
18 the conditions of their license. It would be necessary for
19 them to come forth with some sort of a PRA to justify why those
20 plants should continue operating for some period of time.

21 MR. KERR: Okay. So in that case the justification
22 would be on an individual plant basis --

23 MR. O'DONNELL: Yes, and I think it would be a matter
24 of the burden of proof resting on -- again, this would be a case
25 where those applicants were in effect requesting an exemption

1 from what they had said they did --

2 MR. KERR: Okay.

3 MR. O'DONNELL: -- in designing those plants.

4 MR. KERR: In this particular case, how long would
5 you estimate it might have taken an applicant to do the
6 required PRA, to demonstrate that he should continue to operate?

7 MR. O'DONNELL: Well, I think in that particular issue
8 if one looked at it rationally, in view of the issue --

9 MR. KERR: That's asking too much.

10 MR. O'DONNELL: I don't think it would affect them
11 very long.

12 MR. KERR: You mean two days, two weeks, two months?

13 MR. O'DONNELL: I don't know, but one, I think, could
14 have looked at generic studies --

15 MR. KERR: I'm just trying to get an idea of what would
16 have been different about the way NRC proceeded, had the --

17 MR. O'DONNELL: Well, hopefully the plants would not
18 have been shut down in 48 hours.

19 MR. KERR: Well, if one requires a PRA before making
20 a decision, and if one has to spend two months getting a PRA
21 together, what does one do in the meantime?

22 MR. O'DONNELL: Well, I think that the issue would
23 be somewhat simplified there by the fact that the concern under
24 review was contingent on an earthquake occurring, a sizable
25 earthquake, in the first place. So I would not think it would

60
1 have been necessary to go in and do a detailed fault tree
2 analysis of every system in the plant in order to justify,
3 let's say buying some time to do a more detailed analysis.

4 MR. KERR: But you would not really have done a risk
5 analysis, you would have done a probability of an earthquake.

6 MR. O'DONNELL: Well, yes. I guess when I use the
7 term PRA, it is not limited to event/fault tree analysis.

8 MR. KERR: No, but --

9 MR. O'DONNELL: That is, if one is looking at the risk
10 of allowing those plants to continue operating for a month,
11 that's basically a probabilistic concern --

12 MR. KERR: Yes, but it's not just the probability of
13 the earthquake, it's the consequences of that earthquake on the
14 structure and the subsequent --

15 MR. O'DONNELL: That's true, but it was conditional
16 on that occurrence.

17 MR. KERR: Yes.

18 MR. O'DONNELL: And if one could prove the conditional
19 case, then one would not have to go through the detail case up
20 front.

21 CHAIRMAN OKRENT: Dr. Siess.

22 MR. SIESS: With regard to the use of PRA in the
23 licensing process, do you believe that the licensing requirements,
24 the regulations at some time in the future could or should be
25 recast in PRA terms?

61 1 MR. O'DONNELL: No. I think our basic assumption is
2 that we would not ever reach that sort of regime where we would
3 have solely, let's say numbers like 10^{-6} , as design goals,
4 that it would appear to be necessary in any case to have some
5 specific design rules that designers could follow.

6 MR. SIESS: The NRC --

7 MR. O'DONNELL: Certainly not in the near term.

8 MR. SIESS: For example --

9 MR. KERR: You don't think it could be done.

10 MR. O'DONNELL: Well, I don't --

11 MR. KERR: Whether it should be done, you didn't answer.

12 MR. O'DONNELL: I don't think it's practical. And
13 I'm not sure it's wise.

14 MR. KERR: Would you anticipate, for example, retaining
15 a single failure criterion?

16 MR. O'DONNELL: I would anticipate that the single
17 failure criterion would be re-evaluated, and modifications made
18 in it if necessary and justifiable on a PRA basis. You know,
19 one may say, "Well, station blackout is something that one ought
20 to consider, even though it does not comply strictly with single
21 failure criteria."

22 CHAIRMAN OKRENT: Why is it not fair to say that it's
23 the licensee that's responsible for the safety of the plant, and
24 if there's a question concerning the single failure criterion and
25 its adequacy, that it's up to the licensee to show that where his

62 1 plant has been designed using the single failure criterion it
2 is still adequate from some risk point of view, and in fact that
3 this be not something that the NRC has to do but the NRC could
4 merely say that questions had been raised with regard to the
5 adequacy of this generally, and we're going to give licensees
6 18 months to show why, if they have used this criterion, it's
7 still okay?

8 MR. O'DONNELL: Well, I would think that would be
9 appropriate for the NRC to do, if they had done a PRA that
10 justified that order or directive. But to go to the licensee
11 and say, "Well, we want you to find problems and fix them" is
12 just an abdication of responsibility.

13 CHAIRMAN OKRENT: I'm sorry, but I thought that the
14 licensees said that it's their responsibility for running the
15 plant. They don't want the NRC coming in and mixing in if
16 they're in the middle of a transient. They have the responsi-
17 bility. I mean, do they only have part of the responsibility
18 for assuring the public health and safety? Or just what is it?
19 Only when it's convenient --

20 MR. O'DONNELL: Well, they certainly have part of it,
21 yes. But as far as the basic decision on, number one, whether
22 a license should be issued, it seems to me the NRC has to
23 make a finding on that. And then number two, on whether,
24 having issued a license, it is necessary to make a change,
25 certainly a part of that responsibility rests with the applicant,

1 and there should be in place procedures to make sure that he is
2 constantly re-evaluating his plant. But to totally put the
3 burden on the applicant for -- it's always a question of
4 whether or not that plant is safe, I think, is too great a
5 burden to place on an individual applicant. You're asking the
6 applicant to take on very profound issues that it seems to me
7 the NRC should address up front in whether or not they're
8 going to issue a license.

9 CHAIRMAN OKRENT: I guess what I'm getting at is,
10 while in fact I like essentially all of the things you've shown
11 on the board as useful PRA applications, I, from my vantage
12 point, perceive a sort of one-sided use of PRA. And I see a
13 reluctance to put what I would consider an equal share of the
14 responsibility on the industry to use it. And I was just giving
15 you one possible way in which I could envisage using PRA and
16 giving the industry a responsibility, which in fact maybe they
17 should volunteer, instead of waiting until --

18 MR. O'DONNELL: Well, maybe I should go through the
19 rest of my presentation and hopefully allay those concerns.

20 MR. KERR: Let me ask -- I think this won't require
21 too much. In what way is PRA useful for value/impact analyses?
22 I would have thought it would be almost useless there.

23 MR. O'DONNELL: Well, I guess I would determine value/
24 impact analysis maybe ought to be replaced with something very
25 more specific in terms of cost-benefit analysis. And that is --

64 1 MR. KERR: Well, I still ask the same question. I
2 think you can estimate the cost of a given fix pretty accurately,
3 and you don't use PRA to do it.

4 MR. O'DONNELL: Well, the PRA would be used in estimat-
5 ing the benefit.

6 MR. KERR: But the benefit is very difficult to
7 estimate using PRA because you have to decide the value of a
8 human life or the value of an accident. PRA doesn't tell you
9 that.

10 MR. O'DONNELL: Well, if one adopts the alara concept
11 as put forth by the ACRS, you certainly could.

12 MR. KERR: Even the AEC, when it adopted the \$1,000
13 per man-REM, said it had no particular basis for using that
14 number. It was just the biggest number that anybody had suggested.

15 MR. O'DONNELL: But you're quarreling with the number,
16 not with the concept.

17 MR. KERR: I'm talking about a cost-benefit analysis,
18 which requires that one assign a cost and a benefit. And I
19 don't think PRA really gives you much of a leg up on that process.

20 MR. O'DONNELL: Well, the AIF, in our proposed safety
21 goals, have very specifically endorsed the concept of using PRA
22 to quantify that benefit in terms of man-REM risk reduction.
23 And if one -- if you feel you cannot do that, then I would
24 question how you would use PRA in resolving some of these issues
25 of reductions in residual risk --

65
1 MR. KERR: I was -- I was questioning how you would
2 use it to do a value/impact analysis, because I don't -- perhaps
3 it's one of the bits of information that's needed, but to me
4 not a very important part.

5 MR. O'DONNELL: Well, I think one would go through a
6 PRA, if he were looking at a design change, such as a filtered,
7 vented containment, and try and estimate the actual risk
8 reduction in terms of man-REM, total societal societal risk.
9 And that would be a measure of the benefit which would be
10 balanced against the cost.

11 I don't think that's at all -- it's my understanding
12 that the ACRS's proposal on safety goals envisions exactly that
13 approach.

14 MR. KERR: Well, I would emphasize again that the
15 ACRS proposal was billed as a sort of trial balloon. It is not
16 a final decision, and I would be surprised if it solved all the
17 problems.

18 MR. O'DONNELL: I would, too, but --

19 MR. KERR: And I think this is one that is one of the
20 more difficult ones.

21 MR. O'DONNELL: I agree, Dr. Kerr. But it certainly
22 appears to me to be a part of the things that one would consider
23 in trying to determine whether you needed to incorporate some-
24 thing such as a filtered, vented containment, or something else
25 that may be more beneficial at lower cost.

66 1 With respect to implementation of the PRA, again, we
2 feel that there are two major ingredients that are missing.
3 One is the ground rules on how one does it, and we believe that
4 there is a need to establish a commonly understood methodology
5 on how one would go about doing a PRA between the industry and
6 the NRC. And that has to cover the things on this slide. That
7 is, the level of detail one would go to in doing an event tree/
8 fault tree analysis, establishing the component failure data
9 base, how one treats common cause and failures and systems
10 interaction, the consequence modeling, both in terms of the core
11 containment interactions and the off-site health effects modeling,
12 how one would actually do this sort of value/impact or cost-
13 benefit methodology; that is, what elements are appropriate
14 to be considered in the cost, and what elements are appropriate
15 to be considered in the benefit; how one treats human factors.
16 And very importantly, how one goes about quantifying both
17 conservatism and uncertainty in the results.

18 MR. SIESS: I wonder if we couldn't agree somewhere
19 simply to get rid of those words "value/impact".

20 MR. O'DONNELL: I couldn't agree more.

21 MR. SIESS: They're not worth -- they were coined by
22 the NRC to avoid saying "cost", and we don't mean value/impact.
23 You don't mean value/impact there. And it's just confusing.
24 You mean cost-benefit --

25 MR. O'DONNELL: I mean cost-benefit.

67 1 MR. SIESS: -- where benefit is risk reduction and
2 cost is dollars, and --

3 MR. O'DONNELL: Exactly. I would wholly support that
4 idea.

5 MR. SIESS: It's a euphemism we might as well forget
6 about.

7 MR. O'DONNELL: With respect to the safety goals, I
8 don't want to dwell in large measure on the numbers or the
9 concepts. This is essentially what we have proposed in our May
10 '81 policy statement, and we discussed with this subcommittee last
11 year. We've made some adjustments in it since then, but we
12 essentially see the goals as being split into primary and
13 secondary goals. That is, the primary goals are those that
14 relate directly to public health and safety.

15 And we feel it's important to establish a limit, both
16 on individual and population risk. And these limits should be
17 met before one goes to the secondary goals, and most importantly,
18 applying the concept that we've discussed here of cost-benefit
19 ratio.

20 Lastly, we have introduced an additional criterion on
21 large scale fuel melt probability, which we feel is secondary in
22 nature in that it does not relate in itself directly to impact
23 on public health and safety, but it is important from the point
24 of view of preventing accidents and can serve, as we'll later
25 discuss, as a screening criterion to make sure that you have

1 not -- you can do a limited PRA analysis on a plant, and
2 demonstrate that you've met this goal, without going through
3 the whole detailed analysis.

4 MR. KERR: Are you using safety as synonymous with
5 risk? Because when you say --

6 MR. O'DONNELL: Yes.

7 MR. KERR: -- the large scale fuel melt does not
8 impact on public health and safety, I would disagree, unless
9 by safety you mean risk.

10 MR. O'DONNELL: Well, I said, does not directly,
11 without other considerations.

12 MR. KERR: Well, it seems to me it very definitely
13 impacts directly on public health and safety. As I understand --

14 MR. O'DONNELL: Well, without consideration of --

15 MR. KERR: For example, psychological trauma has
16 something to do with public safety. And large scale core melts
17 are likely to produce that.

18 MR. O'DONNELL: Yes. I guess our consideration here
19 is direct health effects in terms of --

20 MR. KERR: Well, a psychological disability is a fairly
21 direct health effect.

22 MR. O'DONNELL: Well, I don't want to debate the issue.

23 MR. KERR: There is no debate about that. It's one
24 of the more serious issues --

2 MR. O'DONNELL: Well, I guess in terms of health

69 1 effects, I would consider that somewhat secondary to effects
2 such as cancer or fatality.

3 MR. KERR: I just -- you ought to talk to the people
4 who treat mental health problems. I think you might change
5 your mind.

6 MR. O'DONNELL: Well, I think we've established a
7 limit on that which may hopefully address your concern --

8 MR. KERR: I just --

9 MR. O'DONNELL: But again, we did not feel it was a
10 primary effect.

11 CHAIRMAN OKRENT: Along that line, why do you use only
12 radiation effects and not economic losses in your cost-benefit
13 ratio?

14 MR. O'DONNELL: Well, I'm not sure we don't use eco-
15 nomic losses. I would think in calculating costs one would
16 take that into consideration, in terms of damage to the plant.

17 CHAIRMAN OKRENT: Damage to the plant or damage of
18 an economic nature, cleanup, whatever.

19 MR. O'DONNELL: I think that would be rolled into the
20 cost.

21 CHAIRMAN OKRENT: I see. It wasn't clear that that
22 was your intent.

23 MR. O'DONNELL: Put to get to some of your comments
24 earlier, Dr. Okrent, I think I would agree with your statement
25 that one needs to consider in any safety goal proposal the

70 1 total package. And that's what we've tried to do. And in
2 fact the cost-benefit criteria is an important element of
3 this package. And if one did not have that, the numbers on top
4 might be different.

5 We think it's philosophically very important from the
6 point of view of allocation of societal resources to have this
7 kind of criteria in there, and that the primary goals not be
8 set so restrictively that they would penalize nuclear power in
9 relation to some other alternative energy source.

10 And in fact, these kinds of goals we feel would be
11 proper, or something similar to them, for any energy source.
12 With respect to your comment about the conditional probability
13 on containment failure, we have not introduced that factor.
14 But we feel that establishing the upper limits on primary
15 goals in conjunction with the secondary goal, and large scale
16 fuel melt, in effect do just that. That is, you -- one cannot
17 just meet the large scale fuel melt goal, or at least you have
18 to have some assurance that you've met the top level goals
19 before you pay only attention to the large scale fuel melt goal.

20 It seems to us that introducing additional factors
21 such as conditional probability of containment failure, given
22 a core melt, in effect establish -- or take away from the primary
23 goals of individual and population risk, and may in fact
24 conflict with any cost-benefit goal you set. You may have to
25 do things that are not cost-beneficial in order to meet the

71 1 conditional goal on containment failure.

2 Now, turning to the question of how one would apply
3 this whole regime of PRA and safety goals in the licensing
4 process, again, it is, I think, a combination of generic
5 applications and plant-specific applications. And I guess
6 what I'd like to discuss is how we might get into that and
7 how we might start applying these things. And I think the
8 first or basic application of PRA and quantitative safety goals
9 should be to re-examine where we are now. That is, we have an
10 existing set of regulations that are set forth in Part 50 and
11 Part 100 and Part 20 that specify deterministic requirements for
12 design and operation of plants and for siting of plants.

13 The basic question, it seems to me, is -- well, are
14 these -- is the existing regulatory structure providing a level
15 of safety such that we would -- are already meeting the primary
16 goals, in that if plants that are licensed under those regula-
17 tions -- do they also meet those primary goals? And it would
18 seem to me that's a very profound question, and one that should
19 be addressed if possible on a generic basis.

20 And it would seem, based on existing studies, that
21 it should not be necessary to go through each and every of the
22 existing operating plants and those under construction and do
23 a complete plant PRA before one could make such a finding.
24 It would seem that a sampling of plants for which PRAs have
25 been done should serve as a basis for comparison in reaching

1 some generic conclusions with respect to compliance with
2 those primary goals.

3 And we've listed on this slide those plant-specific
4 studies that have been performed or are currently under way and
5 shoul' be completed sometime next year, which may provide a
6 basis for the NRC making some sort of generic finding or deter-
7 mination that, yes, the existing regulations do in fact deliver
8 the level of safety that would meet those primary goals.

9 And as you can see, we're talking about a dozen or
10 more plants for which PRAs are under way or have been completed,
11 which cover a spectrum, in terms of their operating license state,
12 going all the way back to Yankee Rowe in 1960 up to plants such
13 as Limerick that aren't on line yet and will be in operation in
14 a few years.

15 We have a wide variety in terms of ratings, the sizes
16 of those plants. We've covered all four reactor types, each
17 of the major types of containments that are currently in use,
18 and we've reflected this balance of plant designs that have
19 been arrived at from a wide variety of architect-engineers.

20 We heard yesterday a lot of discussion about individual
21 differences between plants in terms of dominant sequences and
22 which sequence was an important contributor for which plant.
23 And those are certainly important considerations at that level.
24 But if we're talking about the basic finding of whether or not
25 one meets the individual population risk --

73 1 MR. KERR: Excuse me. They are important considerations
2 at that level; at what level?

3 MR. O'DONNELL: Level of detail of whether an auxiliary
4 feedwater system probability of failure is 10^{-4} or 10^{-5} . And
5 there are undoubtedly differences among these plants on the
6 system level. But if the objective is to reach a determination
7 on whether these plants or existing plants in general meet goals
8 such as 10^{-5} to the individual or one fatality per year per
9 1,000 megawatts, it would seem to me that if we could review
10 these studies, and if in fact we could determine that regardless
11 of the specifics of their design they do in fact generally fall
12 well within that envelope, that the NRC could make some sort
13 of generic finding on that issue.

14 CHAIRMAN OKRENT: Why is that the vital issue, that
15 the NRC make some kind of generic finding?

16 MR. O'DONNELL: Well, I think it's vital from the
17 point of view of what one does next. If one can conclude that
18 the primary goals are met, then the issue becomes one of cost-
19 benefit.

20 CHAIRMAN OKRENT: Well, suppose in fact the levels
21 that they chose against which to make the finding were 10^{-7}
22 per year risk of early death to the most exposed individual,
23 and then they said, "Okay, we're going to look at all of these
24 and see if it's been met." They might make a finding that was
25 counter to the one you anticipate with the AIF proposal.

74 1 MR. O'DONNELL: I agree. That's why it's important
2 that the number set in the first place be a number that is
3 supportable and reasonable.

4 CHAIRMAN OKRENT: Well, again, at the moment, it's
5 not so clear to me that a finding is the vital thing. I thought
6 we were trying to use PRA to improve reactor safety, if in fact
7 it needs or if in fact it can be done this way. So I'm just
8 wondering whether the objective you state is the number one
9 objective.

10 Let me ask a different question. When one does a PRA
11 on a plant and says, "Yes, it's met the goal", which plant is
12 it? Suppose you look at Oconee. Is it Oconee as it was when
13 it was first built, is it Oconee in 1977, is it Oconee in March
14 1979 and May '79, in February 1980? Which Oconee is it that
15 you evaluate? Is it Oconee as it would have been 10 years from
16 now if people hadn't looked hard at cold overpressurization?

17 MR. O'DONNELL: Well, I presume these studies -- it's
18 Oconee as it exists now.

19 CHAIRMAN OKRENT: But what I'm getting at is, you're
20 saying people will have done risk studies on specific plants.
21 But in the process, some of these plants have been fixed up.
22 Oconee is not the same today as it was a couple of years ago.
23 But there are some other plants that will have not had the
24 benefit perhaps of whatever fixings have been done on Oconee.
25 How will you make this decision that, "Yes, these regulations

1 have in fact given us the level", when in fact if you looked
2 at the plant as built, you might conceivably not be so willing
3 to make that same judgment, even using the AIF risk level?

4 MR. O'DONNELL: Well, I guess what we propose is that,
5 well, you want to -- if you can demonstrate you've met these
6 primary goals, then the issue again becomes one of cost-benefit
7 balance.

8 CHAIRMAN OKRENT: Again, let me make my point. You
9 were saying, "Well, NRC should go through these and make a
10 finding, 'Yes, the plants that we've looked at here, which were
11 built according to our deterministic regulations, meet these
12 safety goals.'" I'm not so sure that these plants, all of
13 them as built and not changed, I mean, from that time, but taking
14 them as they were built, if you did a PRA, knowing what you know
15 now, would in fact meet the AIF safety goal. It's not 100 per-
16 cent clear to me.

17 MR. O'DONNELL: It's not 100 percent clear to me, either.

18 CHAIRMAN OKRENT: Well, then, did the AEC and NRC
19 criteria in fact correspond to the safety goals? Those plants
20 were licensed, you know, they met whatever --

21 MR. O'DONNELL: Well, I think that's the question.
22 I mean, if -- but if one could look at these studies and could
23 make the -- arrive at that conclusion, then we would know where
24 we are with respect to the existing regulations and then could
25 apply the cost-benefit as the primary basis for decision-making.

1 If we cannot make that determination, then we're in a regime
2 where we don't know whether or not the existing regulations
3 deliver the level of safety that meet the primary goals. And
4 then one must look at other things.

5 So I think it's a very pertinent consideration, is,
6 where do we stand now? I mean, we could say, "Well, okay, each
7 and every plant, go do the PRA and then come back and tell us
8 whether you've met the goals." But I think there's a shortcut,
9 and I think this kind of approach, wherein one would look at
10 a broad spectrum of sampling of plants, and if in fact the
11 results are such that one can make these findings, then we
12 can have some assurance that we're already in that regime wherein
13 cost-benefit is the major consideration.

14 CHAIRMAN OKRENT: Let me, if I can, ask the question
15 along a slightly different line. You've mentioned, I think,
16 that this secondary goal of large scale fuel melt at 10^{-4} /reactor
17 year could be a trigger point. So if I understand correctly,
18 the suggestion is that if you do some kind of a limited PRA and
19 you end up with this as being a little smaller than 10^{-4} , you
20 don't have to do any further. That would be the suggestion,
21 is that right?

22 MR. O'DONNELL: I think if -- that's probably correct.
23 If -- if one has a containment that meets existing requirements
24 and one meets existing siting rules. I think based on past
25 studies, the 10^{-4} number would be much more restrictive than the

77
1 other numbers that we saw in terms of individual or population
2 risk. If one could combine that with this sort of generic
3 finding, it would alleviate the need for each and every plant
4 to go through the full PRA, that is, including the consequence
5 analysis. But we would still envision each and every plant
6 going through the IREP type analysis as confirmatory to confirm
7 that, "Yes, indeed, they did meet the large scale fuel melt
8 goal", or if they didn't, then expanding that study into a
9 broader PRA study to make the finding directly.

10 CHAIRMAN OKRENT: Well, I guess I don't get enough
11 information from the 10^{-4} number, because I can readily postu-
12 late accident scenarios, as you can, like vessel failure, which
13 you would feel uncomfortable at if it were 8 times 10^{-5} .

14 MR. O'DONNELL: You're talking about --

15 CHAIRMAN OKRENT: Because in fact the containment is
16 not going to function in the same way as it does for what you
17 now consider your average mix of core melts. So implicit in
18 this 10^{-4} , I have to assume, is an assumption of some kind
19 of containment effectiveness.

20 MR. O'DONNELL: The assumption is, you have a contain-
21 ment, and that it in fact meets current requirements.

22 CHAIRMAN OKRENT: I don't know what the term "current
23 requirements" means to you. To the Atomic Energy Commission it
24 was that it has some kind of leak tightness and something that
25 met the part/100 kind of things. It used to mean that to the

78
1 NRC until the last year or two. So you have to tell me what
2 you mean by, "It meets requirements."

3 MR. O'DONNELL: Well, I mean the general design criteria
4 spell out requirements for the containment in terms of being
5 able to tolerate double-ended pipe breaks and such --

6 CHAIRMAN OKRENT: Well, I find that insufficient,
7 because again, your criteria would allow someone to come in and
8 say, "Well, it so happens the biggest contributor to core melt
9 in my plant is reactor vessel, but it's smaller than 10^{-4} per
10 year. It's 8 times 10^{-5} . And when I add up everything else,
11 it comes out 9 times 10^{-5} . So we don't have to do any more."

12 MR. O'DONNELL: Well, I would think perhaps this
13 sampling again would -- I mean, if there are such cases of
14 vessel failure that are totally out of line with what's been
15 reported in other studies, I would think that would be a flag
16 in itself. I don't know how --

17 CHAIRMAN OKRENT: I'm just using a scenario that we
18 can quickly envisage as a PWR/1 or 2. But there are other ways
19 of getting to the PWR/1 or 2, or BWR/1 or 2. I mean -- well,
20 let me leave it at the point that it seems to me you have to
21 rethink whether this is an adequate basis for a no-go decision
22 on doing more.

23 Mr. Thadani.

24 MR. THADANI: Mr. O'Donnell, just for clarification
25 purposes, I'm looking at your primary and secondary goals. Let's

79 1 say for the sake of argument that there are certain uncertain-
2 ties in estimating core melt probability or large scale fuel
3 melt and that there are even greater uncertainties in estimating
4 risk to individuals. Let's say that there are sequences, or
5 at least there is one sequence which has a likelihood of
6 occurrence of on the order of 10^{-4} , or say 5 times 10^{-4} , which
7 might well result in large scale fuel melt, but that calculation
8 showed that risk to individuals, or that your primary goals
9 will not be violated, recognizing there are large uncertainties
10 to these calculations.

11 What would you propose we do in that case?

12 MR. O'DONNELL: You're talking about uncertainties now
13 and --

14 MR. THADANI: No, no, no. I'm suggesting that we all
15 recognize there are uncertainties to these calculations, and that
16 we recognize the uncertainties in estimating risk to individuals
17 might be greater than the uncertainties associated with estimat-
18 ing core melt frequency. Personal viewpoint, in any case.

19 MR. O'DONNELL: Yes.

20 MR. THADANI: Let's take a sequence which has an
21 estimated frequency of occurrence of 5 times 10^{-4} /reactor year
22 but which is calculated not to violate your primary goals. What
23 would you propose we do?

24 MR. O'DONNELL: Well, leaving aside the question of
25 uncertainty, which I'm going to talk about later, presumably

1 then if the plant met the primary goals and if one were looking
2 to reduce that risk, one would look at it from a cost-benefit
3 point of view, that if one could reduce that risk in accordance
4 with the cost-benefit criteria, you would do that.

5 MR. THADANI: Do you think that from our past exper-
6 ience, of a few years, at least, that that's practical?

7 MR. O'DONNELL: From our past experience, no. Whether
8 it ought to be practical, I guess, is what we're recommending.

9 CHAIRMAN OKRENT: Dr. Smith.

10 MR. SMITH: Paul Smith. If I could have the previous
11 viewgraph, I just have a small comment to make. In thinking, of
12 course, as I do a lot about the earthquake problem, and if it
13 is a dominant contributor to risk, the implications that the
14 two top goals could be -- on, say, the seismic design require-
15 ments, could be significantly different, comparing, say, a multi-
16 unit site versus a single site, the top one for multi-unit site
17 might lead you to believe that the design requirements for
18 earthquake are more stringent than the second one. Because the
19 common mode nature of the earthquake threat extends to simultan-
20 eous exciting entire plants for a multi-unit site, and may even
21 extend, in the eastern United States, because of the special
22 circumstances with earthquakes, to more than one site.

23 But the implications, say, for -- and of course it may
24 be that the same thing goes for flood and perhaps wind and other
25 external events that have a large-scale common mode aspect or

1 common cause. Just a comment.

2 MR. O'DONNELL: If I can just move on, maybe I can --

3 CHAIRMAN OKRENT: I'll let you go ahead.

4 MR. O'DONNELL: Maybe I can explain a little better
5 with these next two slides how one would see the process working.
6 Again, getting back to -- again, the concept of looking at where
7 we are, that is, the existing regulations, and trying to make
8 generic determinations, again, these are generic studies of --
9 trying to draw generic conclusions based on plant-specific
10 studies. And if the NRC can in fact make the findings with
11 respect to individual and population goals that, "Yes, we do
12 in fact -- are already delivering -- or if one complies with our
13 regulations, one delivers that level of safety", then it seems
14 to me the burden of proof rests with the staff as to why we
15 need to change those rules. And that burden of proof should be
16 carried out with respect to the cost-benefit goal.

17 If in fact we cannot make those findings, or we make
18 negative findings, then there is clearly a need to make rule
19 changes without respect to the cost-benefit criterion.

20 Now, turning to the plant-specific applications, we
21 do not -- we endorse the concept of each plant doing at least
22 a limited reliability study of the scope that is currently
23 being conducted under IREP as pretty much a confirmatory exer-
24 cise, and also to set the level, the risk profile for that plant,
25 and determine need for further changes. And in that view, we

1 think a large scale fuel melt goal can be useful in making that
2 screening decision. That is, if one goes through the IREP study,
3 which is aimed at calculating the probability of core melt, and
4 you can in fact assure yourself that you meet that goal, well,
5 then, we're in a realm where the cost-benefit -- we're in a
6 realm where we have in fact verified -- and again, absent
7 unusual siting or design conditions, that is, again, if we have
8 a containment that meets current requirements, I think if you
9 meet the large scale fuel melt goal, there is assurance, if it
10 can be coupled with the generic findings, that in fact that plant
11 is well within the primary goal, which is really the main consi-
12 deration.

13 We are then in a realm where we're looking at plant
14 changes from two viewpoints. That is, backfitting to bring
15 about reductions in that residual risk. And it would seem to
16 me that if the NRC is proposing a backfit, they would then bear
17 the burden of proof, using cost-benefit criteria as to why that
18 plant, that specific plant needs to be changed.

19 Alternatively, if the applicant is proposing something
20 that would result in an exemption from his applicable regulations
21 or wanted to get relief, then he would have the burden of proof
22 for that change.

23 Now, if, having gone through the IREP study, one cannot
24 demonstrate that you meet the large scale fuel melt goal, that
25 does not again reflect that there is undue risk from that plant.

1 And in that case, we would envision the plant going through a
2 more detailed, comprehensive PRA study, including consequence
3 analysis, to make these findings directly on individual,
4 population risk.

5 If the finding is negative, again we would conclude
6 that changes need to be made without consideration of cost-
7 benefit balancing. If those findings are affirmative, we are
8 then back in this loop here. And again, getting back to the --
9 and there was an intertie between the plant-specific and the
10 generic. For example --

11 MR. KERR: Excuse me. When you refer to IREP type
12 studies, do you include ignoring external initiators, seismic,
13 fire, and so on?

14 MR. O'DONNELL: We're talking about basically the IREP
15 studies as currently scoped, that is, looking at internal
16 initiators and determining whether or not -- determining the
17 probability of core melt, without looking at consequences.

18 Again, getting back to the generic findings, if in fact
19 the NRC went through this process generically and looked at a
20 rule change from a cost-benefit viewpoint and generically was
21 able to justify that, and it applied to specific plants, well,
22 then, one would then be seeking an exemption from that, and
23 the burden of proof would shift to the applicant.

24 The question of uncertainty comes in here, too, because
25 I've been speaking as though these things could be determined

1 very specifically without much uncertainty. Obviously, there's
2 great uncertainty in any of these analyses and in any of the
3 results. We're comparing ourselves to specific numbers in the
4 decision criteria.

5 And one must temper the use of PRA and the safety goals
6 themselves, according to the degree of uncertainty. If we can
7 go through a PRA analysis and make a determination that a parti-
8 cular value, whether it's individual risk or population risk or
9 cost-benefit number, is far removed from the safety goal, by
10 orders of magnitude that are much larger than the uncertainty,
11 then it would seem that one could rely on both the PRA and the
12 safety goal very confidently.

13 If the results are near the safety goals, then obviously
14 you must have something besides the PRA and the safety goals to
15 decide your decision-making. And that's just one input.

16 But I think in this area here of burden of proof, I
17 think the question of uncertainty can come into play. That
18 is, if the NRC bears the burden of proof, perhaps the uncertainty
19 that they have to demonstrate is shifted towards the high end,
20 or the lower end, I should say, and the other case where the
21 applicant bears the burden of proof, he has to deal with the
22 uncertainty on the other end. We certainly have not worked out
23 in detail how uncertainty should be treated. But I think it
24 could enter into some of these decisions, depending on where the
25 burden of proof lay.

1 I'd like to turn to the question of the role of the
2 NRC staff in reviewing PRA studies. And here again, we do not
3 envision a regime where a PRA or an IREP as performed for a
4 specific plant would be a part of the FSAR or the PSAR, and would
5 be reviewed in detail by the NRC staff. It's supplemental. The
6 basic requirements are set forth, as we said, in the regulations.
7 And one should not supplant those with new requirements, or
8 overlay those with new detailed requirements as part of the
9 licensing application.

10 The NRC staff should very definitely review the appli-
11 cant's methodology, the data base that he is using. The results
12 should be submitted to the staff so the staff can review them
13 for comparison with results of similar studies. And of course
14 the detailed calculations should always be available for audit
15 by the NRC staff.

16 And I think this is analogous to the process that is
17 followed in similar detailed engineering calculations that have
18 safety-related consequences, such as seismic. The NRC staff
19 does in fact set down and affirm that the applicant is using
20 prescribed models and data. They look at the results, they
21 compare them with other plants, and they do in fact come in and
22 do detailed calculations.

23 I do not subscribe to the idea that PRA calculations
24 are somehow more important or more mystifying than other
25 detailed safety-related calculations. And again, it's consistent

1 with our basic philosophy that these techniques are used to
2 support and not supplant existing deterministic requirements.

3 Just so summarize, I guess, the current AIF position
4 on these issues, again, we feel that licensing of plants should
5 continue, that is license issuance, under existing regulations.
6 The NRC should attempt to perform or draw generic conclusions on
7 existing PRAs to determine the need for changing those rules,
8 both generically -- well, generically, primarily.

9 Individual licensees should be required to perform
10 IREP studies, or in cases of special concerns on siting or design,
11 more comprehensive PRAs, to confirm those generic findings. But
12 again, we stress this should not be made part of the licensing
13 application, or really is not a licensing action.

14 We cannot stress enough the idea that we need quanti-
15 tative safety goals to use in evaluating all these PRAs that
16 are currently being done and will be done. It does not make
17 sense to go through these exercises and to use them in the
18 regulatory arena without some rules on what is acceptable or
19 what is not acceptable.

20 And again, if these basic findings on compliance with
21 primary goals can be reached, we feel we're in a realm where the
22 NRC staff bears the burden of proof for rule changes. That is,
23 why we must get better, on a plant-specific basis, why backfits
24 are required. By the same token, the licensee has burden of
25 proof if he wants to deviate from those requirements, in terms

1 of exemptions, or if it's determined that he's not in compliance
2 with those regulations that are applicable to his plant.

3 That basically concludes my presentation. I'll be glad
4 to answer questions.

5 CHAIRMAN OKRENT: All right. We'll take one or two
6 questions.

7 Yes.

8 MR. GRIFFIN: Charles Griffin, AI.

9 On your goals, primary goals, the one death per 1,000
10 megawatts per year, I was wondering how you -- what type of
11 methodology you'd use in calculating this. Now, for the past
12 couple of years, I've been trying to utilize some methodology in
13 conjunction with some risk assessments on plutonium production
14 plants. And I used Dr. Joksimovich's line as a guide. I've
15 tried to use the AIF criteria. And when you start to apply it,
16 you have all types of assumptions that you can make. You can
17 either say, all right, you've got the vector, the sector and the
18 worst -- highest population direction. You assume the slowest
19 wind velocity, say, all right, I'll just settle with that. Or you
20 can use wind rows and you can say, all right, we'll take it over
21 all with the total circumference and use the probability of a
22 given wind row and the velocity in that section, add these up.
23 You can go on ad infinitum to different methods.

24 Have you thought of a standard method of applying this
25 criterion?

88 1 MR. O'DONNELL: Well, in concept, the one fatality --
2 the total population risk is essentially the integrated risk
3 under a consequence probability curve. That is, you integrate
4 all the contributors to risk, you look at their consequences in
5 terms of population risk, and multiply that by their expected
6 frequency. And you come up with an expected value or an average
7 value of impact in terms of population risk.

8 Now, how you go about calculating that curve is some-
9 thing that is -- we agree, there is a need for agreement on, in
10 terms of the methodology. We are not -- AIF is not proposing
11 that, any detailed methodology for doing that. We're proposing
12 the concept that it's the integrated risk under the curve.
13 How one goes about calculating that I think is a subject that
14 is being addressed by the NRC, IEEE, ANS procedures guide. And
15 in fact people are doing that. I mean, there are methods for
16 calculating that that are being used in current studies.

17 MR. GRIFFIN: We've been using specific methods. I
18 was wondering if someone actually reviewed our method whether
19 it would be acceptable or not. That's --

20 MR. O'DONNELL: Well, again, we feel that there is a
21 need for some agreement on methodology. What that is, we're not
22 at this time in a position to say.

23 MR. GRIFFIN: Thank you.

24 CHAIRMAN OKRENT: Well, I'm going to suggest that we
25 go on to the next speaker, since we're nominally 30 minutes

1 behind the agenda. I'm sure we'll come back to some of these
2 points in general discussion.

3 Dr. Zebroski is next. I think you should assume
4 we'll permit the order of 45 minutes to presentation and
5 questions, if that's reasonable.

6 MR. ZEBROSKI: Okay. I have a written text, which I
7 don't propose to go through in detail, since I think it would
8 be more useful to make observations on some of the topics already
9 discussed, if that's --

10 CHAIRMAN OKRENT: Yes. As you wish.

11 MR. ZEBROSKI: Okay. With respect to the Questions 4
12 through 7, I think the observation that might be made is to
13 recognize the wide variety of uses that have been made for a PRA
14 type discipline, recognizing that we have a very difficult time
15 defining what we mean by that. And I would speak here from the
16 viewpoint of a user and a patron of the arts of this kind of
17 discipline as distinct from a purveyor or a practitioner.

18 We are using PRA for a number of purposes which have
19 not been alluded to in this meeting but which I think are relevant
20 to the use in licensing. For example, the use of dominant
21 sequences as a test for what information an operator should have
22 to manage a severe accident has been a very useful exercise and
23 one which can verge rather quickly to a reasonable set of
24 parameters, contra the 500 to 1,500, which people originally
25 thought might be necessary.

1 Similarly, the use of probabilistic discipline to test,
2 first to develop and then to test ATOGs, the abnormal transient
3 guidelines, has been very useful, again focusing on dominant
4 sequences. One exercise going on now is to attempt the use of
5 a PRA kind of discipline as a judgment basis for environmental
6 qualification question. I think the industry is totally unable,
7 both physically and institutionally, to test to all conceivable
8 environments, all conceivable equipment. And a common sense
9 approach suggests that some equipment is more important than
10 others for severe environments, and that again the probabilistic
11 discipline gives you a way of sorting out the more important
12 from the less important.

13 Another area where probabilistic discipline is being
14 used is to evaluate the significance of what we are calling
15 significant events, planned events which have some kind of
16 troublesome implications, even if they happen to be benign. Some
17 of them are not even events but simply observations taken on
18 inspection.

19 And this implies the need of a sensitivity analysis.
20 And finally, there's the impact of the PRA process on the kind of
21 data base development that we do, long pull. We would all hope,
22 for example, that NPRDS would be able to give updated duty cycle,
23 frequency of challenge information as well as raw annual failure
24 rates, from an unknown total population size, which is where we
25 are now. That improvement clearly is needed if we are to go

1 systematically to a PRA.

2 So coming now more specifically to the general uses
3 of PRA, I think the classical use, of course, is to establish an
4 estimate of a risk curve of severity versus probability, and
5 some things that flow from that risk curve. Second use has been
6 to provide a systematic framework for design review and for
7 checking of procedures that go with design. And a subcategory
8 of that design review is that it identifies outliers in risk
9 contribution of two kinds; either where a plant might be an
10 outlier in terms of the whole plant population, or whether a
11 particular system within a plant is an outlier in contributing
12 to sequences with high vulnerability or high risk.

13 Those classical uses I think are now giving way to
14 several other uses which I believe in the long pull may turn out
15 to be much more important and much more beneficial to safety.
16 And the practical use, which, again, I think it was remarked by
17 several people at Harper's Ferry that the discussion paper
18 provided at Harper's Ferry greatly understated this use by both
19 the industry and by NRC staff, is that the systematic use in
20 a spotlight sense, not a global PRA but a local PRA on a parti-
21 cular system or subsystem, for evaluating specific alternatives
22 and design approach, Design I versus II versus III, or details
23 of that design, and also for evaluating alternates with respect
24 to procedures, Procedure I versus II versus III.

25 The widely published example of this of course has

92 1 been in the feedwater systems, but I think you'll find that
2 both in the NRC staff and in the industry this kind of comparison
3 now is being used very widely, very intensively, and I think very
4 effectively.

5 The blend, however, here -- the way we tend to be
6 blinded to this use, I think -- because wherever possible you
7 go deterministic instead of statistical. Statistics is the cover
8 you hide under when you have ignorance. If you have deterministic
9 data, you generally use that. So this is a blend of classical
10 use of engineering tradeoff, supplemented by the use of a statis-
11 tical or probabilistic approach, where the deterministic data
12 has uncertainty. So that the PRA inherently is a treatment which
13 lends itself to uncertainty.

14 Fourth use for PRA is to provide a systematic basis
15 for ranking the relative worth of changes or improvements and
16 eventually, hopefully, in regulations. And I think that was also
17 discussed in all three of the safety goal meetings in recent
18 months. And I think it has been formulated in two fashions, in
19 respect to regulation. One is what some of us have been calling
20 the Bernaro (ph) principle, and the other one is the fashion
21 which was formulated on page 35 of the Harper's Ferry discussion
22 paper. But basically, my formulation of this is that the
23 intensity and timeliness of response to a perceived safety
24 problem should be proportional to the time integral of risk.
25 If you go any other way than that, you're not adding to safety,

93 1 you may be decreasing it. And specifically perhaps a broad
2 issue here is that the most severe criticism of the whole industry,
3 the supplier, the reactor operator, and particularly the NRC, in
4 the Kemeny and Rogovin reports, has been the inability to dis-
5 tinguish more important from less important.

6 And the only thing going right now that we have to
7 change that -- if you say, "What is changed on that subject since
8 TMI?" the answer is, "Almost nothing, except the starting to use
9 the relative risk assessment as a way of prioritizing things."
10 So a 10^{-8} issue, just because it happens to hit the front page
11 of the newspaper, does not dominate the attention and resources
12 of the staff and the industry for months, as has happened many
13 times.

14 And I think that is clearly so negative to public
15 safety and public interest that if we do nothing else with the
16 PRA process than to get this relative assessment going in a more
17 intelligent fashion, we will have failed monumentally.

18 The fifth use that I have listed here is to provide
19 a systematic framework for rigorously integrating cumulative
20 learning from operating experience. One of the people that I
21 respect in this business remarked that the industry sometimes
22 seems to have one year of experience repeated over and over
23 again. And I think that's a reflection of the fact that the
24 process of cumulative learning from experience has not worked
25 terribly well. And I unfortunately have to second that, because

94 1 in the significant events program now which we've been operating
2 for just under two years, we are now being unfortunately unable
3 to find any new precursors. Most of the things we study now have
4 one, two, five, 10, or would you believe 80 precursors. So
5 the plants aren't being inventive enough in developing new
6 initiators. What we're seeing is the same kind of problem
7 recurring many, many times. That's troublesome in the sense that
8 it tells you that the learning from experience process isn't
9 working well enough.

10 On the other hand, it's very encouraging in that it
11 gives you a clue on the question of, are our event trees complete,
12 are our initiator perceptions complete? I think as the learning
13 from experience process is rigorously applied, you can do some
14 theorems on what the likelihood of the undetected initiator or
15 the undetected chain or the undetected system interaction is,
16 and that likelihood clearly will go down with time.

17 CHAIRMAN OKRENT: Excuse me. Where would you put the
18 flooding incident at Indian Point in that scale of, everything
19 that's happening this year has happened last year?

20 MR. ZEBROSKI: I'll have to qualify that, that the
21 precursors are at the initiator level; at the instrument failure
22 level or at the -- the consequences can vary, depending on how
23 far you let a thing run. But water on the floor has many, many
24 precursors for many, many reasons.

25 CHAIRMAN OKRENT: But that's then a little bit of a

1 highly qualified conclusion, because we're --

2 MR. ZEBROSKI: In the sense of prevention, it is not.

3 CHAIRMAN OKRENT: I mean, obviously, you could say,
4 "Well, leakage from an air cooler can lead to leakage and
5 accumulation." But --

6 MR. ZEBROSKI: No, the leakage wasn't the fault, it
7 seems to me. The leakage was the lack of timely detection and
8 response. And the symptoms of that -- again, you have many
9 prior examples of that. So had you taken care of the prior
10 examples thoroughly, you would have reduced the probability of
11 this sequela.

12 CHAIRMAN OKRENT: Okay.

13 MR. ZEBROSKI: So the use of PRA in licensing implies
14 to me -- this is an incomplete statement, but it implies setting
15 up a template or set of criteria of which the risk curve
16 severity versus probability is one important element of the
17 template, or variety of these templates, since you have differ-
18 ent shapes of the curve. You have to specify what a PRA consists
19 of -- and I'll talk about what is the possible verification
20 process, briefly -- and then you compare the specified or the
21 proposed analysis, PRA_I, versus the template. And you have to
22 decide on some acceptability criteria. And finally you have
23 to decide on a rate and intensity of response for a perceived
24 departure from the template.

25 And as has been mentioned by many people, none of these

96
1 elements are in place. I will focus on one part of the PRA
2 uncertainty, which Dr. Okrent alluded to, but which has not been
3 really covered in most of the other discussions. And that is,
4 a PRA, if it is to be useful for risk estimate for public
5 policy, implies that you believe you have good risk predictors
6 or behavior predictors. But components change due to replacement
7 or maintenance or deterioration or backfits. Duty cycles change,
8 sometimes because of regulations and sometimes because of changes
9 in procedure or in duty cycle requirements. Procedures change
10 for the same set of reasons. Experience of the people involved
11 changes as data increases and as interactions are perceived
12 which were omitted in the design analysis. I think that's
13 another interesting point that many of the major events that we
14 now look at are not really very well covered in the FSAR. I think
15 that's a little bit troublesome, and it suggests an updating
16 process which I'll mention later may be desirable.

17 So we have the situation where if a PRA is to perform
18 its function in terms of public policy and risk estimate, it
19 must be dynamic, but if the performance historically has been
20 static -- and again, you have to say whether it's Oconee, 1973
21 or 1978 or 1982, and in some respects it's a different plant,
22 different operating management on each of those dates. So how
23 do we bridge the gap between a static and a dynamic -- static PRA,
24 and a real world that's dynamic?

25 Well, the classical method has been what I'd call an

1 ignorance blanket. You throw in wide margins of error, you take
2 multiple worst values of parameter sets where you do a determi-
3 nistic analysis, and you define a nondeterministic worst case.
4 In other words, what's the worst that can happen? And I think
5 we ought to have an annual contest for worst case invention.
6 Because in this business the more fright the more fame, it seems
7 to me. And I guess we have many people competing for that.

8 There are two extreme worst cases I haven't heard for
9 a long time. And that is a nuclear accident which itself triggers
10 a massive earthquake, with sequelae, and another one I haven't
11 heard for a long time is a nuclear accident which triggers a
12 hypothetical nuke reaction of nitrogen 16 in the atmosphere and
13 blows up the whole world. But I think if somebody could get any
14 physical plausibility on these, we'd hear this kind of worst
15 case being brought up.

16 But let's get back from the classical method, which is
17 the ignorance blanket, to what I'd call modern method, which is
18 still developing, which is, wherever possible, use the best
19 available physical model of at least the dominant sequences of
20 the severe accidents. And the using of worst case, either
21 parameter sets or "fails-doesn't fail" assumptions, is clearly
22 a cop-out. It doesn't help the operator, doesn't help the
23 design. So at least the best estimate, physically best modeling,
24 is certainly the right way towards improved safety.

25 Secondly, you have to provide an environment in which

1 the cumulative learning process is rigorous and systematic.
2 And I think that's starting to come into being. I'm not sure
3 that it's being fed into the PRA process yet.

4 And finally, to use a deterministic approach wherever
5 possible versus the statistical guesses. I've given example of
6 that.

7 Now, in passing I'd like to make an observation on the
8 roles of codes and standards, because this was brought up by one
9 of the earlier questions. And I think clearly the validity of
10 a PRA -- if I am to be a responsible legislator, regulator, public
11 policy person, when I accept something based on a PRA, I'm
12 assuming that it in fact predicts, has some predictability of
13 behavior. And there's one element of the system which attains
14 that predictability on a dynamic basis, and we alluded to that
15 before, and that's the use of an experiential code and standard.

16 The consensus code or voluntary code, as it was refer-
17 red to, has the interesting aspect that it tends to integrate
18 the lifetime experience of this kind. So when you say, "I have
19 a 10^{-6} pressure vessel probability", it happens to be almost at
20 the experiential level. We almost have 10^{-6} vessel years of
21 vessels generally similar to nuclear code design; actually, many
22 of them inferior, which strengthens the conclusion. I think
23 the interesting thing to me was at the SMRT (ph) conferences,
24 the people who spent a lifetime in refining these codes and
25 studying the reliability of pressure vessels, I think the

99 1 consensus is that the technology is now, when thoroughly applied,
2 really going to give you something on the order of 10^{-7} , as a
3 technically realizable result of applying code discipline.

4 And when they say, "But if we have one tomorrow it will be
5 because of a failure of implementation discipline" -- so this
6 comes to the next point, that a PRA, unless it rests upon a body
7 of codes and standards and a whole assumption of the implemen-
8 tation and enforcement discipline, is just paper work.

9 So I think I might say that my attempt to formulate a
10 safety goal, I have told everybody who has put it in tables
11 since then to withdraw it, because I no longer believe that a
12 safety goal in terms of a simple few numbers is feasible.
13 Because when you go to the operational definition of what I mean
14 by the safety goal, I end up saying it's really the whole culture
15 of the implementation, if I'm going to make any measure of
16 whether I'm -- or not.

17 Now, I also should mention that there are other kinds
18 of codes and standards, of which Appendix K is not an especially
19 good example, and that's a code or standard which is not based
20 on experience but which just says, "Wouldn't it be nice if we
21 did this? Or wouldn't it be profitable if this was required by
22 regulation?" Such codes I think had a grand efflorescence in
23 the early days of the breeder program. Some of them are good
24 and useful, some of them are not. They breed a low degree of
25 respect when they are arbitrary and not tied to experience. So

1 I think we really need a blend. Where there is no experience,
2 clearly you must proceed on a good judgment basis and make a
3 code and standard. But I think in the application, particularly
4 in the enforcement and punishment of a tentative code not based
5 on experience, we ought to treat it rather differently than an
6 ASME code, where you do have the experience base on it.

7 Okay. What do we mean when we say, "to PRA a plant"?
8 We've used that as a verb several times, yesterday and today.
9 And I guess sort of the basic discipline of modeling and fault
10 trees and statistics and cut sets and combinations is -- there
11 are a number of textbooks on it and there are a lot of practi-
12 tioners of it. And it turns out not to be very hard to teach
13 this discipline.

14 But the treatment of uncertainty is still the weak
15 spot. And I'll refer to both Harold Lewis' APS study and the
16 discussions by Bernaro and Matt Taylor and to Harper's Ferry last
17 week. There are the methodology uncertainties, there are the
18 completeness of event trees uncertainties, the accuracy of the
19 event trees physically, the applicability of the statistics.
20 I think if you're a little bit skeptical, you find all of our
21 statistical data bases are inhomogeneous, because the component
22 and the systems that they're based on are no longer being manu-
23 factured or are being maintained differently or operated
24 differently. So you know there's a systematic bias, for good or
25 worse, but they're different.

101 1 The use of specific data from -- plant-specific data
2 is still a very weak discipline, because we don't have the
3 massive statistical data bases in a rigorous fashion. We do have
4 to worry about undetected initiators and change in system
5 interactions. We do have to consider -- incidentally, the single
6 failure criterion in a way is easy, because most systems, you
7 can easily postulate have a large cloud of malfunctions in them
8 at all times. I'd be very surprised at any plant that you went
9 into and examined didn't have 200 or 300 things which you would
10 say were not in an ideal state, some degree of inadequate function.
11 And the plants actually treat random multiple failures very
12 nicely. That's sort of part of the engineering discipline his-
13 torically, to kind of assume Murphy's law. And so we really
14 have overkilled the single failure criterion in one respect.

15 We haven't gotten a statistical way of treating that
16 resilience of a system to multiple failures in a way that can
17 be used for regulatory purpose.

18 And finally, I guess one worry I have on PRA, again
19 being not a practitioner but trying to be a user and a compre-
20 hender of it is, as the old word, scrutability, the errors in
21 recording, errors in calculation, can be due to ambiguities in
22 the symbolism. And I think the need to make the event trees
23 and fault trees scrutable by making them as deterministically
24 definable as possible is very important.

25 Okay. Let's go on to the question of verification,

102

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 which has had a lot of discussion. How do you verify something
2 like a PRA? And I think of only three conceivable methods.
3 Hopefully, that's not all the possibilities, but it's pretty
4 broad. One is a process spec. The IEEE and ANS committee,
5 which EPRI is also participating with, both with people and
6 funding, is trying to make a process spec, trying to say, "Here
7 is an encyclopedia or a -- not exactly a cookbook, but a list of
8 ways of doing the different steps, hopefully many of them accept-
9 able, and hopefully some of them more useful than others,
10 depending on the particular problem being treated." So the
11 process is one way.

12 The danger here is that you substitute ceremony for
13 sense. You know, if you go to the extreme of saying, you shall
14 hold your pencil at a certain angle while you do this calcula-
15 tion, it clearly is not productive to the quality of the result.
16 So there's a tendency sometimes to go deterministic, the other
17 extreme of saying, well, take a look at the system and see how
18 it functions. That doesn't help very much, either.

19 So I begin to wonder ultimately whether a process spec
20 beyond the idea of a textbook for practitioners is really going
21 to be feasible.

22 Another way to verify is a product spec. I say that
23 I will look at the final output and I will audit it or study it
24 or evaluate it in some fashion. Now, for the things which are
25 based on experiential codes, like ASME related systems, the

1 product spec works because you have a whole body of experience
2 behind it and you have many, many testable features which give
3 you assurance that the criteria are being met. For many parts
4 of the system, the product spec is unfeasible. Now, we don't
5 really have a complete pedigree of much of the equipment in
6 the plant. We don't have a pedigree versus time. There's the
7 classic complaint that we don't even have as-builts in many cases.
8 So the product spec at the plant level is difficult, and the
9 product spec at the paper level is extremely difficult.

10 And I really question the feasibility of it, other than
11 on a sample check basis.

12 A third way to verify is brute force. Replicate the
13 whole darned thing. And we have now some paralellism between
14 industry-based PRAs and IREP and NREP and RSSMAP and several
15 other attempts. Now, the replication on an industry-wide
16 basis is too many man-years. We don't see a way to get there
17 from here.

18 But now there are some simplifications which can be
19 suggested here. I'm just throwing these out as wild ideas that
20 have only the virtue that they seem to be in current use,
21 without much recognition, and that is to recognize that the main
22 use of the PRA discipline is to make relative risk assessments,
23 and that the proof of the risk envelope was a nice academic
24 exercise at MIT of tolerably little value on the long pull
25 nationally. If you use the relative risk assessment, then you

1 can do a specific limited rerun on the particular systems and
2 chains involved, and a full, either product or replication
3 audits approach, becomes feasible

4 So if you simply narrow the globalism of the PRA
5 process, then you have the technique for verification at hand.
6 It may not employ quite as many PRA artists as the other way,
7 but I think it's a very valuable way to go.

8 I think this can be used then in evaluating design
9 alternates, in evaluating alternate procedures, evaluating the
10 need for backfits on particular systems, evaluating the parti-
11 cular backfit alternates that are used, if you decide to implement
12 them.

13 If I may, Dave, take about three minutes to talk about
14 Oconee study, I was asked by Duke Power also to represent them
15 also at this meeting. And the previous comments do not repre-
16 sent Duke Power. These hopefully will. We're doing a massive
17 PRA on the Oconee 3 plant. And Duke Power was picked by us
18 because of two circumstances. First of all, they showed great
19 willingness, if not eagerness, to turn over all the rocks.
20 One of the worries about PRA is, "My God, I might find something
21 I don't like." So I think the fact that the management was
22 eager to find any problems and eager to search for and implement
23 fixes if needed made it an ideal environment from the standpoint
24 of trying to do this kind of a study.

25 The team was organized on the basis of two workshops

1 in which we invited everybody who had done or participated in
2 a primary contributor way in all of the PRAs that we knew about.
3 And we asked the advice of many of the people in these room,
4 who were at some of these workshops. So we had asked the
5 advice of the people of how best to organize such a PRA with the
6 thought not of establishing the risk envelope as the primary
7 goal, but with the thought of establishing a useful decision tool.
8 After all, PRAs are a branch of the decision theory discipline.
9 And Dave's theorem is the rock of ages for PRAs. And maybe
10 you should use it for decisions. So our experience had already
11 suggested that the use of the PRA as a framework for rigorous
12 decision-making was very important.

13 We distinguished decision-making at several levels.
14 There is decision-making based on local experience, which works
15 for frequent problems. There's decision-making based upon, say,
16 system or reactor type experience, which works for some design
17 problems. And there's decision-makings on low probability, high
18 consequence problems, for which the experience base of any given
19 individual is deadly dangerous. Because he will inevitably
20 underestimate. He'll say, "Well, hell, we've run this plant for
21 20 years. It never happened, so why should I worry about it?"
22 So experience is a very bad guide for dominant sequences and
23 severe events. And therefore, hip-shooting or experience-based
24 decision-making on that aspect of safety clearly is unproductive,
25 and clearly a PRA tool is the way to go. And we're hoping to

1 try to design then, or do a pilot procedure which will lead to
2 a decision tool for in-plant use.

3 These workshops of the people who had the most
4 experience in this business were almost unanimous in advising
5 that the key ingredient of a good PRA is extremely solid event
6 modeling. The experience of most of the PRAs, including WASH-
7 1400, was that when you think you're about done, people start
8 to look at the event trees and say, "My God, the thing doesn't
9 really work that way physically. You've mismodeled it." And
10 when we looked at some of the IREPs, we were asked to do a little
11 peer review, when you got people who actually operated or
12 designed the plant, that was the thing -- chain after chain fell
13 apart on being insufficiently realistic physically.

14 And so it's very dangerous to draw conclusions from
15 unrealistic event chains. So we constructed a team of 19 people,
16 of whom 10 are engineers who have been in either the design or
17 operation of the plants. And many of them are also SRO-trained,
18 although none of them are actually operators. We had five people
19 representing two, and now three, of the lead contractors who
20 have worked on prior PRAs. And we had three NSAC staff people
21 who have some background in this field, sometimes by osmosis and
22 sometimes by courses.

23 And this team now is supplemented by our internal
24 peer review committee, which includes the usual Norm Rasmussen,
25 Sol Levine, Ian Wallace, Stu Asalin, Tony Buehl (ph), and -- we,

107 1 the people of WASH-1400, help advise on where the weak spots
2 are that need more attention.

3 So the basic assumption was that the PRA is to be the
4 tool for systematic design review on a continuing basis, and is
5 to be a tool for continuing decision-making in the plant, and
6 most importantly, it's to be the framework, the Christmas tree,
7 if you will, on which to hang a rigorous cumulative learning
8 process. Every time we look at a significant event in any plant,
9 where there's a legitimate analysis done -- again, not hip-
10 shooting, presumed cause, but where people really dig into it
11 and get the observations and the theory to agree -- then that
12 is a further detailing of a particular event chain or set of
13 event chains. And yet that -- since the mass of that information
14 is so tremendous, unless you have some systematic way to accumu-
15 late it, it becomes lost. A year later it's forgotten.

16 So we hope that this discipline of the continuing
17 building of the event chains in detail will prosper. And that
18 discipline is really just starting this year. I know it's far
19 from matured. It has the feedback on the other side that it
20 gives you a tool for evaluating the relative significance. We
21 have now -- jointly, between NSAC and INPO, we have put out
22 something like 80 recommendations for significant events that
23 we've studied, or 80 sets of recommendations. And we have the
24 same problem as the NRC. When the utility comes to us and says,
25 "Well, I have this whole laundry list of things to get done.

108 1 Which one do I first? And can I delay this one one year or
2 three years? Or should I do it tomorrow?" And the resources
3 decisions force people to make that decision all the time.
4 And we need to give them some guides. Again, if we don't give
5 a structured guide, you'll get back to experience and hip-
6 shooting, which have some obvious deficiencies.

7 And the hip-shooting is on the NRC side, too, as we all
8 know.

9 So let me finish with what I think is a reasonable path
10 to the future in this field, which I'm surprised, the degree of
11 convergence that we've had in the last couple of workshops.
12 People say it in different ways, but it seems to me the actions
13 come out fairly consistent. I think that we need to do a modern,
14 deeply detailed -- which is to say, of the order of 20 man
15 years -- deterministically detailed PRAs with intensive technical
16 review for lead plants of each design family. We're a long way
17 from having this situation in place.

18 Then I think we can do the plant-specific PRAs. Build-
19 ing on that base, it's much easier to do the second one, because
20 much of the design is in common. And you look for the differ-
21 ences, and hopefully it will be considerably less effort to do it
22 more generically across the board for all plants.

23 However, for reasons alluded to before, it's a reason-
24 able guess that that process is of something like three to five-
25 year time frame before that happy state occurs.

109 1 Then the PRA should not be something that you bind
2 with gold leather binding and put it on the shelf. It has to
3 be an in-house, continuing working tool. And this is now
4 happening. Many utilities are assigning from their safety
5 review teams, which are one of the byproducts of the action plan,
6 they're assigning anywhere from three to five people of that
7 safety review team to be the keepers of the PRA, which is to
8 say that they will use it as a tool for evaluating their own
9 experience and use it as a tool for accumulating and recording
10 increasingly detailed understanding of the event chains.

11 Finally, the deterministic analysis of plant experience
12 is now a discipline which is working well. In fact, the main
13 concern that I have personally is the rapidity of the feedback
14 to the implementation, and configuration control decisions.
15 I think one of the tremendous lessons from the aerospace program
16 for NASA, they tried many systems of this kind, both PRA and
17 the operating experience to go with it. And the systems, the
18 rockets that flopped were the ones where the feedback part of the
19 process, that is, the final implementation, configuration
20 control were weak. When those were strengthened, then the
21 rockets flew a lot better.

22 I think right now, I can almost say that the analysis
23 part is almost a lead pipe cinch, because we're now seeing so
24 many repeaters. So you begin to get to know them by the numbers.

25 I think one of the things that eventually should arise

110 1 out of this is to reach the objective of a documented and
2 defensible judgments on the priorities assigned to various
3 postulated improvements in equipment or procedure. In other
4 words, really, I think both the industry and the regulation
5 process still have a lot of hip-shooting in them. I think the
6 documented defensible judgment is an objective we should all
7 seek for.

8 And finally, my wild hope that we will allocate
9 resources in proportion to the time integral of risk, which is --
10 it's a sort of thermodynamic theorem. If you part from that, you
11 are decreasing safety, clearly. Because only if you assume
12 resources and time are infinite can you get any other conclusion.
13 So if you assume resources and time are finite, then you must
14 allocate resources, both in the plant and in regulation, in
15 proportion to the time integral of risk, particular contribution.
16 And the PRA is a tool for doing this.

17 Now, finally, a thing which comes out of this, which I
18 guess I skipped over, which is of immediate use, which is not
19 in the three to five-year time frame, the use of the localized
20 tradeoff process, sort of just an extension of classical
21 engineering tradeoff, you can call as a spotlight PRA of a local
22 part of the system. And that's available in all plants right
23 now, and it's in common use, both in the NRC and in the industry.

24 I think we just don't give it -- that blend of
25 deterministic and probabilistic, we don't give it that identity,

1 because we're focusing too much perhaps on the global PRA.

2 I happen to be rather doubtful that the verification
3 process will come along fast enough that a utility doing the
4 template, or doing their PRA and comparing it with some sort of
5 risk goal template, will get very much credit for it. I think
6 that will only work for the extreme cases. If I have a bad
7 outlier, it will certainly say I go fix it. If it says I have
8 a factor of 10 or 50 margin of safety over the template, there
9 will be a kind of a grudging likelihood, "Well, even if I dis-
10 count your study by a factor of 10, you're not too bad off, and
11 I'll let you keep running."

12 But that's not really much different than, and perhaps
13 in some respects worse, than the already existing body of proced-
14 ures. So if I look at the template model, I think we're a long,
15 long way from it. If I look at the local relative evaluation
16 model, we're ready to do it right now. And perhaps that's the
17 thing that needs to be recognized more in the documents relating
18 to safety goal and use of PRA.

19 Thank you.

20 CHAIRMAN OKRENT: I think what I'm going to propose,
21 instead of opening discussion on this now, since we're close to
22 the time I had suggested for the break, is that we break for
23 lunch, and we'll take questions that relate to Dr. Zebroski's
24 presentation first, and then get into the general discussion.

25 So we'll break for lunch, and let's be back by 10

002
112

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

after 1:00 or sooner.

(Whereupon, at 12:10 p.m., the hearing was recessed
for lunch until 1:10 p.m.)

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

AFTERNOON SESSION

1
2 DR. OKRENT: The meeting will come back into being.
3 When we recessed for lunch we had just heard from Dr. Zebroski.
4 We might begin this general discussion period with questions or
5 comments that relate to Dr. Zebroski's presentation.

6 Let me start this by asking him about one point I recall
7 from his talk. There was this use of the term "relative risk
8 studies", if I remember correctly, and there was sort of an
9 emphasis on our current ability to use focus studies on segments
10 of the problem in the near term -- and presumably these were
11 relative risk studies in some way. While I agree there are certain
12 kinds of studie where much of the work that you do and much of the
13 information of interest is relative in nature -- and I will go back
14 to the auxilliary feedwater study that was done shortly after
15 Three Mile Island as, in my mind, an example of this. It is not
16 so clear to me that for many of the specific issues where one might
17 think of using probabilistic techniques that in fact it is a
18 relative risk study that is involved.

19 Certainly if you are trying to balance between improving
20 containment heat removal or trying to improve auxilliary feedwater
21 reliability in a PWR, I find it hard to envisage how I do this
22 in arriving at a judgment of which of these two let's say is a
23 better way to go without bringing in what I would call absolute
24 risk numbers.

25 Would you care to comment?

2
1 DR. ZEBROSKI: Well, I agree that there will be cases
2 where it will be difficult to cook up a judgment which entirely
3 obviates some absolute measure, but I guess I would make the much
4 gentler point that there are a large number of cases in which the
5 relative assessment is straightforward, is relatively unarguable
6 since so much of the -- if you look at it as a ratio between two
7 risk calculations, a large part of the ratio terms are identical
8 and therefore cancel and you focus on the differences between
9 System A and B. In the ultimate, this is not much different than
10 the classical discipline of design tradeoff except where the
11 measure here of worth is the probability of an unfortunate conse-
12 quence rather than dollars.

13 So I think I have to agree with you that with a little
14 imagination you can cook up cases in which you cannot avoid some
15 absolute judgments -- and I discussed this a little bit at lunch-
16 time today. As a sufficient condition for covering all conceivable
17 cases, I'll have to grant that sometimes you will involve an
18 absolute judgment; but as a necessary condition for making the
19 best use of real information that you already have, I believe the
20 relative assessment is a necessary condition, even if perhaps not
21 sufficient in all cases.

22 DR. OKRENT: Well, I guess we have a different perspec-
23 tive on the ratio of situations where relative is a sufficient or
24 even in fact the way to go. I mean Prof. Kerr here on my right
25 will ask concerning the auxilliary feedwater study how did you know

3
1 anything needed to be done, even if you did see ways you could
2 improve it. It seems to me you end up having to look at that on
3 an absolute basis.

4 DR. ZEBROSKI: Yes. And another current example is
5 filtered vented containment, core catchers, dedicated heat removal
6 systems. These are proposed as improvements and, in a microscopic
7 sense, I can look at alternative designs of each of these and make
8 some probabilistic kind of valuations of alternate design. But
9 whether I need it at all then gets you into an absolute question.
10 I agree with that point. But nevertheless, at the very least, you
11 should do the relative thing where it is applicable because it is
12 far less arguable in many instances than the absolute one.

13 DR. OKRENT: I won't pursue the matter any more except
14 to note, as I have in the past, I think people overuse this term
15 "relative" as the way to go and not absolute. I will just leave
16 it at that.

17 DR. ZEBROSKI: No. I think a blend of the two is fairly
18 clearly called for and certainly in the societal risks you can't
19 avoid the issue of absolute at some point. But let me point out
20 that the relative risk is one of the sequelae of an absolute risk
21 approach which you can describe as bootstrapping. I say that my
22 average experience of a given discipline has by acquiescence been
23 one definition of acceptability and therefore I look at a new case
24 of whether it does better or worse than that average historical
25 base. That might not be very scientific, but I think a great many

4 1 decisions in real life are made on that basis and there has been
2 some scholarly treatment of this approach for environmental and
3 nuclear risks, the bootstrapping approach.

4 DR. KERR: Isn't one of the reasons that one sometimes
5 finds it easier to deal with relative risk the fact that in many
6 cases one is dealing with systems in which the amount of uncertainty
7 is relatively small and the probabilities of failure are frequently
8 large and hence not quite so uncertain? So it seems to me what
9 leads people to this is not so much that they are doing comparative
10 risk or comparative reliability or whatever it is but that they are
11 dealing with systems in which the uncertainties are small. If
12 you go to the absolute where you are talking about the whole plant
13 you inescapably get involved in those situations in which the
14 uncertainties are large.

15 DR. ZEBROSKI: Even there, if you use it as a decision
16 tool -- and again, not proving societal risk is adequate or inade-
17 quate, but as a decision tool for either plant fixes or for
18 regulation -- clearly if a given malfunction that you perceive is
19 a participant in a dominant sequence with very unfortunate conse-
20 quences you would be inclined on a rational level to give that
21 greater priority in remedial measures than the failure of a
22 component which has, with great stretch of the imagination, no
23 direct participation in a dominant sequence. For instance, we
24 have a great many LER's which are either set point drift or
25 calibration problems with radiation monitoring instruments in and

5 1 outside of the containment. In many cases, these are highly redund-
2 ant, that is, there are many, many measurement points, and the
3 failure of any one instrument for its whole lifetime in the time
4 integral of risk scale would rate extremely low. You give that
5 attention, nevertheless, because if it is a symptom of what might
6 become a common mode or a generic problem you want to learn from
7 it. But if it is just a one-off thing you say why are we devoting
8 roughly a third of our paperwork in the LER process to something
9 which is so low on the risk scale.

10 DR. KERR: Would you be willing to use PRA to estimate
11 the probability that we can eliminate some of those things from
12 the population of LER's?

13 DR. ZEBROSKI: Yes. We are proposing precisely that
14 process, that we give things which are not involved in severe
15 accident sequences a lower reporting requirement -- in fact, move
16 them into an NPRDS kind of a system environment -- without losing
17 some ability to retrieve the event circumstances. NPRDS does not
18 give you event circumstances, LER does. Sometimes the event
19 circumstances should be retrievable, but in most cases that kind
20 of information could well go into a failure statistics kind of
21 data base without the -- somebody estimated -- actually I think
22 somebody connected with the ACRS -- that it is costing \$3,000 a
23 copy to issue LER's. So you wonder if you are making a few
24 thousand of these a year which are of relatively low value, whether
25 that wouldn't be better directed at a more detailed treatment of

6
1 the things which are clearly on or potential contributors to
2 dominant sequences. That is kind of a qualitative use but, again,
3 a relative one which I think could have some merit.

4 Similarly, in the NPRDS I think one of the things that
5 is being discussed -- as you know, the NPRDS structure will change
6 next year -- one of the things that is being discussed is that if
7 you are going to go for duty cycle or frequency of challenge data
8 and you want to do this across the board for 5,000 components you
9 are talking dozens of manyears per plant and it just won't happen.
10 The resources don't exist to make that happen. On the other hand,
11 if you say I have some sort of a selection process that I really
12 want this kind of duty cycle and challenge data on a limited number
13 of key systems or components, that becomes feasible. Here again,
14 you can use a PRA kind of logic tool to identify at least with
15 some validity the things that warrant this kind of treatment.
16 That is not in being yet, but we are discussing it in a number of
17 the committees and have a couple of studies going on trying to
18 help that identification fall into place.

19 DR. OKRENT: Other questions for Dr. Zebroski?

20 (No response)

21 DR. OKRENT: Let's see. We are in what's called the
22 general discussion period. Mr. Houghton indicated earlier that
23 he had some comments to make at this time. Why don't we begin
24 with him.

25 MR. HOUGHTON: In these two days we have heard some

7
1 good presentations, and in this case I refer particularly to those
2 that talked about using PRA in the design process as well as
3 safety. The team at General Atomic has done this in the past and
4 continues to do this. We do this on a trial basis because, as
5 has been abundantly clear here, you can't do this on a final basis.
6 We set tentative goals for safety and some of these are the limit
7 line.

8 I find in working with this that the limit line approach
9 and the integral approach are not necessarily so different and in
10 fact our utilization of limit lines based on families only has
11 about a 50 percent difference between the limit line approach and
12 the integral approach in your judge frequencies.

13 I also suggest it may be possible to interpret your
14 criterion and the subcommittee's criterion -- criteria -- in a
15 limit line context, even though they are basically integral
16 statements.

17 We also within the company utilize an integral statement
18 which is a limitation on frequency of core heatup, analog of core
19 melt, which is in fact an integral statement. We impose on these
20 additional engineering management criteria, in particular, margins.
21 We are not willing, even on a trial basis, to come within 10
22 percent of the limit lines or limit integrals and we put margins
23 on these. Of course these are particularly suitable when you are
24 in a conceptual design phase or preliminary design phase.

25 Uncertainties are indeed a problem. The more nearly

8
1 subjective uncertainties really get dealt with on a management-
2 judgment basis. But the analytic uncertainties, the statistical
3 uncertainties, we handle on a first order basis by using mean
4 values, which is also what you suggest in your criteria.

5 DR. OKRENT: Excuse me. I don't want you to think we
6 were suggesting using first order mean values.

7 MR. HOUGHTON: I was just referring to the headings and
8 I think the text would say "mean" as opposed to "median".

9 DR. OKRENT: Okay.

10 MR. HOUGHTON: Just a simple statement. When we do the
11 PRA analyses on the plant we do include common mode in the various
12 ways. Just as a side comment, we have upon occasion found a
13 system which was believed to be designed to the single failure
14 criterion which in fact resulted in common mode failures giving
15 the potential for core heatup that was much too high. And we had
16 that design changed. It was done on the basis of safety, but
17 when you look at the numbers, one also does it on the basis of
18 investment risk because we didn't want one plant out of fifty or
19 so to have a major accident, even if the doses were in fact
20 negligible.

21 The review processes we have used in the past have been
22 peer review and have consisted of on-going review by EG&G people
23 as well as subsequent reviews by KFA and so forth. At the current
24 time, our review processes are much more limited and in fact
25 involve engineering and management much more than they used to.

9 1 From the PRA analyses we currently develop interim reliability
2 criteria, of course particularly oriented to safety systems, and
3 we put margins on some of these that are less critical in terms
4 of dominant accidents. This is the principal way that we go beyond
5 the single failure criterion. These reliability criteria do
6 involve explicitly the common mode problem. Even though it would
7 be approximate in the safety area, it can be dominant.

8 The application of all of this is interacting with the
9 designers and there is indeed a lot to be learned here. There
10 is no single person who can be trained to do everything in PRA.
11 The designers teach us about in fact how their plant does work or
12 can work or can be modified and the people doing the fluid flow
13 analyses help us to make sure that the phenomenologies are done
14 as best possible. In fact, we end up contributing -- the
15 probabilistic people -- end up contributing to them an insight
16 to the failure data base that in fact is not always emphasized in
17 engineering disciplines directly.

18 Even after this, it ends up being a matter of judgment
19 as to whether you start to change your design. You have to con-
20 sider the development problems. We have to consider the licensing
21 considerations because these things take time to implement, in
22 this sense. For example, we don't even know, of course, what
23 the NRC rules will be for probabilistic aspects of licensing and
24 we have to anticipate and make judgments there as to which way to
25 go. We of course need utility acceptance. As you can probably

10 1 tell, some utilities are very strong in this and some perhaps don't
2 use it very much. And then of course costs are a matter as well.

3 This is no doubt the same kind of judgment process used
4 today by people like Consumers Power. I grant you that it is not
5 quite the same process that you deal with in trying to make recom-
6 mendations to NRC as to how this can be more formalized in the
7 licensing process.

8 So we have hopes that this kind of work with PRA will
9 yield better safety and better acceptance in the regulatory and
10 public forums. As we learn better and as we learn to reason with
11 PRA, we hope that the reasoning becomes ascendant and that we can
12 get away from the potential problem of having hopes triumph over
13 reason.

14 Thank you very much.

15 DR. KERR: I'm sorry. Which one did you want to triumph,
16 hope or reason?

17 MR. HOUGHTON: Each in its turn.

18 DR. OKRENT: Do we have some other comments or trial
19 positions or anything of this sort that members of the audience
20 would like to advance?

21 MR. BRAID: My name is Bob Braid and I am from Oak Ridge
22 National Laboratory. I am a political scientist, which may give
23 you an idea of what my perspective may be on this. I sympathize
24 with the situation the subcommittee is confronted with and I think
25 representative of the NRC in trying to figure out just how they

11 1 synthesize what they have heard here in the last day and a half.
2 I have had some of the same problems. I think we made some progress
3 along that line, particularly today, in trying to determine what
4 the NRC should do with PRA in its licensing process. But I am
5 not convinced that we have gone nearly as far as we can go.

6 The reason for that, I think, is probably because we
7 have only heard from half the side in PRA. I think there is
8 another side to be heard, and that is basically that which repre-
9 sents the public's perceptions of just what the risks are in
10 nuclear licensing procedures. That's not to say that they may be
11 anti-nuclear, it may be to say simply that much of the public just
12 doesn't know what the situation is.

13 I think that probably the job of the NRC is to try to
14 figure out just what sort of mechanism they can use to be able
15 to take all the information of the type we have seen presented to
16 us in these studies for the last day and a half which, if I may
17 use two extremes, is out here on one hand and the public's percep-
18 tions, which may well be over here on another hand, and try to
19 bring those together, to bridge the gap at least to some extent
20 to where the NRC can fulfill its job of not only protecting the
21 public but also serving as somewhat of a spokesman for the public
22 at the right time, being and advocate for the public.

23 I think this is particularly important when it comes
24 to PRA. The public's level of knowledge, I suspect, is quite low
25 as far as the art of PRA is concerned; my own is also. We've had

12 1 it pointed out to us that it is a subjective art that has a fairly
2 wide error band, that it calls for some rather sophisticated tech-
3 niques from engineering and math disciplines for the public to be
4 able to absorb. I would argue that the process that we are using
5 at the present time, which is to have the experts go through their
6 PRA, send it to a review panel composed of other experts, send it
7 then also to the NRC, which has its own experts, and then have
8 the NRC finally put its stamp of approval on it and then announce
9 from on high in Washington that this is indeed what the risks are
10 of a particular plant will not probably fly too well with the
11 public because the public simply does not know enough about the
12 situation.

13 The public is ignorant of these practices, it is somewhat
14 distrustful of them. It is not sure of the NRC. It regards the
15 NRC oftentimes as an institution which is going to impose decisions
16 on them. I think this is wrong quite often; nonetheless, this
17 is the way much of the public perceives it. So I would argue that
18 the process might be the following, that I would recommend -- at
19 least it maybe should be tested.

20 When a utility decides it is going to possibly site a
21 nuclear power plant, go ahead and do the PRA at the outset. The
22 utility is supposed to be doing alternative site analysis. When
23 it identifies four or five sites at which it is going to locate
24 a nuclear power plant, do PRA for each of those. It shouldn't
25 be that much more difficult. You've got the same plant but you've

13 1 got different communities. At the same time, permit the communities
2 themselves to be incorporated in the process to where they can go
3 through this process in part with the experts who are doing the
4 PRA and in part with their own people that they choose to pick from
5 both the community and also from maybe outside the community to
6 pose the questions in terms that they can understand. Let the
7 community help decide this question and certainly be better
8 informed about the ways that the risks are going to be measured,
9 the types of risks that may occur, the magnitude of the risk, the
10 error bands, and then let the dialogue come about at the community
11 level with the NRC present and then, when the NRC does its EIS,
12 have the findings of this process brought out in the EIS. I would
13 suggest that if PRA really becomes institutionalized that the EIS
14 is going to have to discuss the findings of that PRA anyway.

15 And if it does that, then it has to incorporate public
16 perceptions because public perceptions are important. I would
17 argue that risks are in part in the eyes of the beholder. They
18 may be wrong. It may be that much of the public's fears about
19 nuclear are indeed ill-advised, but that is irrelevant when we
20 are talking about the impacts of the decision to site a plant at
21 a particular location. If a percentage of the population feels
22 that it is going to be endangered by nuclear and chooses to dismiss
23 the findings of the experts, the arguments of the experts, but
24 still has the plant imposed upon them, then there are certain
25 emotional burdens -- I think Prof. Kerr alluded to them earlier --

14 1 which that segment of the population has to experience for a long-
2 term basis. Consequently, that is an impact from the decision to
3 license the plant that the NRC simply has to take into consideration
4 in its licensing decision and later on may well have to take into
5 consideration from a mitigative standpoint.

6 Thank you.

7 DR. OKRENT: Dr. Siess?

8 DR. SIESS: Since the last speaker brought up the point
9 about people who weren't here, I'd like to suggest that since we
10 are talking about the use of PRA in the licensing process and the
11 licensing process as it is practiced has a very, very extensive
12 legal content, I think at some point we ought to try to hear from
13 the lawyers. I suspect the Executive Legal Director, if they have
14 looked at this, might have some ideas as to how this fits or
15 what constraints might be placed on the use of PRA in the licensing
16 process as we know it. I am making a distinction now between
17 licensing process and safety analysis.

18 DR. KERR: I don't disagree with your comments, most of
19 them, about public perception and the need for taking this into
20 account. I do wonder a bit about the recipe that you suggested
21 for amelioration of some current problems. I wonder, for example,
22 how one would identify who the community is. If I took some
23 examples of plants in which there has been a considerable amount
24 of opposition, take Seabrook, for example, I don't think much of
25 the opposition has come from the community. It has come from a

15 1 much broader representation of the Northeast and, indeed, as far
2 south as New York City. I am not quite certain how one would get
3 that particular community involved with the process, nor do I
4 see that such involvement is likely to reduce the opposition. I
5 can think of other examples.

6 Indeed, it seems to me that opposition from the very
7 local population to nuclear power plants tends to be more the
8 exception rather than the rule. I think the opposition frequently
9 is a much broader community than would be feasible to reach in
10 the way in which I thought you were suggesting.

11 MR. BRAID: I would agree that the question of who
12 constitutes the community is a problem. I would have in mind
13 basically the local communities which would be impacted most
14 directly by the siting of the nuclear plant. I would be inclined
15 to deal with it on a site-specific basis. And I would leave much
16 of the identification of those communities or those interest
17 groups up to the communities themselves to determine. The NRC
18 role would simply be to make sure that this was done as fairly and
19 openly and with as least arbitrariness as possible.

20 Now as far as the national interest groups is concerned,
21 I think this would probably have to be tackled in more of a generic
22 sense. It may well be that NRC will have to establish some other
23 procedure to get at the role that national interest groups would
24 have in the whole question of nuclear versus coal versus some
25 other type of energy source. And I think it is probably ill-advised

16 1 to debate the question of nuclear versus other alternative sources
2 of energy each time you license a nuclear plant. I would have
3 that brought out in the comparative risk assessment, though, that
4 I would think ought to be a part of this, within the context of
5 the local communities as to whether it wants to have a nuclear
6 plant sited there, a coal plant, or go conservation, whatever the
7 case may be.

8 But I would be arbitrary in the sense that I wouldn't
9 think the NRC should be obligated to have to debate the nuclear
10 issue every time it wants to -- with national interest groups --
11 every time it wants to site a nuclear plant. I think it could
12 handle that in more a generic setting.

13 DR. KERR: Thank you.

14 DR. OKRENT: Dr. Cornell.

15 DR. CORNELL: Cornell, of M.I.T. would like to make
16 a few comments about the general discussions of the last couple of
17 days with respect to the role of PRA or probabilistic analysis,
18 let's call it -- PRA seems to be a bit redundant. Some of this
19 comes from experience in civil structural building area, where
20 we have rather successfully introduced probabilistic bases for
21 some of our licensing or code -- in this case, building code --
22 work.

23 It is clear that there are a variety of places where --
24 at least four distinct levels I can come up with in which PRA kinds
25 of studies fit and I think in each of those levels questions that

17 1 we have been really concerned with today, such as the importance
2 of uncertainty treatment, the importance of cost benefit analysis,
3 the importance of comparative versus absolute probabilities enter
4 in very different ways, I think.

5 The first of these levels might be those that we have
6 heard people talk about where it is used in industry, by designers,
7 individual designers -- by GE, for example, or whatever -- to help
8 them understand how to come up with safer designs, safer drawings,
9 let's say, of plants that are supposed to work better. And also
10 perhaps in this class are those situations where the utilities
11 are supposed to learn more about how their plants work and they
12 are supposed to get better operator benefits and so on by doing
13 these studies.

14 In these kinds of studies I don't think we need to decide
15 whether uncertainty analysis needs to be included or not. I don't
16 think we need to do any regulating of how these PRA studies are
17 done. They are going to be done in innovative ways by different
18 people for different purposes. And this probably applies also to
19 the research application.

20 Another level is this question of setting safety goals or
21 public policy levels of decisions, that is, where one is in a
22 sense designing codes, designing regulations, maybe even designing
23 these stylized methods which we were discussing as a next level.
24 Here clearly uncertainties -- the necessity to display both the
25 probability estimates and the uncertainties are important in the

18
1 process, at arriving at decisions as to what form regulations are
2 going to be in. It does not necessarily imply that the regulations
3 must include formal uncertainty analysis -- to me it does not.
4 It is clear to me in those safety decisions or safety goal setting
5 levels that cost benefit analysis is a requisite part. In that
6 part of the study which is not absolute probability but cost bene-
7 fit, one does not need, again, explicit uncertainty analysis. One
8 needs only mean probability. That may require some uncertainty
9 propagation, needless to say, in certain situations.

10 And in that case certainly one is trying to deal with
11 absolute probabilities as opposed to comparative probabilities.

12 A third level would be perhaps these stylized studies
13 that we are talking about which could fit well into a regulatory
14 process. They become part of, in a sense, the rules by which the
15 game is played just as allowable stresses are today in other
16 studies, they become a set of regulations. One doesn't necessarily
17 look for them to be internally terribly consistent, internally to
18 be complete and a variety of other things. I think for those kinds
19 of stylized methods, again, it would be quite possible to set
20 these up without explicit uncertainty analysis, with only best
21 estimates of probability placed into an analysis procedure.

22 A large number of prior decisions have to be made to
23 fix those stylized methods, obviously. One of them is that one
24 should use event and fault trees. That is not an obvious decision
25 a priori, but it seems implicitly to have been made. Others

19 1 might well be exactly which elements should be included and which
2 elements should not be included. For example, as Dr. Rowsome was
3 suggesting, it may be useful at this point to exclude -- and I
4 would agree with this -- exclude the seismic considerations
5 initially. Nonetheless, many of the benefits which have been
6 attributed to PRA, that is, the qualitative benefits, the direct
7 review of plant characteristics, but even something more, maybe
8 ranking of relative sequences and so on, can come out of these
9 studies without the complexities and disadvantages of trying to
10 do explicit uncertainty analysis at the same time.

11 I think the uncertainty analysis will make the licensing
12 process more difficult. I would very much encourage those stylized
13 procedures, however, to be the type of dynamic framework that was
14 proposed and that such things as seismic be excluded initially
15 and added later, as we gain rather a facility with doing those
16 studies easily and economically.

17 I would like to clarify my comments yesterday. I do
18 think that -- I do not think that the SS/MRP level of detail,
19 for example, in seismic studies is economically feasible for
20 routine PRA studies. It is obviously crucial. There is nothing
21 else going on to help us learn to develop tools that can use
22 standard structural calculations as the basis for developing
23 routine PRA's. We need to have that step of the more detailed
24 analysis at that point and SS/MRP will hopefully develop those
25 kinds of capabilities.

20 1 I think that maybe a final level would be that of what
2 I might call comparative decisions, at least decisions which could
3 be set up in a comparative basis. These would be such things as
4 retrofit decisions. Again, like the preceding level, the stylized
5 method, these are basically safety checking as opposed to design
6 or decisionmaking. That is, they are checking whether the design
7 proposed meets regulations. And although in retrofit studies it
8 may be desirable for the designers to consider cost benefit analysis
9 to decide what is the proposed way of meeting the regulations,
10 what is the most economic way to meet the regulations, in the
11 process of checking whether that proposed design is satisfactory
12 it becomes basically a question of using regulatory tools. I
13 would suggest that those might well be in this category of stylized
14 tools as well, again perhaps suggesting that, first, explicit
15 uncertainty analysis would not be necessary -- that has yet to be
16 demonstrated -- but that -- and furthermore, that perhaps some of
17 the probabilistic statements that are made might in fact be
18 relative probability statements in the sense that one is now
19 suggesting that in this particular part of the system that one is
20 attempting to retrofit it comes out with a relative probability,
21 a probability which is lower than some standard, which is not quite
22 the same as saying it meets an absolute standard.

23 End of comment.
24
25

21 1 DR. OKRENT: Dr. Cornell's comments raise one or two
2 points to my level of interest, where I will pose some questions
3 or comments. I think during the meeting there has been a lot of
4 emphasis on not using conservative calculations but best estimate
5 calculations in doing PRA's. Sometimes people say best estimate
6 mean. And a moment ago, Dr. Cornell mentioned perhaps we don't
7 have a need for explicit uncertainty analysis for certain applica-
8 tions.

9 I guess I, myself, have a little bit of concern that
10 the term "best estimate" may be receiving a lot of emphasis with-
11 out the necessary qualification. The best estimate may be wrong.
12 It may be very wrong, in fact.

13 DR. KERR: Are you insisting that the best estimate be
14 a good estimate?

15 DR. OKRENT: Well, you have alluded to one of my problems,
16 of course. The best estimate is not necessarily a good estimate.
17 That's right. And the larger the uncertainty band, the better
18 chance there is that the best estimate is not a good estimate,
19 presumably. So if we don't make a very serious effort to not only
20 carry along but display the uncertainties that go along with the
21 estimate, I guess I have a concern about the trend. I think we
22 may end up in a position where we are not necessarily on a sound
23 basis for making the decision using these best estimates or point
24 estimates or so forth.

25 There is another part of it, too. It seems to me that

22 1 if the uncertainties are large, even if you have somehow factored
2 them in to a mean calculation -- and how one does that is not
3 crystal clear -- the knowledge that the uncertainties are very
4 large or might be very large somehow has to be factored into the
5 decisionmaking. For example, if we get back to the safety goal
6 question, when Griesmeyer and I were trying to work on proposed
7 numbers and a proposed approach, for a long time we favored using
8 90 or 95 percent confidence limits for acceptable risk, let's
9 say, to an individual rather than the mean.

10 I think in part is is because we were making comparisons
11 with the things for which there was statistical information. I
12 mean we do know what most of the other risks are that the individ-
13 uals are facing statistically. We have pretty good information
14 on the accident risk, et cetera. And here we were comparing
15 something that was much more uncertain and trying to say well,
16 if it is a factor of -- whatever it is -- x smaller, it is smaller,
17 when the uncertainty band in fact might overlap considerably the
18 risks that we were saying was smaller. So our thinking was maybe
19 if we said 90 or 95 percent confidence that would remove that
20 concern.

21 I guess we were doubtful we knew how to calculate a
22 90 or 95 percent confidence number unless it were a very big value
23 indeed for some of these things and so we retreated, I think you
24 might say, to expected value or mean value. But I'm not sure
25 that it necessarily meets the needs.

23 1 I think the same kind of question about large uncertain-
2 ties really enters into what are called these narrow technical
3 areas or focused things. I am not, for one, satisfied that it is
4 not equally important to look at the uncertainties and have them
5 reflect into the decision that you are making if it is just a
6 question of should these auxilliary feedwater systems be seismically
7 qualified or whatever it is that is the current narrow issue.

8 Well, let's see if I have raised any sparks of dissent.
9 I see a hand.

10 MR. SMITH: Paul Smith. I don't think I have any
11 sparks. Just a couple of points. I think -- I don't want to put
12 words in Alan's mouth -- I think my interpretation of what he was
13 saying is that you can work in analysis at a deterministic level,
14 for example, as we have done, you can work in analysis at the
15 probabilistic level and come up with just probability of release
16 or risk number and that's it, and then you could also, in addition
17 to that, come up with the risk with some uncertainty. These are
18 perhaps three classes of analyses and we could come up with more.

19 Each has its own validity. Each presumably in at least
20 the scenario I have laid out adds more information to the problem.
21 But you really don't have a well-defined stopping point because,
22 for example, we have heard the word "uncertainty" and "uncertainty
23 analysis" used, but that is not a well-defined term. You could
24 go through with a certain risk analysis and do a very, very
25 vigorous one and then a very vigorous uncertainty analysis. And

24 1 ultimately the stamp of approval that that uncertainty analysis
2 was an adequate one is an expert judgment. It is either a judg-
3 ment by a peer review group, the people who do the analysis or
4 whatever, that yes, we have examined the problem, we have looked
5 at the different aspects, and we believe that the issue of uncer-
6 tainty has been addressed as vigorously as we would like to for
7 the purposes of whatever the exercise was.

8 But ultimately that's a judgment. That is a judgment.
9 It is not a well-defined term. You can get into a lot of contro-
10 versy -- and we did at one point in the SS/MRP on this uncertainty
11 analysis. It really was helpful to me to understand that it is
12 not a well-defined term. There are no universally agreed-upon
13 methods and procedures accepted by everyone of an uncertainty
14 analysis.

15 I guess the second point I'd like to make is that we've
16 heard throughout the two days allusions from time to time on
17 topics such as dominant sequences and in one I thought thoughtful
18 presentation yesterday I heard a problem alluded to that I think
19 is of interest. But I think we need to see more emphasis in PRA
20 on essentially expanding this issue of uncertainty, on decisions
21 in the face of contributors to risk, for example, dominant sequences,
22 as I interpret what I have heard. But there also is another
23 class of decisions which may be the same or may be different on
24 decisions in the face of contributors to uncertainty in risk,
25 all the different classes of decisions that we have seen identified.

25 1 And I just haven't seen that issue addressed, and maybe we need to.
2 It would help clarify this whole uncertainty issue to try and
3 identify which decisions are best made based on which information,
4 whether it is contributors to risk, say a mean value of dominant
5 sequences, that whole thing, or decisions based on contributors
6 to uncertainty in risk. It is very hard to separate these two,
7 but you will find yourself doing it quite a bit.

8 But I would like to see in at least the write-ups that
9 are going on, the continuing discussions that are going on a
10 more vigorous exercise of that and I think it might help clarify
11 certain aspects of the issue.

12 Thank you.

13 DR. OKRENT: I think that is a good way of putting it.
14 I like that. I see a hand. Is that Dr. Joksimovic next, and then
15 up front.

16 DR. JOKSIMOVIC: I would like to endorse what you said,
17 Dave, with regard to knowledge of uncertainty and probability dis-
18 tribution being equally important. Sometimes it is more important
19 than just knowing what the mean values are. I recall that I was
20 in a position of a decisionmaker on a number of occasions and I
21 refused to make a decision on the basis of just best estimate of
22 mean values. I insisted on knowing what the probability distribu-
23 tions were. Typically that happens when you have a number of
24 alternatives and you have to make a decision which one to choose.
25 It could be very misleading to pick an alternative simply on the

26 1 basis of what the mean value is suggesting. The probability dis-
2 tributions are much more telling.

3 MR. ABRAMSON: Lee Abramson, NRC. I very fully support
4 what Dr. Joksimovic just said and I would like to add something
5 else about the use of the term "best estimate" or "mean value".
6 If you have any kind of a large uncertainty and you use the mean
7 value or the best estimate you know for sure that it is not going
8 to be the right value, as Dr. Okrent mentioned. And I think by
9 using the term you are kind of implying a validity to it or a
10 meaning to it which really doesn't exist. You are trying to
11 dress it up into something. There is a danger that it will be
12 misinterpreted and it will be given more credence than it really
13 deserves.

14 What it really amounts to is your best judgment and
15 engineering guess or something like that. But don't put it in
16 the trappings of pseudostatistical trappings of best estimate,
17 mean value or something. What is it the mean of? You don't even
18 know that. If you have to insist on using it, at least don't
19 give it any more validity than it has, which often I think isn't
20 very much.

21 DR. OKRENT: Dr. Kerr?

22 DR. KERR: I think another advantage of insisting on
23 knowing the probability distribution before you make a decision
24 is that it permits you to put the decision off several days.

25 DR. OKRENT: Houghton.

27 1 MR. HOUGHTON: Bill Houghton. Certainly it is true that
2 if one has a table of values one knows a lot more about the fre-
3 quency. But in those cases where you need to deal with some kind
4 of a single number as a characterization there is another small
5 technical point that may be of interest to you. It may be that
6 there is a more fundamental requirement than a frequency, for
7 example, that you don't want to have more than 1 in 300 reactors
8 have a large scale fuel melt.

9 Then if you do have some idea of what the probability
10 distribution is on the frequency, by theoretical means you can
11 come up with formulas that will give you a number, a single number,
12 which is plugged into some assumed simple distribution like an
13 exponential and will in fact give you the likelihood of the one
14 plant in 300 taking into account all the numbers in the distribu-
15 tion that you have.

16 Indeed, that is a mathematical artifice, but it does
17 provide some bridge between some of these ideas.

18 DR. OKRENT: Mr. Hickman.

19 MR. HICKMAN: Along the lines of Dr. Kerr's comments, I
20 think there is one other advantage on insisting that we have the
21 distribution before we make the decision, and that is we won't
22 have to make many decisions because we just simply do not have
23 those distributions.

24 DR. OKRENT: Yes?

25 MR. ERNST: I am Malcolm Ernst, NRC. I think it is quite

28 1 clear to everyone that we still must make decisions, in spite of
2 the uncertainties; although we want to understand the uncertainties
3 the best we can. I think we went through the same process that
4 you mentioned, Dr. Okrent, in coming up with a draft or tentative
5 draft implementation process for safety goal and how does one
6 usefully use a safety goal in making decisions.

7 One perspective that at least I went through in my
8 thought process was that we have extant regulations governing
9 reactors at the present time that have generally served us pretty
10 well. So in overlaying or using as an adjunct PRA in the licensing
11 process, it seemed to us at least initially that it might be useful
12 to use generally best-estimate values as an augmentation process
13 to see if there are any areas which perhaps should be beefed up,
14 but to use a more conservative analysis if there are occasions
15 where existing regulations are deemed to be not necessary, either
16 in the backfit basis or maybe in the foreseeable future starting
17 to elimination some regulations.

18 So that is a possible way of treating uncertainty in
19 regulation. In this vein, I think I might disagree somewhat or
20 to some extent with Ed O'Donnell's discussion this morning, where
21 I seemed to get the feeling that the use of PRA in the licensing
22 process was perhaps more biased towards decreasing the amount of
23 regulation. My perception is that PRA is a useful tool for
24 improving safety as well as perhaps drawing back from some of the
25 regulations. I think I would prefer a better balance that way, to

29 1 use PRA in its beneficial sense to try and understand the weaker
2 elements, if possible.

3 DR. OKRENT: I see a hand at the back.

4 MR. O'DONNEIL: Ed O'Donnell. I guess I must apologize
5 if that was the impression I left with the audience that we were
6 proposing to use PRA in safety goals to back off from existing
7 regulations. That is certainly not the intent of the AIF proposal.
8 What I tried to show was that we have to start from where we are
9 now and make decisions on need for change and that is in both
10 directions; that is, need for increased safety and if there is a
11 need to remove some requirements that may be particularly onerous.
12 I think the safety goals can be used in a non-discriminatory sense
13 such that it provides a measure of discipline both on the regulator
14 and the industry and that will enable decisions to be made on a
15 neutral basis or a rational basis.

16 That is why some of my comments related to burden of
17 proof. I think very clearly put the burden on the party pro-
18 posing to change. In the case of the industry, if one is proposing
19 to eliminate requirements or reduce requirements, the burden
20 clearly rests with the applicant or the industry who is proposing
21 that. In that sense, I think uncertainty may play a role, as I
22 indicated, without having arrived at any specific conclusions on
23 that. Certainly the burden of proof resting with the industry
24 may require demonstration that uncertainty is taken into account
25 and the change is justified.

30 1 On the other hand, on the NRC proposing a new requirement,
2 again, if we have established that the primary goals have been met,
3 I think it is appropriate to place the burden of proof on the
4 regulator if there is in fact a proposed new requirement. Again,
5 here we are looking at cost-benefit and, again, the uncertainty
6 may play a role in that direction where the presumption is that
7 the plants are already safe or at least with respect to these
8 primary goals, and the uncertainty may have to be taken into
9 account in the other direction.

10 But I view this as an even-handed process and not some-
11 thing that is going to be used to justify change.

12 Underlying all of this I think is the basic tenet that
13 we are not going to depart from concepts such as defense-in-depth
14 which have in fact served well -- and TMI I think illustrates that
15 quite dramatically.

16 DR. OKRENT: Other comments? We have a few more minutes
17 on the agenda. Dr. Kerr?

18 DR. KERR: Mr. O'Donnell, I think I understood what you
19 said but let me ask what I hope will be a clarifying question.
20 Assuming that the goals have been met, you then would suggest that
21 if the licensing body asked for changes that they would be
22 responsible for the burden of proof. Now the burden of proof would
23 involve an evaluation based on some ALARA recipe, is it?

24 MR. O'DONNELL: Yes.

25 DR. KERR: But suppose they simply said we want an

31 1 additional improvement in risk? They couldn't do that, apparently,
2 because you have already met the safety goal. But if one said we
3 will use ALARA, then they could say come up with so many dollars
4 worth of improvement or something and I am not sure that I know
5 what burden of proof means in the ALARA context. I am trying to
6 think in terms of Appendix I where, if I understand it -- and I
7 am never sure I do -- the applicant satisfies the numerical
8 criteria and then he is required to look at available technology.

9 In that sense, is the burden of proof on the applicant
10 or on the NRC, from your view?

11 MR. O'DONNELL: Well, I think the issue is one where
12 the NRC would not say to the industry give us any and all changes
13 that meet the cost-benefit criterion. We would have to look at
14 specific proposals, that is --

15 DR. KERR: Let me, if I can, using an analogy with
16 Appendix I. As I understand it, the licensee is required to look
17 at least at all available technology. Is that the way you under-
18 stand it?

19 MR. O'DONNELL: That's not what is done in practice and
20 I am not sure that is practical. I mean --

21 DR. KERR: Tell me what is done in practice.

22 MR. O'DONNELL: Well, what's done in practice is the NRC
23 has set down a set of deterministic design requirements for right
24 away systems, some of which have been tested against the thousand
25 dollar per manrem, some of which haven't. It is not in fact a

32

1 true application of cost-benefit methodology, but in fact certain
2 things such as off-gas filters on BWR's have been tested against
3 the thousand dollar to manrem and have been found to be acceptable
4 and have been incorporated essentially into the deterministic
5 requirements.

6 DR. KERR: What happens if the price goes up by a factor
7 of 2?

8 MR. O'DONNELL: Well, I imagine one would be able to
9 argue the point.

10 DR. KERR: What you are telling me is that Appendix I
11 is not interpreted it literally, as I would have interpreted it,
12 but there is a reg guide somewhere that says these are the things
13 that meet the cost benefit criteria of Appendix I, sort of. Is
14 that the sort of thing that you were suggesting when you said the
15 burden of proof is --

16 MR. O'DONNELL: Well, yes. I would -- the burden of
17 proof, if someone comes forward with a new requirement, let's say
18 filtered vented containment, the person proposing that, you know,
19 if it happened to be the NRC, as a new requirement that is aimed
20 at reducing that residual risk --

21 DR. KERR: But suppose the requirement simply said
22 some sort of extension of Appendix I, you must use any available
23 technology.

24 MR. O'DONNELL: I think that would be an impractical
25 use of the concept.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

33

1 DR. KERR: I think I understand what you mean.

2 MR. O'DONNELL: And I think you have to apply -- someone
3 has to come forth with a specific proposal, whether it is the
4 NRC or the applicant wants to take something out, and then justify
5 it.

6 DR. KERR: So if the NRC would say we want you to install
7 filtered vented containment because we are convinced it will --
8 and they would have to prove this before the licensee would have
9 to do it, in your view?

10 MR. O'DONNELL: Yes. Right.

11 DR. KERR: So in a sense, they would have to do the
12 design, do the costing, guarantee that the cost was a valid cost.

13 MR. O'DONNELL: Yes. They would have to defend the
14 proposal. As they do now. If they come forth with a new require-
15 ment now there is ostensibly a requirement that they do some sort
16 of -- that they have some defensible basis. This would be a matter
17 of incorporating --

18 DR. KERR: Until I got your interpretation of Appendix I
19 I would have assumed that it would be up to the licensee to see
20 what available technology existed and to demonstrate that he did
21 or did not have to use it. I think I could write a requirement
22 like that that would require the licensee to do the evaluating.
23 But in your view, that wouldn't be fair.

24 MR. O'DONNELL: Well, I think it would be open-ended
25 unless I think someone -- if you wrote a requirement --

34 1 DR. KERR: I think it would be open-ended, too. It would
2 depend on what available technology existed and what it cost.

3 MR. O'DONNELL: Well, if one had a rule that merely said
4 that the applicant must do all things that are -- make all changes
5 that are --

6 DR. KERR: Make use of available technology, say, that
7 will decrease risk and won't cost more than whatever number you
8 want to use -- you suggested what, \$100 per manrem.

9 MR. O'DONNELL: Yes.

10 DR. KERR: In your view, that would be impractical.

11 MR. O'DONNELL: Well, I think it would constantly open
12 the issue as to what is in fact available in terms of technology
13 and among what is available, what is cost beneficial.

14 DR. KERR: Yes. I think it would, too.

15 MR. O'DONNELL: I think it would be a very unstable
16 regulatory process under those conditions.

17 DR. KERR: But it would encourage the innovation which
18 somebody suggested this morning, maybe.

19 MR. O'DONNELL: Yes, it would. And I don't -- I see no
20 reason why, under a regime whereby the regulator or anyone else
21 who feels that he has a piece of available technology that meets
22 the requirements, could propose that in terms of a new requirement.

23 DR. KERR: Thank you.

24 DR. OKRENT: I think this past discussion has been quite
25 interesting in that it points out a somewhat different concept of

35 1 ALARA, as you have described it, in which I assume you mean to
2 apply both for existing plants and for future plants, as contrasted
3 to the ALARA recommendation in NUREG 0739, which was intended to
4 apply only to new plants, plants to be designed. The proposal
5 there was not that having met the goal, a new plant would be
6 sort of home free unless the NRC came in with some cost-effective
7 change over and above its existing regulations, the intent in fact
8 was to allow the designers to be innovative, to look at their
9 plans, to see in fact what was still cost-effective with regard to
10 reducing risk, and to give the designer the responsibility for
11 including these in his design. And if he did a good job, in fact,
12 no one would have an additional cost-effective improvement. If he
13 did a poor job, I suppose, the NRC or some third party could point
14 a finger.

15 So in fact there is a somewhat different philosophy there
16 and I think our feeling was what is sauce for the goose is sauce
17 for the gander, if I remember it correctly. In any event, it is
18 fair to ask the NRC to use ALARA, but it is also fair to ask the
19 industry, and certainly on new plants.

20 It is not completely clear to me that it is impractical
21 to do that for new plants. I think if you or I were given the
22 job of guiding the design of a new plant we could probably structure
23 an approach using an ALARA to improve the design after we had met
24 the goals. In the first place, we have already heard that the
25 utilities want you to use an ALARA with regard to what was called

36 1 investment risk protection or some such word. They already have
2 that in mind. Of course, some of the things that one might choose
3 might meet both of these goals, but not necessarily.

4 Anyway, it is worth thinking about the fact that there
5 is a seeming similarity that is not quite similar in the two
6 approaches.

7 MR. O'DONNELL: Yes. I guess I'm just beginning to get
8 a full understanding of what NUREG 0739 meant. But I would agree
9 that -- my comments this morning were mainly directed at the
10 regulatory and licensing uses of PRA. I tried to make clear at
11 the outset that I thought PRA had much broader uses in terms of
12 internal management tools by utilities, by designers, by vendors,
13 in improving design. So in one sense, most of my discussion this
14 morning was on the narrow questions of regulatory decision-making.

15 The ALARA concept I think does play a very important
16 role, as you said, aside from whether the NRC is making you do it
17 or not, if it were in fact in place in stimulating innovation,
18 certainly in a competitive atmosphere whereby that innovation was
19 directed towards reducing the probability of accidents in the
20 first place or prevention, that if GE came up with a new design,
21 as we heard yesterday, that vented containment that in fact was
22 not only cost-beneficial from the point of view of ALARA but was
23 helping to protect the utilities' investment, I think that is
24 stimulus in itself to help the industry make sure that they are
25 constantly looking at these things and introducing them.

37 1 The question of whether the NRC has to require you to do
2 it or to prove that you have done it as part of the licensing
3 process is a different matter.

4 DR. OKRENT: Yes. I think the Congress in some of the
5 laws that passed setting up the EPA and giving them a job to do
6 on occasion has said use best available technology, on other
7 occasions has said, in effect, use best available technology which
8 is cost effective in reducing risk. I suspect the Congress might
9 do well to include words like that the next time it appropriates
10 money for the NRC and then they would give the industry the
11 guidelines and maybe -- I mean for future plans -- that would
12 then perhaps at least give the same kind of guidance that they
13 are giving to other regulatory agencies.

14 MR. O'DONNELL: Yes. I think the industry would very
15 much like to see -- to clarify the issues in some legislative
16 changes in the Atomic Energy Act that would very clearly give the
17 NRC both the authority and the responsibility to look at cost-
18 benefit balancing.

19 DR. OKRENT: Well, I think we had best go to the next
20 agenda item, which I will explain to the others present is sort
21 of an in-house matter. The subcommittee members have been asked
22 to look at a couple of draft documents to see whether they have
23 in mind some way in which the ACRS may wish to use them in
24 elaborating on what's in NUREG 0739. I wonder, have any of the
25 subcommittee members had a chance to look at these and offer any

38

1 comments now?

2 DR. SIESS: We have read them, Dave. Which one do you
3 want to talk about first?

4 DR. OKRENT: Take your choice.

5 DR. SIESS: Let's take the discussion of some comments.
6 Do you want this on the record?

7 DR. OKRENT: I don't care. We don't need this on the
8 record for now because it is sort of an in-house thing. We will
9 give you fifteen minutes' rest.

10 (Whereupon, at 2:25 p.m., there was an off-the-record
11 discussion among the ACRS members of Draft Elaborations on
12 NUREG 0739.)

13 DR. OKRENT: The meeting will reconvene. Dennis
14 Rathbun, from the NRC Staff, will open up the next topic, I
15 believe.

16 MR. RATHBUN: I am Dennis Rathbun. I am Acting Director
17 of the Office of Policy Evaluation. I am going to give you a
18 few remarks on our paper, which we put a substantial amount of
19 effort into and worked up cooperatively with various members of
20 the NRC Staff and outside consultants as well. Also, I am going
21 to give you some of my impressions, anyway, based upon the second
22 workshop. Following me, George Sege, who is the major project
23 guy in our office on the safety goal, will give you some additional
24 thoughts that he has had on the same subject.

25 We prepared a draft paper presenting elements of a

39 1 reactor safety goal for discussion at our second workshop. As our
2 discussion paper notes, we presented three broad options for
3 consideration in this workshop: continuation of the present NRC
4 safety policy, adoption of qualitative goals, and adoption of
5 quantitative goals based upon qualitative goals.

6 Our own belief is that adoption of quantitative goals
7 based upon qualitative goals of the type contained in our discussion
8 paper is potentially the most useful for guiding regulatory actions
9 relevant to nuclear reactor power plant safety, particularly in
10 light of the recent trends toward an increased use of probabilistic
11 risk assessment in regulatory analyses.

12 However, in stating that, I hasten to add that we must
13 find a defensible basis for quantitative safety goals and a
14 practical mode for use of such goals or statements in regulatory
15 decisionmaking. I am particularly concerned about this particular
16 aspect. While we believe that the quantitative safety objectives
17 would be most useful, realistically we recognize the possibility
18 that it may be very difficult to develop satisfactory quantitative
19 goals. In that event, an alternative would be to formulate
20 qualitative safety objectives and continue the present practice,
21 perhaps augmented with the Commission's statement which further
22 interprets the Atomic Energy Act's standard of adequate protection
23 of public health and safety.

24 Let me just go over quickly what our goals were that
25 we offered for the workshop consideration and then some reaction

40 1 that we got from the workshop. Our discussion paper proposed three
2 such goals, one relating to individual risk, which we believe is
3 important; one to societal risk, also important; and lastly, one
4 to reactor design.

5 The first goal is stated as follows: that the estimated
6 mean probability of fatality from an accident at a nuclear power
7 plant should be less than some number between 5 and 10 in a million
8 per year to individual members of the public living or working in
9 the vicinity of the power plant throughout their lives. We believe
10 that achievement of the first quantitative goal would insure that
11 the radiological risk to individual members of the public in the
12 vicinity of the nuclear power plants would be small relative to
13 risks from other hazardous activities and technologies.

14 The second goal is stated as follows: that the
15 statistically estimated mean fatalities per thousand electrical
16 megawatts nuclear power plant capacity should be less than two per
17 year of plant operation. This goal relates to the aggregated risk
18 to society and is needed to take into account the size of popula-
19 tions, demographic factors, at some risk and efforts that should
20 be expended to mitigate the consequences of major accidents.

21 The third goal relates to reactor design. That goal is
22 that the estimated mean probability of a nuclear power plant
23 accident which results in a large-scale core melt should normally
24 be less than 1 in 10,000 per year of reactor operation. The
25 public risk associated with serious core damage is of vital concern

41 1 since it can lead to major release of radioactivity. We believe
2 that this goal specifically focuses -- that a goal of this type
3 which is specifically focused on prevention of accidents would
4 be very useful.

5 With respect to the implementation of the proposed goals,
6 proposed quantitative goals, we suggest that the goals should not
7 substitute for NRC's regulations, that is, the regulations in
8 10 CFR Parts 50 and 100. Individual licensing decisions should
9 still be based primarily on compliance with the Commission's
10 regulations. What we believe should be required in implementing
11 the quantitative safety goals is to develop and disclose the
12 relevant probabilistic risk estimates, along with the underlying
13 assumptions and uncertainties for consideration as one factor among
14 others in regulatory decisions involving major safety issues when
15 those decisions relate to rulemaking or decisions not covered by
16 the regulations per se, such as questions of retrofit of existing
17 plants, exemptions from the rules, enforcement actions, and the
18 like.

19 In this way, each proposed safety decision could be
20 related to quantitative safety goals with due regard to the nature,
21 range, and potential consequences of the uncertainties that are
22 present.

23 Establishment of a defensible base for the use of
24 quantitative safety goals leads to the controversy of just how
25 to specify in numerical terms the concept of how safe is safe

42 1 enough. Decision analysts and other professionals who have studied
2 this problem have highlighted various logical and methodological
3 difficulties. We had some discussion at the workshop on this and
4 we are still only a couple of days after the workshop and we have
5 yet to decide exactly how we should proceed in a major overhaul of
6 our paper.

7 We noted there that some risk of death for an activity
8 with the scope and value of nuclear power is unavoidable but
9 clearly a large number of deaths, including statistically estimated
10 deaths, would not be acceptable, at least not without some com-
11 pelling reason. As the literature in this area suggests, there
12 is simply no sharp line beyond which acceptable becomes too many.

13 Another aspect of formulating quantitative goals which
14 we found -- is another aspect which we found particularly trouble-
15 some. Agreement that zero risk is not practical and necessary as
16 a goal leaves the reasonable presumption that a small risk is
17 a proper goal. This raises the question of small compared to what.
18 The choice of what the risk is to be compared to is a key in the
19 formulation of quantitative safety goals.

20 Now for the comments on the workshop, let me just go
21 through those quickly. The second safety goal workshop was held
22 last week at Harper's Ferry. We had some 30 technical experts
23 representing a broad range of disciplines who attended, in addition
24 to George Sege and myself and around half a dozen members of our
25 NRC Safety Goal Steering Committee. Commissioner Bradford came on

43 1 Friday to the morning session as an observer. The centerpiece for
2 the discussion was the paper which I just presented to you some
3 highlights of, which was drafted by our office. We had three
4 panel discussions leaders, Herb Counts, Paul Slovic, and Lester
5 Lave, and technical input was supplied by NRR and the RES Staff.
6 There was an evening discussion by Matt Taylor from Bob Bernaro's
7 staff in which he presented the results of some risk assessment
8 studies that they have there, six or seven estimates of core melt
9 probabilities and other related material.

10 We felt, on balance, that the workshop was at least
11 useful to us in acting as a sounding board -- and a strong one,
12 at that -- for both the subject of quantitative and qualitative
13 safety goals which were embodied in our paper. Based on the
14 reaction from the workshop, the safety goal proposals and the
15 discussion paper will have to undergo a substantial overhaul in
16 the course of drafting a policy paper for the Commission's consid-
17 eration in the near future.

18 There were three panels at the workshop, one on quantita-
19 tive elements, one on qualitative goals or elements, and a third
20 on economic, ethical and sociopolitical factors, inasmuch as we
21 did have a number of sociologists and political science, public
22 administration type people at the workshop. However, in contrast
23 to the earlier workshop, a major part of this workshop was dedicated
24 to plenary sessions which contained panel reports and general
25 discussion of implementation in other issues.

44 1 On the subject of quantitative elements, Herb Counts noted
2 that the paper which we proffered for the workshop's consideration
3 was a great extrapolation beyond the Palo Alto workshop, but he
4 found that most of the features considered desirable from the first
5 workshop were incorporated in the discussion paper.

6 In this subject area of quantitative elements we were
7 urged to have greater clarity of the expression of the goals and
8 avoidance of jargon. For example, avoidance of estimated mean
9 probability of fatality. This particular subpanel saw a need for
10 an expansion of the statements of the qualitative goals and saw
11 some merit to a suggestion from one of the participants that we
12 should identify as distant or aspirational goals, that is to say,
13 goals which are not necessarily achievable by today's technology.

14 I guess I must say at this point there does seem to be
15 something of I guess a semantic problem when one talks about goals
16 to other than technical people. I think that the common reaction
17 is that a goal should have some aspirational feature to it, some-
18 thing this is where we are going, this is what we want to do in
19 the future; whereas, my impression in talking to the technical
20 people is that that isn't really what they had in mind. It is
21 more a matter of establishing something along the lines of an
22 informal engineering standard or Commission guidance to the Staff
23 on how to treat these PRA's which are coming in. We will come
24 back to that in a little bit, I think.

25 On the qualitative elements, with respect to the

45 1 qualitative elements, this particular subpanel suggested that we
2 might have different goals as a function of their application or
3 intended end use. For instance, the NRC might articulate an
4 aspirational goal for the long run for the public and the Congress.
5 For instance, a commitment to avoid major accidents. At the
6 same time, specifying something in the nature of quantitative
7 goals or informal standards or whatever which might become the
8 Commission's guidance to the Staff to be used in their own way.

9 However, it was stressed that these different goals, of
10 course, must still integrate and mesh together. This particular
11 subpanel, not unlikely, saw an inextricable linkage between the
12 quantitative safety goal and the means to verify such a goal, that
13 is, probabilistic risk assessment.

14 With respect to the hazards of nuclear vis a vis risks
15 from other electric generating technologies, they called attention
16 to the fact that one must be careful to insure that you only make
17 relevant comparisons. That is to say, that you should not use
18 statistics which embody old safety standards or safety standards
19 from another era which would cast something of a shadow over the
20 point that you would like to make by virtue of having made such
21 a comparison.

22 This particular subpanel believed that the probabilistic
23 risk assessment, despite its limitations and uncertainties, was
24 in any case a good way of looking at risk, certainly in relative
25 terms.

46 1 The last subpanel, on economic, ethical and sociopolitical
2 factors, saw a need to insure that the goal statement would be
3 logically sound and internally consistent. They saw a need to
4 develop more fully a social value model as a part of the paper.
5 We are still struggling with that one. This subpanel criticized
6 what they saw as the strong value-laden statements in the paper
7 like those on pages 6 and 7 which we have some statements, for
8 instance, some radiological risk might be unacceptable regardless
9 of benefit. I think they also took us to task on our lead-in
10 statement to that, that we thought that these things were by and
11 large self-evident. And indeed they may not be. We will have
12 to look at that again for sure.

13 They found a number of implicit or hidden assumptions
14 such as the notion that costs don't count or that some probabilit-
15 ities may be small enough in which one may ignore equity consid-
16 erations. And they saw a need for greater or a more explicit
17 treatment of the topic of risk aversion. Overall, on the subject
18 of quantitative safety goals, the participants I think seem to
19 approve of quantitative safety goals in principle or in theory,
20 but kept coming back to the notion that we may not be ready for
21 them for want of a sound rationale. At least the rationale was
22 not in our paper. And some among them stressed the shortcomings
23 of PRA as a yardstick for demonstrating the extent to which these
24 goals are in fact met.

25 There was also some suspicion that the numerical goals

47 1 in the paper weren't goals at all but a reflection of what was
2 technically achievable today. Dr. Okrent, I must say, stressed
3 the need for an additional goal statement in the area of mitiga-
4 tion to complement the statement in prevention. We are thinking
5 about that. It has only been two days. We haven't decided
6 exactly what we are going to do by way of a fix in the next draft.
7 We are going to meet next week in the NRC Steering Group on this
8 subject, George and I are going to meet with our consultants
9 tomorrow and get some more input on this before we go back to
10 craft the next paper.

11 I think you should hear now from George and then we can
12 go to questions.

13 DR. OKRENT: Okay. Why don't we hear from George and
14 then we will ask questions to both of you at the same time.

15 DR. SEGE: Thank you, Mr. Chairman. As Dennis mentioned,
16 I am going to go quickly through an overview of the issues and
17 add some observations from the workshop, concentrating particularly
18 on the results of the final wrap-up session.

19 First, I am going to present a very brief overview of
20 some salient issues and how they fared in the reference safety-
21 goal statement before you. The overview will suggest some questions
22 for your consideration.

23 The discussion paper reflects a proposed settlement of a
24 number of issues pretty much in line with prevailing views that
25 emerged from the first workshop and other discussions. Also

1 discussion did not reach the issue or did not proceed to a con-
2 clusive result. I'll skim the surface of ten substantive issues
3 in this category.

4 1) What should be the qualitative goals? The goals
5 stated in Section VI of the discussion paper should be read in
6 conjunction with the principles guiding development of a safety
7 goal in Section IV. The qualitative goals themselves are stated
8 in terms of limiting risk to any one person and in keeping
9 aggregated social risk adequately low in relation to other risks.
10 Such qualitative goals tend to have something very general and
11 commonplace in their articulation. Perhaps necessarily so, perhaps
12 properly so. We would, however, welcome improvements that you may
13 suggest in the draft qualitative goals to help make them as sound
14 and useful as possible.

15 2) What should be the extent of quantification? Our
16 draft's approach is simple, limiting itself to three elements.
17 Is more needed? Can more be managed in a practical scheme of
18 implementation? Should some of the greater elaboration of the ACRS
19 proposal be adopted?

20 3) What quantitative elements should be specified? At
21 what values? The reference goal specifies an individual exposure
22 limit, a social impact per unit of energy production, and a core-
23 melt probability. Should other parameters be specified in
24 addition to or instead of these, for example, from the ACRS
25 proposal? What are subcommittee members' views about the numerical

50

1 values for the quantitative goals proposed?

2 4) What qualitative elements should be specified? The
3 reference goal statement includes rudimentary specifications for
4 individual and social protection and discusses some qualitative
5 principles that have guided development of the goals.

6 5) What should be the implementation process? How
7 should the goals be used? How should uncertainties be dealt with?
8 How should any burden of proof be allocated? The proposal in the
9 discussion paper would implement the safety goals with a very
10 light hand. The goals would influence rulemaking and other standard
11 setting with respect to major safety issues. They would also
12 influence decisions on issues not covered by regulations, back-
13 fitting of existing plants, exemptions from rules, enforcement
14 actions. But the key is analysis and disclosure. A disclosure
15 of the bases and uncertainties, as well as results of the analysis
16 and consideration of this information as one factor among others
17 in the major safety decisions involved. The manner and extent
18 of the use of that information would be determined by the nature
19 of the issue. Uncertainties would be respected; prescription and
20 proof would generally not be involved.

21 6) Should the scope of the safety goals be extended to
22 aspects other than accidents and to facilities other than nuclear
23 power plants? The discussion paper suggests deferment of any
24 such extension.

25 7) How should equities be taken into account, particu-

51 1 larly equities in the distribution of risks and benefits and
2 genetic risks? The discussion paper acknowledges that it is not
3 possible to devise a system of regulations whereby the distribu-
4 tion of risks and benefits is always equitable for each individual;
5 however, if the risks are small enough, there should be correspond-
6 ingly reduced concern by individuals regarding the balance of
7 risks and benefits. Genetic risk is not specified as such.
8 Rather, the reference goal structure depends for validity on the
9 thesis that regulatory action with respect to reactor accidents
10 would not be sensitive to inclusion or exclusion of a genetic
11 risk specification.

12 8) Should there be safety goals beyond the specified
13 level of minimum adequacy? The discussion paper endorses a concept
14 of "as low as reasonably achievable", without specifying a numeri-
15 cal formula for cost-based cutoff in cost-risk trade-offs. In
16 a broader sense, the issue of safety improvement beyond minimum
17 adequacy is left somewhat open by the non-prescriptive nature
18 of the implementation process.

19 9) Should there be a special emphasis on high conse-
20 quence accidents even if low probability of occurrence? What
21 form should that emphasis take? The discussion paper expresses
22 interest in considering incorporation of some special approach.
23 The first workshop produced criticism of the concept of an
24 exponent on the consequence factor -- at 1.2 or any other value --
25 but arrived at no widely supported specific alternative. We

52 1 would welcome suggestions. The paper notes remote siting and
2 measures to mitigate accident consequences as specific actions
3 to reduce catastrophic potential.

4 10) What should be the role of economic considerations?
5 The discussion paper provides proposed guidance on recognition of
6 economic factors in ALARA -- the "as low as reasonably achievable"
7 concept -- in decisions concerning possible backfitting of existing
8 plants to new requirements and in timing of corrective action when
9 required in an operating plant and the severity of the problem is
10 not such as to demand immediate action.

11 I hope the subcommittee members will give us the benefit
12 of their views on a number of these issues. An at least equally
13 important desired result of this review from our standpoint is
14 identification and guidance on any additional issues that should
15 be considered further at this time.

16 I shall now turn to the second safety goal workshop,
17 particularly its final wrap-up session. The results of that
18 session offer perspectives on the issues that may be of interest
19 to the subcommittee.

20 The wrap-up session was devoted to participants' state-
21 ments of what they viewed as the most significant judgments
22 concerning the OPE discussion paper and changes needed in its
23 reference safety goal statement. I shall present some highlights
24 of the discussion, noting particularly views that appeared to
25 have wide support. Complete consensus on the issues involved was,

53

1 however, not sought or found.

2 To summarize, a widely shared general theme appears to
3 emerge from the various statements of views by participants. The
4 highest safety goals should be qualitative goals devised as aspira-
5 tions to be aimed at rather than as requirements geared to what
6 is currently achievable.

7 Quantitative goals should be stated as standards against
8 which performance could somehow be measured.

9 Safety goals should include distinct elements expressed
10 in language and specificity appropriate to the various users and
11 uses, articulation of public concerns and values, guidance and
12 decision rules for the Staff.

13 Introduction of safety goals should be a gradual and
14 circumspect phase-in rather than an abrupt displacement of current
15 practices. Notably, quantitative goals should not be allowed to
16 displace the defense-in-depth concept.

17 The safety goals should address avoidance and mitigation
18 of catastrophic accidents, that is, high consequence, low probabili-
19 ty accidents.

20 I will now turn to highlight in a little more detail
21 on a few of the specific points from the wrap-up session. First,
22 qualitative goals as aspirations. A number of participants adv-
23 cated making a clear distinction between broad and symbolic goals
24 that set the aim and thrust of safety regulation and narrower
25 operational standards that codify specific decision rules.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

54 1 The general goals should be qualitative and need not be
2 and in the view of some should not be constrained by what can
3 currently be demonstrated or even by what is believed to be cur-
4 rently attainable. They should be aiming points, perhaps distant,
5 but seriously pursued. Specific safety policies and standards
6 should be related to these goals and adjusted from time to time
7 on the basis of periodic review of performance in relation to such
8 primary goals.

9 The qualitative goals as stated in the discussion paper
10 were viewed as needing considerable expansion.

11 No. 2, quantitative goals as standards. For reactor
12 licensing by NRC, goals are needed that are stated as standards
13 in specific, technical -- including quantitative -- terms. These
14 should be consistent, be coherent with the primary qualitative
15 goals, admit verification of compliance at least in retrospect,
16 and reflect balance of a trio of components: accident probab. l-
17 ities, accident consequences, and social values.

18 The quantitative goals should be stated in a manner that
19 is integral with the implementation process. That is, the relation-
20 ship between goals and processes to achieve them should be stated.
21 They should be related to the qualitative goals by a clear
22 rationale. The regulatory decisions to which the quantitative
23 standards are to be applied should be identified and decision
24 rules should be spelled out. These should include procedures for
25 use of probabilistic risk assessment.

55 1 Reservations were expressed about quantitative safety
2 goals in several respects. In view of problems and uncertainties
3 in PRA, there may be too much room for error and abuse in implement-
4 ation. Quantitative standards tend to drive out qualitative ones.
5 Quantitative safety goals may weaken the defense-in-depth concept.
6 And we may be far away from having proposed the right quantitative
7 goals. One participant noted that use of PRA does not require
8 probabilistic goals.

9 No. 3, Gradual introduction and dynamic evolution.
10 Seven participants stressed the need for cautious, gradual,
11 tentative introduction of safety goals. After initial experience
12 with the goals applied on a trial basis, performance against the
13 goals and utility of the goals should be evaluated. Adjustments
14 in the goals, perhaps especially in the quantitative goals, and
15 in the method of implementation should be made as warranted.

16 The cautious attitudes about the introduction of safety
17 goals stem from several considerations: uncertainties in technical
18 knowledge underlying PRA, problems in the quality of PRA calcula-
19 tions, social and equity issues not taken into account or only
20 addressed in a tentative or controversial manner, uncertainty as
21 to precise effect of particular goal elements on regulatory actions,
22 possibility of counterproductive effect through excessive displace-
23 ment of established safety practices, and a general need to learn
24 from new operational data and from experience with the safety
25 goals. There should be a conscious effort to keep what is valuable

1 in current practices. Safety should be enhanced over time. PRA
2 practices should be improved over time.

3 No. 4, Problems of comparison. Some participants
4 cautioned against simplistic comparison of technologies in
5 seeking a suitable goal for nuclear power plants. The risks are
6 qualitatively different. Uncertainties are involved in estimating
7 the risks of both nuclear and alternative technologies. The risks
8 of old coal-fired electric generating plants should be not assumed
9 to be acceptable today, nor should today's risks be assumed to be
10 acceptable in the future.

11 A suggestion was made that the relevant comparison is
12 with existing nuclear plants, whether the safety goals and standards
13 should be set as equal to, higher than, or lower than achieved by
14 existing nuclear plants.

15 No. 5, Equity and social values as matters of policy.
16 The view was expressed that the safety goals should articulate
17 public views and concerns rather than take an apparently patron-
18 izing posture of contributing to better understanding by the
19 public. Policy principles should be stated as agency decisions --
20 we come down here for these reasons -- rather than asserted as
21 "self-evident" without stated basis.

22 Where social or equity issues on which opinion is
23 sharply divided are avoided or addressed incompletely there should
24 be acknowledgement of the incompleteness and provision to revisit
25 these issues. The issues of equity of distribution of risks and

57 1 benefits and a special consideration of high consequence accidents
2 were mentioned as examples.

3 Thank you, Mr. Chairman.

4 DR. OKRENT: Subcommittee questions, comment, answers?

5 DR. SIESS: George asked for answers.

6 DR. OKRENT: Yes, I know. But I am giving you a wider
7 flexibility than he did.

8 DR. SIESS: George, you mentioned who was at that work-
9 shop. Were there any "members of the public" there?

10 DR. SEGE: Yes.

11 DR. SIESS: I said it that way because everybody is
12 public.

13 DR. SEGE: The workshop participation was limited to
14 25 invited discussants and several NRC representatives men-
15 tioned by Dennis. But it was open to the public for attendance
16 as observers and we had about 40 to 50 members of the public
17 present at peak, which included a contingent of 20 very nice young
18 people who came as a group for a few hours.

19 DR. SIESS: Did they participate?

20 DR. SEGE: No. The members of the public came as
21 observers. There was opportunity for them to mix with participants
22 during breaks and meals and so on.

23 DR. SIESS: The invitees were only the technical people
24 or social scientists?

25 DR. SEGE: Both. There were people with technical

58 1 backgrounds and people with backgrounds in a number of other
2 disciplines, social disciplines, philosophy and political science,
3 sociology, social psychology, ethics.

4 DR. SIESS: No members of Congress?

5 DR. SEGE: No members of Congress.

6 DR. OKRENT: No housewives as such. They may have been
7 housewives but --

8 DR. SEGE: No, not as such.

9 MR. RATHBUN: Let me just add we were going to have four
10 public meetings at one time, scheduled in mid-May through mid-June.
11 But as a result of the House report, Congressional action, we
12 cancelled those. While there were members of the public present
13 there, they did not participate and offer their views.

14 DR. SEGE: I think one other point that should be added,
15 Dr. Siess, is that in addition to striving for a balance of
16 different relevant disciplines we also strove for some diversity
17 in attitudes towards nuclear power and, in addition to representa-
18 tives of the nuclear industry, we had people who are identified
19 with criticism of nuclear power as well as a large number of
20 people who had no clear or clearly-known attitudes in favor of or
21 against nuclear power.

22 DR. OKRENT: Can I ask a point of information about the
23 discussion paper. On page 35, where you identify a proposal for
24 timing of corrective action and you say that if a goal is exceeded
25 by a certain factor then a certain action would be appropriate,

59 1 was it your intent that each goal would be examined this way or
2 only one of the three quantitative goals or what?

3 MR. RATHBUN: It wasn't clearly stated. I will defer
4 to Mal on that, if you have anything to say.

5 MR. ERNST: Malcolm Ernst. It is not clear what the
6 intent was. I believe it would be fair to say that the intent
7 would be to apply to any of the goals, not just perhaps the
8 engineering goal. As long as I am up here, I might like to say
9 a word about that table, I think about the same kind of a word
10 I said at the workshop -- I'm not sure whether you were there when
11 I did say it. I was towards the end. It is very difficult to
12 have a table of this sort where you have rather explicit and what
13 appear to be sharp cut-off points, like factors of 3, 10, and 100,
14 et cetera, whereby you take some kinds of actions or don't take
15 some action or do it in certain kinds of timeframe.

16 One could draw from that that you would take some action
17 if you had a 3.1 factor but wouldn't if it was a 2.9 factor, and
18 we know very precisely what the risk is and things of that sort.
19 I think we need a fair amount of work on the paragraphs describing
20 that table to try and get away from that feeling of preciseness.
21 In the first place, there is a fair amount of uncertainty as to
22 whether one meets a given risk value. In the second place, even
23 if there were not this degree of uncertainty as to whether or not
24 you had met a goal, I submit there is a substantial degree of
25 uncertainty of what the goal should be anyway, probably much

60 1 greater than this factor of 3 or so as to really what should be the
2 level of acceptable risk, so to speak.

3 So the table is offered as guidance to try and help the
4 decisionmaker make an appropriate decision. Another thought that
5 comes to mind is that if you do exceed one of the levels as indi-
6 cated in the table you are probably exceeding it because of the
7 existence of a dominant sequence, an accident sequence. You are
8 probably not going to be exceeding it because of the summation
9 of the 20 or 30 sequences, but there will probably be a dominant
10 sequence that really hadn't been anticipated.

11 If that is the case, I submit that you should fix that
12 sequence and, once you fix it, you will probably be substantially
13 below whatever the criteria is for action anyway.

14 So those are the kinds of thoughts that I think need to
15 be considered when looking at a table of this sort.

16 DR. OKRENT: I'll recognize you in a while. I want to
17 see what comments of substance there may be from the subcommittee.

18 DR. MARK: I'm not sure if there is any agreement or if
19 this is really a correct statement, but the question was raised
20 whether you should have quantitative goals, I understand, by at
21 least some of your discussants. There has been a change, of course,
22 in the NRC's approach to accidents. Having lived for so long with
23 the class of accidents that needn't be considered providing their
24 probability was as small as was believed is no longer the case;
25 consequently, there is no stopping point anymore at what has to be

61 1 considered, and the quantitative goal certainly has some important
2 role to live in that new situation.

3 MR. RATHBUN: I quite agree. Quite frankly, I think
4 that is why we continue to be committed to come up with some sort
5 of numerical guidance in that area. The problem that we ran into
6 was if you say something like 10^{-5} individual risk or 10^{-4} core
7 melt probability or whatever and then your next statement is we
8 think that is good enough, the social scientists will come in and
9 say why. Just because that's the best you can do? Is it sort of
10 a supply-side thing, that's what technology delivers?

11 So I think the paper was weak, in my belief, with respect
12 to rationale. I think that was a fairly common reaction across
13 the board, irrespective of persuasion or the like. So I think
14 that's where we really have to do our work, frankly.

15 DR. SIESS: On this subject of qualitative goals, George
16 mentioned in his thing he just read us that you have to look at
17 the qualitative goals in conjunction with the principles guiding
18 the development of the safety goals. As he has it set up, they
19 simply represent an intermediate sort of a summary statement
20 between the principles and the quantitative goals. Now as such,
21 I can't get particularly excited about them. If I read them alone,
22 they don't mean any more to me than reasonable assurance that there
23 is no undue risk to the health and safety of the public. I have
24 lived with that for 13 years and I guess I could continue to live
25 with that or any other type of statement.

62 1 I think the explanation of the goals qualitatively
2 followed by quantitative goals is an essential sequence. The
3 intermediate step of a one sentence qualitative statement, I can
4 take it or leave it. I don't think it helps the public any and
5 it may help the social scientists -- if you want to keep them
6 happy, along with the engineers, all right.

7 DR. MARK: Couldn't they get the word "motherhood" in
8 somehow?

9 DR. SIESS: I deliberately avoided it. It is no longer
10 popular. I refuse to get into that issue.

11 DR. SEGE: That is a comment to which we are, of course,
12 very sensitive ourselves. We are quite dissatisfied with the
13 platitude that we have as qualitative goals. There are alternative
14 platitudes that are possible and have been proposed. As a matter
15 of fact, some longer statements containing just as little informa-
16 tion were proposed at the workshop. However, the suggestion that
17 was made at the workshop that the qualitative goals should be
18 stated as aiming points, something that would influence the
19 general thrust of regulations, that they should be stated in terms
20 that motivate rather than specify, that suggestion seemed to have
21 drawn support at the workshop. Perhaps that would offer a direc-
22 tion for resolution of the question of qualitative goals.

23 DR. SIESS: I can't speak for all engineers but, as an
24 engineer, I don't get very motivated by qualitative goals. I can
25 get pretty motivated by quantitative. I get out my calculator and

63 1 start working. Let me address your second question about --

2 DR. OKRENT: Excuse me. Can I make one comment here
3 before we go to another subject. I guess I would like to make
4 the case that the proposal in NUREG 0739 tries to address the
5 question of aspiration and it tries to address it in a way that
6 the engineers can understand if they want to. That is in the
7 ALARA on new design. It says, on new design, after you have met
8 the goal limits you try to do better in a cost-effective way and
9 this is something that the industry is supposed to do and it is
10 not something that the NRC staff is supposed to come in and make
11 a case for. It would be the policy that this is the approach.

12 I will take the position that this is in fact a practi-
13 cal way of expressing this aspiration without imposing goals that
14 are not meetable, that they are so small that you always fail the
15 test consciously, if you want to put it that way.

16 DR. SIESS: Your second question, what should be the
17 extent of quantification, and you mention that you have limited
18 to three elements -- I think NUREG 0739 has five or six, depending
19 on whether you count the targets of limits -- and you say our
20 draft approach is simple. I think that the complications in
21 applying quantitative safety goals and the PRA that has to go
22 along with it are so great in themselves that whether you have
23 three or four or five or six numerical goals with which you
24 compare things really doesn't contribute much to simplification
25 or complication, whatever way you want to look at it. I think it

64 1 is important that the goals be rationally related to the risks or
2 the perceived risks or the kinds of risks and maintain some concept
3 of defense-in-depth. I don't think it would be a lot simpler if
4 there were one goal instead of six if you have to do a PRA to
5 show whether you have satisfied it.

6 And the ALARA is on top of that and that is another
7 complication which I think can be justified on other grounds.

8 DR. OKRENT: Dr. Kerr has been waiting.

9 DR. KERR: I don't know to which question I am responding;
10 maybe the one that wasn't asked.

11 DR. SIESS: That's unlikely, Bill. I think George
12 covered everything.

13 DR. KERR: It appeared to me when we started this process
14 that there had to be some way of determining what was acceptable,
15 because to me that is one of the facets of a safety goal, that it
16 must be acceptable to some consensus -- not to everybody. I don't
17 see anything in this policy paper that indicates how acceptability
18 is going to be determined.

19 It seems to me there are two extremes. One is to take
20 a vote or something and tabulate the results. The other is to
21 get together a group of experts and come up with something and
22 tell people, say this is an acceptable set of goals because we
23 experts tell you it is acceptable and so it must be.

24 I don't think either one of those is appropriate. What
25 I had expected is somewhere beyond the ACRS, this is such a small

65 1 task that we don't undertake this sort of thing, there would be
2 a methodology developed to say if we have gone through this
3 sequence of operations, talking to people, Congress, even the
4 NRC itself, we now have what we think is an acceptable set of
5 criteria.

6 I don't know what those final numbers will be because
7 what we have done within the ACRS is to set up some that maybe
8 to us might be acceptable. At least when I participated in this
9 in a small way I didn't think I was writing something that would
10 be acceptable to the public because I didn't know what would be
11 acceptable to the public, nor do I pretend to know how to establish
12 that acceptability. And this may indeed be one of the more diffi-
13 cult parts of the task. I am and have been skeptical that this
14 task can be done. I think it has some advantages which make me
15 willing to expend some effort to do it. I think one of the
16 difficulties -- and this has been pointed out, the basis for this
17 I think has been pointed out by almost everybody who has been
18 involved in this -- certainly Starr's early article highlights it
19 -- is that it appears to be that people are more willing to
20 accept risks if they can see benefits.

21 I think that one of the big difficulties that nuclear
22 power has is that very few people see any benefits. And the
23 reason they don't see any benefits is because they don't really
24 believe you need nuclear power to have electricity. That makes
25 it extremely difficult to sell anything above zero risk, I think.

66 1 There have been surveys, certainly, that seem to bear this out.
2 To me, that is the sticking point of this operation, how you con-
3 vince or come to a conclusion that anything other than zero risk
4 is acceptable when the benefits are not really identifiable. And
5 I am afraid they aren't. I don't know whose fault that is, but
6 as I talk to people who aren't in the technical community, the
7 impression I get is that they don't really believe you need nuclear
8 power to have electricity. After all, we have had electricity for
9 years without it. Why should the future be any different.

10 This acceptability question, to me, I think is an
11 important one and I am not critical that this discussion paper
12 doesn't have a solution for it, but it seems to me that is a
13 fairly important part of the future activity if one is going to
14 finally arrive at a goal that has some general acceptability.

15 MR. RATHBUN: Let me just say I agree 100 percent.
16 Maybe we are using different words to describe much the same
17 thing, but when I was saying that I felt we needed more rationale
18 to develop that sense of acceptability I had hoped, frankly, that
19 the workshop would help us more in that respect than I think it
20 actually did. The only thing I can say is we will go back and
21 work this paper again and try and build in some additional per-
22 spective or rationale. I don't know. Some have said that the
23 public meetings might help in that respect. But they in themselves
24 turned out to be fairly controversial, others arguing that after
25 all, reactor safety is something that is a very technical area and

67 1 you really need to have a substantial degree of expertise to know
2 and understand and the like.

3 DR. KERR: I guess I don't think necessarily that people
4 will have to understand a goal in order to find it acceptable.
5 There certainly are other areas even in the federal establishment
6 in which numerical goals exist and they don't cause any great
7 amount of controversy and I don't think people understand those
8 any better than they do in the nuclear area. I think people have
9 to have some feeling that the matter has received careful consider-
10 ation by responsible people, that it has been widely discussed,
11 that it has some credibility, that there is some way of checking
12 it. But I don't think necessarily they will want to understand it
13 as long as they feel that people that they trust understand it.

14 DR. OKRENT: Let me recognize -- there were I think
15 three hands -- Joksimovic was the first up.

16 DR. JOKSIMOVIC: In the area of clarifications, I would
17 like to believe that those multipliers for corrective action are
18 applied to core melt frequency and not to all the goals proposed.
19 That's wrong?

20 MR. ERNST: I won't say it's wrong, but it isn't
21 necessarily true.

22 DR. OKRENT: Let me note that there is a very big
23 difference, in my mind, between applying it to core melt probab-
24 ities only and to the other goals, because in the one case you
25 have not dealt with the risks from the core melt and you would

68

1 equate the PWR 7-ish kind of core melt with the PWR 2 kindish core
2 melt and, in my own mind, that is an incomplete situation not
3 tenable by itself.

4 DR. JOKSIMOVIC: Since I may not have recommended this
5 at the workshop, I recommend now that that section be drastically
6 reworked and clarified.

7 DR. OKRENT: Mr. Ernst?

8 DR. KERR: What you want to do is tell him how to do it.

9 MR. ERNST: Yes. We would like any specific suggestions.
10 Let me add a little bit to that table. There is the third
11 quantitative safety goal, which deals with core melt, has the word
12 "normally" in it, which was put there for a very decided purpose,
13 and that is that in addition to the operative nature of the table
14 on page 35 or whatever it was, there was a judgment and, to some
15 extent, it addresses the problem you are talking about since core
16 melt is not necessarily directly proportional to public risk.
17 The word "normally" was put in there to allow some additional
18 judgment to be put on that particular one.

19 DR. OKRENT: I would say normally is not the right word
20 to describe the situation. We heard Garrick explicitly say and
21 indicate that in fact core melt did not correlate well at all
22 with risk and, if you remember, I think it was either his table or
23 maybe Ed Burns, one of the earlier speakers, things that were
24 number 19, roughly, on core melt probability were number 2 or 3
25 on risk.

69 1 MR. ERNST: I agree, but I also would advise that perhaps
2 this table is incomplete since the relative likelihood of occur-
3 rences was not present in the table. So I don't know what differ-
4 ence there is say between a 4 ranking and a 17 and flipping them
5 around. There may be only a factor of 3 or 5 difference, in which
6 case both sequences would still be perceived to be risky.

7 DR. OKRENT: Perhaps. But again, I will go back to my
8 comparison between the PWR 2 and the PWR 6 or 7.

9 MR. ERNST: Yes. However, I guess you are faced with
10 two extremes, and that is just saying we don't like core melt,
11 period, therefore we don't put the word "normally" in there;
12 we'll just say our perception is you should at least have this
13 degree of likelihood of not having a core melt. Or the other
14 extreme of changing your options with respect to core melt fre-
15 quency depending on what the offsite consequences are going to be.
16 I think our perception at least in the draft paper still is that
17 normally you would prefer to see a fair degree of certitude that
18 you are not going to have a core melt, irrespective of the off-
19 site consequences, in which case maybe the word "normally" is not
20 too inappropriate to say that you can deviate, but you would still
21 like to see the core stay intact to the extent possible.

22 DR. OKRENT: Again, if you have some test against more
23 than one goal and risk was there as well as core damage, you can
24 say you are covering both parts. If you are doing it only against
25 core melt or core damage, we have the point we were just talking

70

1 about.

2 MR. ERNST: Yes. I think we really would prefer having
3 a mitigation so-called engineering standard also. I think we had
4 some problems in determining really what that should be, considering
5 the uncertainties involved and phenomena and things of this sort.
6 As long as we are on the mitigation area, it did pass my mind that
7 in a forward-looking or here is the kind of a goal we would desire
8 to have -- "aspirational" I guess was the word used -- it struck
9 us a little bit that not only did the ACRS document hit at this
10 aspirational aspect under ALARA, but perhaps it also hit a little
11 bit in the aspirational sense in the mitigation numbers.

12 DR. OKRENT: Oh, I think in the mitigation numbers it is
13 aspirational for some of the containment approaches. The table
14 that Matt Taylor showed would indicate that we weren't aspirational
15 enough for some social scientists because some people might say
16 they were there already, and then there may be others who would
17 come in and say they are there when they look at all the decontam-
18 ination or whatever you want to call it that occurs in pools of
19 water and so forth.

20 MR. ERNST: Right. That was our quandry. We didn't
21 feel too comfortable with what the numbers should be or whatever.

22 DR. OKRENT: But those were, again, in the NUREG 0739
23 there were not threshold criteria posed in terms of mitigation
24 criterion.

25 Let's see. Ed O'Donnell had his hand up.

71 1 MR. O'DONNELL: Just a couple of comments on this issue
2 we have been talking about on the large scale fuel melt and the
3 meaning of the word "normally". The way I read the policy state-
4 ment and the intent of the word "normally" was to indicate that
5 this somehow wasn't as important as the other criteria. And I think
6 I would agree with that, if that is what you mean, that it is
7 somewhat secondary. That ought to come across more clearly than
8 just trying to insert a word "normally".

9 The other thing deals with the ALARA. I think there is
10 apparently an area of disagreement between what AIF is proposing
11 and what is proposed in NUREG 0739 regarding the use of the ALARA
12 principle. But I think there is essential agreement that it needs
13 to be in there in a quantitative sense. I did not gather -- and
14 this was the point I made at the closing session of the workshop
15 and I thought it was supported by several other people, including
16 Lester Lave -- but if you are going to make this an operational
17 part of your set of goals or quantitative standards I think it is
18 very important that it be explicitly stated in quantitative terms.
19 I just wonder whether or not there is going to be consideration
20 given to that in the revision of the paper.

21 MR. RATHBUN: Yes, we will consider it. We'll think it
22 through again.

23 Mal, do you have any reaction from the regulatory per-
24 spective on that? Frankly, I guess I've gotten some reaction
25 from some others that it is a good idea, but not all that easy to

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

72

1 implement or not all that easy to operationalize.

2 MR. ERNST: Yes. I can certainly agree with that. I
3 think the problem --

4 DF. KEPR: Does "operationalize" mean "do"?

5 MR. RATHBUN: Do.

6 MR. ERNST: I think the problem that one has when one
7 picks a number is the social or ethical problem, perhaps, of
8 choosing a value in a non- -- well, I guess it is all right for
9 the courts to choose values, but to choose a standard up front
10 as to what the worth of a human life is is sort of fraught with
11 political and social problems. I guess it strikes me that there
12 is a range of values that are proposed and the extreme -- well,
13 I guess the extremes don't, but I guess the reasonable extremes
14 probably vary by as much as a factor of 10 on dollars per manrem.

15 And considering the uncertainties in calculating the
16 manrem to start with, I guess one can wonder whether there is
17 sufficient benefit in setting an explicit value that would out-
18 weigh the problems of trying to set such an explicit value. I
19 don't think we are trying to establish a cost-benefit process
20 here where you turn the crank and make extremely cost-effective
21 decisions on the margin that are sort of automatic. I think you
22 have a large area of judgment on the benefit side and pragmatically
23 somewhat on the cost side and sometimes you may err on the side of
24 -- in fact, a lot of times you may err on the side of implementing
25 an improvement even though the cost-benefit might not be greater

73x

1 than 1. It might be a half or maybe even a tenth. So I am not
2 sure how important that quantification of the dollars per manrem
3 is.

4 DR. KERR: There is an alternative that probably doesn't
5 solve any of the problem, and that is to simply tax the residual
6 risk that exists after one has met those standards and then that
7 provides some incentive for reducing it.

8 MR. ERNST: As an aside, we I think will be coming to
9 the Commission shortly with a paper on prioritization of generic
10 issues and safety matters in general, some sort of a scheme which
11 is really based on curies released rather than dollars a manrem
12 or things like that.

13 DR. OKRENT: Total curies?

14 MR. ERNST: Well, I don't want to debate the merits or
15 demerits of this particular one here. But I am just offering a
16 thought that maybe instead of talking about dollars, which makes
17 believe you have assigned a worth to a life, you still may be able
18 to make useful cost-benefit analyses on some other basis, whether
19 it be manrem or curies or something else, something other than
20 dollars, even though implicitly you are considering dollars some-
21 where in your standard.

22 DR. OKRENT: well, it seems to me in talking about ALARA
23 or cost benefit it is probably important to draw a distinction
24 between existing plants and new plants because one doesn't neces-
25 sarily take the same approach or have the same guiding philosophy.

74

1 If you are looking at existing plants right now, the backfitting
2 rule I guess requires that the staff may define some changes if
3 necessary to accomplish some significant improvement in safety --
4 I think that's the word that is there; "significant" not being
5 defined.

6 I suppose one could argue that something is significant
7 because without it the existing level of risk is too large and
8 with it you get an appreciably significant amount in the direction
9 in which you wish to go. Or you might argue that something is
10 significant because in fact it is very cost-effective in reducing
11 risk, you are making a significant reduction at a certain cost,
12 which is less than 1.

13 Now if you don't have an ALARA-kind of consideration at
14 all there because you are reluctant to assign a dollar value and
15 if you don't have an ALARA consideration on new plants because you
16 are reluctant to assign a dollar value, I think the case might
17 well be made that you will be achieving less safety by your timid-
18 ness because in fact what you will have is people will be meeting
19 the regulations but not making cost-effective improvements. So
20 by unwillingness to say look, we think this is a reasonable
21 approach and we will try to put in reasonable numbers you may in
22 fact not be helping the public welfare.

23 MR. ERNST: Yes. I think I'd support what Dennis said,
24 that we certainly need to think this out more. I don't think that
25 the implication in the paper was that we were trying to be too

76

1 timid or not really accepting the ALARA principle. I think the
2 thrust of the paper was to establish an ALARA principle but
3 perhaps that this principle could be reasonably operative without
4 assigning of a specific dollar per manrem.

5 DR. MARK: I'm not sure I fully agree with what you
6 seemed to say was desirable. If you put dollars on manrem, there
7 are people who think they know the correlation between a manrem
8 and a death, but those are the ones who probably haven't worked
9 in the field. The BIER 3 report of experts will allow you factors
10 of 5 or 10 on a low rem exposure and physical consequences. So
11 your fear that you are putting a price tag on a human life could
12 be relieved somewhat, since you don't know what that factor is.

13 DR. SIESS: If you take dollars per manrem out of this
14 will you take it out of Appendix I?

15 MR. RATHBUN: I have a big enough problem as it is.
16 Please don't expand anymore.

17 DR. SIESS: I mean you have already done it once; now
18 you seem to balk at doing it again.

19 MR. RATHBUN: Let me turn it around and ask a question
20 for the subcommittee and also the participants here. I have
21 seen the sheet that Mal is talking about, wherein NRR is attempting
22 to establish these priorities on issues where they will allocate
23 the resources. I recall in Denton's discussion at one of the
24 staff meetings on this paper something to the effect that we
25 really don't know very well at all costs. Now in the context of

77

1 probabilistic risk assessments, which are themselves subject to
2 uncertainty, let me ask if you want to include an ALARA concept
3 what kind of additional complication does that superimpose on
4 the analyses which are already done? Is that just an overview,
5 a single sheet which attaches to voluminous PRA studies wherein
6 they specify system costs? Or does that really propagate through
7 their assessments and their analyses and make them introduce
8 another factor subject to significant or substantial uncertainty
9 plus another layer of complication?

10 DR. OKRENT: Let me try to offer a comment on this.
11 We heard yesterday from the Big Rock Point group who, of their
12 own volition, have tried to do a kind of an ALARA study in which
13 they first did a PRA and then looked at changes in design or
14 procedures or so forth to reduce the risk, and they looked at
15 both the risk reduction and the cost of the various measures. And
16 in fact they are arguing that what they are recommending is a more
17 cost-effective way to reduce the risk of Big Rock Point than
18 automatic implementation of the TMI 2 requirement plus automatic
19 implementation of many things that might arise from the systematic
20 evaluation program.

21 Now they didn't do it by adding one sheet to the PRA.
22 But I don't feel myself that it was, to use your word, a complica-
23 tion. I mean, the PRA itself is a complex affair. Having done
24 the PRA in fact -- and if you have done a good job on the PRA
25 you are in a fairly good state to consider what modifications in

78 1 fact are likely to be cost effective. Now there will be others who
2 may have other ideas, but it is not only something I guess that is
3 operational or doable, at least in the sense that one utility has
4 tried to do it. It may or may not be bought as done. It is in
5 a sense beginning to be a fact of life.

6 DR. KERR: It seems to me one advantage of this approach
7 is that it encourages that initiative that a number of our speakers
8 have not wanted to stifle and permits innovative approaches to
9 improving safety. It occurs to me that some of these things could
10 be fairly simple and might involve even a half sheet added to the
11 PRA. We had an example last week in subcommittee meetings in
12 which we were examining two power plants that were coming in for
13 license and there was a significant difference in the estimated
14 dose due to releases.

15 Now I don't know whether we got the right answer or not,
16 but we asked why and the answer we got from the staff was it is
17 very simple, one of them has a lot more charcoal in their filters
18 than the other. You know, that's pretty straightforward.

19 DR. GRIESMEYER: It would seem to me that the main point
20 of establishing a safety goal would be to insure that the plants
21 are safe. Probably one of the better ways of assuring that the
22 plants are run properly and are designed properly is to have the
23 people do a PRA. If they have to do a PRA for licensing it seems
24 that -- it is not clear that a PRA for licensing makes much sense
25 if they haven't done a PRA to improve their design. The ALARA

1 part of the PRA is more important than the licensing aspect of it.

2 DR. OKRENT: Mr. Ernst.

3 MR. ERNST: I think I will sit up here permanently.

4 I would like to offer a suggestion here that we fully support
5 the ALARA and in the Big Rock one, for example, clearly support
6 that one. In fact, I think I was more than a small part of the
7 process that in essence recommended that we should see what Big
8 Rock has to offer in the way of alternative ways to reduce risk
9 other than ones that had been deterministically suggested.

10 I should also point out that an assignment of a dollar
11 per manrem was not a part of this useful ALARA exercise that Big
12 Rock is going through.

13 DR. OKRENT: Comments on this point or a new point?

14 MR. THADANI: I am a supporter of conducting PRA's.

15 In fact, like Mal indicated, I also support use of PRA's in terms
16 of determining what modifications may be more safety-oriented, if
17 you will. But I do want to make a point that there are ways you
18 might abuse the risk studies and I don't think enough has been
19 said about that. I do agree that Big Rock Point did come in with
20 some recommendations, requests for delays for implementing some
21 of the TMI 2 related modifications. But there were some suggestions
22 by Consumers Power to delay implementing some of the TMI 2
23 related fixes, if you will, which I don't see how one can quantify
24 in terms of the risk study that was conducted for Big Rock Point.

25 An example that comes to mind is instead of having three

80 1 people at the on-site emergency center they recommended two people.
2 Presumably if there is a serious event they would take some action.
3 I'm not sure that things like that are amenable to evaluate in a
4 risk sense, while actual hardware modifications I think one ought
5 to be able to relate to in terms of the risk studies. I would
6 like to caution people that there are aspects of risk studies
7 which are perhaps being abused.

8 DR. KERR: It would also seem to me that the staff would
9 be cautious about recommending things whose benefits can't be
10 quantified, but I have said that before.

11 MR. THADANI: I certainly agree with you.

12 DR. OKRENT: In any event, I agree with you that they
13 can be abused. I think we tried to say that in NUREG 0739. I
14 think you can abuse it in the quantitative area as well as in the
15 kinds of things you have just alluded to. But in spite of that,
16 I still think there are many merits to the process and to looking
17 at the ALARA part of it.

18 MR. TEMME: I'd like to go back to this issue or discus-
19 sion of the qualitative versus the quantitative goals for a moment,
20 having been one of the discussers of this point in the workshop
21 last week. I think there is more involved there than just semantics
22 and the distinction between motherhood statements and the things
23 that engineers can work with. I am certainly in agreement with
24 the idea that qualitative goals are generally not helpful to
25 technical people in making decisions. They need more.

81 1 But I also think there is some potential in pursuing this
2 idea a little bit to produce perhaps a winning strategy or at
3 least one that is more likely to be a winning strategy.

4 First of all, I think qualitative versus quantitative
5 is the wrong dichotomy. I think what we should be separating from
6 one another are goals and the processes which include quantitative
7 decision rules by which the goals are achieved or by which we
8 attempt to reach the goals. The goals ought to be aspirations.
9 But there are a few more characteristics that I think they ought
10 to have.

11 They can be either qualitative or quantitative. The
12 important characteristics I think are that they should be measur-
13 able, that is, performance against them should be empirically
14 measurable. Now that is an objective that I am sure we can't
15 achieve to perfection. But at least we can state goals in such
16 a way that the controversy over whether or not they have been
17 met in retrospect is minimized.

18 DR. KERR: Mark, it seems to me that that almost implies
19 quantitative. If you can measure --

20 MR. TEMME: Let me give you an example. It may. But
21 what is quantified is at issue here. As an example of what I
22 would consider a goal -- in fact personally I think it is a good
23 goal to set -- that can be measured is that there be no immediate
24 fatalities as the result of nuclear plant accidents. Now I did
25 not say no expected fatalities. That is not a statistical state-

82 1 ment. I didn't mean it to be interpreted as such. But if that
2 were elevated, stated in a policy statement as a goal, it would
3 be very easy to determine in retrospect at any point in time that
4 that goal had not been met. I think there would be very little
5 argument.

6 DR. KERR: Do you consider that a quantitative or a
7 qualitative goal?

8 MR. TEMME: I would consider it a quantitative goal.

9 DR. KERR: So would I.

10 MR. TEMME: But as I said, I don't think the issue is
11 qualitative versus quantitative; the issue is goals versus the
12 process by which you intend to meet them. Goals are important --

13 DR. KERR: Are you implying when you say that that you
14 can separate the two? Because to me they are almost inseparable.

15 MR. TEMME: I think they must be distinguished from one
16 another.

17 DR. KERR: I don't see how you define a goal unless you
18 also define the way in which you propose to determine whether it
19 is to be met.

20 MR. TEMME: Well, the example that I just gave is an
21 example of a goal, the meeting of which does not call upon a
22 controversial calculation. Now the minute you add to that goal
23 words like "probability" and so forth, the demonstration that
24 you have met that goal is not done by saying look, we haven't had
25 any deaths or something observable like that that people can

83 1 generally agree with. It is done by doing a calculation that
2 you've got to get people to agree with. A risk calculation, to
3 be specific. That doesn't mean that you avoid all of the argu-
4 ments. Certainly no matter what goals are stated, there will be
5 arguments by people who say if you keep doing what you are doing
6 now you are not going to meet that goal. I think those arguments
7 are unavoidable and they should be faced. But the other argument
8 is the one that looks back and says have you been meeting your
9 goals.

10 If the answer to that question requires a PRA, we have
11 some problems. We have been talking about those problems for a
12 couple of days. If the answer to that question requires merely
13 observation and you can get general agreement to a yes or no
14 answer and it doesn't call upon PRA, I think there is a better
15 potential for winning the argument.

16 Now none of this is to say we should not use PRA. In
17 fact, the other part of this is the process by which you lead
18 yourself the goal -- and that's what we have been talking about
19 here. And I think that process is amenable to the use of what
20 has been termed "stylized" analysis methods, decision rules, and
21 then the relationship between those decision rules involving
22 quantitative risk calculations and so forth and the goal that has
23 been set forth becomes a subject of continued study and research.
24 But it is not a question that comes up when you ask have we been
25 meeting our goal.

84 1 DR. OKRENT: I guess if I thought that the NRC had
2 adopted the goal you just stated and then I were put on a hearing
3 board as a member and asked to review a new reactor, I would not
4 find it meaningful to look back at what had occurred. I would
5 look at this reactor and ask myself is there any capability for
6 producing early deaths. If there is, how can I say there will be
7 a zero probability from this reactor, they will have to make it
8 a more remote site or something.

9 MR. TEMME: I didn't --

10 DR. OKRENT: I know how you were going to restrict its
11 usage, but I'm just saying given this is the goal and then trans-
12 lating it to what you do with regard to a future plant, in other
13 words, for a construction operation, it hasn't run yet and so you
14 have to look at it and see does it have the potential for violating
15 the goal.

16 MR. TEMME: Of course you do. And I was not advocating
17 that goals of the sort that I have tried to describe be a replace-
18 ment for PRA and a structured decision process relative to the
19 licensing of new plants. The two go together. You don't do one
20 or the other. You have a goal and you institute a process, the
21 intent of which is to meet the goal. And the examination of a
22 new plant, the licensing of a new plant, is a part of the process
23 by which you meet the goal.

24 It places the arguments in different contexts and I
25 think it is arguable whether or not --

85 1 DR. KERR: You've lost me. You mean if the goal is
2 zero -- what did you use, immediate?

3 MR. TEMME: I said zero immediate deaths, merely to
4 avoid another controversy that comes up if I say something else.

5 DR. KERR: And you carry out a process to show that
6 you have tried to meet it or that you have met it?

7 MR. TEMME: You institute a process, the intent of which
8 is to meet it. And in my view --

9 DR. KERR: I don't understand. I mean English I know
10 is a very poor medium of communication, but I don't know what you
11 mean when you say "the intent of which is to meet it". You mean
12 you don't get to build the plant unless you can demonstrate that
13 you do? Or you get to build the plant if you have demonstrated
14 that that's your intent?

15 MR. TEMME: A goal of this sort becomes a part of the
16 public policy statement of the NRC. The licensing pro. is which
17 they carry out should be justifiable and connected to their goal.
18 The goal itself is not something that each applicant addresses.
19 What he addresses and responds to are the decision rules, the
20 procedures, regulatory requirements, and so forth. I think PRA
21 has a place in the decision rules, but not in the statement of a
22 goal to the public. As soon as you state a goal to the public
23 that says 10^{-6} something or other, I think you are in trouble
24 because the demonstration that that kind of goal is met is one
25 that invokes a highly controversial analysis. It is a calculation.

86

1 It isn't an observation.

2 DR. KERR: I think you are saying that you don't think
3 a quantitative safety goal is practical, aren't you, because you
4 want to be able to find one which is acceptable?

5 MR. TEMME: Oh, I think you can find one which is
6 acceptable.

7 DR. KERR: I mean to the public.

8 MR. TEMME: Zero deaths is an acceptable goal to the
9 public, is it not?

10 DR. KERR: But you can't achieve that.

11 MR. TEMME: I think you can. We have been achieving it
12 for a number of years. I think one of the values of PRA is to
13 try to get a better understanding of what we have been doing that
14 does achieve it.

15 DR. OKRENT: Okay. I think that is one more idea into
16 more than Rathbun and Sege can handle already. Mr. Rowsome?

17 MR. ROWSOME: I just have a couple of observations and
18 a couple of way out ideas I want to suggest to you.

19 DR. OKRENT: These are ways out of the problem or they
20 are ideas that are way out?

21 MR. ROWSOME: Ideas that are way out. Let me start with
22 the simple observation. I have done some back-of-the-envelope
23 calculations of the present worth of expected losses associated
24 with core melt accidents, considering on-site effects as well as
25 off-site effects, costs such as loss of capital investment in the

87 1 facility, replacement power and on-site cleanup costs. If you
2 consider those alone for a thousand megawatt modern plant for much
3 of its life still ahead of it you come up with numbers like the
4 following.

5 If one had a susceptibility to core melt at 10^{-3} per
6 year, the present worth of expected losses is around \$100 million.
7 If it is 10^{-4} per year, it drops to \$10 million. If it is 10^{-5}
8 per year, it drops to \$1 million. I suspect that cost-effective
9 ways of dealing with discovered or suspected vulnerability to
10 core melt could be found to drive you down to about 10^{-4} , so the
11 10^{-4} criterion suggested by the AIF and in NUREG 0739 is I think
12 very nearly synonymous with a cost benefit or an ALARA criterion
13 even one that is based exclusively on protecting the investment
14 in the facility.

15 It is less clear that monetarized values of off-site
16 effects will drive you to an extra two decades on containment.
17 Prof. Okrent has made the point in several forums that he thinks
18 it important to have not only a criterion on the frequency of
19 core damage or core melt, but also a criterion on the containment.
20 Considering this fuzzy area in the ALARA or cost-benefit approach,
21 one might say that you could drop the criterion on core melt but
22 keep a criterion on containment or alternatively put a frequency
23 goal on that class of accident sequences that produce release
24 category 1, 2 or 3 level severity, say 10^{-6} , which would be com-
25 patible with the 10^{-4} plus two decades on containment criterion.

88 1 Difficult to verify, but no more difficult than the 10^{-2} is as
2 written.

3 The radical suggestion, the way-out idea, is that with
4 such calculations with present worth of expected losses calculations
5 that include on-site and off-site property damage and include
6 dollar values associated with society's willingness to invest in
7 the avoidance of statistical casualties, one could really do the
8 entire analysis. One could have a criterion that was drafted
9 exclusively in terms of an ALARA criterion or a cost benefit
10 criterion by comparing cost of implementation with the change in
11 present worth of expected losses. Such an approach has a number
12 of disadvantages that you can think up as fast as I can. Among
13 them, unworkability when you have a clean sheet of paper in front
14 of you and you are trying to design a plant from scratch, and a
15 lot of political exposure on the dollar values you put on health
16 effects.

17 Nevertheless, it has some merits from the point of view
18 of coherent, objective public policy, and has some merits of
19 being very simple and straightforward, a simple, one-dimensional
20 measure that embraces the whole issue.

21 DR. KERR: I agree. I think that is way out.

22 DR. OKRENT: Yes, sir?

23 MR. ABRAMSON: I'd like to make two points. First, just
24 a comment on Dr. Temme's goal of zero immediate deaths. I think
25 that is going to be rather more difficult to measure and achieve

89 1 and I'm not sure we even have seen it yet. For example, in Three
2 Mile Island a lot of people evacuated the site. Now as a direct
3 cause of the evacuation perhaps you might argue there were auto-
4 mobile accidents. As a matter of fact, I think there even may
5 have been some fatalities. Or possible heart attacks caused by
6 stress. So I think even something as apparently transparent
7 as this, it may be rather controversial as to whether in fact you
8 can achieve that.

9 The second point is I would like to follow up Dr. Kerr's
10 observation that most people see no benefit from nuclear power and,
11 as a result, the risk they are willing to accept is very low,
12 perhaps even zero. There has been a recent Ph.D. thesis by Litai
13 at M.I.T. in which he suggests a new approach which his taking-off
14 point is that risk has many dimensions. In fact, he identifies
15 nine of them. One of them is the idea of benefit. He dichotomizes
16 each one of them, so you have things like is the benefit clear or
17 immediate, are the risks voluntary or involuntary, is it natural
18 or man-made, are the effects immediate or delayed, and so on.

19 And then by actually looking at insurance records and
20 other statistical records he infers what people's perceived risk
21 is and what people in fact -- how people in fact act and how they
22 value these particular risks. From this, in fact by multiplying
23 things together, he found that people see that, for example,
24 nuclear is some 9,000 times as risky as coal, which by itself might
25 be kind of controversial.

90 1 But I think that there is an important point here, and
2 it is recognized to some extent by the safety goal -- although I
3 don't think the goal is far enough -- namely, that there are many
4 elements and many dimensions to risk.

5 DR. KERR: Do you think if I get copies of that thesis
6 and distribute it to my friends that they would feel differently
7 about nuclear power?

8 MR. ABRAMSON: I think that if you -- no, not if you
9 distribute the thesis. But I think that the factors are the
10 factors which people are familiar with, like is this -- are the
11 benefits clear or not, is it manmade or natural. I think that
12 these aspects of it are the aspects that people really do think
13 in. So I think if you are going to worry about public perception
14 -- and I think we have to -- I think it is very important to do it
15 along these dimensions, that is, to speak people's language about
16 this.

17 You raised the question about benefit, for example.

18 DR. KERR: Well, most people think they understand
19 electricity and they don't believe that electricity is really
20 generated by nuclear power. They think it is somewhere out there
21 when you turn on a switch. For years that's the way they have
22 been getting electricity and they did it before nuclear power and
23 they don't see any difference.

24 MR. AMBRAMSON: Well, I wonder if that is true now, you
25 know, with the oil crisis. I think people are much more aware

91

1 that electricity comes from something.

2 DR. KERR: I think the last thing that people thought
3 the oil crisis had anything to do with was electricity. It had
4 something to do with automobiles, but nobody ever had to go
5 somewhere to get a new bag of electricity during the oil crisis.
6 It still came on when you turned on the switch.

7 MR. ABRAMSON: Well, they saw it in their monthly bill,
8 though. The price of electricity has been going up and a lot of
9 people have been seeing it that way.

10 DR. SIESS: Not if you live in central Illinois.

11 MR. ABRAMSON: No, but if you live in the Northeast or
12 in New York City --

13 DR. SIESS: I know, but you are talking about people.
14 Now you had better start defining the people you are talking
15 about.

16 MR. ABRAMSON: I agree. It certainly depends on the
17 part of the country you are in.

18 DR. SIESS: I know people in Washington, D.C. that can
19 tell whether PepCo is operating by the size of their electric
20 bill, whether the nuclear plants are operating. I think they know
21 where the electricity comes from and they are not against nuclear
22 power.

23 DR. KERR: A friend of mine has an alternate suggestion,
24 and that is that the people who buy electricity from a utility
25 that has a nuclear plant be given a choice of whether they buy

92 1 nuclear electricity or coal electricity. That way they would
2 clearly indicate which they preferred. But nobody -- that would
3 be a clear way of demonstrating benefits. But we don't have that
4 now.

5 MR. ABRAMSON: I think, as a matter of fact, that the
6 French are actually charging people less for electricity who live
7 in the vicinity of nuclear plants. I don't know how this program
8 is working out, but they are trying to face the issue that way.

9 DR. OKRENT: Thank you. Are there other comments? Do
10 the subcommittee members have other answers for Mr. Sege? I don't
11 think you gave him very many.

12 DR. SIESS: I got through two questions.

13 DR. OKRENT: I've been giving you time by taking comments
14 from the floor. Can I ask Mr. Sege and Mr. Rathbun, did you have
15 in mind showing your next discussion paper or draft approach or
16 whatever it is you want to call it to the ACRS before going to
17 the Commission with it? Or were you planning to go to the
18 Commission and have the ACRS comment afterwards or what?

19 MR. RATHBUN: Frankly, we really haven't thought that
20 through. The end product should be a draft policy paper for the
21 Commission to consider. In light of the reaction the last time
22 around, I've toyed with the idea of submitting the paper for
23 comment from the Commission and perhaps from the ACRS as well
24 prior to sending -- transmitting in a quasi-formal form the paper
25 and say this is the OPE product, the policy paper, which we believe

94 1 Are there other comments that members of the audience
2 would like to make?

3 (No response)

4 DR. OKRENT: Well, by some magic which I don't understand
5 I just now looked at my watch and we seem to be on or about the
6 time that was estimated by Dr. Griesmeyer for when we would
7 complete this meeting. I think what we might do is try to see
8 if there are individual comments or so forth that members may be
9 able to get you. There will be some discussion of this subcom-
10 mittee meeting briefly -- assuming we are not crowded out by the
11 many cases on the agenda at the August meeting. We would try to
12 encourage members to get you any comments at that time. I think
13 we would be willing to try to offer specific comments via a
14 subcommittee meeting on your next draft, if you are so inclined.

15 MR. RATHBUN: Yes. Thank you very much.

16 DR. OKRENT: All right. If I don't see any other business,
17 a comment or so forth, I will thank everyone for their active
18 participation and declare the meeting adjourned.

19 (Thereupon, at 4:33 p.m., the meeting was adjourned.)
20
21
22
23
24
25

This is to certify that the attached proceedings before the

Nuclear Regulatory Commission

in the matter of: ACRS/Subcommittee on Reliability and Probabilistic
Assessment

Date of Proceeding: July 29, 1981

Docket Number: _____

Place of Proceeding: Inglewood, California

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Horace W. Briggs

Official Reporter (Typed)

H. W. Briggs

Official Reporter (Signature)