

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

---

---

In the matter of:

DIABLO CANYON

Docket No. 50-275

DISCUSSION OF IDVP AUDIT OF  
DCNPP-1 CONSTRUCTION QUALITY  
ASSURANCE

---

---

Location: Boston, Massachusetts Pages: 1 - 90

Date: Saturday, 21 May 1983

**TAYLOR ASSOCIATES**

Court Reporters  
1625 I Street, N.W. Suite 1004  
Washington, D.C. 20006  
(202) 293-2950

8306150281 830610  
PDR ADOCK 05000275  
P PDR

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION  
3 DISCUSSION OF IDVP AUDIT OF DCNPP-1  
4 CONSTRUCTION QUALITY ASSURANCE  
5

6 Conference Room 321  
7 Logan Hilton Hotel  
8 Logan Airport  
9 Boston, Massachusetts

10 Saturday, May 21, 1983

11 The NRC-IDVP meeting convened, pursuant to  
12 notice, at 9:30 a.m.

13 NRC Staff Present:

14 H. SCHIERLING, Presiding  
15 J. SPRAUL  
16 L. CHANDLER  
17 T. BISHOP

18 Teledyne Staff Present:

19 J. CRAGIN  
20 J. FLAHERTY  
21 W. COOPER  
22 L. NORIEGA

23 Stone and Webster Staff Present:

24 F. SESTAK  
25 C. LUNDIN  
S. BARANOW  
C. RICHARDSON  
E. ERLANDSON  
D. IVES  
F. BEARHAM

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

PG&E Staff Present:

B. NORTON  
S. SKIDMORE  
J. MANNING  
R. ETZLER  
R/ TWIDDY

Bechtel Staff Present:

C. DICK  
H. FRIEND  
P. MASON

Westinghouse Staff Present:

W. GAUGLOFF  
D. ALEXANDER

On Behalf of the State of California:

R. HUBBARD

1                   P R O C E E D I N G S

2                   MR. SCHIERLING: Good morning.

3                   My name is Hans Schierling. I am with the NRC.  
4 We meet here together today for a meeting to discuss  
5 construction quality assurance.

6                   In attendance are representatives from  
7 Teledyne, from Stone and Webster and PG&E. Representad  
8 also is the State of California.

9                   Before we begin with our introduction of the  
10 members here, I would you to be aware we are taking a  
11 transcript of this meeting and for that purpose we should  
12 limit ourselves to have only one person talk at a time and  
13 please speak clearly so we have a good transcript  
14 available.

15                   Why don't we start with the introduction.

16                   Jack, why don't you go ahead.

17                   MR. SPRAUL: My name is Jack Spraul. I am with  
18 the NRC Office of Inspection and Enforcement, Quality  
19 Assurance Branch.

20                   MR. CHANDLER: I am Lawrence Chandler. I am with  
21 the Office of Executive Legal Director and I am counsel to  
22 the staff on the Diablo Canyon.

23                   MR. BISHOP: My name is Tom Bishop. I am Chief  
24 of the Reactor Projects Branch in Region V of the NRC.

25                   MR. HUBBARD: My name is Richard Hubbard. I am



1 representing the State of California.

2 MR. FLAHERTY: Jim Flaherty, Teledyne  
3 Engineering Services.

4 MR. ERLANDSON: Ed Erlandson, Deputy Director of  
5 Construction, Stone and Webster.

6 MR. RICHARDSON: Carl Richardson, Engineering  
7 Manager, Stone and Webster.

8 MR. BARANOW: Stan Baranow, Assistant Deputy  
9 Senior Manager, Stone and Webster.

10 MR. LUNDIN: Craig Lundin, Chief Engineer,  
11 Quality Assistance Division, Stone and Webster.

12 MR. SISTAK: Frank Sistak, Project Manager,  
13 Stone and Webster, IDVP.

14 MR. IVES: Richard Ives, SDQA Engineering, Stone  
15 and Webster.

16 MR. COOPER: Philip Cooper, TES Program Manager.

17 MR. NORIEGA: Leandro Noriega, Senior Engineer,  
18 TES.

19 MR. MASON: I am Peter Mason, the Diablo Canyon  
20 Project, Bechtel.

21 MR. CRAGIN: John Cragin, Teledyne Engineering  
22 Services.

23 MR. TWIDDY: Dick Twiddy, PG&G Quality Assurance  
24 Supervisor, Diablo Canyon.

25 MR. ETZLER: Rick Etzler, Project

1 Superintendent, Diablo Canyon.

2 MR. MANNING: Jim Manning, Construction  
3 Superintendent, Diablo Canyon Project.

4 MR. BEARHAM: Fred Bearham, Quality Assurance  
5 Engineer, Stone and Webster.

6 MR. FRIEND: Howard Friend, Project Manager,  
7 Diablo Canyon, the Diablo Canyon Project.

8 MR. NORTON: Bruce Norton, Attorney for PG&E.

9 MR. SKIDMORE: Steve Skidmore, Manager of  
10 Quality Assurance, PG&E.

11 MR. DICK: Charles Dick, Diablo Canyon Project  
12 Managment.

13 MR. SCHIERLING: Pete, do we have you in there?

14 MR. MASON: Yes, sir.

15 MR. SCHIERLING: Okay.

16 The purpose of the meeting, as I mentioned  
17 earlier, is to discuss certain aspects of construction  
18 quality assurance.

19 As you are aware, the Diablo Canyon project has  
20 through Teledyne and Stone and Webster conducted an audit  
21 or construction quality assurance efforts that were in  
22 place prior during the construction of the Diablo Canyon  
23 plan.

24 That effort has been completed. It was  
25 primarily conducted by Stone and Webster. The effort has

1 been completed. Two interim technical reports have been  
2 issued, ITR-36 and ITR-38, which exist in Revision 0 and  
3 Revision 1. The staff has reviewed both of those reports.  
4 We recently have requested the IDVP to provide some  
5 additional information regarding the activities.

6 In general we are interested in two aspects.  
7 One is we would like to obtain some more information  
8 regarding the close-out of specific EOIs identified in  
9 both reports and, secondly, we would like the IDVP to  
10 address the bases for the general statements in the report  
11 regarding the adequacy of the quality assurance that was  
12 applied and that existed and was implemented for the two  
13 companies that were audited.

14 We might have some additional specific  
15 questions as we go along, but I understand that you have  
16 prepared a presentation and I think it might be best to  
17 get everybody up to speed and on the common denominator to  
18 go through that presentation hopefully without any  
19 interruption.

20 Bill, I turn it over to you.

21 MR. COOPER: Thank you, Hans, and good morning,  
22 gentlemen and the lady who is present, and welcome to  
23 Boston.

24 (Laughter.)

25 MR. COOPER: My role this morning is a brief

1 introduction of the status of the construction QA effort.

2 In a quick summary of the background, the first  
3 introduction of this into the system was on September 1st  
4 at a meeting between staff and the Diablo Canyon project  
5 where Mr. Maneatis of PG&E announced that they were  
6 volunteering to have such a program. This was confirmed by  
7 the PG&E letter of September 7th.

8 During the next few weeks Mr. Maneatis and Mr.  
9 Friend came and visited with me and talked about their  
10 expectations from this program, their plans for it, the  
11 interest in having the IDVP operate the program in the  
12 same manner that we had the Past of it from the viewpoint  
13 of independence and our procedures.

14 The three of us and others met with the senior  
15 Stone and Webster personnel in engineering, construction  
16 and quality assurance and I may have missed one area, and  
17 if I did, I am sorry, but to indicate the level of  
18 interest and the level of effort which the utility wanted  
19 us to operate in in this manner.

20 Based upon those discussions, the IDVP defined  
21 an adjunct program for evaluation of CQA and we submitted  
22 this program, or Revision 1 of this program on October 5th  
23 of 1982.

24 Very briefly, that program established that two  
25 organizations would be audited and established four tasks,

1 one on QA program, another on construction verification, a  
2 third on processing of the findings and a fourth on  
3 reporting.

4 The reporting system used the normal ITR system  
5 of the independent program and a modified EOI system, and  
6 I think it is very important to understand that the EOI  
7 system used was different here than elsewhere. Our  
8 definitions were different.

9 We defined the Class A error as being a  
10 finding, something which was accurate in potential for  
11 significant impact on adequacy.

12 We defined in the EOI system a Class C error as  
13 something that in the QA world would be termed an  
14 observation, that the potential finding was accurate but  
15 it did not have a potential for significant impact on  
16 adequacy.

17 The third category was that the potential  
18 finding was invalid.

19 We reported these results in ITR-36 and 38. 36  
20 applied to Wismer-Becker. There was one finding, 19  
21 observations and five were invalid.

22 ITR-38 reported on Guy F. Atkinson. There there  
23 were four observations. Mr. Novak of staff in his letter  
24 to me of May 2nd raised the issues which Hans has  
25 summarized very well as to their concerns about the ITRs.

1 First, that the information in the ITR they did  
2 not consider was sufficient to justify closing out the  
3 EOIs and, second, the review results did not appear to be  
4 entirely consistent with specific EOI findings.

5 In response to that letter, the IDVP had  
6 prepared revisions to both ITRs in what we thought was  
7 responsive to both of these issues.

8 A staff phone call of the 17th of this month  
9 indicated very clearly that we had not fully understood  
10 their concern in this second area, and it is as a result  
11 of that phone call that we are having this meeting here  
12 this morning in an attempt to provide further discussion  
13 on these matters.

14 The Stone and Webster folks have prepared a  
15 very appropriate presentation which will introduce the  
16 issues in a time of approximately a half an hour.  
17 Following that we are prepared to go into whatever detail  
18 you wish, but I would suggest that since certain aspects  
19 of the intent and the procedures of this program have not  
20 been fully understood, that it would be desirable to let  
21 them go through that point.

22 Let me ask first if there are any questions  
23 and, if not, I will turn it over to Frank Sestak from  
24 Stone and Webster.

25 Frank, why don't you go ahead.



1 MR. SESTAK: Thank you. I am Frank Sestak.

2 The construction QA review and audit was  
3 intended to assess whether the construction of Diablo  
4 Canyon Nuclear Power Plant, Unit 1, was performed in  
5 accordance with the quality requirements appropriate for  
6 the time of plant construction.

7 The program was accomplished by the development  
8 of check lists of attributes for two contractors based on  
9 requirements from various documents such as PG&E  
10 specifications, contractor or subcontractor QA programs,  
11 PG&E drawings and contractor and subcontractor drawings.

12 A Finding and Review Committee was established  
13 to review each potential finding developed by field  
14 auditors and inspectors for determination and accuracy and  
15 assess its impact on the adequacy of the plant.

16 The FRC was made up of five senior experienced  
17 personnel as follows:

18 Ed Erlandson, Deputy Director of Construction,  
19 with greater than 35 years experience in construction and  
20 construction manager and superintendent at a number of  
21 nuclear plants;

22 Carl Richardson, Engineering Manager with  
23 greater than 20 years experience in power projects,  
24 project manager and project engineer on nuclear plants;

25 Craig Lundin, Stone and Webster, Chief

1 Engineer, Quality Assistance Division with greater than 15  
2 years experience in QA and site QC manager at a number of  
3 nuclear plants;

4 Jim Flaherty, Teledyne, Manager of Engineering,  
5 Design and Testing with 15 years experience in the nuclear  
6 field; and

7 Frank Sustak, that is me, Chief Engineer of the  
8 Power Division with greater than 28 years experience in  
9 power projects, project engineer on various nuclear  
10 projects, Project Manager of the Stone and Webster IDVP  
11 effort and Chairman of the FRC.

12 Each potential finding report forwarded to the  
13 FRC was reviewed and classified per IDVP program  
14 requirements. As Bill alluded to before, they were  
15 categorized as findings, observations and invalid.

16 Upon completion of all FRC reviews, 29 in  
17 total, the FRC conducted a site visit on November 16th and  
18 17th. During this site inspection each PFR was visually  
19 reviewed by one or more members of the FRC.

20 Upon receipt of the PG&E response to the PFRs,  
21 29 EOIs were classified and categorized as follows: One  
22 was a finding, five were invalid and 23 were observations.  
23 The observations were further broken down into 10  
24 programmatic and 13 other.

25 During the course of our program today we hope



1 to answer many of the questions raised in various and  
2 recent documents such as the NRC letter to TES,  
3 Novak/Cooper of 5/2/83, and a recent joint intervenor  
4 petition of 5/10 and 5/17.

5 At the conclusion of our program, we will be  
6 open to questions and comments.

7 If there are no questions, we will proceed with  
8 our presentation.

9 MR. CHANDLER: Frank, let me just make one  
10 comment on something you just said, and that is I guess  
11 the staff's principal concern at this meeting is with  
12 respect to the matters outlined in Mr. Novak's letter of  
13 May 2.

14 MR. SESTAK: We hope to touch on those.

15 MR. CHANDLER: Okay.

16 MR. SESTAK: Frank Lundin, the gentleman sitting  
17 next to me, will begin with a review of the various check  
18 lists developed for each contractor by the site QA team  
19 and where appropriate identify areas related to criteria in  
20 10 CFR 50, Appendix B.

21 He will also review in detail the documents  
22 related to EOI 90-26, which was a finding, and two other  
23 EOIs which were classified as observations.

24 I hope we answer many of your questions  
25 relating to the various documents.

1           If there are no questions, we will proceed with  
2 Craig.

3           MR. FRIEND: Excuse me, I do have a question. I  
4 think I would like to direct it to yourself and to Bill  
5 Cooper, and I guess the question is the following.

6           Was it the intent to have the ITRs as a general  
7 category be self-standing and answer all the possible  
8 questions and allow the reader to reach a total resolution  
9 in accordance with the IDVP's resolution as part of the  
10 ITR?

11          MR. COOPER: No, sir, it was not, and our  
12 procedures permit requests for clarification from all  
13 parties and we had received none up to the May 2nd letter.

14          MR. FRIEND: Thank you.

15          MR. SESTAK: Craig.

16          MR. LUNDIN: I am Craig Lundin. As Frank  
17 mentioned, we were to review the two contractors to assure  
18 that the elements of the quality assurance program were  
19 present for construction at that period of time, as well  
20 as to verify as much as could be done the implementation  
21 of that quality assurance program.

22          In doing that we developed check lists to work  
23 to. Four check lists were developed and utilized by the  
24 team at the site. Two were verification check lists for  
25 actual inspection performed and two were assessment plans

1 to determine if the practices were in compliance with the  
2 specifications and that they had a quality assurance  
3 program in existence.

4 In development of these check lists, the  
5 specifications we used, the quality assurance programs we  
6 used and other documents that would be appropriate to make  
7 this verification, the attributes developed can be  
8 associated with the elements of a quality assurance  
9 program as delineated in 10 CFR 50, Appendix B in that  
10 they were appropriate for the scope of the contractor and  
11 asked the appropriate questions to assure those functions  
12 such as inspection, training, material control and other  
13 appropriate criteria that should have been applied.

14 They were not cross-referenced specifically to  
15 those. However, they do relate in that we did assure that  
16 the elements of that QA program were in existence for that  
17 contractor scope of work.

18 In processing the findings, these check lists,  
19 if I may digress, these check lists have been available  
20 for audit and they have been completed by the team.  
21 Subsequently they wrote potential finding reports and  
22 submitted them to the committee. They were processed and  
23 they are still available.

24 In processing the findings, the other aspect  
25 that I wanted to touch upon in File No. 9026 was to use it

1 as an example of how the committee processed the findings.

2 I brought three as examples that I could talk  
3 from, but 9026 being the finding, the only Class A, it  
4 would probably be most appropriate.

5 The initial report which came from the field  
6 reported that further specifications, an LP examination of  
7 the lug removal areas on the loop piping, that there was  
8 no record of it having been performed.

9 MR. SCHIERLING: Craig, could you put in maybe  
10 what time frame we are talking about, when was the work  
11 done, the actual construction work?

12 MR. LUNDIN: Approximately 1973 in this  
13 particular scope of work. Someone can correct me on that,  
14 but in that time frame.

15 MR. SCHIERLING: The records you looked at were  
16 also appropriate for that time frame?

17 MR. LUNDIN: That is correct. The records were  
18 available and complete and we found no evidence of this  
19 particular inspection having been performed as required.  
20 We processed our open item report in that evaluated that  
21 there was no documentation available and we issued it as  
22 that.

23 We did receive a response in which we were told  
24 that PG&E had contracted with Pullman to perform this work  
25 because their review had not turned up the records that it

1 had been performed. So that package for Pullman's work was  
2 completely done prior to it being presented to Stone and  
3 Webster for review.

4 That package was sent to us and it showed where  
5 all the lug removal areas had been performed by Pullman.  
6 It included information to show that Pullman had been  
7 approved by PG&E and they were utilizing their QA program.

8 We reviewed the documentation and with one  
9 exception Pullman had documented the acceptability of the  
10 lug removal areas. In that particular case, Pullman in  
11 working to their procedures had rejected an indication.  
12 They turned it over to PG&E who had performed another  
13 examination under their own procedures and accepted that  
14 liquid penetrant exam.

15 The Findings Review Committee determined that  
16 for our independence that we required that this liquid  
17 penetrant test be performed by a third party which would  
18 be Stone and Webster and witnessed by a member of the  
19 Findings Review Committee to assure the compliance with  
20 all the information that we had in the package.

21 That was done and that information in that  
22 review and the required inspection was brought back to the  
23 committee and the committee acted on the fact that, on  
24 that one particular instance, that the liquid penetrant  
25 exam that had been performed by PG&E was accurate and

1 acceptable. In fact, the indication was within the  
2 requirements that could be accepted per the Code as well  
3 as the in-service inspection requirements of PG&E.

4 MR. SPRAUL: Craig, pardon me, when was this  
5 Pullman work done?

6 MR. SESTAK: Late '82.

7 MR. LUNDIN: I think most of it was performed  
8 actually in January of '82.

9 MR. SPRAUL: Fine, thank you.

10 MR. LUNDIN: That particular review that  
11 Pullman did, which I did not go into, included sketches of  
12 all the loops and the surge line I believe as well and the  
13 pump casings and showed all areas of lugs per the drawings  
14 and LP reports, thickness reports where required for all  
15 those areas. This is in addition, of course, to our review  
16 which had performed a visual inspection on all four loops  
17 in the surge line piping.

18 The Findings Review Committee in closing this  
19 item, this file, or recommending closure, viewed the  
20 information supplied by Pullman and the other information  
21 we independently reviewed to assure that the specification  
22 requirements were met in determining that the file was  
23 adequate for closure. This particular example was  
24 classified as an eight.

25 We utilized this type of process on all the



1 potential findings which were presented to the committee  
2 where we determined its accuracy, got any information we  
3 needed from the team to make that determination and we  
4 presented it to the Program Manager. We reviewed any  
5 information that was returned to us by PG&E to clarify or  
6 add to what we might know at that point in time.

7 We utilized any consulting information we  
8 needed for our own engineering departments as independent  
9 to review any of the technical information that was  
10 provided and made our judgments based on all that  
11 information. The review of each one of these is part of  
12 the project filed report.

13 I will clarify a point that I mentioned earlier  
14 in that why the review was performed by PG&E on one of the  
15 indications found by Pullman.

16 Pullman was hired to do this work from the  
17 documents that we were shown, the purchase order, to work  
18 to their own procedure. Their own procedure had a maximum  
19 indication size that they could accept. In working to  
20 their procedures the indication was unacceptable to their  
21 procedure. Although it was found to be acceptable to the  
22 actual code, their procedure would not allow acceptance of  
23 that. That is why that one item was different than the  
24 other indications found and resolved by Pullman. As a  
25 result of that information we performed a third party, if

1 you will, to assure that that process was complete.

2 Are there any questions?

3 MR. SCHIERLING: Yes. Somehow I do not quite  
4 understand. We are talking about work that was performed  
5 in the early '70s and QA activities that are now being  
6 conducted in the early '80s or as late as half a year ago.

7 Could you somewhat clarify that for me? I mean  
8 what was the QA that was applied when the work was  
9 originally done?

10 MR. LUNDIN: It was done to Wismer-Becker's  
11 program at that time and the inspections and tests that  
12 were required to be performed, we verified had been  
13 performed. We could not find evidence that this one  
14 inspection that was required had been performed.

15 MR. SCHIERLING: By Wismer-Becker.

16 MR. LUNDIN: By Wismer-Becker. It was within  
17 their responsibility to perform that and we could not find  
18 the evidence that it had been performed.

19 We did look at all the inspection requirements.  
20 We verified both by actual inspection on our own of what  
21 was available to be seen, a visual inspection of all four  
22 loops, as well as verification by the documents required  
23 by their program that they had performed all the required  
24 inspections.

25 The goal was to assure that the implementation



1 of their program in that what they required to be done to  
2 assure that the piping was satisfactory was in fact done.  
3 This was an exception that we found.

4 MR. SPRAUL: So there were radiographs available  
5 of code welds?

6 MR. LUNDIN: That is correct.

7 MR. SPRAUL: And indications that visual  
8 examinations had been completed acceptably and everything  
9 was okay with this one exception of some lug removal areas  
10 did not have a penetrant examination record; is that  
11 right?

12 MR. LUNDIN: That is correct.

13 MR. SESTAK: Single, not plural. One indication  
14 was found and there was an inspection performed on all  
15 four loops.

16 MR. SPRAUL: Now you are talking the '83 time  
17 frame. I am looking back at the '73 time frame records.  
18 Everything was there except for this one non-destructive  
19 examination of lug removal areas?

20 MR. FRIEND: The record of a non-destructive  
21 examination.

22 MR. SPRAUL: Was not available from the '73 time  
23 frame..

24 MR. FRIEND: That is correct.

25 MR. SPRAUL: The work was done in '83 with one

1 reject area by Pullman which was subsequently found to be  
2 acceptable to the code.

3 MR. NORTON: Yes.

4 MR. FRIEND: That is correct.

5 MR. LUNDIN: In the total review of  
6 Wismer-Becker there were in other file numbers cases where  
7 we did not have documentation for specific inspections.  
8 However, we found there was evidence the inspection had  
9 been performed and documentation that it was successful by  
10 other  
11 documents. This particular case is the only case where we  
12 found that we could not find any evidence of that  
13 inspection.

14 MR. CHANDLER: Now your close-out on that then  
15 is based on the corrective action that was done rather  
16 than on some revelation concerning the initial finding  
17 that was made

18 MR. LUNDIN: That is correct.

19 MR. CHANDLER: It is an otherwise valid finding  
20 then that there was a deficiency of some size in  
21 documentation with respect to that single item.

22 MR. LUNDIN: That is correct.

23 MR. DICK: Craig, I wonder if it wouldn't be  
24 helpful to put your overall effort in some sort of  
25 perspective. Obviously it went beyond a simple audit, and

1 I wonder if it wouldn't help the frame of reference here  
2 of the meeting if you or Frank would discuss the number of  
3 hours you spent and the number of things you looked at and  
4 that sort of thing.

5 MR. LUNDIN: The overall effort, as you  
6 mentioned, was not an audit. It was an evaluation, and as  
7 such was performed in a manner such as to look at as much  
8 as was necessary by our people in the field to determine  
9 that an area or a process or a piece of the program or  
10 some hardware was acceptable.

11 To that end, for example, all the loop piping  
12 was visually examined. We performed visual inspection on  
13 all the available that wasn't in concrete or couldn't be  
14 seen of piping and structural work within the two  
15 contractors that we could get to. We recreated as much of  
16 the actual inspection as possibly could be done.

17 In looking at the program and the  
18 documentation to assure that the appropriate inspections  
19 and so forth were performed, we looked at a significant  
20 volume of the records and when problems were seen or  
21 things we didn't understand, those threads were followed  
22 throughout the documentation to assure that it was not a  
23 common problem.

24 We have some numbers, actual numbers of items  
25 inspected and the physical installation of 2,298 items and

1 we probably have numbers of pieces of paper, but I think  
2 it is more appropriate to say that we just virtually  
3 looked at everything that we could.

4 We had several people there in the neighborhood  
5 of eight weeks I believe on site full time doing a full  
6 evaluation.

7 MR. SCHIERLING: How many people did you say?

8 MR. LUNDIN: How many people did we have on it?

9 MR. BARANOW: We had 10 people I believe.

10 MR. LUNDIN: Ten people full time reviewing both  
11 the documentation required by the program and by the codes  
12 as well as the actual hardware within the scope of these  
13 two contractors.

14 MR. NORTON: How many things, and I use that  
15 term "things," did you look at that could have resulted in  
16 a finding or an observation, and I know you can't give us  
17 a precise number, but are we talking about a couple of  
18 dozen, are we talking about a hundred, or what are we  
19 talking about?

20 MR. LUNDIN: Tens of thousands I think as an  
21 order of magnitude.

22 MR. NORTON: So you looked at tens of thousands  
23 and had 29?

24 MR. SESTAK: Nine physical findings for  
25 Wismer-Becker in the piping area.

1 MR. COOPER: Nine physical potential findings  
2 which were resolved into one finding.

3 MR. NORTON: But you looked at potentially tens  
4 of thousands. In other words, if nothing had been done  
5 right you could have had tens of thousands of potential  
6 findings?

7 MR. LUNDIN: Correct. The degree of  
8 magnification was as great as we could make it on the  
9 physical verification at this point in time. We did not  
10 reperform anything and there are some things that just  
11 can't be seen.

12 MR. SCHIERLING: Bill, let me ask you another  
13 question in a broader sense. Do you intend at this meeting  
14 to go through each one of the EOIs?

15 MR. COOPER: We could, but we did not intend to  
16 do it. What we intended to do, by the way, in the  
17 revisions if these ITRs was to present roughly a one-page  
18 summary of each of the EOI files giving more detail as to  
19 what the nature of the response was from PG&E, what the  
20 evaluation result was based upon, that is was it simply  
21 based upon the resolution sheets we got from PG&E or was  
22 there additional field work done and so forth, and a  
23 little more about what the nature of the resolution was.

24 The present ITR has a fault which we hadn't  
25 recognized would be considered such. We essentially say

1 that each of these observations was looked at, evaluated  
2 by the Findings Review Committee and found not to be of  
3 safety significance, not to significantly impact the  
4 plant. That is the reason for the term "observation."

5 What does not come out clearly in those present  
6 drafts, and this is what we are trying to do in response  
7 to your first concern was to give a little more detail as  
8 to why that is so.

9 If you have got a favorite, I suspect the  
10 fellows could go into that for you today, or they could  
11 give you an illustration about one or two of the  
12 observations that were more significant to indicate that  
13 the trail was not dissimilar to what was done on 90-26,  
14 recognizing of course that they were of much less  
15 significance. So not every one of these steps was  
16 followed.

17 MR. SCHIERLING: Let me check with staff for  
18 just a moment.

19 (Brief pause by NRC staff confer.)

20 MR. SCHIERLING: Let me ask you, when do you  
21 think you will come out with the revised ITRs?

22 MR. COOPER: We were expecting to next week if  
23 there is not some new development from this meeting. I had  
24 said earlier that perhaps we had not understood your  
25 second point fully and our response to that was perhaps



1 too little as we had intended it and, depending upon how  
2 the conversations go today, it may be decided that it is  
3 advisable for us to expand on why we came to the  
4 conclusion that there is no real problem here and why we  
5 came to the conclusion that there is not a generic issue  
6 to be faced based on the work that we have performed.

7 Now to the extent that we need to do that in  
8 the ITR, it may slow us up a few days, but we need to have  
9 more discussion in that area to see if it is necessary to  
10 do that.

11 MR. SCHIERLING: Okay. Let me propose this then,  
12 that maybe we take a few examples of the specific EOIs and  
13 I think it will suffice if within a week or so we will get  
14 a revised ITR and maybe even an advance copy of it in a  
15 draft form or whatever it might be.

16 I think indeed we should concentrate more on  
17 the second aspect which is the general conclusion that the  
18 QA program that was used and implemented is acceptable.

19 I would like you to maybe address on what basis  
20 you determined, and hopefully you can do that for all five  
21 EOIs together, the five EOIs that you determined to be  
22 invalid.

23 MR. COOPER: Well, let me respond to that one  
24 directly and first because we can get those out of the way  
25 pretty fast.

1           That was a procedural matter and there is  
2 correspondence on this that has been made available to all  
3 parties. There was a misunderstanding at the site on the  
4 part of the review team as to the extent to which these  
5 concerns could be expressed to the PG&E people and  
6 resolved on site. As a result of that misunderstanding,  
7 there were five items that the site team resolved  
8 themselves and had no intention of even issuing a  
9 potential finding on.

10           I felt that we had to play this thing extra  
11 carefully as far as the independence aspects were  
12 concerned and I instructed Frank Sestak to issue those as  
13 potential findings to make sure that everybody knew what  
14 the potential concern have been.

15           So those five were issued in that manner. The  
16 Findings Review Committee did then consider those and  
17 agree with the site team that they were truly invalid.  
18 I believe I am correct and, if I am not, one of you guys  
19 correct me, but I believe that all five of those that were  
20 determined to be invalid were determined on that basis.

21           So that all 24 of the potential findings  
22 submitted by the field team to the Findings Review  
23 Committee were considered to be valid and were evaluated  
24 as to their potential impact on the adequacy of the plant.

25           MR. SCHIERLING: Could you go through just one



1 of the five then and express what the concern was and get  
2 down to the nitty-gritty of what the invalidity is.

3 (Brief pause - discussions off the record.)

4 MR. SCHIERLING: Shall we take a quick  
5 five-minute break and everybody can get a cup of coffee.

6 (Whereupon, a short recess was taken.)

7 MR. SCHIERLING: Are we ready to start again?

8 Let's get back on the record a few general  
9 statements before we return to the subject itself.

10 I really would appreciate it if you could move  
11 along on a very rapid pace because I personally have a  
12 flight at 10 after 1 and I had better make that flight  
13 because otherwise you are going to have another Project  
14 Manager.

15 (Laughter.)

16 MR. SCHIERLING: You all are welcome for my  
17 funeral, too.

18 (Laughter.)

19 MR. SCHIERLING: I also would like to recognize  
20 Mr. Hubbard being here and we will ask you, Dick, at the  
21 end of the meeting or maybe during the meeting to provide  
22 us with any comments or statements that you feel are  
23 appropriate to the subject today.

24 Back to the detailed discussion. With respect  
25 to the forthcoming revision for both ITRs, can we expect

1 to have at least the amount of detail that you provided us  
2 with, for example, on 9026 in that revision, and hopefully  
3 maybe even more as you deem necessary, but this is about  
4 the minimum information that we would like to see in the  
5 revision.

6 MR. COOPER: It is equivalent I believe.

7 MR. SCHIERLING: That would be fine.

8 We want to make sure that we address the second  
9 question in our letter to you and let me quite specific  
10 there. I am looking at, for example, ITR 38 where, and we  
11 can take either one of those two, you frequently make  
12 statements that something was found wrong with respect to  
13 a specific PG&E specification. Is it specification or what  
14 is the proper word?

15 MR. COOPER: That is as good as any.

16 MR. SCHIERLING: We want to know what we are  
17 talking about for the record.

18 MR. COOPER: We will interpret it generically.

19 MR. SCHIERLING: Many of the EOIs have that  
20 statement in there and yet there is the overall general  
21 conclusion that well, we look at all this, but the program  
22 is acceptable.

23 As we discussed over the phone and as you know,  
24 Bill, this is our concern, how can we come up with that  
25 general conclusion based on granted maybe only less than

1 30 EOIs issued on an enormous amount of information that  
2 you looked at, and I hope you will address that later on.

3 MR. COOPER: I would suggest that the best thing  
4 to do is to get the questions out of the way on this first  
5 item and then turn to the second, because it is really on  
6 the basis of having done everything we did with respect to  
7 these, well, the field investigations resulting in  
8 potential findings and resolutions of those, that we felt  
9 we were in a position to make a judgment as to the overall  
10 significance.

11 Just to get ahead though for just a moment,  
12 when I reread and others reread that last paragraph that  
13 you are referring to in our ITRs where it said it met the  
14 specification, in a few regards it clearly did not to the  
15 letter of the law meet the specification in the sense of  
16 meeting a regulation perhaps, but it clearly ended up with  
17 an equivalent end product for the service requirement.

18 It is that kind of rewording that we had  
19 attempted to put in these revisions and which I am  
20 concerned now hasn't gone far enough which we can benefit  
21 from on the discussion.

22 To the letter of a detailed lawyer reading of  
23 the specification and what was done, it may not have  
24 precisely met that detailed work, but it was clearly an  
25 equivalent kind of thing in those few instances where it

1 didn't meet the detailed work. I think to get into that  
2 area at all we do have to resolve any concerns you have  
3 about the way in which we resolved those specific EOIs.

4           The question that was on the floor just before  
5 the break was give us an example of one of the five we  
6 ruled invalid, which we are now prepared to do and then we  
7 suggest we look at some of the observations.

8           MR. SCHIERLING: Very good.

9           MR. COOPER: Craig.

10           MR. LUNDIN: Just after we reconvened, I sat and  
11 just flipped to see the first ones that we had. As an  
12 example, a potential finding report was issued and  
13 subsequently cancelled. However, due to the procedural  
14 problem we had that Dr. Cooper mentioned, we issued it,  
15 but in this particular case there was a specification  
16 requirement that PG&E review and approve the weld  
17 procedures used by Wismer-Becker.

18           We found weld procedures that had not been  
19 reviewed and approved. There was no evidence of that  
20 approval and subsequent checking found out that those were  
21 not weld procedures that had been used on that work. So  
22 they were part of Wismer-Becker's weld procedure book, but  
23 were not used for Diablo Canyon, Unit 1 and there is no  
24 reference to them in the records. That was subsequently  
25 cancelled.

1           We have two that were written specifically ---

2           MR. SCHIERLING: In other words, that finding  
3 was not applicable.

4           MR. LUNDIN: That is right.

5           MR. COOPER: It is invalid, is the program  
6 working.

7           MR. LUNDIN: We have two that were exactly that  
8 way. We had one which was a potential finding on the  
9 radiographic report did not denote the status of its  
10 review. In this particular case in fact it was not that  
11 the radiograph did not exist and it was not that it was  
12 not well documented. The review had been performed.

13           It was a case of, and I don't remember the  
14 exact way the form was designed, but it was that he did  
15 not check the accept block and subsequently the team  
16 assured that in fact the radiograph was in fact  
17 acceptable. It was obvious that it had been reviewed, but  
18 the block for accept had not been checked.

19           When it was verified that in fact the  
20 radiograph was acceptable, and there was other  
21 documentation to show that that individual had accepted  
22 that radiograph, the potential finding report was  
23 developed.

24           Once again, it was issued as an open item  
25 report because it had been sent to the Findings Review

1 Committee.

2 Let me find another quick one here. That in  
3 general is the type.

4 We had a potential finding on a piece of paper  
5 that was not in the file on the certification of some  
6 penetrant material. Subsequently the document was  
7 available and that would not have been a finding if that  
8 had been available at that time.

9 That characterizes I think the type of invalid  
10 findings that we had.

11 MR. BISHOP: Could we return then to the one  
12 example you talked about earlier on how the IDVP used that  
13 example. It followed up on the particular issue of the  
14 pipe lug removal.

15 We are interested, and this is central to our  
16 concerns in both our question 1 and 2 in the letter to  
17 you, we are interested in knowing the process you used in  
18 determining whether this was symptomatic of larger  
19 problems.

20 You determined I guess that records were not  
21 available and that non-destructive examinations were made  
22 of areas where the lugs were removed.

23 Our question would be did you conclude that the  
24 contractor in fact did not have a program to check that  
25 type of effort? And if he didn't have a program, should he



1 have had a program? Does that mean that there may be other  
2 ASME pipe out there that wasn't within your limited  
3 sample that has had lugs removed off of it that hasn't  
4 been examined? Those were the types of questions we were  
5 interested in.

6 Tied to that we notice in your program plan,  
7 which was submitted to the NRC, that you indicate that the  
8 Findings Review Committee will define criteria for  
9 determining the degree of impact of the potential findings  
10 on plant adequacy.

11 Could you indicate how that criteria was  
12 applied in this case to tell us something about the  
13 overall adequacy of the programs?

14 MR. LUNDIN: I would like to go back to the  
15 first part of your question.

16 As far as determining the symptomatic, No. 9026  
17 is a good example. We did not have a limited scope of our  
18 check. We looked at all the required inspections that  
19 should have been done on that pipe and verified that they  
20 had been done.

21 Wismer-Becker did have a process or a program,  
22 if you will, to assure that those things were done. If in  
23 fact this LP had never been performed, then they may have  
24 not followed their program or someone had made an error in  
25 implementing the program.

1           We did assure that not only did they have a  
2 program utilizing their operation process sheet, and they  
3 had a manual which would be of course in accordance with  
4 ASME 3, but that the process sheet did not pick up this  
5 required inspection. That is where it would normally be  
6 and that is where it was for other inspections.

7           So as far as the ASME piping is concerned that  
8 Wismer-Becker installed, we did ensure that all the  
9 inspections had been done and this was in fact an  
10 exception that we could not find the documentation that  
11 their program had in the process.

12           The program existed to make sure that all the  
13 requirements of the specifications got through the  
14 process, documented and processed through the loop.

15           The Findings Review Committee, as you  
16 mentioned, developed the criteria. We made the check list  
17 for ourselves, a question and answer type of check list to  
18 process the type of findings. In doing so we wanted to  
19 evaluate whether we had a problem that was symptomatic,  
20 whether we felt we should be asking the site team to look  
21 at something else to show us something.

22           We looked at whether we were talking about  
23 someone making an error or an actual program problem that  
24 we could expect to see repetitive, like something never  
25 being done because the program had a fault in it.



1           Those are the types of questions we used. We  
2 also considered whether the feature or the specification  
3 requirement was an implementation of an essential design  
4 feature of the plant or was for the overall requirement  
5 added to the specification to complete the overall  
6 installation, such as we had open items on some of the  
7 surface finish requirements in concrete which is in the  
8 specification.

9           It was a specification requirement and the  
10 minor deviations we did see our inspector wrote up in that  
11 he took the letter of the law for what the requirements of  
12 the spec were for the surface finish of the concrete. But  
13 in fact, in an overall review it was strictly within the  
14 confines of a cosmetic surface finish of the concrete.

15           So we did make those determinations, the  
16 Findings Review Committee, and considered all those  
17 aspects in our review utilizing a check list for  
18 ourselves.

19           MR. BISHOP: Could you clarify for me on the  
20 example we were talking about, the piping issue and the  
21 lug removal, did you in fact determine that that  
22 contractor did have a program or had a program that should  
23 have checked areas where lugs were removed?

24           MR. LUNDIN: His program should have picked it  
25 up.

1           MR. BISHOP: So you would say in this case the  
2 fact that you found an error was what might be called an  
3 isolated case as opposed to a deficiency in the program?

4           MR. LUNDIN: It was an isolated case. In fact,  
5 all other features that that program was supposed to pick  
6 up it picked up and we verified that.

7           MR. CHANDLER: So if you looked at the next lug  
8 down, you had documentation of LP testing?

9           MR. LUNDIN: No, we are not talking a lug. We  
10 are talking a feature. That is some of the lug removal  
11 areas we couldn't find.

12          MR. BISHOP: That is what I am getting back to.

13          MR. LUNDIN: These pieces of pipe, and I believe  
14 they are cast pipe, are delivered with lifting lugs.

15          MR. RICHARDSON: Erection.

16          MR. LUNDIN: Erection lugs which may or may not  
17 be removed. They do not have to be removed. However, in  
18 the normal construction process with restraints, supports,  
19 hangers, if you will, and insulation, it becomes more  
20 expedient to the construction forces to remove them. Now  
21 that is allowed.

22                 If the lug is completely removed, the code  
23 requires it to be LP inspected. If it is left on in some  
24 part, that is not required because the original weld was  
25 controlled at the manufacturer as required, which we did

1 verify.

2 MR. BISHOP: I still have the question, as Larry  
3 would say. You concluded then that the contractor did not  
4 have a program to check the surface of where lugs were  
5 removed?

6 MR. LUNDIN: If I may clarify. I think we are  
7 hung up on what the term "program" is. There was a program  
8 to assure that the specification requirements were  
9 implemented on process sheets and subsequently through the  
10 whole chain.

11 MR. BISHOP: That is very general. I am getting  
12 down to the narrow specifics.

13 MR. LUNDIN: Okay. We could not find evidence  
14 that the program did implement this specification  
15 requirement. It wasn't on that process sheet and therefore  
16 we can't find evidence that it was performed.

17 MR. BISHOP: Okay. Then what does that tell us  
18 about other piping that may have had lugs attached to it?

19 MR. FRIEND: I think, Tom, I would like to  
20 clarify at this point. It is my understanding that the  
21 only piping on the project that had lugs was the primary  
22 coolant loop. That is a matter of interest.

23 MR. BISHOP: Okay. Then could it be stated that  
24 in fact the entire population subject to that problem has  
25 been addressed?

1 MR. LUNDIN: Yes. I thought I had said that.

2 MR. BISHOP: I didn't gather that.

3 MR. CHANDLER: It is not an isolated incidence  
4 in the sense of one specific lug removal which had not  
5 been LP tested. It is just that LP testing had not been  
6 done across the board in lug removal areas.

7 MR. LUNDIN: We could not find evidence that  
8 that had been done.

9 MR. BISHOP: That is the type of information we  
10 were looking for to get an understanding of whether you  
11 looked at the root causes.

12 MR. COOPER: I would think it is important to  
13 note, although there was no documented evidence that this  
14 examination had been performed, that when the examination  
15 was subsequently performed that everything successfully  
16 met the requirements.

17 Now obviously that can be one of two things. It  
18 can be dumb luck or it can be the fact that it had been  
19 done correctly in the first place and that the documents  
20 are missing.

21 MR. FRIEND: I think it is also of interest that  
22 the senior members of the construction group on the site  
23 believed to the best of their recollection that the tests  
24 were performed. We cannot find the documentation, but it  
25 is their memory that these tests were correctly performed.

1 Is that correct?

2 MR. NORTON: Yes.

3 MR. LUNDIN: By the way, we did find in one of  
4 the other findings that there was occasion where a test  
5 was left off a process sheet but in fact did get  
6 performed and we had the record. I think that is in one of  
7 the findings as well. That is why it was written up that  
8 we just didn't have the record that it was performed.

9 MR. BISHOP: I cut you off when you were about  
10 to describe the criteria the Findings Review Committee was  
11 using.

12 MR. LUNDIN: Well, I think I mentioned most of  
13 them earlier, but the things we wanted to evaluate was,  
14 first, is the problem sufficiently defined to evaluate it,  
15 and that would be an internal process where do we have  
16 enough information to make some sort of evaluation to pass  
17 on to the Program Manager. That would be where we would  
18 ask the site team to do something else or get something  
19 else for us or submit more information.

20 We look at the impact on the adequacy of the  
21 plant in that can we determine whether it is a hardware or  
22 a plant adequacy problem or do we have an error in the  
23 implementation of a program. Someone doesn't sign a  
24 document, for instance, or there is a piece of paper  
25 missing from a file that we have every evidence was there

1 before. It is not necessarily hardware related. Does it  
2 appear to be an isolated case? That is the first thing. Do  
3 we need more information to judge that?

4 Do we have a potential judgment error or an  
5 individual failure to follow procedures? For instance, an  
6 individual judgment error would be a case where the  
7 original inspector accepted something and our inspector  
8 felt it was rejectable. It is very possible that that  
9 person made a judgmental error.

10 Does it appear to be the symptom of a problem?  
11 Is there evidence of a system breakdown? Did this come  
12 because the system broke down and this fell out the  
13 bottom? Were the procedures inadequate? Does it  
14 demonstrate a lack of personnel awareness? Does it deviate  
15 from a code or a standard? Those are the type of questions  
16 we asked and discussed. What may reasonably be considered  
17 the effect on the plant if left undetected was one of the  
18 things we discussed about each one. Is there a potential  
19 for end product deviations or deficiencies? Is there a  
20 potential to affect operability or maintainability? Was  
21 there a subsequent check test or inspection to confirm the  
22 adequacy of the item?

23 When we consider that some things are subjected  
24 to multiple tests, one of the considerations we looked at  
25 was well, was it checked later on for some other reason



1 and therefore we don't need to look at the adequacy of  
2 that.

3 Then are the possible adverse effects of the  
4 potential finding likely to affect the operability or  
5 safety of the plant?

6 So these are the words we used to jog our  
7 thought process as we discussed each and every item. We  
8 used this as a check list to assure we had discussed each  
9 question and that is the type of criteria we used.

10 MR. BISHOP: Okay. Thank you.

11 MR. CHANDLER: While we are still on the  
12 criteria for a moment, you mentioned earlier that you did  
13 not specifically use Appendix B as a check list. A lot of  
14 the words you say smack of Appendix B and you indicated  
15 that there is a relationship between what you did look at  
16 and Appendix B.

17 Was a conscious decision made not to use  
18 Appendix B or why was Appendix B not used as applicable at  
19 any given point in time?

20 MR. LUNDIN: I think you are probably get a  
21 different opinion from each of us on that in that I think  
22 each person had their own ideas.

23 Appendix B was considered and really utilized  
24 in that our people in writing the check list used the  
25 attributes that we would use to assure Appendix B.

1           Because it was after the fact, significantly  
2 after the fact in that the amount of people and the  
3 processes were not in place and operating for us to look  
4 at, we felt we had to assure that the elements of any  
5 quality assurance program, which happened to be delineated  
6 in Appendix B, were in effect to assure that the plant was  
7 built right and in fact it was implemented.

8           We felt if took an approach like that we would  
9 assure that in our evaluation we would be able to make a  
10 determination as to whether there were controls in place  
11 and they were effective. That was our main goal.

12           By assuring the elements of a QA program were  
13 there that would preclude any question of whether 10 CFR  
14 50 applied. I know I have seen some documentation which I  
15 believe because of the early license of this plant that  
16 there was some consideration as to whether 10 CFR 50  
17 applied to Unit 1, and I know that PG&E committed to apply  
18 their program as much as possible to that.

19           So it was considered that a quality assurance  
20 program, and this is in my participation, the elements of  
21 that program as they applied to these two vendors, would  
22 be considered.

23           Obviously if we had applied Appendix B from the  
24 start, some criteria just would be not applicable to these  
25 things.

1           MR. CHANDLER: You are talking about Appendix B  
2 as it existed in various points in time. There is no real  
3 change. I understand.

4           MR. LUNDIN: I do not believe that that was  
5 considered.

6           MR. CHANDLER: Are there different opinions of  
7 it?

8           MR. LUNDIN: I don't know. Are there?

9           MR. SESTAK: No, I don't have any vast  
10 difference of opinion from Craig. We tried to and we  
11 recognized that the so-called PG&E agreed to utilize these  
12 accepted components of 10 CFR 50 on Unit 2 which goes back  
13 into this as much as possible on Unit 1 that is in the  
14 FSAR.

15           MR. BISHOP: Along that same line of thought  
16 looking at the program again that you submitted to the  
17 NRC, one of the overall objectives is stated that you will  
18 determine whether the construction of Diablo Canyon was  
19 performed in accordance with the quality requirements  
20 appropriate at the time and meets applicable regulatory  
21 standards.

22           In another area, paragraph 3.2.1, it indicates  
23 that you will evaluate the quality programs to determine  
24 if controls were consistent with applicable NRC  
25 requirements.

1 I presume you did this in the development of  
2 your check list, is that correct?

3 MR. LUNDIN: Correct, the implementation being  
4 the implementation of the specifications and the program  
5 requirements and all the documents that we used in  
6 developing our check list.

7 MR. BISHOP: In the check list subtask it  
8 indicates that you will evaluate each contractor's quality  
9 program and procedures. Could you discuss the extent to  
10 which you looked at procedures?

11 MR. LUNDIN: Well, I didn't do the evaluation.  
12 Maybe somebody on the site team, maybe Fred or Stan could  
13 address how far we actually looked at the actual  
14 procedures.

15 MR. BEARHAM: I am Fred Bearham. I was on the  
16 site team. We looked in great depth at the procedures and  
17 we determined the adequacy as we went along. Most all of  
18 the people on the team were experienced people. So they  
19 were used to looking for the adequacy of programs.

20 MR. SPRAUL: Was there a manual back at that  
21 time that met code requirements that they developed the  
22 procedures from?

23 MR. BEARHAM: Yes, there were manuals there both  
24 for Wismer and Atkinson and there were programs developed  
25 from manuals like weld procedures and such like. There

1 were programs for the qualification of personnel, et  
2 cetera.

3 MR. COOPER: The Wismer-Becker report, for  
4 example, states that a total of 3,528 documents was  
5 reviewed.

6 MR. DICK: I think, and Craig, you may wish to  
7 comment on this, but I think it was clear that there was  
8 an approved quality program that Wismer-Becker was  
9 following.

10 MR. LUNDIN: That is correct.

11 MR. BISHOP: What we expected the IDVP to do,  
12 and I refer to your plan, was to tell us whether that  
13 quality program was effective in meeting regulatory  
14 requirements at the time.

15 MR. COOPER: I think that the key to our process  
16 in conducting this work was to assemble a team of  
17 experienced people both in the field team and in the  
18 Findings Review Committee that were familiar with  
19 construction and the application of construction QA at  
20 that time and go out and see if the job was done right.

21 Clearly that experience reflects the growth of  
22 the more formal QA procedures during that time period, but  
23 we did not want to get into a situation where we are  
24 arguing, for example the pros and cons of the FSAR  
25 statement that says for Unit 1 the PG&E program would be

1 used to the extent possible.

2 We didn't want to get into this what is the  
3 extent possible. We wanted to get into the question of  
4 whether there was a valid QA program which was implemented  
5 and led to a construction which was acceptable.

6 I think that our emphasis has been on do we  
7 have the right end product more than on is every "i"  
8 dotted and "t" crossed that might appear in some  
9 interpretation of the various documents.

10 It is true that we don't have a formal  
11 comparison in our reports with each of the applicable 18  
12 elements because we thought it was more important to find  
13 out if things were done in a manner which was good  
14 practice at that time in these areas.

15 The emphasis was not on a paper comparison of  
16 programs with other documents. We knew that they were  
17 working through approved procedures and so forth and we  
18 wanted to see how did it work and how well was it done.

19 MR. NORTON: I don't mean to take the NRC to  
20 task, but I am a little bit puzzled by Mr. Bishop's  
21 questions, particularly his last one. The letter of  
22 October 5th, '82 from Teledyne addressed to Maneatis,  
23 Denton and Engleker, page 4, 3.2.2 subtask, spells out  
24 basically what Mr. Cooper just said is what they were  
25 going to do, and that letter is dated October 5th of '82



1 as to what they were going to do in that respect.

2 As I read page 6-1 of ITR 38 Revision 1, they  
3 tell you what they did. If you look at the wording of what  
4 they said they were going to do in October and what he  
5 just said, all three seem very consistent.

6 So I am a little puzzled when you say you  
7 expected something else.

8 MR. BISHOP: Well, I expected to know how they  
9 got there which I didn't see in the ITR.

10 MR. NORTON: Okay. That is a different question  
11 than what you just verbalized. All right.

12 MR. BISHOP: I would like to proceed with  
13 exploring that particular aspect, and it ties in with our  
14 second question in our letter to you.

15 Considering that you explained rather well to  
16 me and I have a much better understanding and a better  
17 feeling of how you analyzed the individual ITRs, and if  
18 your depth of investigation was as thorough for the other  
19 ones as it was for this finding in checking the broader  
20 implications of that, I think our concerns would evaporate  
21 in that area.

22 We have a similar concern in how you took into  
23 account all these many relatively small items and drew  
24 your conclusions about the overall program adequacy.

25 Specifically let's take an example on material

1 control, for example. I believe you had a number of  
2 individual items talking about mill certs and things such  
3 as that. How did the Findings Review Committee handle  
4 these many small items, recognizing that each one  
5 individually didn't create a problem, but was it  
6 symptomatic of perhaps a broader problem within that  
7 contract?

8 MR. COOPER: I would suggest that we go through  
9 a couple of the observations in more specific detail.

10 MR. LUNDIN: Well, I am not so sure one would  
11 help, but we shall. For example, we did have some that  
12 were on material control. With one exception, they were  
13 determined to be programmatic as far as information that  
14 wasn't available to us at the time. When those threads  
15 were followed, we found out that in fact somewhere the  
16 information existed and the material was proper even  
17 though the piece of paper was missing.

18 We checked the material from the reactor  
19 coolant system from the hardware back to the paper. In one  
20 case we found that at the receipt inspection the  
21 identification of two items on the same shipment were  
22 reversed in the records tracing. So that one number traced  
23 back to the other piece of tubing. There were two  
24 different thicknesses. The material was properly  
25 installed. The right material went in the right place. The

1 right size material went where it belonged.

2           Since this was the only case of all the  
3 material that Wismer-Becker installed that did not trace  
4 back to the appropriate number, we had no reason to  
5 believe that this was a common occurrence except isolated,  
6 and we did not tie that item because it was under material  
7 control under everything that had something to do with  
8 material because they were separate and distinct and the  
9 others all happened to go away in that we found that in  
10 documentation from Westinghouse and so forth where we went  
11 beyond the scope of our review to assure that the material  
12 was correct.

13           In the case of going to Southwest Fab and to  
14 Westinghouse for documents we assured in fact the material  
15 was the correct material, although the Wismer-Becker  
16 documentation was unclear to assure that.

17           So any particular one that you want to discuss,  
18 we can pull out, but I wanted to talk about material  
19 because they may all fit under the same criteria, but they  
20 don't necessarily relate to each other and, as I said,  
21 most of them went away as with the types of observations  
22 were done.

23           MR. BISHOP: That is useful information. Perhaps  
24 if you could just inform us in general terms how you drew  
25 your overall conclusions considering the findings, the

1 individual findings you had.

2 MR. COOPER: First, we had only one finding. I  
3 have got to keep saying that because ---

4 MR. BISHOP: Oh, let me correct my phraseology  
5 there. I didn't mean to indicate that you had more than  
6 one finding. I meant considering the results of your  
7 investigation.

8 MR. COOPER: The reason I want to go on on that  
9 and starting out in the manner in which I did was not to  
10 chastise you for your counting ability, but rather to  
11 point out that the 23 so-called observations, that they  
12 were termed an observation because the potential finding  
13 was considered to be valid.

14 There wasn't a piece of paper in the file that  
15 it really should have been in perhaps, but then the  
16 additional work that was done confirmed that although that  
17 piece of paper might be missing, things are as they were  
18 intended to be.

19 So when you ask the question about how did we  
20 reach a broader conclusion about the work, you have got to  
21 recognize that the number 29 was really much smaller in  
22 entering into that question of judgment on that point, and  
23 I don't know the exact number right offhand, but clearly  
24 the 29 went down to 24 and clearly the right number is  
25 some place between 1 and 24 of these were things that

1 really were of the nature that you might be concerned that  
2 they could lead to this kind of a generic situation.

3           It is a judgment call at that point to me on a  
4 recommendation from the Findings Review Committee and we  
5 are going to have to turn to them for the basis on which  
6 they felt this was the proper judgment in some detail.

7           Having said all this though, I do want to make  
8 it very clear that we are talking about conclusions based  
9 upon the program we conducted. We believe we properly  
10 conducted the program that we were asked to conduct.

11           The question, for example, were two  
12 subcontractors the right number, that is outside of our  
13 scope. We did the program we were asked to conduct and we  
14 believe that our conclusions based on the work we did are  
15 proper, but we can't argue outside of that scope and we  
16 don't intend to in any of this presentation.

17           If we can keep it within then what we could  
18 possibly learn from the scope of the work we undertook to  
19 do, then I think it would be appropriate to turn to the  
20 Findings Review Committee and say, hey, you know, of this  
21 number that is like someplace between 1 and 24, how many  
22 did you really think were potential indicators of generic  
23 concerns and how did you feel about it?

24           I think this is the only way to answer your  
25 question, Tom.

1           MR. BISHOP: That is right, and what did they  
2 consider in exercising their technical judgment to draw  
3 this overall conclusion?

4           MR. LUNDIN: We did determine and the  
5 information that was presented to us gave evidence to the  
6 fact that, No. 1, there were in the case of these two  
7 contractors quality assurance programs in effect, No. 2,  
8 they were being implemented because the evidence showed in  
9 the great majority of everything we looked at that in fact  
10 these programs were complied with and, thirdly, the result  
11 of the application of these programs resulted in our  
12 review of not finding anything in the plant that was not  
13 in accordance with the intent of the specifications.

14           Those, I think, are the three key points which  
15 could probably be expanded upon, but the program was in  
16 place and it was implemented, that is evidenced, and we  
17 feel in the magnification that we used in looking at the  
18 plant itself that in fact it essentially worked.

19           MR. CHANDLER: Let me ask something if you will  
20 indulge the simple mind of a lawyer on this for a moment.

21           (Laughter.)

22           MR. CHANDLER: Bill offered earlier to pick your  
23 favorite EOI and we could talk about it. If you look at  
24 EOI 9001, the fact that you found something, and then it  
25 continues "This file was reviewed and analyzed with the



1 additional information provided by PG&E. The Findings  
2 Review Committee recommended and the IDVP concluded and it  
3 was finally resolved as an Error Class C observation in  
4 accordance with the program plan."

5           The fact that you found something, what does  
6 that say? Let me ask you, what does that say about the  
7 program that was in place with respect to this item? The  
8 fact that you found perhaps a piece of paper elsewhere  
9 that supported the adequacy of the end product or that you  
10 found documentation elsewhere that perhaps justified that  
11 appropriate tests were done, does that say anything about  
12 the lack of documentation or evidence regarding the  
13 particular thing you were focusing on?

14           MR. LUNDIN: The program which was implemented  
15 was not, as can be seen from the findings, at all times  
16 fully implemented. There were cases where we found that  
17 the program was not fully complied with.

18           We don't consider, since we looked at all the  
19 features of the program that were supposed to be applied,  
20 that with the level of magnification that we applied to  
21 the program that findings of that nature would not be in  
22 existence under any scrutiny. For instance, in the normal  
23 NRC visit to a power plant, there are things found where  
24 the program was not fully complied with, but one has to  
25 make the evaluation as to whether it is a generic problem

1 or whether that means the program is ineffective or  
2 whether there is a lapse in the application.

3 Our view with the magnification, the full  
4 magnification of the implementation of the program is that  
5 what we found was not significant to show the program was  
6 not in effect at all. It was normally in effect.

7 In a very small percentage of cases we did find  
8 there were lapses in the implementation of the program,  
9 but not as would be expected in the auditing program.  
10 Particularly at the time this plant was built, you have  
11 got a level of scrutiny that was not as great as we apply  
12 right now.

13 MR. COOPER: Is it clear that that decision or  
14 that conclusion as based not on the Findings Review  
15 Committee looking at paper, but the Findings Review  
16 Committee members actually going out to the site and  
17 looking at it to see what was there?

18 I think that is a very important thing here  
19 that we really hadn't expected to do when we planned the  
20 program. That wasn't a necessary step in the program, but  
21 it is something they felt they had to do in order to  
22 exercise this judgment.

23 MR. SESTAK: I just want to mention that many of  
24 the findings, EOIs, just to highlight some of the  
25 magnification that Craig mentioned, were in areas of the

1 bottom mounted instrumentation support system which if  
2 anyone has ever been down there, it is a latticed type of  
3 support where many tubing arrangements are being  
4 supported where the system has to be constructed almost in  
5 place because of accessibility.

6           What we are talking about is strapping  
7 material, carbon steel one inch wide by three-eighths of  
8 an inch thick, strapped across in a lattice. Some of the  
9 welding that was performed on there, that is why you have  
10 to see this thing to obtain the value of some of these  
11 EOIs.

12           Also, the Wismer-Becker specification of the  
13 program, the procedures related to reactor coolant piping,  
14 and sometimes the scope of the specifications or the  
15 contractord standard to support systems, and they were  
16 trying to implement pressure retaining requirements onto  
17 structural requirements and that is what we had to  
18 differentiate when we saw these things.

19           MR. CHANDLER: Is that of any significance?

20           MR. SESTAK: No, because this is a normal  
21 occurrence. You have a specification or a contract and it  
22 expands for one reason or another and sometimes you don't  
23 follow up on it immediately.

24           I would like to point out that all of these  
25 findings that we have -- well, not findings, because there

1 was only one finding ---

2 (Laughter.)

3 MR. SESTAK: These observations that we have  
4 uncovered I think could have been resolved in the same  
5 manner then as they have been now. I think that is quite  
6 important.

7 MR. CHANDLER: Before Tom goes on, let me stick  
8 with that EOI I asked about a moment ago, 9001. When I  
9 read that, and perhaps even 9002 and so on, and then I  
10 read Conclusions, Section 7, page 7-1, "Further, to the  
11 extent reviewed the as constructed physical installation  
12 conforms to the requirements of design drawings and  
13 specifications and the required inspections are performed  
14 and appropriately documented," do I perhaps detect in say  
15 9001 that we had not a welding problem but a design  
16 problem?

17 MR. LUNDIN: No, that was not. The BMI tubing in  
18 this lattice work of support structure, the design  
19 requirements were put onto drawings. What our potential  
20 findings were was that in fact all the drawing  
21 requirements have not been met to the letter.

22 What we did in our investigation was to find  
23 that the design requirements had been met and that in the  
24 scope of this work, which was a significant amount of  
25 welding and bolting, there were deviations from the

1 drawing that were reasonable, but we identified them as  
2 not being in accordance specifically with the drawing.

3 For instance, there was some angle iron which  
4 was required to be bolted and in fact it was welded. We  
5 did go through the process of assuring that it was  
6 adequate. To an experienced person it was intuitively  
7 acceptable, but the drawing didn't show and welded splices  
8 but only bolting. We identified it.

9 To the level of magnification that we saw the  
10 welds which was required to be a certain length and it  
11 was only 80 percent of that length, even though we knew it  
12 essentially was a tack weld, there was a drawing  
13 requirement and it was in fact not met.

14 Our investigation found that only a fraction of  
15 that welding was even required to hold it together.  
16 Although we may have intuitively thought so looking at the  
17 structure, we did verify it in fact.

18 We went through the process of, for instance,  
19 on that particular EOI on the BMI tubing, we did receive  
20 the design criteria and some of the design considerations  
21 that were used by PG&E. They referenced their calculations  
22 which were available to us and we had all this information  
23 and had our engineering division review to concur in the  
24 concept in those considerations that we used before we  
25 made our determination that those in fact were reasonable

1 assumptions in the design itself.

2 MR. CHANDLER: It wasn't clear to me when I read  
3 this, for example, in 9001 where it talks about short weld  
4 length, and then the conclusion that I read earlier that  
5 the justification for resolution of this item wasn't that  
6 the welding was proper but it was the design that was off.

7 MR. LUNDIN: The design was satisfied.

8 MR. DICK: I wonder if I couldn't help this  
9 discussion a little bit because I think I sense what is  
10 troubling some of your gentlemen. We had a little  
11 discussion on closing that gap between not strictly  
12 meeting the drawing and accepting the product at the time  
13 the work was accepted.

14 In the documentation from getting from one  
15 point to the other, for example, I think we did provide  
16 you some additional documentation along the line that  
17 helps with that.

18 MR. LUNDIN: Well, there are two important  
19 points really come out of that.

20 First of all, as far as the volume of  
21 information we looked at, we got down to looking at  
22 people's pocket notes when it comes right down to it. We  
23 looked at everything that was available. We had some guy  
24 track down who had retired a couple of years ago I think  
25 and get some stuff off of him to just try to put in



1 perspective what actually happened back then if there  
2 wasn't a record. That in fact was done.

3           Secondly, the consideration by the team and the  
4 Review Committee goes back to the purpose of the makeup of  
5 those organizations in that some experience with what was  
6 being done at that period of time and to be exercised when  
7 we made those determinations.

8           For instance, in 1973 and '74 the sensitivity  
9 to as-built drawings of situations like the BMI tubing  
10 supports was not as great as it is today. So the  
11 possibility that these drawing deviations, although they  
12 were not design deviations, may very well, since the  
13 decisions made by the people doing the work apparently  
14 were good decisions, might very well have been judgments  
15 made by the field engineering people at that time and not  
16 all of these were translated. That is a possibility and  
17 that is something we had to consider.

18           That process which was the state of the art and  
19 was acceptable is what had to be considered in making some  
20 of those evaluations.

21           MR. BISHOP: EOI 9013 talks about that specific  
22 issue about discrepancies between the installation and the  
23 drawing requirements. Is this the type of thing you are  
24 saying where the sensitivity was different?

25           MR. LUNDIN: Right, in that there were

1 differences between the installation and the specific  
2 drawings requirements, but did not violate the design  
3 requirements. They were apparently, and I emphasize  
4 apparently, judgments made by the engineering people in  
5 constructing because of interferences, and they made minor  
6 deviations that did not get documented on the drawing at a  
7 later date as as-built, which some of those have been done  
8 at this point in time.

9 MR. BISHOP: The question that occurred to us  
10 when we saw this was was this an indication of lack of  
11 procedure compliance on behalf of the crafts and the  
12 quality control people?

13 MR. LUNDIN: Yes.

14 MR. BISHOP: You are saying that was the case?

15 MR. LUNDIN: To us it was apparent that all the  
16 requirements of the procedures may not have been followed  
17 in that case. I cannot identify the specific violations,  
18 but that is a possibility that there were procedural  
19 failures, as I mentioned earlier, that the program did not  
20 work one hundred percent of the time, but in fact it  
21 worked acceptably as one would expect a program to  
22 work. This was isolated to this one area.

23 MR. BISHOP: How did you get from one point to  
24 the other there? If you saying it didn't work, yet it  
25 worked acceptably, I would like to explore, like we did on

1 the one finding, the process you went through to conclude  
2 there were no generic implications on this one where you  
3 have procedure compliance concerns. How do you again  
4 conclude that there is no broader issue here that deserves  
5 investigation?

6 MR. LUNCIN: That is two questions. First, I got  
7 from one point to the other in that, as I mentioned  
8 earlier, any program that is implemented when audited can  
9 be found to not be, if somebody failed to follow it at  
10 one point in time and that is identified, and they look to  
11 see if it is a generic problem and resolve it.

12 Since we looked at all of their procedure  
13 compliance as far as it related to whether the paper was  
14 there and the job got done, but since we looked at all of  
15 it and felt that this was a failure in an area which would  
16 not necessarily mean that the Wismer-Becker people didn't  
17 follow procedures. It was, on the contrary, apparent that  
18 they normally did.

19 MR. BISHOP: Could you perhaps quantify some  
20 things for me. I have looked at the tubing supports myself  
21 and agree with you that it looked like a guy would have to  
22 hang by his heels or have a very difficult time assembling  
23 that. Could you give us a rough approximation in numbers  
24 of the other types of supports, the numbers of other  
25 supports you looked at and whether they obviously came out

1   satisfactory and there were no potential findings on them?

2               MR. LUNDIN:   How many supports in the cooling  
3   system, would you say?

4               MR. BEARHAM:   There were about four or five  
5   major supports on each coolant loop and we looked at those  
6   thoroughly. I don't think we reported any discrepancies in  
7   those.

8               In the BMI tubing very quickly I will say there  
9   are probably 100 or so supports in there. We went over the  
10   whole thing with a fine toothed comb and got three guys  
11   down there most of the time just going through the whole  
12   thing. We reported what we found and the numbers that came  
13   up are in the report, and I would imagine that ---

14              MR. COOPER:   2,298.

15              (Laughter.)

16              MR. BEARHAM:   No, there weren't that many major  
17   supports.

18              MR. COOPER:   Not that many major support units,  
19   I know.

20              MR. BEARHAM:   They were large. There were about  
21   three or four major ones in each loop. In the BMI tubing  
22   there were sort of in the hundreds I would say and we  
23   looked at each component and each weld on each support,  
24   too.

25              MR. FRIEND:   So that is an important point.

1 Although you looked at say four primary coolant loop  
2 supports, you looked at all the welds on those supports.

3 MR. BEARHAM: Yes.

4 MR. FRIEND: So you looked at tens or hundreds  
5 of feet of welds in that inspection.

6 MR. BEARHAM: Yes, certainly and hundreds of  
7 bolts. I think what you see is significant inasmuch as we  
8 looked at hundreds, and enough to sort of make you ask  
9 questions I guess, but we certainly went through the whole  
10 thing and by far the majority was good.

11 MR. BISHOP: I think it would be useful to  
12 indicate the comparative level of what you looked at to  
13 what you found.

14 MR. COOPER: Well, let me read it. "The BMI  
15 tubing records consisted of two packages which contained  
16 the documentation of all 350 welds. These records were  
17 examined for evidence of correct documentation, of correct  
18 weld identification, assignment of qualified welder,  
19 correct degree, correct electrical characteristics, visual  
20 inspections and the repair data."

21 MR. BISHOP: I was speaking specifically that he  
22 indicated there were hundreds of supports and here it  
23 indicates three supports had those major weld problems.  
24 That is quite a difference.

25 MR. BEARHAM: Well, I think it will show you how

1 many supports we looked at and, if not, a scrutiny of the  
2 drawings would show you very quickly.

3 MR. LUNDIN: Might I clarify. We are talking  
4 about numbers of supports in BMI. It depends on whether  
5 you could welds or count the little straps or just count  
6 the angle irons going across which all these straps go to.  
7 How many supports are there underneath, I would have to  
8 ask the guy who designed it what he considered to be a  
9 support. There could be hundreds or there could be ten.

10 MR. BISHOP: I am trying to compare the number  
11 of supports 9, 10 and 11 to what is the total population  
12 there we are talking about, because we say the majority of  
13 welds on supports 9, 10 and 11 exhibited problems.

14 MR. ETZLER: By that counting there were 11  
15 total. There were 11 major locations of straps.

16 MR. BISHOP: Okay, that is different than  
17 hundreds.

18 MR. BISHOP: I don't want to belabor the point  
19 about numbers, but getting back to the issue on programs  
20 and procedures, could you quantify for us the numbers of  
21 procedures you may have looked at. You indicated that you  
22 looked at great depth of procedures. Would it be  
23 appropriate to say that for all the hardware you inspected  
24 you looked at the corresponding procedure that related to  
25 the fabrication of that hardware?



1 MR. BARANOW: Yes.

2 MR. LUNDIN: I believe that is true.

3 MR. BISHOP: You are getting into the realm of  
4 close to 100 percent review in that sense.

5 MR. LUNDIN: Right around there.

6 MR. BEARHAM: It was close to a hundred percent  
7 review of what was actually in the scope.

8 MR. SPRAUL: More installation than fabrication  
9 though, was it not?

10 MR. BEARHAM: Well, it depends on what you call  
11 fabrication. Of course, we didn't get into off-site  
12 fabrication.

13 MR. SPRAUL: Field fabrication.

14 MR. BEARHAM: Some fabrication would have been  
15 done in the field, yes. Most of it would have been done in  
16 the field.

17 MR. LUNDIN: If it was done by Wismer-Becker or  
18 Guy F. Atkinson, whether it was fabrication or insulation,  
19 we looked at it. If it was fab by someone else, we only  
20 assured that Wismer-Becker's program of receiving it and  
21 utilizing it was followed.

22 MR. BISHOP: We had the indication I think from  
23 our inspection program that in the performance of your  
24 review of the two contractors you did find it necessary to  
25 some limited degree to get into the work or the products

1 of subcontractors or vendors, and I think you just touched  
2 on that subject. Could you tell us the extent of  
3 involvement?

4 MR. LUNDIN: An example would be Westinghouse  
5 documentation and we did go to Southwest Fab to assure on  
6 the lugs. We needed some information as to whether an  
7 initial potential finding was written concerning whether  
8 the material actually met the specification requirement  
9 and we had to go back to Westinghouse to find out that  
10 that requirement had been revised during the process of  
11 them buying it.

12 That was outside the scope because it was  
13 supplied to Wismer-Becker by Westinghouse, but we did go  
14 back to assure that that material was acceptable as  
15 purchased by Westinghouse and the documentation is in the  
16 file from Westinghouse that that process was appropriate.

17 We did in fact go back to Southwest Fab's  
18 records to make sure that they had in fact properly  
19 documented the welds where these lugs were removed, that  
20 that was appropriately done.

21 We did have someone go back to get documents,  
22 for instance, the Magnaflux supply, the copy of the  
23 original document that was sent to Diablo Canyon in 1973  
24 for that can of penetrant, the one piece of paper that  
25 wasn't in the file. Over the years an auditor kept it in

1 his book or something.

2 (Laughter.)

3 MR. LUNDIN: It did exist and Magnaflux still  
4 had it and we did go back to make sure it did exist.

5 MR. CHANDLER: What did you do? For example, you  
6 mentioned a number of major subs to GFA in ITR 36, Pacific  
7 State Steel, et cetera, et cetera. How about those?

8 MR. IVES: Dick Ives, Stone and Webster. If you  
9 look at our check list, when we came up with an inspection  
10 attribute or evaluation attribute, we then listed where we  
11 obtained that attribute, whether it was from a  
12 specification or Atkinson's QA program or someone that was  
13 working for Atkinson, and that is identified on the check  
14 list.

15 MR. BISHOP: One last question on the breadth of  
16 your sample. In your Wismer and Becker ITR you list four  
17 systems, reactor coolant system piping, pressurizer surge  
18 line piping, BMI tubing and reactor vessel leak detection  
19 line. Of these four "systems" what percentage of each of  
20 those systems did you examine?

21 MR. BEARHAM: A hundred percent.

22 MR. LUNDIN: A hundred percent of all of them.

23 MR. BISHOP: My question is for PG&E on a  
24 slightly different subject, but there was a recent problem  
25 that was reported to us and it was reported that that

1 particular problem on the reactor coolant system piping  
2 was not one of the samples looked at by the IDVP.

3 MR. FRIEND: Was that reactor coolant piping or  
4 component cooling water?

5 MR. TWIDDY: You are talking about the thin  
6 wall?

7 MR. BISHOP: Right.

8 MR. TWIDDY: That would not have been something  
9 these gentlemen would have looked at.

10 MR. FRIEND: That is correct, Tom. They are  
11 talking about the wall thickness measurement which is  
12 something that the Stone and Webster team did not look at.

13 MR. BISHOP: I understood that.

14 MR. TWIDDY: You see, that was a non-required  
15 thing that PG&E was doing in order to develop a data base  
16 for the future.

17 MR. BISHOP: I am familiar with that. I was just  
18 wondering about the statement that was made to us that it  
19 wasn't something the IDVP looked at.

20 MR. TWIDDY: Right.

21 MR. BISHOP: What you meant was that IDVP had  
22 not considered that element, but in fact had looked at  
23 that pipe for other things.

24 MR. TWIDDY: Yes, for other things.

25 MR. LUNDIN: The only thickness measurement we

1 looked at was as relating to the lug removal.

2 MR. BISHOP: All right.

3 MR. CHANDLER: Weld driving also.

4 MR. FRIEND: That particular weld was a shock  
5 weld.

6 If I may, I would like to expand a little bit  
7 on some of the remarks that Mr. Lundin just made. When  
8 PG&E and the project were considering this program, we  
9 wanted to obtain exactly the kinds of things that Mr.  
10 Lundin outlined.

11 We wanted a firm that understood what a  
12 nuclear power plant was about and the important features  
13 that went into the construction, and that was one of the  
14 considerations of why we selected Stone and Webster,  
15 because we felt they had the experience and the judgment  
16 and the knowledge to go beyond the written record if there  
17 was a question, to go to the supplier, to go to the shop,  
18 to go to the mill cert and so forth, because we wanted an  
19 independent assurance that what our beliefs were that the  
20 plant was constructed well, we wanted that independent  
21 view from an experienced person, and the kinds of things  
22 that Mr. Lundin has outlined gave us that assurance.

23 MR. BISHOP: My only concluding comment was that  
24 I would encourage you to put in the ITR some of the topics  
25 you discussed today and the judgmental processes you used

1 to draw your overall conclusions and your individual  
2 conclusions.

3 MR. COOPER: We clearly can be responsive to  
4 giving more detail in each of the EOI files, what did PG&E  
5 tell us, what did we think about it and what was the basis  
6 for our classification. That is easy.

7 The overall conclusion to document a judgment  
8 is a rather difficult step and we felt that the basis of  
9 that judgment was perhaps spelled out by the program plan.

10 Perhaps what we need to do is to place in one  
11 or both of these ITRs, and I suspect both just because the  
12 reader might pick up one and not the other, but still an  
13 additional appendix which tries to summarize, for example,  
14 the page in the procedures that were read saying what the,  
15 and I forget just the way it was described, sort of the  
16 thought process stimulator list that was read here today,  
17 to put that in and build some words around that and some  
18 detail about the experience and capabilities of the  
19 Findings Review Committee people so as to give the reader  
20 some feel that that was a group who could properly  
21 implement such a list. This sort of thing we can do.

22 My question to you folks at the end is if you  
23 have got any other ideas of the sort of thing we could put  
24 in there that would do this job better, please let us  
25 know.



1 MR. NORTON: Is it inappropriate for us to  
2 request that something be in there? I don't know whether  
3 it is in there or not and first I would like to ask. Is  
4 that appropriate?

5 MR. CHANDLER: We will even ask Mr. Hubbard if  
6 he feels there is something inappropriate?

7 (Laughter.)

8 MR. NORTON: I am sure what he wants can't be  
9 put in there.

10 (Laughter.)

11 MR. NORTON: But my request is not so complex.

12 Bill, in the ITRs do you list the individuals  
13 that conducted the audit and their backgrounds and  
14 experience and the Technical Review Committee by  
15 individuals and their backgrounds and experience, because  
16 a piece of paper that comes to a conclusion doesn't weigh  
17 much. We would hope it would weigh more when you look at  
18 the people.

19 (Laughter.)

20 MR. NORTON: Do you understand? I just think  
21 that is important for a reader to ---

22 MR. COOPER: My suggestion is the identification  
23 of the capabilities of the team that went out actually in  
24 the field in addition to the Findings Review Committee.

25 MR. NORTON: I would like to see a little

1 bibliography perhaps.

2 MR. COOPER: I think we can do this perhaps in  
3 general terms. I am not sure I want to identify them by  
4 name and Frank and I will talk about that.

5 MR. NORTON: Fine.

6 MR. SESTAK: We didn't specify individuals. We  
7 specified their qualifications.

8 MR. NORTON: Well, this is a public record and  
9 you have identified them all by name anyway. Are all  
10 members of the Technical Review Committee here today?

11 MR. SESTAK: That is right.

12 MR. NORTON: Well, I would like to ask a couple  
13 of questions of that group.

14 MR. SESTAK: The Findings Review Committee is  
15 another ---

16 MR. NORTON: Right, the Findings Review  
17 Committee, I would like to ask a couple of questions of  
18 that group collectively and, one, you can answer and then  
19 if anybody has a different answer, then the other can.

20 In your review, understanding your scope, do  
21 you feel that your review indicated a failure to  
22 adequately control the activities of construction  
23 contractors by PG&E?

24 MR. CHANDLER: Would you repeat that.

25 MR. COOPER: Yes, repeat that.

1           MR. NORTON: Does your review indicate to you  
2 that PG&E failed to adequately control the activities of  
3 the construction contractors?

4           MR. RICHARDSON: No.

5           MR. CHANDLER: Let me make a request, if I can.  
6 The principal purpose I would say of the meeting today was  
7 to have an exchange between the staff and the IDVP,  
8 particularly Stone and Webster, with respect to their  
9 evaluations as reflected in our letter to them of May 2nd.

10           Principally the participants were those  
11 parties and PG&E was not listed as a participant. I  
12 appreciate the points of clarification that have come out  
13 during the meeting, but I really don't think at this point  
14 it is appropriate. If we are going to have a meeting that  
15 is open, then I suppose it is going to be a lot longer  
16 meeting and we will have to extend to Mr. Hubbard the same  
17 opportunity to pursue questions he may have, and certainly  
18 we are going to ask for his comments.

19           MR. NORTON: Let me tell you what the problem  
20 is, Larry. You have structured an independence here that  
21 doesn't allow me to ever ask these questions, and if I  
22 can't ask them at these meetings, I can never ask them,  
23 and they are certain germane questions.

24           You know, you can have the right, it is your  
25 meeting, and you can tell me to shut up and I will, but I

1 just want to make it clear that the NRC has structured  
2 this independence thing and we are sticking with it to the  
3 best of all of our abilities, but you know you put us in a  
4 very awkward spot when we can't ask a question.

5 MR. CHANDLER: I don't have a problem, Bruce, if  
6 the Project wants to have the same kind of a meeting. Let  
7 me just turn it around though and say if we are going to  
8 expand it, that is fine, but I think we have recognize  
9 that the meeting we had requested was a meeting with the  
10 IDVP, Stone and Webster, to discuss our May 2nd letter.

11 MR. NORTON: Don't you think that question very  
12 directly relates to your letter?

13 MR. CHANDLER: Oh, I have no doubt that there  
14 are a lot of questions that you may have that may relate  
15 to that, and if you want to continue the meeting, if you  
16 will, as a PG&E IDVP meeting, I am sure we can continue.

17 I have just one other question of these  
18 gentlemen that I would like to ask them and we can  
19 continue on.

20 MR. NORTON: Fine.

21 MR. CHANDLER: The only thing I had a question  
22 about was in both ITR 36 and 38 in Section 2.0 the  
23 statement is made that an appropriate sample for  
24 evaluation was selected, et cetera.

25 I know one of the questions that we had had to

1 do with when you say appropriate. What does that term mean  
2 and how did you come about that determination?

3 MR. COOPER: The term I believe, without taking  
4 the time to look at the words, the words "an appropriate  
5 sample for evaluation shall be selected" is from the  
6 program plan, and I believe when this was written it was  
7 simply stated in that language to be consistent with the  
8 program plan.

9 I believe the answer you received this morning  
10 is that they basically for these two contractors did  
11 everything that was physically accessible and available to  
12 do.

13 MR. CHANDLER: Okay.

14 I guess, Bruce, before sort of turning the  
15 meeting around a little bit, I think it would be  
16 appropriate to ask Mr. Hubbard if he had any comments.

17 MR. HUBBARD: I think most of my comments have  
18 been in the various declarations and affidavits.

19 There really are a couple of things that I  
20 would have some interest in.

21 One is that my comment would be that the final  
22 report ought to include the check lists that were used as  
23 well as as many of the filled out check lists as possible.

24 I think the report ought to have something that  
25 addresses the root causes relative to the QA/QC program.

1 By that I mean where you say "things were not fully  
2 implemented."

3 I think in addition to talking about safety  
4 significance, one should talk about what that means  
5 relative to the QA/QC program.

6 I think time should be stressed a little more.  
7 There seems to be a great emphasis on this, that the  
8 quality being achieved was consistent with the time, and  
9 we heard mention of the years all the way from '73, '74 up  
10 to some work that was done in 1982.

11 So if there is going to be some gradation of  
12 quality based on time, then I think more emphasis should  
13 be given to time in the reporting.

14 MR. LUNDIN: Excuse me. There was no  
15 consideration of differences in quality and time, but only  
16 to procedural systems and maybe the level of compliance to  
17 those specific things that were done. The level of quality  
18 was never considered to be different than it would be  
19 today.

20 MR. HUBBARD: Well, there seemed to be sliding  
21 scale on criteria for acceptability based on time and it  
22 would help me to understand what was the standard for good  
23 practice in the various time spans that you were looking  
24 at.

25 In terms of counting, if we do get into



1 counting, a number of the observations talked about things  
2 in plural. So if we are going to get into counting, I  
3 would request that we also count the observations in their  
4 plurality so we know exactly what they mean where you say  
5 many.

6 And, Larry, we will be requesting the check  
7 list, both the ones that were used by the auditees plus  
8 the Findings Committee. We would like those check lists  
9 and we would like as many of the filled out check lists as  
10 possible.

11 We would also like to understand how the  
12 documentation is arranged so that one could go to audit  
13 it, and I guess I understand from the various meetings  
14 that people are ready for us to come and audit that  
15 documentation.

16 MR. CHANDLER: Dick, in that connection, of  
17 course, as Bruce advised all the parties, the IDVP has  
18 retained counsel. That is the law firm of Lowenstein,  
19 Newman, Reis and Alexrad, and their counsel is Mr.  
20 Alexrad or Kathleen Shea of that firm I guess, and  
21 requests of that nature I think appropriately would be  
22 directed to them.

23 MR. HUBBARD: Well, that is very important,  
24 Larry, for the record because I think there are a couple  
25 of places where the statements were made that the records

1 are available and are available for audit or looking at.  
2 There was an implication at least that I am sensitive to  
3 that nobody has asked to look at some of these and we will  
4 ask.

5 MR. NORTON: I will address this to you, Larry.  
6 We are in a hearing mode now. We are now under a formal  
7 discovery hearing mode. We are no longer in the mode we  
8 were in prior to April 21st. We are in a different mode  
9 now and any document exchanges and stuff like that is done  
10 under formal or informal discovery requests, but at least  
11 it has got to be handled through the attorneys.

12 MR. HUBBARD: Well, I would like some more  
13 explanation. I didn't think we were into the hearing mode  
14 on construction QA, which this is addressing. It seemed to  
15 me we are still into the IDVP event. So that is why I  
16 thought it was appropriate to ask for those documents as  
17 we normally would.

18 MR. FRIEND: Well, this a little more complex  
19 than that even I believe in that this program is an  
20 adjunct program to the IDVP that was commissioned by PG&E  
21 to reach further assurance on the quality of construction.

22 I don't know that this part of the program  
23 needs to be necessarily treated in the same manner as the  
24 IDVP which was mandated by the commission.

25 MR. CHANDLER: I think though that in any event,

1 Dick, in a very real sense, it is a matter that is before  
2 the Board and is something before the Board for  
3 consideration. To that extent I would have to consider it  
4 a matter in litigation and the formal procedures would  
5 apply.

6           Though certainly if the counsel for the  
7 Governor would formally or informally contact counsel for  
8 the IDVP to discuss it, I think whatever is appropriate  
9 can be worked out.

10           MR. BISHOP: I would like to offer to you, and  
11 it is already available to you, the reports of our audits  
12 of that activity. We have had inspections on the  
13 construction QA plan and those reports are certainly  
14 available to you.

15           MR. CHANDLER: Through me.

16           MR. SCHIERLING: Did you have anything else,  
17 Dick?

18           MR. HUBBARD: No, not at this time.

19           MR. SCHIERLING: Okay.

20           MR. NORTON: I have two questions is all.

21           (Laughter.)

22           MR. SCHIERLING: Well, it is my understanding  
23 that time is pressing on, No. 1 and, No. 2, I think it  
24 might be appropriate to have a very brief recess and maybe  
25 we can meet again in ten minutes.

1 I think at that time parties can make  
2 statements they wish to make, including PG&E I propose.  
3 Isn't that appropriate?

4 MR. CHANDLER: Yes, Bruce can ask his questions.

5 MR. NORTON: I am just going to ask two  
6 questions. I am not going to make a statement.

7 MR. SCHIERLING: Do you want to ask them now or  
8 after the caucus?

9 MR. NORTON: I would rather ask them now.

10 MR. SCHIERLING: Fine, go ahead.

11 MR. NORTON: I think I had asked the first one,  
12 but while this was going on I wrote it out so I will ask  
13 it again, and I also heard somebody answer it, but this is  
14 to the TRC.

15 Did your review indicate to you that PG&E  
16 failed to adequately control activities of construction  
17 contractors?

18 MR. RICHARDSON: I answered no.

19 MR. NORTON: All right. Does anybody have a  
20 different answer?

21 (No response.)

22 MR. NORTON: All right. The Findings Review  
23 Committee, and I said Technical Review Committee. That is  
24 the Findings Review Committee.

25 The second question, did your review indicate

1 to you a lack of aggressive, corrective and preventative  
2 actions by anybody?

3 MR. RICHARDSON: No.

4 MR. SCHIERLING: Well, let me make a few  
5 statements.

6 No. 1, I think the information that was  
7 provided today by you goes far beyond what you reported in  
8 both ITRs, and I think if appropriately incorporated it  
9 will give far better credit to the work that you did and  
10 will address many of our questions.

11 I had written down specific questions and many  
12 of those were already addressed.

13 I think it is appropriate, and I want to  
14 emphasize that again, to include a statement similar to  
15 the one that Craig read before, the philosophy on the  
16 questions that you asked yourself, what does all this  
17 mean? I think that is very appropriate.

18 I do not know how voluminous the check lists  
19 are, and I do not know right offhand if there is a  
20 difference between check lists and attributes that you  
21 developed, that you were considering in your evaluation.

22 I think they should be summarized in the  
23 revision to the ITRs to give a better indication of the  
24 depth that you looked into the various matters.

25 Although some of the documentation that was

1 generated, information that was generated during your  
2 evaluation might not be open for audit in general at this  
3 time because of the various elements in the hearing  
4 process, I think staff still would like to, and I think we  
5 can, look at the records any time, can't we?

6 MR. CHANDLER: If worse comes to worse, we can  
7 always ask for discovery.

8 (Laughter.)

9 MR. NORTON: The staff clearly has the right.

10 MR. SCHIERLING: I think staff would like to  
11 look probably at some of the details that were generated,  
12 the check lists and the list of attributes. I think we  
13 want to do that.

14 MR. SESTAK: Hans, I just want to point out that  
15 when I think Region V conducted an audit on us they did  
16 review the ---

17 MR. SCHIERLING: Tom Bishop just informed me  
18 that we did that already. Where is most of that  
19 information located?

20 MR. SESTAK: In Boston.

21 MR. SCHIERLING: It is in Boston.

22 MR. SESTAK: It is in our office.

23 MR. SCHIERLING: Thank heaven.

24 (Laughter.)

25 MR. NORTON: Do you have in the ITRs the program



1   itself, the initial program that I referred to earlier,  
2   the October ---

3               MR. COOPER:  It is not included in there, no.

4               MR. NORTON:  Do you think that might be a good  
5   appendix to the ITRs also which sets forth what the  
6   program was?

7               MR. COOPER:  That would be one of the easier  
8   ones to prepare.

9               MR. NORTON:  It certainly would.

10              (Laughter.)

11              MR. NORTON:  I think it would be useful.

12              MR. FRIEND:  Somebody might want to edit it.

13              MR. CHANDLER:  I think it would be useful as an  
14   appendix because I think it would help put some  
15   perspective on the findings when you can relate them  
16   better to the things you were looking at and the way you  
17   were looking at them.

18              MR. SCHIERLING:  I have to come back to one of  
19   the two questions that Bruce just had.  In your effort did  
20   you look or did you also evaluate the PG&E review and  
21   approval of the QA programs by the two companies, in other  
22   words, the audit that was exercised by PG&E on the two  
23   companies?

24              MR. LUNDIN:  We had an attribute that they were  
25   approved.

1 MR. BEARHAM: We saw evidence of their approval.  
2 That is what we looked for, a lead sheet somewhere that  
3 showed evidence of PG&E's approval of the two  
4 subcontractors.

5 MR. LUNDIN: Also in the non-conformance process  
6 the approval of the disposition of non-conformances which  
7 was another process. We verify that there is an attribute  
8 on the check list to assure that that was done and that  
9 was verified.

10 MR. SCHIERLING: And, on the other hand, you  
11 also looked at the QA programs and their approval by  
12 subcontractors to Wismer-Becker and GFA?

13 MR. LUNDIN: There were none to Wismer-Becker.

14 MR. BEARHAM: None to Wismer, no.

15 MR. IVES: To Atkinson, yes.

16 MR. SCHIERLING: Okay, those are all the  
17 questions I had.

18 Unless there are other specific questions at  
19 this time, we can go and take a 10-minute break, readjourn  
20 and if there are any closing statements, let's go and do  
21 that and we will make our plane.

22 We will meet at five minutes after twelve.

23 (Whereupon, a short recess was taken.)

24 MR. SCHIERLING: Are we ready to go back on the  
25 record.

1           Let's do this. Howard, do you have any  
2 statements?

3           MR. FRIEND: Yes. I would like Mr. Dick to  
4 address a couple of items that follow up on this morning's  
5 presentation as a matter of clarification, if it is okay  
6 with you.

7           MR. SCHIERLING: That is fine.

8           MR. DICK: Yes, I would like to clarify just a  
9 couple of items which were covered partly but maybe not  
10 completely by Mr. Lundin.

11           I believe this complements what he already  
12 said, but it takes into account several elements which may  
13 not have been apparent to these gentlemen.

14           The first subject is that of the program  
15 evolution. The evolution of the contractor's program is  
16 not as obscure as may appear. It is a relatively  
17 straightforward thing according to our observation.

18           PG&E wrote a very detailed specification in  
19 making the original selection of contractors in which the  
20 quality assurance requirements were set forth in some  
21 detail.

22           The contractors in turn responded as part of  
23 their proposals with a quality assurance program. Now  
24 those programs were approved by PG&E and I believe the  
25 contractors' programs also included provision for

1 subcontractors to in turn have programs.

2           Those programs were during the subsequent work  
3 monitored by PG&E in accordance with the PG&G program and  
4 I believe also by the NRC inspectors in the course of  
5 their inspections. The programs were entirely consistent I  
6 believe with the applicable provisions of Appendix B.

7           So I think there is a rather clear and coherent  
8 trail here on the evolution of the contractor programs and  
9 it can be demonstrated.

10           The other point I would like to make deals with  
11 the concept of use as is where the constructed product may  
12 not be identical with the drawings with which it is being  
13 compared.

14           In addition to the reasons set forth by the  
15 IDVP, there are other reasons that we understand also  
16 existed. A very important reason was during the erection  
17 of the portions of the steam supply system Westinghouse  
18 Electric Corporation had its on-site inspectors present  
19 and conducted a fairly comprehensive review of the work  
20 that was ongoing.

21           We believe that some of their records tended to  
22 support the conclusions of the IDVP, that in those cases  
23 where there were some departures from the initial design  
24 drawings, that those were duly considered and accepted at  
25 the time the work was performed.

1           So this was a real time sort of a review, and  
2   it was not an after the fact type of acceptance made in  
3   1982.

4           We have also attempted to provide the IDVP with  
5   other information that indicated that there was a  
6   considered acceptance of the product as constructed.

7           Those are the two essential points that I  
8   would like to make.

9           I might modify my earlier statement in one  
10  small respect, and that is with regard to the timing of  
11  the acceptance of the contractor program. I believe in  
12  most cases it was accepted at the time the contract was  
13  awarded, but there was an evolutionary process here. But  
14  in any event the contractor did perform his work under an  
15  accepted program.

16           MR. SCHIERLING: Thank you.

17           Bill or Frank, would you like to add anything  
18  at this time?

19           MR. COOPER: Two quick things. One is I was  
20  going to talk a little bit about use as is, as Charlie  
21  did, because I think it is very important that many times  
22  we are better off to use as is rather than try to make a  
23  repair, and clearly in that period the documentation of  
24  the acceptance of those sort of things were not of the  
25  nature as they are today.

1 Charlie said it all and I am not going to say  
2 any more about that.

3 The other thing is we will commit to do the  
4 best job we can in revising these ITRs, including some of  
5 the things that we have talked about here today. Our  
6 priority will be placed on getting those ITRs issued by  
7 the end of next week with as much as we can in as we  
8 possibly can.

9 We recognize the need that several parties in  
10 this room have to be responsive to certain things where  
11 time is of the essence, and we will do the best job we can  
12 to include everything. We may fall short in a couple of  
13 areas, but we will give our priority to getting these  
14 things out on the street by the end of next week.

15 We may shortchange some or all of you on the  
16 number of copies you receive, but clearly the normal  
17 distribution pattern will be followed as far as the people  
18 to whom it is distributed.

19 MR. SCHIERLING: Is there anything else?

20 (No response.)

21 MR. SCHIERLING: Dick, did you want to add  
22 something?

23 MR. HUBBARD: No.

24 MR. SCHIERLING: Then any further questions or  
25 comments the staff has?



1 MR. BISHOP: No.

2 MR. CHANDLER: No.

3 MR. SPRAUL: No.

4 MR. SCHIERLING: For the staff I want to thank  
5 all of you for coming out on a Saturday. We are looking  
6 forward to getting the information in the forthcoming  
7 revisions.

8 I think the information as discussed today does  
9 indeed provide the answers to the letter that we sent to  
10 you, Bill, and again as much as you can put in there, we  
11 are anxiously waiting for it.

12 If there are any complications that you cannot  
13 make the schedule, please let us know.

14 MR. COOPER: We will make the schedule.  
15 Completeness is the question.

16 MR. SCHIERLING: Okay.

17 Well, again, thank you very much for coming out  
18 on a Saturday, and we will see you again very soon on  
19 another weekend.

20 (Whereupon, at 12:15 p.m., the meeting  
21 adjourned.)

22

- - -

23

24

25

CERTIFICATE OF PROCEEDINGS

This is to certify that the attached proceedings before the  
NRC COMMISSION

In the matter of: Diablo Canyon

Date of Proceeding: May 21, 1983

Place of Proceeding: Boston, Massachusetts

were held as herein appears, and that this is the original  
transcript for the file of the Commission.

Mary C. Simons

Official Reporter - Typed

*Mary C. Simons*  
Official Reporter - Signature