

NUCLEAR REGULATORY COMMISSION

ORIGINAL

COMMISSION MEETING

In the Matter of: PUBLIC MEETING

STATUS OF STAFF CERTIFICATION ON LICENSEE
COMPLIANCE WITH RESTART REQUIREMENT ON TMI-1

DATE: October 6, 1982

PAGES: 1 - 34

AT: Washington, D. C.

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - -

STATUS OF STAFF CERTIFICATION ON LICENSEE
COMPLIANCE WITH RESTART REQUIREMENT ON TMI-1

- - -

PUBLIC MEETING

- - -

Room 1130
1717 H Street N.W.
Washington, D.C;

Wednesday, October 6, 1982

The Commission convened on the above-entitled
matter at 3:05 p.m., pursuant to notice.

BEFORE:

- NUNZIO PALLADINO, Chairman
- VICTOR GILINSKY, Commissioner
- JOHN AHEARNE, Commissioner
- THOMAS ROBERTS, Commissioner
- JOHN ASSELSTINE, Commissioner

STAFF AND PRESENTERS SEATED AT COMMISSION TABLE:

- S. CHILK, Secretary
- L. BICKWIT, General Counsel
- D. EISENHUT, NRR
- R. JACOBS, NRR
- R. JARUSDICKI, Region I

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on October 6, 1982 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

1
2 P R O C E E D I N G S

3 CHAIRMAN PALLADINO: The meeting will please
4 come to order.

5 The subject of the meeting this afternoon is
6 the Status of Staff Certification on Licensee Compliance
7 with Restart Requirements in TMI-1.

8 As you will recall, on August 9, 1979, the
9 Commission issued an order to the Licensee for TMI-1
10 requiring, among other things, accomplishment of certain
11 requirements as a condition for restart. These actions
12 were required to be completed to the satisfaction of the
13 Director of the Nuclear Reactor Regulation. However,
14 the order required the Staff to certify their
15 satisfaction to the Commission, and the Staff is here
16 today to discuss the status of their certification
17 activities.

18 Since the substantive matters of the items to
19 be discussed today are still before the Commission in
20 the TMI-1 proceeding, I would General Counsel to advise
21 us at any time if I discuss must be curtailed or
22 modified due to ex parte considerations.

23 Before we start, I believe it would be
24 appropriate to ask General Counsel to briefly outline
25 the nature of the issued that can or cannot be discussed
26 here today.

1 Unless the Commissioners have other comments,
2 I suggest we hear from Mr. Bickwit, and then turn it to
3 the Staff.

4 MR. BICKWIT: Speaking generally, where the
5 Board has decided on a given requirement, subject to
6 Staff certification of that requirement, then the
7 adequacy of the certification and questions relating to
8 that matter can be discussed here. But the adequacy or
9 wisdom of the requirement itself ought not to be
10 discussed.

11 As in the case of the 0737 items, the Board
12 has deferred to Staff and the Commission on matters
13 which would normally be regarded not as mere
14 implementation items, but as basic questions involving
15 what the requirements ought to be and when they ought to
16 be instituted, the Commission is free to discuss those
17 matters with the Staff, the matters on which the Board
18 has deferred to the Staff and the Commission. Where
19 matters are outside the scope of the proceeding, the
20 Commission and the Staff are free to discuss the
21 matter.

22 In short, where the matter is one on which the
23 Board has decided, the matter ought not to be the
24 subject of discussion at this meeting, and anything is
25 fair game.

1 COMMISSIONER GILINSKY: Now what does that
2 mean?

3 MR. BICKWIT: Do you want examples?

4 COMMISSIONER GILINSKY: Give me an example.
5 Is that going to affect anything that Mr. Eisenhut is
6 going to say?

7 MR. BICKWIT: No.

8 COMMISSIONER GILINSKY: I must confess that I
9 didn't follow that.

10 MR. BICKWIT: It is a very complicated
11 proceeding, and it is a complicated instruction, so we
12 will monitor it closely.

13 COMMISSIONER GILINSKY: All right.

14 MR. BICKWIT: Perhaps the easiest thing is to
15 repeat the guidance.

16 (General laughter.)

17 MR. BICKWIT: I will give you an example with
18 each.

19 COMMISSIONER GILINSKY: Why don't we just go
20 on.

21 CHAIRMAN PALLADINO: May I suggest that the
22 best way to get the examples is to go on.

23 COMMISSIONER GILINSKY: Wave your arms if you
24 think we are getting into a problem.

25 MR. BICKWIT: I far prefer that.

1 CHAIRMAN PALLADINO: Okay, then, why don't we
2 proceed. I guess the meeting goes to Darrell Eisenhut.

3 MR. EISENHUT: Thank you.

4 Ccould I have the second slide, I guess it
5 is?

6 (Slide.)

7 In response to the Commission's request, we
8 are going to go through today a listing of the status of
9 the certification items and then at the end of that we
10 will go through briefly the overall status of a number
11 of other items that remain to be completed on this plant
12 also.

13 If I could have the next slide.

14 (Slide.)

15 We find, based on the record in this case,
16 limiting the certification to the short-term
17 requirements as identified in the August 9, 1979, order
18 and the March 8, 1980, order, and any item the Board has
19 imposed as being a short term requirements that must be
20 certified prior to any decision.

21 The obvious prerequisites for this are that
22 first the utility has to complete the item, and then
23 after they have completed the item either Region I, I&E
24 headquarters in the area of emergency preparedness, or
25 NRR will either inspect or verify as appropriate the

1 various items. At the conclusion of that, we would
2 reach the point where we would certify that all
3 outstanding items have been done.

4 (Slide.)

5 The next slide is a summary. Actually, the
6 next two slides could be looked at either way. Perhaps
7 I could go to the next slide, it would be a little
8 easier. If I could go to the next slide please.

9 (Slide.)

10 This is a breakdown of how you get 129 items.

11 CHAIRMAN PALLADINO: Incidentally, there was a
12 statement on your preceding slide that I thought was
13 important to highlight. I think it is the second item.

14 MR. EISENHUT: I will come back to that
15 slide. It is a little easier perhaps to do them in the
16 order if I could.

17 CHAIRMAN PALLADINO: Thank you.

18 MR. EISENHUT: To try to characterize what the
19 129 items are and where they came from, we have together
20 this little matrix. The number of items flowing from
21 the items in the order or the Board decision follow
22 pretty straightforward. Under items II A, B, C, and D,
23 those are the four partial decisions from the hearing
24 record.

25 The next thing on the table is the status as

1 we see it, and this is the status as of a couple of
2 weeks ago from the utility at which time he had 93
3 complete. Appreciate that the numbers here evolve and
4 change as time goes on, as he completes more and more
5 items.

6 The NRC is reviewing these, as I indicated,
7 either Region I, or I&E in the area of emergency
8 preparedness, or NRR. The status of the NRR review is
9 on the right-hand side, where you see that we have now
10 completed 65.

11 COMMISSIONER AHEARNE: That is as of several
12 weeks ago?

13 MR. EISENHUT: That is as of a couple of weeks
14 ago, yes.

15 COMMISSIONER ROBERTS: Is there clear
16 understanding on who has responsibility?

17 MR. EISENHUT: Yes, there is.

18 COMMISSIONER ROBERTS: Between the region and
19 NRR?

20 MR. EISENHUT: Yes, there is. We, in fact,
21 have an overall matrix that includes not only the
22 certification items but other items that don't need to
23 be certified. Rich Jurasdicki is here with me today
24 from Region I, who is in fact implementing the Region I
25 aspects. We do have representatives here today from I&E

1 in the area of emergency preparedness.

2 I think there is a pretty standard
3 understanding that has been circulated and approved by
4 all the Staff. The list gets very, very large when you
5 look at the total number of items, not just the
6 certification items.

7 If I could go back now to the previous slide.
8 (Slide.)

9 COMMISSIONER GILINSKY: Could you explain that
10 remark?

11 MR. EISENHUT: Yes. There are a large number
12 of items that need to be completed at the plant, and
13 there are what I will call sort of the traditional
14 things on an operating plant. There are a number of
15 NUREG-737 issues. There are a number of responses to
16 I&E bulletins, follow-ups, or items that fall out of
17 health physics appraisals, out of routine inspections,
18 follow-ups to licensee event reports. There is a list
19 of things that have been accumulated for all time since
20 March 28.

21 In fact, these certification items are a
22 subset of that. So what we tried to concentrate on here
23 is that subset, and the other items, you will see in a
24 moment, there is a quite lengthy list. But the key we
25 really focused on is items that had to be certified as

1 complete prior to any decision concerning lifting the
2 suspension. You will get a feeling for the magnitude of
3 this in just a little while. There are some other
4 items.

5 CHAIRMAN PALLADINO: Darrell, I don't
6 understand the "NRC Review Complete-Not Complete." Is
7 it 65 out of 93. The 65 and 54 seem to add up to 119.

8 MR. JACOBS: No, it is 129. Sixty-five and
9 64.

10 CHAIRMAN PALLADINO: Is that 64, I am sorry.

11 MR. EISENHUT: Yes, it is. Of the 129, 65
12 have been signed off.

13 CHAIRMAN PALLADINO: Thank you.

14 MR. EISENHUT: It is meant to be 64. In fact,
15 it is sort of an index, the way we follow progress in
16 this area.

17 If I could go back to the previous slide.

18 (Slide.)

19 The second bullet here points to --

20 I am sorry, back to the one entitled "Status
21 of Certification." There is one out of phase.

22 (Slide.)

23 Of the 64 that are not yet complete, four of
24 those items require power operation. They are items
25 that cannot be done prior to a decision. There are six

1 items --

2 COMMISSIONER AHEARNE: Wait, the 64 are NRC
3 reviews.

4 MR. EISENHUT: Another way to put it. There
5 are four items in either the 36 and, therefore, in the
6 64 by definition, that require power operation. There
7 are six that require hot functional testing, and two
8 others that require verification at the time of
9 restart.

10 COMMISSIONER AHEARNE: I was noticing in the --

11 MR. EISENHUT: Since they are all in the 36,
12 they are also in the 64. That is probably a better way
13 to say it.

14 Of the other remaining 52 -- That is taking
15 the six, the four, and the two away from the 64, of the
16 remaining 52, 19 are right now -- as of the time that we
17 put this together, they were ready for Region I
18 inspection, 22 require GPU action before the NRC could
19 get in the mode of doing an inspection. There were six
20 that were resting NRR, and there were five that are now
21 before I&E for action.

22 If I could go to two slides forward, to the
23 Schedule for Complete.

24 (Slide.)

25 The next question is, how are all these going

1 to come together. This is a schedule both as the
2 utility has indicated this is how, and the schedule he
3 expects to resolve the 36 on. You can see that there
4 are a number of these that are going to be resolved --
5 This schedule shows that by the end of January 1983 he
6 will have resolved all except those that are needed to
7 be done during hot functional testing.

8 The utility earlier today had indicated that
9 in fact the schedule for completion of those is right
10 now aiming more toward the end of December, rather than
11 the end of January 1983.

12 COMMISSIONER AHEARNE: There are no items in
13 your list, other than the order and the Board
14 requirements. There are additional certification
15 things, are there not, that you are checking on?

16 MR. EISENHUT: That are not --

17 COMMISSIONER AHEARNE: That are not in those
18 two bins.

19 MR. EISENHUT: Not officially the
20 certification items, but there are items that we are
21 following up, yes. If I could, I will get to those a
22 little bit later, in just a moment.

23 There are a couple of other things that you
24 don't see from this. There are items that the utility
25 cannot complete until the NRC takes an action also. We

1 sort of have it in a catch-22, where we must approve his
2 technical specifications, for example, in a couple of
3 areas, which constitutes a couple of these items, before
4 he can modify his procedures, before the Region can sign
5 off and complete them.

6 We are trying to be pretty sensitive to those
7 and, again, today, I have asked the utility to identify
8 any of those where we are on the critical path, other
9 than the final sign-off. That is, we are preceding him
10 on any activity that he is doing.

11 COMMISSIONER ROBERTS: You requested that
12 information?

13 MR. EISENHUT: Yes, I have. I have been
14 assured that it is only two or three items. It is a
15 very small amount.

16 The technical resolution, I believe, on all
17 issues has been arrived at, except for something on the
18 order of one or two issues. There are one or two issues
19 where we are still having some discussion with the
20 utility on the certification list.

21 This sort of completes the overall picture of
22 where we believe the utility is and where we believe the
23 staff is on the certification items. We are prepared to
24 talk in some more depth about any of the particular
25 items on the schedule, or aspects if you like.

1 There is, in fact, attached as background to
2 the package a listing of the certification items that
3 are remaining, and it breaks down specifically, item by
4 item, and the various status of where they stand. This
5 is a tracking system we keep, and as an item is
6 completed, we delete it from the list.

7 COMMISSIONER GILINSKY: What is the schedule
8 for steam generator repairs?

9 MR. EISENHUT: The perfect question.

10 Could I have the next slide, please?

11 (Slide.)

12 This is a slide of -- And you really, in front
13 of each bullet, you should think non-certification,
14 because I have deleted the certification items and put
15 them in the previous part of the package.

16 This is a listing of items and everything else
17 that is outstanding. You will notice that the steam
18 generator is the last item. It is the only item on the
19 critical path, and I will get to that in a little more
20 detail in a moment if I could.

21 The full menu of things that are left, you can
22 break down in a number of ways. This is one way we
23 tried to break it down.

24 First, on NUREG-737, it is the
25 non-certification remainder of that document. There are

1 a number of issues in 737 that have not yet been
2 resolved on this plant. I think resolution has been
3 reached on essentially all of those, consistent with the
4 position we are taking on the rest of the operating
5 reactors.

6 COMMISSIONER AHEARNE: Could I get you to
7 address one of them, and that is the one that you
8 highlight --

9 MR. EISENHUT: II.B.2.2 plant shielding.

10 COMMISSIONER AHEARNE: Yes.

11 MR. EISENHUT: Yes.

12 COMMISSIONER AHEARNE: You end up saying, "The
13 Staff has not completed its review of Licensee's
14 justification for operation."

15 MR. EISENHUT: In fact, I think there was a
16 schedule added for that SECY document that indicated
17 that we hope to reach resolution on it by about October
18 8.

19 The item on plant shielding, we have not yet
20 resolved. It is an item that Region I is actually
21 reviewing for us, and we have yet to reach resolution on
22 that issue. It now looks like the schedule is probably
23 a couple of weeks away.

24 CHAIRMAN PALLADINO: Is there anything that
25 you may want to add?

1 MR. JARUSDICKI: There is not much to add,
2 other than the fact that we have started committing some
3 people to looking at that. They have been to the site
4 and there is some more need to follow up on some
5 procedures.

6 COMMISSIONER AHEARNE: Is there something more
7 than the fact that rather than putting in shielding,
8 they decided to go to having instrumentation that
9 enables them to operate the valves separately from the
10 region where the valves are, and that instrumentation is
11 not available in time?

12 MR. JARUSDICKI: Let me try to simplify it.
13 There appears to be a problem when you go to the
14 recirculation mode, and there are four different ways
15 you can do it.

16 If you go through all those four different
17 ways, there are different areas that we have to have
18 access to that we may not have access to because of the
19 source term. If you look and say, I need at least one
20 way of doing it, and not allow the other three ways, the
21 issue can be resolved today because they have shielding
22 for that mode of operation.

23 We, therefore, are saying, all right, how do
24 we distinguish? Do we want all four modes ready and
25 available for restart, or will we be satisfied with one

1 mode of operation and will that be acceptable. So we
2 are working. We know that we have one path of
3 resolution and we will work out the details with them of
4 whether that is acceptable or not to NRR. So I see
5 closure.

6 Now, how long do we defer for allowing the
7 other three modes --

8 COMMISSIONER AHEARNE: Is the acceptability,
9 then, a question of what is the probability that you
10 would need the other three modes?

11 MR. JARUSDICKI: I would have to say, yes, you
12 would have to look at that. As I said, that is
13 something that we need to discuss with NRR.

14 MR. EISENHUT: The ball is in our court as of
15 about two days ago, and we just have not gotten to the
16 point of resolving it yet.

17 MR. JACOBS: It relates to what we think are
18 procedural deficiencies in the procedures to go into
19 recirc. All we want to do is really verify that these
20 are in fact procedural deficiencies that can be
21 corrected before restart.

22 That is really where we are, and it is recent
23 issue that came up, that was not known at the time the
24 SECY paper was written.

25 MR. EISENHUT: The rest of the 737 items, for

1 example, things like reactor water level, we will be
2 handling, as I indicated, very similar to the rest of
3 the operating reactors, and we will be coming to the
4 Commission generically on those requirements. We will
5 handle them in a like manner.

6 The next three bullets here on this chart --

7 CHAIRMAN PALLADINO: On these items, you note
8 in 384 that you are going to ask for approval to defer
9 these four items?

10 MR. JACOBS: Yes, sir, we recommended that for
11 four of the items should be approved for a delay until
12 March 31, 1983, or restart, whichever is earlier.

13 MR. EISENHUT: Remember, the Commission in
14 this case requested that the staff not take action on
15 TMI-1 as we would on other operating reactors. We are
16 preparing the order on other operating reactors, where
17 we are working what we consider reasonable schedules for
18 those particular plants. We have been contacting
19 vendors of equipment to develop what reasonable
20 schedules are.

21 In this case, following a similar fashion, we
22 have requested that the Commission approve deferral of
23 those items until March 31 or restart, whichever is
24 later. It seems like a reasonable date, and it would
25 seem like a very short period of time with the overall

1 schedule that is presently being proposed on this
2 plant.

3 CHAIRMAN PALLADINO: If they start up before
4 March 31, would that require a shutdown to get some of
5 these done to meet the March 31 date?

6 MR. JACOBS: It is possible depending on how
7 far he got on the modification before that time, yes,
8 sir.

9 MR. EISENHUT: However, when you see the
10 overall schedule, it likely is not an impact.

11 The next three items on the slide, as I
12 indicated, really can be broken in a various number of
13 ways. It is really the overall listing of items that
14 are presently pending. I will call them the sort of the
15 classical items that are pending before the Region, and
16 Rich Jurasdicki is going to summarize those items.

17 MR. JARUSDICKI: These items are what we
18 traditionally see on any plant, just like we saw on
19 Susquehannah. We have appraisals. We have health
20 physics appraisals that were done, the emergency
21 planning appraisals. They are follow up items that need
22 to be closed out as a result of an inspection, I&E
23 bulletins.

24 Licensee make commitments to schedules, and
25 most of these I&E bulletins were schedules for long

1 outage, like the masonry wall problem. They have been
2 done, so we are closing them out. If an inspector has
3 to go back and check a certain item, he will put that on
4 this list. These types of items we have to have closed
5 prior to restart.

6 The outstanding inspection items relate to
7 appraisals and routine inspections. Outstanding LERs
8 require follow-up reports by licensees and the
9 inspectors, and the Region follows up on those. The I&E
10 follow-up, again, is commitments by the licensee that we
11 are following up, and again closing them out.

12 Miscellaneous technical specifications, as
13 Darrell also mentioned earlier, general result in
14 changes in procedures that we then follow up to make
15 sure that they are properly implemented, and that the
16 people are trained to follow the new procedures.

17 These are not something that is radically
18 different from any plant. I do see an abnormal number
19 of these items on TMI. It is pretty much what we had
20 experienced in Susquehannah.

21 MR. EISENHUT: The last item item on the first
22 part there, the number of miscellaneous technical
23 specification, there are a number of items that we need
24 to follow up. The sort of standard clean-up items in
25 the tech specs, really nothing significant in that

1 group.

2 The last item on the slide is the only item
3 that is in a direct way on the critical path of the
4 licensee's estimate of plant readiness.

5 If I could have the last slide.

6 (Slide.)

7 COMMISSIONER AHEARNE: You have reviewed and
8 approved the approach that has been used?

9 MR. EISENHUT: We have, in fact, reviewed and
10 we have not yet issued the approval for the utility to
11 go forth with the expansion process. That is, in fact,
12 due to be issued very shortly. The utility's estimate,
13 as of today, his estimate for when he would begin the
14 repair operation, is about October 15th. He would not
15 be ready by then. Our evaluation will certainly be
16 issued by then.

17 Legitimately speaking, it is not an approval
18 of them to do the repair operation. The approval
19 actually comes prior to restart. We approve that they
20 have actually undergone a repair operation, and that
21 that operation will in fact accomplish its purpose. We
22 have done a limited review to ensure that this operation
23 has a reasonable likelihood of doing that.

24 COMMISSIONER AHEARNE: Clearly, if you had
25 found problems with the approach they are taking, you

1 would have --

2 MR. EISENHUT: Absolutely.

3 COMMISSIONER AHEARNE: Do I gather your
4 conclusion is that you have not identified any
5 problems.

6 MR. EISENHUT: We have not identified any
7 problem. In fact, the explosive expansion process is
8 one that has been done on thousands of tubes.

9 CHAIRMAN PALLADINO: It is what?

10 MR. EISENHUT: It has been done on thousands
11 of tubes literally before, and we have high confidence
12 that it can be done.

13 CHAIRMAN PALLADINO: Successfully?

14 MR. EISENHUT: Successfully.

15 COMMISSIONER AHEARNE: These are thousands of
16 tubes in how many plants?

17 MR. EISENHUT: It is hard to say. A number of
18 those are not commercial power plants. So it is over a
19 number of facilities. There have also been --

20 CHAIRMAN PALLADINO: Nuclear facilities?

21 MR. EISENHUT: Some are nuclear facilities,
22 some are not.

23 MR. JACOBS: I might add that Combustion
24 Engineering uses this process in all their initiation
25 fabrication, an explosive expansion process, to close

1 the gaps between the tubes and the tube-sheets.

2 MR. EISENHUT: It is a variation of it.

3 COMMISSIONER ROBERTS: It works in
4 manufacturing.

5 MR. JACOBS: Not in repair.

6 MR. EISENHUT: It is a variation of that
7 process, but it is very similar.

8 There also has been some extensive tests that
9 have been run to demonstrate that this process in fact
10 can work.

11 CHAIRMAN PALLADINO: In steam generators?

12 MR. EISENHUT: In steam generators, yes.

13 CHAIRMAN PALLADINO: With effect now? In
14 position?

15 MR. EISENHUT: Yes.

16 CHAIRMAN PALLADINO: You said that you had
17 made a preliminary, it sounded like a tentative
18 analysis.

19 MR. EISENHUT: No, it is not meant to be. It
20 is meant to be the subtlety that we go through, sort of
21 the legalisms. It is not an approval, but it is a
22 review. We have done a review in enough depth into the
23 process to see that the process can be done. As the
24 Commissioner indicated, we have done enough of a review
25 to say, stop, if in fact we thought there was any

1 question about the process.

2 Technically, it is not the approval because
3 the approval actually entails that it can work and it
4 has done so properly. So the approval will come prior
5 to a restart decision, and that is the only
6 tentativeness.

7 CHAIRMAN PALLADINO: But you are satisfied.
8 You have gone in enough depth to know whether there are
9 problems to be faced.

10 MR. EISENHUT: Yes, we have, and that
11 evaluation will be issued very shortly.

12 The utility would start the repair operation
13 on October 15. He would be completing the repairs
14 something toward the end of the year. As you can see,
15 his proposed schedule would end up with a completion
16 date in February, which is the end of the process, since
17 this is in fact on the critical path.

18 COMMISSIONER AHEARNE: Do you think that that
19 is realistic?

20 MR. EISENHUT: Our estimate at the bottom is
21 that we are shooting more -- We think that it is will be
22 closer to a March/April timeframe.

23 COMMISSIONER AHEARNE: You say, "Staff's
24 optimistic estimate of schedule."

25 MR. EISENHUT: Yes. We don't think it can

1 really be --

2 COMMISSIONER AHEARNE: Let me back up and say,
3 what do you think is your realistic estimate?

4 MR. EISENHUT: I don't know whether there is
5 any -- We think this is the earliest it can be. If they
6 run into difficulties, it would be later, depending upon
7 those difficulties. It is really hard to speculate
8 beyond that.

9 We really think that this is the earliest
10 timeframe that this can all be accomplished, and that is
11 why the March 1983 date for completion of the other
12 items. I believe, from a practical standpoint, they
13 will essentially coincide.

14 COMMISSIONER AHEARNE: Optimism in schedules
15 around usually means that it run out by many months.

16 MR. EISENHUT: Having had the opportunity to
17 reflect on this slide, I would have deleted that word.

18 COMMISSIONER AHEARNE: But it still would have
19 been an optimistic estimate, though, would it not?

20 MR. EISENHUT: No. Characterized, I think the
21 Staff believes it is about as early as it can be
22 accomplished.

23 MR. JACOBS: I think for the mode that he
24 would go through to complete his repairs and to get
25 ready for operation, the schedule is realistic, but it

1 doesn't include contingencies if he runs into a major
2 problem. That is the reason that it is stated as being
3 optimistic.

4 MR. EISENHUT: As I said, I would have deleted
5 the word from the slide, had I had time to read the
6 slide.

7 That basically concludes our presentation. We
8 are prepared to address any of the items in some more
9 detail as concerns the schedule or aspects.

10 COMMISSIONER AHEARNE: Let me just ask about
11 another item on that steam generator. Do you have in
12 mind any specific requirements on its operation and
13 subsequent verification?

14 Have you reached a conclusion on the
15 procedures that you will require, or is that something
16 they propose and you accept it?

17 MR. EISENHUT: I don't think that we are at
18 that point yet. I think that is really where we are.
19 There would very likely be some additional --

20 COMMISSIONER AHEARNE: Where will the approval
21 be with that? Will that be in the Region?

22 MR. EISENHUT: It will be in headquarters.
23 The approval for restart after the repair will be based
24 upon several pieces of information, including
25 information from the Region, information from the

1 utility, based on inspections. We will put it all
2 together, and I would expect that we will come up with
3 some special requirements.

4 COMMISSIONER AHEARNE: I am just trying to
5 make sure that I can get a sense of it. Do you expect
6 the utility will propose: here is how we intend to
7 verify that this repair process was satisfactory.

8 MR. JACOBS: Yes.

9 COMMISSIONER AHEARNE: There will be a set of
10 tests which NRR would then agree, yes, those are
11 adequate tests?

12 MR. JACOBS: Before you get to hot functional
13 testing, there is a series of tests you have to do,
14 which involve the hydro, probably some probalistic gas
15 leak tests to verify the leak tightness.

16 What we are really concerned about is what
17 happens when it is repaired -- We are not really
18 concerned, but what we all want to know is what happens
19 to the repair in an operating condition, and hot
20 functional testing is as close as you can get to
21 simulated operating condition and doing it in a safe
22 manner. If problems are going to show up, we would
23 expect them to show up in that time.

24 With regard to specific tests, it would be in
25 terms of monitoring leak rates and those kinds of

1 things. We wouldn't be proposing to put the plant
2 through any type of major transients to do it, though.

3 COMMISSIONER AHEARNE: Have you thought
4 through whether you would require a longer period during
5 hot functional testing?

6 MR. JACOBS: Yes, we have. We have been
7 working very closely with the Licensee. He has been
8 incorporating some of our concerns, and as part of that,
9 I think, he is proposing right now about a 30-day hot
10 functional testing.

11 Then, even following a restart condition, we
12 would probably expect only short periods of operation,
13 and then come back down and verify with anti-current
14 testing, that kind of thing. He is generally in
15 agreement with that type of strategy.

16 MR. EISENHUT: We have not reached the bottom
17 line of what those things will look like.

18 CHAIRMAN PALLADINO: As GPU proposed and you
19 reviewed the program for assuring the quality assurance
20 in this repair process?

21 MR. JACOBS: Yes, sir. Part of their
22 evaluation was to demonstrate how they were proposing
23 quality controls and procedures for doing the
24 expansion.

25 CHAIRMAN PALLADINO: Do you approve their QA

1 program?

2 MR. JARUSDICKI: The specific QA program, no,
3 sir.

4 MR. EISENHUT: The overall approval process
5 has not -- I mean, we have not reached the point yet.
6 It is in the very near future. In fact, we are still
7 putting together the final evaluation.

8 CHAIRMAN PALLADINO: Don't you approve the QA
9 program?

10 MR. EISENHUT: It is not really a QA program
11 per se for this, but it is: How do you know there is a
12 quality job being done on the generator.

13 CHAIRMAN PALLADINO: I don't mean only
14 confirming that it has been done, but how do they assure
15 that it is being done properly, making sure that he has
16 the proper QA?

17 MR. JACOBS: During the time that he is doing
18 the expansion, we are going to have people on site
19 monitoring the process. We also have one of our
20 contractors reviewing the procedures he is using to
21 conduct the expansions. Also, as we said, any problems
22 that should show up, are going to show up in a leak
23 testing mode or a hot functional testing mode.

24 I might add that he is not just running off
25 and doing this in his steam generator. He has been

1 doing extensive testing on a steam generator at Mount
2 Vernon, Indiana, which is a full steam generator. It is
3 a TMI-1 type steam generator. He has been conducting
4 similar procedures to consider ALARA concepts, and a
5 number of other concerns, following the exact procedures
6 he would use in his steam generator.

7 CHAIRMAN PALLADINO: Are there any inspection
8 methods that are used as a certain number of tubes are
9 done, to make sure that the bond is effective?

10 MR. JACOBS: In the early part of it, he
11 intends to do a test on tubes in the generator, and to
12 conduct the expansions, and then verify with
13 profilometry and anti-current testing, and all kind of
14 testing.

15 He is incorporating in the process quality
16 checks, where he would stop at various periods and look
17 at whether he is doing the repairs the way he should
18 be.

19 COMMISSIONER GILINSKY: The Chairman's
20 previous question, it seems to me, is an interesting
21 one, not only for the case of TMI but all reactors. Did
22 we, anywhere along the way, specifically address the
23 question of the Licensee's QA program, and convince
24 ourselves or decide that we were satisfied?

25 MR. EISENHUT: For steam generator

1 activities?

2 COMMISSIONER GILINSKY: For steam generator
3 activities, or more generally for the general
4 refurbishing of the plant?

5 MR. JACOBS: Yes, sir.

6 COMMISSIONER GILINSKY: Who did that?

7 MR. JACOBS: The quality assurance plan was
8 submitted to NRR for review. It was a subject in the
9 hearing. The implementation of the quality assurance
10 plan is being reviewed by Region I by inspection.

11 MR. EISENHUT: For all plants, there are in
12 fact detailed quality assurance plans.

13 COMMISSIONER GILINSKY: I know that we review
14 these plans, paper plans, but to what extent have we
15 made a determination that we have a functioning QA
16 organization that is adequate to the job. This applies
17 not only to TMI, but --

18 MR. JARUSDICKI: TMI is not being treated
19 differently. They still have QC inspectors. They have
20 QC organization. They still have to do their
21 double-checking. There is the papertrail they have to
22 follow, but they also still have to have their
23 requirements for their own people to follow their own
24 procedures.

25 So I would think that quality is both the QC

1 people coming along and looking at the quality of work
2 being done, and do you judge the quality of the work
3 being done is by what kind of effort has gone into
4 preparing the procedures to do the job properly.

5 COMMISSIONER GILINSKY: It doesn't sound to me
6 like anywhere along the way we have said: Yes, the
7 quality assurance program is functioning as it should.
8 But rather the opposite, that a number of problems
9 accumulate --

10 MR. JACOBS: There has been a quality
11 assurance inspection on TMI-1 to verify that the proper
12 implementer was kosher. There may be some
13 outstanding items, but I am not sure if Region I can
14 address those.

15 There has been a specific quality assurance
16 inspection on TMI-1.

17 MR. JARUSDICKI: We have had inspectors from
18 Region 1 whose sole job is looking at quality assurance
19 programs. They have been to TMI-1 throughout the course
20 of the year. So that should answer your question.
21 However, I would like to go a step further and say that
22 that is not where quality stops with us.

23 We still go beyond the program and what those
24 inspectors look at. I have not seen an enforcement
25 history or a problem with the quality of the work or the

1 quality control program.

2 So from a programmatic standpoint, we have
3 people looking at it. From looking at what the
4 inspectors are finding, I see no problems. So I have to
5 say, yes, there has been a program. NRR has looked at
6 it. It has been applied in the field, and we are
7 satisfied with it.

8 COMMISSIONER GILINSKY: Because they have not
9 turned up problems to a degree where it would cause you
10 concern.

11 MR. EISENHUT: That is implicitly what it is.
12 In fact, generally what surfaces, so to speak, at either
13 operating reactor or at OLS is where problems elevate
14 themselves and surface that here is a demonstration of a
15 history with some problems. Generally that is where we
16 really start refocusing on it, certainly in
17 headquarters.

18 That, basically, completed the items that we
19 were planning to summarize. This is the kind of
20 schedule we are looking at. We have committed that we
21 are putting on whatever resources it takes to continue
22 to process the approval of the remaining 64 items. We
23 don't really think, even though the number is getting
24 pretty intense --

25 COMMISSIONER AHEARNE: I assume that you mean

1 by, to continue your process, reviews of the remaining
2 64 items before they get approval.

3 MR. EISENHUT: Requests for approvals, yes.
4 In fact, some have run into difficulty, and some are
5 continuing to.

6 We will continue to process those, though. The
7 density of them, so to speak, is getting greater per
8 month as we get closer to the end of the line.

9 CHAIRMAN PALLADINO: Darrell, you earlier
10 referred to your indication that you wanted our approval
11 to defer four items. Then I wonder what part do we
12 Commissioners play, if any, in approval of the 129, if I
13 can remember the number.

14 COMMISSIONER AHEAPNE: Go ahead, Darrell.

15 MR. EISENHUT: What I wanted to say earlier
16 is, the reason the SECY document came down requesting --
17 and it was written as proposing -- was because it was
18 our understanding that was the mode the Commission
19 wanted to be in. That is, you wanted us to put it in a
20 recommended mode on this plant, so you could take the
21 final action.

22 Concerning the certification items, we are
23 required to certify to the Commission the completion of
24 129 items. Then you would include that in your overall
25 decision. That is basically why the language here is a

1 little different than it normally would be.

2 CHAIRMAN PALLADINO: The reason I raise the
3 question, it seems to me you have asked for specific
4 approval for the deferral of these four items.

5 COMMISSIONER AHEARNE: Those are the 737
6 items. They are outside.

7 CHAIRMAN PALLADINO: Are there any other
8 questions from the Commissioners?

9 (No response.)

10 CHAIRMAN PALLADINO: I gather that this
11 completes the status report. We will agree on deferral
12 on the items affecting TMI-1 restart. Thank you all.

13 (Whereupon, at 3:40 p.m., the meeting
14 adjourned.)

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
COMMISSION MEETING

In the matter of: Status of Staff Certification on Licensee
Compliance with Restart Requirement on TMI-1

Date of Proceeding: October 6, 1982

Docket Number: _____

Place of Proceeding: WASHINGTON, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Patricia A. Minson

Official Reporter (Typed)

Patricia A. Minson

Official Reporter (Signature)

COMMISSION BRIEFING

OCTOBER 6, 1982

TMI-1 STATUS

D. G. EISENHUT
49-27572

OUTLINE

- CERTIFICATION PLAN
- STATUS OF CERTIFICATION
- SUMMARY - CERTIFICATION ITEMS
- SCHEDULE FOR COMPLETION
- OTHER ITEMS TO BE COMPLETED BEFORE RESTART
- OVERALL PLANT STATUS AND SCHEDULE
- ATTACHMENT
 - CERTIFICATION ITEMS REMAINING

CERTIFICATION PLAN

- CERTIFICATION LIMITED TO SHORT TERM REQUIREMENTS AS IDENTIFIED IN AUGUST 9, 1979 AND MARCH 8, 1980 ORDERS AND BOARD IMPOSED SHORT TERM REQUIREMENTS
- CERTIFICATION PREREQUISITES
 - LICENSEE MUST HAVE FULLY COMPLETED
 - REGION I, IE, OR NRR WILL INSPECT OR VERIFY COMPLETION WITH ALL OUTSTANDING ISSUES RESOLVED

STATUS OF CERTIFICATION

- OF 129 CERTIFICATION ITEMS, 65 TOTALLY COMPLETE AS OF 9/23/82
- OF 64 ITEMS NOT YET COMPLETE, 4 REQUIRE POWER OPERATION, 6 REQUIRE HOT FUNCTIONAL TESTING (HFT) AND 2 OTHERS REQUIRE VERIFICATION AT TIME OF RESTART
- OF 52 REMAINING ITEMS
 - 19 ARE READY FOR REGION I INSPECTION
 - 22 REQUIRE GPU ACTION WITH SUBSEQUENT INSPECTION/
REVIEW BY REGION I/NRR OR IE
 - 6 REQUIRE NRR ACTION WITH POSSIBLE FOLLOWUP ACTION BY GPU
AND REGION I
 - 5 REQUIRE IE VERIFICATION
- ALL CERTIFICATION ITEMS EXCEPT THOSE REQUIRING CHANGE IN PLANT CONDITIONS COULD BE COMPLETED BY JANUARY 1983

SUMMARY
CERTIFICATION ITEMS

I. AUGUST 9, 1979 ORDER
SHORT TERM ITEMS

1. EFW RELIABILITY .
2. IE BULLETINS
3. EMERGENCY PREPAREDNESS
4. SEPARATION OF TMI-1/2
5. WASTE MANAGEMENT
6. MANAGERIAL CAPABILITY
7. FINANCIAL QUALIFICATIONS
8. CATEGORY "A" LESSONS LEARNED

II. ASLB IMPOSED REQUIREMENTS
(SHORT TERM)

- A. MGMT PID
- B. PLANT DESIGN PID
- C. EMERGENCY PLANNING PID.
- D. CHEATING PID

TOTALS

# OF ITEMS	UTILITY		NRC REVIEW	
	COMPLETE	NOT COMPLETE	COMPLETE	NOT COMPLETE
19	13	6	12	7
24	20	4	19	5
1	1	0	1	0
7	7	0	1	6
2	1	1	1	1
12	10	2	9	3
N/A				
21	15	6	10	11
10	6	4	4	6
21	14	7	7	14
8	6	2	1	7
4	0	4	0	4
-129	93	35	65	54

SCHEDULE FOR COMPLETION OF CERTIFICATION

OF 64 REMAINING CERTIFICATION ITEMS:

	<u>UTILITY</u>	<u>NRC</u>
OCTOBER 1982	7	12
NOVEMBER 1982	14	15
DECEMBER 1982	2	19
JANUARY 1983	2	6
HFT	6	6
RESTART/POWER ESCALATION TESTING	<u>5</u>	<u>6</u>
	36	64

OTHER ITEMS TO BE COMPLETED PRIOR TO RESTART

- NUREG-0737 (SEE SECY-82-384)
- OUTSTANDING IE INSPECTION ITEMS
- RESOLUTION OF OUTSTANDING LERs
- IE BULLETIN FOLLOWUP
- MISCELLANEOUS TECHNICAL SPECIFICATIONS

ONLY ITEM ON CRITICAL PATH

- STEAM GENERATOR REPAIRS

OVERALL PLANT STATUS/SCHEDULE

- OTSG REPAIRS CONTROLLING PLANT RESTART READINESS
- STEAM GENERATOR RECOVERY SCHEDULE
 - START OF EXPLOSIVE EXPANSION REPAIRS 10/82
 - COMPLETION OF REPAIRS/OTSG CLEANUP/LEAK TESTING 12/82
 - PLANT AVAILABLE FOR POST REPAIR/PRECRITICAL TESTING 12/82
 - REMAINING ACTIONS
 - RCS CLEANUP I.E., DESULFURIZATION (MAJOR POTENTIAL SCHEDULE IMPACT)
 - HOT OPERATIONS AND SUBSEQUENT ECT TO VERIFY REPAIR ACCEPTABILITY 1/83 (EST.)
 - POTENTIAL FURTHER REPAIR
 - OPTIMISTIC COMPLETION DATE 2/83
- STAFF OPTIMISTIC ESTIMATE OF SCHEDULE
 - HOT OPERATIONS 1/83
 - PLANT READY FOR CRITICALITY MARCH/APRIL 1983

CERTIFICATION ITEMS
REMAINING

MI-1 RESTART CERTIFICATION STATUS - ITEMS REMAINING
 AUGUST 9, 1979 ORDER REQUIREMENTS

ITEM	DESCRIPTION	ITEM TYPE	LICENSEE STATUS	INSPECTION/REVIEW STATUS	ESTIMATED COMPLETION/REMARKS
SHORT TERM					
ORDER ITEM 1					
	EFW RELIABILITY				
A-1	AUTO INITIATION OF EFW	MOD	COMPLETE	COMPLETE	EXCEPT POWER ESCALATION TESTING
A-3	AUTO EFW LOAD ON DIESELS	MOD	COMPLETE EXCEPT TESTING	PARTIALLY COMPLETE	TESTING DURING HFT
A-4	EFW TECH SPECS	TECH SPECS	PROCEDURE DRAFTED	PARTIALLY COMPLETE	12/82
A-8	EFW AUTO START ANNUNCIATION	MOD	COMPLETE	COMPLETE	EXCEPT POWER ESCALATION TESTING
ADDITIONAL ITEMS					
1	RELIABILITY ANALYSIS				
	CWST LEVEL ALARM	MOD	IML ITEMS - EST. 11/82	PARTIALLY COMPLETE 12/82	12/82
6	EFW INITIATION INDEPENDENT OF AC	MOD	REWORK IN PROGRESS EST. 10/82	PARTIALLY COMPLETE	11/82 EXCEPT HFT
8	CROSS-TIE BREAK	ANALYSIS	COMPLETE	NON-DESTRUCTIVE EXAM RECORDS REVIEW SCHEDULED 12/82	12/82
ORDER ITEM 2					
	IE BULLETINS				
9-05A-2	PLANT TRANSIENT REVIEW	INSPECTION	COMPLETE	SCHEDULED 12/82	12/82
9-05A-5	VALVE POSITION REVIEW	PROCEDURES	--	--	VALVE LINEUP VERIFICATION AT TIME OF RESTART
9-05A-6	CONTAINMENT ISOLATION	MOD	SEE ORDER ITEM 8 2.1.4	SEE ORDER ITEM 8 2.1.4	
9-05B-5	ANTICIPATORY REACTOR TRIP (SAFETY GRADE)	MOD	COMPLETE	COMPLETE	EXCEPT POWER ESCALATION TESTING

ITEM	DESCRIPTION	ITEM TYPE	LICENSEE STATUS	INSPECTION/REVIEW STATUS	ESTIMATED COMPLETION/REMARKS
DER ITEM 4	SEPARATION OF TMI-1 & 2				
	A) LIQUID RADWASTE - INTERCONNECTION ISOLATION	MOD	COMPLETE	SCHEDULED 10/82	10/82
	B) GASEOUS RADWASTE - LEAK TEST OF WASTE SYSTEM	TEST	COMPLETE	SCHEDULED 10/82	10/82
	- FUEL HANDLING BUILDING ISOLATION	MOD	COMPLETE	SCHEDULED 10/82	10/82
	- FUEL HANDLING BUILDING VENTILATION SYS. MOD.	MOD	COMPLETE	SCHEDULED 10/82	10/82
	C) SOLID RADWASTE - TMI-1/2 TRASH SEGREGATION PROCEDURES	PROCEDURES	COMPLETE	SCHEDULED 10/82	10/82
	D) SAMPLING SYSTEM - INDEPENDENT TMI-2 SAMPLING SYSTEM	MOD	COMPLETE	SCHEDULED 10/82	10/82
DER ITEM 5	WASTE MANAGEMENT				
	B) SOLID RADWASTE - LOW ACTIVITY STOR. EXPANSION	MOD	COMPLETE	SCHEDULED 10/82	10/82
DER ITEM 6	MANAGERIAL CAPABILITY				
	C) HEALTH PHYSICS - QUALIFICATION RECORDS	TRAINING	COMPLETE	PARTIALLY COMPLETE	11/82
	D) NUREG-0694 ITEMS - 11, B, 4 TRAINING RECORDS FOR MITIGATING CORE DAMAGE	TRAINING	PARTIALLY COMPLETE EST. 12/82	PARTIALLY COMPLETE	1/83
	E) INSPECTORS VIEWS - RESOLVE INSP. FINDINGS IN NUREG-0680	INSPECTION	PARTIALLY COMPLETE EST. 10/82	PARTIALLY COMPLETE	12/82

ITEM	DESCRIPTION	ITEM TYPE	LICENSEE STATUS	INSPECTION/REVIEW STATUS	ESTIMATED COMPLETION/REMARKS
ORDER ITEM 8	LESSONS LEARNED-SHORT TERM				
1.1.1	EMERGENCY POWER SUPPLY -PRESSURIZER HEATERS	Mod	COMPLETE	PARTIALLY COMPLETE	11/82
1.1.3A	VALVE POSITION INDICATION	Mod	COMPLETE	PARTIALLY COMPLETE	11/82
1.1.3B	INADEQUATE CORE COOLING -EXISTING INSTRUMENTATION & SATURATION METER	Mod	COMPLETE EXCEPT TESTING	PARTIALLY COMPLETE	10/82 EXCEPT IFT
1.1.4	CONTAINMENT ISOLATION	Mod	TESTING EST. 11/82	PARTIALLY COMPLETE	12/82
1.1.7B	EFW FLOW INDICATION (CONTROL GRADE)	Mod	IVM ITEMS EST. 10/82	SCHEDULED 11/82	LICENSEE INSTALLING SAFETY GRADE INST. BY 11.E.1.2 - 11/82
1.1.8B	RADIATION MONITORS (CONTROL GRADE)	Mod			LICENSEE INSTALLING FINAL MONITORS BY 11.F.1 - 1/83
	A) HI RANGE RADIATION MONITORS		IVM ITEMS-EST. 1/83	SCHEDULED 1/83	
	B) NOBLE GAS MONITORS		IVM ITEMS-EST. 1/83	SCHEDULED 1/83	
	C) RADIOIODINE/PARTICULATE MONITORS		IVM ITEMS-EST. 11/82	SCHEDULED 12/82	
1.1.8C	IODINE INSTRUMENTATION	Mod	COMPLETE	SCHEDULED 11/82	11/82
1.2.1C	SHIFT TURNOVER	PROCEDURE	COMPLETE	SCHEDULED 11/82	11/82
1.2.2B	ONSITE TECH SUPPORT CENTER	Mod	COMPLETE	PARTIALLY COMPLETE	10/82

II. ASLB IMPOSED REQUIREMENTS

PID ITEM	DESCRIPTION	LICENSEE STATUS	INSPECTION/REVIEW STATUS	ESTIMATED COMPLETION/REMARKS
<u>A. MANAGEMENT FINDINGS - AUGUST 27, 1981 PID</u>				
II.D.	ACCURACY OF MAINTENANCE RECORDS	PARTIALLY COMPLETE EST. 11/82	PARTIALLY COMPLETE	12/82
II.M	5. BIDS AND SPECS FOR TMI-1 REPLICATE SIMULATOR	10/82 STATUS REPORT PREPARE BIDS/ISSUE SPECS.	PENDING	4/82 PREPARE BIDS/ISSUE SPECS. 10/82 FIRST OF LICENSEE ANNUAL REPORTS ON PROGRESS-EST. 12/82
	6. CONTRACT FOR BASIC PRINCIPLES TRAINER TO BE INSTALLED IN 1982	INSTALLED-1983 CONTRACT COMPLETE	PENDING	12/82
	7. EMERGENCY DIRECTOR/SUPPORT DIRECTOR TRAINING	PARTIALLY COMPLETE EST. 12/82	PENDING	1/83
	9. (A)-(G), LICENSEE CONDITIONS FOR SHIFT MANNING	COMPLETE	SCHEDULED AT RESTART	AT TIME OF RESTART, LICENSE CONDITION
	10. (A)-(C), MANAGEMENT SYSTEM TO PERFORM SPECIFIC FUNCTIONS RELATED TO OPERATING EXPERIENCE INFORMATION	COMPLETE	PARTIALLY COMPLETE	11/82

B. PLANT DESIGN, MODIFICATION AND PROCEDURES FINDINGS - DECEMBER 14, 1981 PID

II.C	STAFF REVIEW REVISED ATOG PROGRAM (PARA. 721)	GENERIC PROGRAM SUBMITTED	UNDER NRR REVIEW	CERTIFY REASONABLE PROGRESS-EST. 10/82
II.E	PRESSURIZER HEATERS DEMONSTRATE RCS PRESSURE CONTROL w/HPI (PARA. 755)	11/82 SUBMITTAL TO REG. 1	PENDING	12/82
II.K	COMPUTER -OPERATOR RELIANCE ON COMPUTER (PARA. 865)	COMPLETE	PENDING	10/82
	-INCORE THERMOCOUPLE BACKUP DISPLAY (NOT SAFETY GRADE) (PARA. 867)	COMPLETE EXCEPT TESTING	PENDING	LICENSE CONDITION BEFORE 5% POWER-HFT

ITEM	DESCRIPTION	LICENSEE STATUS	INSPECTION/REVIEW STATUS	ESTIMATED COMPLETION/REMARKS
I.M	SAFETY SYSTEM STATUS PANEL -SYSTEM STATUS ADMIN. CONTROLS (PARA. 904)	COMPLETE	PARTIALLY COMPLETE	11/82
I.N	CONTROL ROOM DESIGN -CORRECT NUREG-0752 DEFICIENCIES (PARA. 914-915)	IWL ITEMS-10/82	PARTIALLY COMPLETE 10/82	SHORT-TERM 10/82, LT DEFICIENCIES 1ST REFUEL AFTER RESTART (LICENSE CONDITION)
I.O	ADDITIONAL LOCA ANALYSIS -INSTALL NPI CAVITATING VENTURIS (PARA. 943)	COMPLETE EXCEPT TEST	COMPLETE EXCEPT TEST	HFT
I.P	SYSTEMS CLASSIFICATION -UPGRADE PRESSURIZER LEVEL INST. POWER SUPPLIES (PARA. 1001)	COMPLETE	SCHEDULED 12/82	12/82
I.Q	EFW RELIABILITY			
	A) EFW CAVITATING VENTURIS	COMPLETE EXCEPT TESTING	COMPLETE EXCEPT TESTING	HFT
	-PROPOSE MEANS TO PREVENT EFW ISOLATION DUE TO RUPTURE DETECTION SYSTEM FAILURE (PARA. 1064)	COMPLETE	NRR REVIEW PENDING	CERTIFY REASONABLE PROGRESS- EST. 10/82
I.S	BOARD QUESTIONS NUREG-0694 ITEMS (PARA. 1132)			
	-I.G.1-LOW POWER TESTING	PARTIALLY COMPLETE	NRR REVIEW PENDING	DURING LOW POWER TESTING
I.T	EQUIPMENT QUALIFICATION -SIX BOARD CONDITIONS CONCERNING MATERIAL AGING & OTHER EQ ITEMS (PARA. 1163 & 1168)	SUBMITTED RESPONSE	UNDER NRR REVIEW	11/82; LICENSE CONDITION FOR 3 ITEMS PRIOR TO EXCEEDING 5% POWER
	-STAFF REVIEW FLOOD LEVEL CALCULATIONS (PARA. 1174)	COMPLETE	NRR REVIEW PENDING	11/82

ITEM	DESCRIPTION	LICENSEE STATUS	INSPECTION/REVIEW STATUS	ESTIMATED COMPLETION/REMARKS
C.	SEPARATION OF TMI-1 AND TMI-2 FINDINGS- DECEMBER 14, 1981			
III.B	-VENTILATION SEPARATION PROGRAM (PARA. 1267)	TEST COMPLETE SUBMITTAL 10/82	NRR REVIEW PENDING	12/82
D.	EMERGENCY PLANNING FINDINGS			
IV.L BOARD CONDI- TIONS	CONCLUSIONS PARAGRAPH 2010			
	A. EMERGENCY SUPPORT DIRECTOR STAFFING IN EOP PRIOR TO FULL EMERGENCY SUPPORT ORGANIZATION ARRIVAL (PARA. 2010(A))	COMPLETE	PENDING	11/82
	B. STAFF REVIEW COUNTY EP BROCHURES AND FEMA EP PAMPHLET AND ADVISE COMMISSION OF IMPACT OF CHANGES	COMPLETE	FEMA REVIEW COMPLETE NRC ADVISE COMMISSION	11/82
	C. FEMA PAMPHLET AND COUNTY BROCHURE DISTRIBUTION TO POPULACE IN EPZ	COMPLETE	PENDING	11/82
	D. PUBLIC INFORMATION BROCHURE DISTRIBUTION TO TRANSIENT LOCATIONS	EST. 11/82	PENDING	12/82
	E. LICENSEE TO CONDUCT EP BRIEFINGS TO MAJOR EMPLOYERS AND OPERATORS OF TRANSIENT LOCATIONS. BRIEFINGS TO BEGIN PRIOR TO RESTART	SCHEDULED 11/82	PENDING	12/82
	F. STAFF CERTIFY SATISFACTORY COMPLETION OF SIREN SYSTEM TESTING	COMPLETE	FEMA REVIEW COMPLETE STAFF REVIEW 11/82	11/82
	H. CERTIFY TO COMMISSION THAT EPZ SCHOOL PLANS ARE COMPLETE	N/A	FEMA REVIEW COMPLETE ADVISE COMMISSION 12/82	12/82
E.	REOPENED PROCEEDING ON CHEATING-JULY 27, 1982			
	PARAGRAPH 2421			
	2) LICENSEE ESTABLISH CRITERIA FOR QUALIFICATIONS OF TRAINING INSTRUCTORS	EST. 11/82	PENDING	1/83

ITEM

<u>DESCRIPTION</u>	<u>LICENSEE STATUS</u>	<u>INSPECTION/REVIEW STATUS</u>	<u>ESTIMATED COMPLETION/REMARKS</u>
3) LICENSEE IMPLEMENT INTERNAL AUDITING PROCEDURE ON TRAINING AND TESTING PROGRAM TO BE COMPLETED BY MANAGER OF TRAINING AND SUPERVISOR OF TRAINING	Est. 11/82	PENDING	12/82
4) LICENSEE IMPLEMENT A PROCEDURE FOR SAMPLING AND REVIEW OF EXAM ANSWERS TO DETECT CHEATING. REVIEW PROCESS TO BE APPROVED BY NRC	Est. 11/82	PENDING	1/83
5) UNTIL FURTHER ORDER, G. MILLER'S PARTICIPATION IN STARTUP/TESTING/ OPERATION OF TMI-1 TO BE SUPERVISED BY GPUNIC OFFICIAL	10/82	PENDING	11/82