

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, November 5, 2019

Work Order No.: NRC-0676

Pages 1-133

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

PLANT LICENSE RENEWAL SUBCOMMITTEE

+ + + + +

TUESDAY

NOVEMBER 5, 2019

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B2, 11545 Rockville Pike, at 8:30 a.m., Matthew W. Sunseri, Chairman, presiding.

COMMITTEE MEMBERS:

- MATTHEW W. SUNSERI, Chairman
- PETER RICCARDELLA, ACRS Chairman
- RONALD G. BALLINGER, Member
- CHARLES H. BROWN, JR., Member
- VESNA B. DIMITRIJEVIC, Member
- JOSE MARCH-LEUBA, Member
- WALTER L. KIRCHNER, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ACRS CONSULTANT:

STEPHEN SCHULTZ

DESIGNATED FEDERAL OFFICIAL:

KENT HOWARD

STAFF PRESENT:

BENNETT BRADY

LAUREN GIBSON

MEL GREY

JUSTIN HEINLY*

ALLEN HISER

JOEL JENKINS

MEENA KHANNA

SCOTT KREPEL

KEVIN MANGAN

ERIC OESTERLE

BILL ROGERS

MO SADOLLAH

1 ALSO PRESENT:

2 JAMES BROWN, Exelon

3 RON DiSABATINO, Exelon

4 DAVID DISTEL, Exelon

5 MICHAEL GALLAGHER, Exelon

6 ANNA KRAUSE, Exelon

7 JULIAN LAVERDE, Exelon

8 ALEX PSAROS, Exelon

9 PAUL WEYHMULLER, Exelon

10

11 *Present via telephone

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

Opening Remarks 5

Staff Remarks 7

Exelon Generation Company, LLC Presentation

 Overview 11

 GALL Consistency and Commitments 22

 Technical Topics 37

 Closing Remarks 52

NRC Staff Presentation

 Overview of Peach Bottom Units 2 and 3

 Subsequent License Renewal Review 61

 Selected Technical Topics 80

 Regional Inspection Results 95

Full Committee Discussion 113

Opportunity for Public Comment 131

Adjourn 133

P R O C E E D I N G S

8:30 a.m.

CHAIR SUNSERI: Good morning. The meeting will now come to order.

This is a meeting of the Plant License Renewal Subcommittee. I am Matthew Sunseri, chairman of the subcommittee. ACRS members in attendance are Vesna Dimitrijevic, Jose March-Leuba, Pete Riccardella, Walt Kirchner, Ron Ballinger and myself. We are expecting Charles Brown to come. He's held up in traffic but he should be here by a quarter till.

Stephen Schultz is our consultant for this meeting. Stephen's over here. And Kent Howard of the ACRS staff is our Designated Federal Official for the meeting.

The purpose of this subcommittee meeting is for Exelon Generation Company and NRC staff to brief the subcommittee on the subsequent license renewal application and SER for Peach Bottom Atomic Power Station Units 2 and 3.

The subcommittee will gather information, analyze relevant issues and facts and formulate a proposed position and action as appropriate for deliberation by the full committee.

The ACRS was established by statute and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 governed by the Federal Advisory Committee Act. That
2 means that our committee can only speak through its
3 published letter reports.

4 As this is a subcommittee meeting any
5 views or opinion expressed today will be individual
6 member comments and not official ACRS positions.

7 The ACRS section of U.S. NRC public
8 website provides our charter, bylaws, letters and full
9 transcript of all full and subcommittee meetings
10 including slides presented at the meetings.

11 The rules for participation in today's
12 meeting were announced in the Federal Register and we
13 have not received any written comments or requests for
14 time to make oral statements from members of the
15 public regarding today's meeting.

16 A transcript of the meeting is being kept
17 and will be made available as stated in the Federal
18 Register notice.

19 Therefore we request that participants in
20 this meeting use the microphones located throughout
21 the meeting room when addressing the subcommittee.

22 Participants should first identify
23 themselves and speak with sufficient clarity and
24 volume so that they can be readily heard.

25 If you have a name tag you don't have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 state your name over and over again.

2 A public telephone bridge line has been
3 established for this meeting. We also have a separate
4 bridge line for the regional inspectors to call in.

5 To preclude interruption of the meeting
6 please mute your individual lines during the
7 presentation and committee discussions.

8 Also, for members, people participating in
9 the room please silence all your cell phones and
10 electric devices.

11 Based on separate affiliations with
12 Structural Integrity Associates, Member Riccardella
13 and myself are recusing ourselves from any assessment
14 of metal and environmental fatigue and reactor
15 pressure vessel and sacrificial shield wall
16 irradiation and embrittlement issues presented in
17 section 4 of the Peach Bottom SLRA.

18 We will now proceed with the meeting and
19 I call upon Meena Khanna to make any introductory
20 remarks. Meena?

21 MS. KHANNA: Good morning. Thank you,
22 Chairman Sunseri and members of the ACRS Subcommittee
23 on Plant License Renewal.

24 I am Meena Khanna, acting deputy director
25 of the Division of New and Renewed Licenses.

1 We sincerely appreciate the opportunity
2 today to present to the ACRS Subcommittee on License
3 Renewal the results of the staff's review of the
4 second application for subsequent license renewal and
5 the first application for a boiling water reactor.

6 The application was submitted by Exelon
7 Generation Company LLC for the Peach Bottom Atomic
8 Power Station Units 2 and 3 located near Delta,
9 Pennsylvania.

10 By way of background Peach Bottom Units 2
11 and 3 received approval for their initial renewed
12 licenses from the NRC on May 7, 2003.

13 The NRC review at that time was performed
14 using guidance developed prior to the issuance of the
15 Generic Aging Lessons Learned Report, or the GALL
16 Report.

17 The NRC guidance for license renewal over
18 the years has evolved through enhancements and
19 improvements based on lessons learned from NRC reviews
20 and from both domestic and international industry
21 operating experience.

22 The GALL Report went through two revisions
23 and additional interim staff guidance was issued
24 following revision 2.

25 The guidance for subsequent license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewals contained in GALL SLR built upon the previous
2 guidance and included additional focus and
3 enhancements where necessary on aging management and
4 the time-limited aging analyses for operation in the
5 60- to 80-year period.

6 In the staff's presentation today you will
7 hear about some of these specific SLR issues as
8 applied to the Peach Bottom review.

9 The NRC project manager for the Peach
10 Bottom subsequent license renewal application review
11 is Ms. Bennett Brady.

12 Bennett will introduce the staff seated at
13 the table who will be presenting or addressing
14 questions regarding the staff's review of the Peach
15 Bottom subsequent license renewal application.

16 Part of the management team that are here
17 with me today are Eric Oesterle who's seated to the
18 right of me, chief of the License Renewal Projects
19 Branch.

20 And in the audience are DNRL management
21 and other technical review branch chiefs including
22 Steve Bloom, Hipolito Gonzalez, Matt Mitchell, Tania
23 Martinez Navedo, and a few others as well that I won't
24 name.

25 We also have with us regional

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 representatives from Region 1. Behind me, Mr. Mel
2 Grey, chief of the engineering branch.

3 We also have Kevin Mangan who's also
4 seated behind me, senior reactor inspector from Mr.
5 Grey's branch.

6 And we also are pleased to indicate that
7 we have Justin Heinly who's a senior resident
8 inspector who will be on the phone later today.

9 I'd like to note that during its review
10 the staff identified one confirmatory item in the
11 safety evaluation report for this review associated
12 with the core plate rim hold-down bolts.

13 The staff will present today how this item
14 has been resolved since we issued the SER.

15 In addition, the staff will provide an
16 overview of its safety review and highlight a few
17 technical areas that may be of interest to the
18 subcommittee members and we will address any questions
19 on these reviews that you may have.

20 I would like to also take this opportunity
21 to thank the staff and the management for all their
22 wonderful support with respect to this review of the
23 Peach Bottom subsequent license renewal application
24 and this obviously includes all the inspectors'
25 support with the audits and inspections.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We look forward to a productive discussion
2 today with the ACRS subcommittee. At this time I'd
3 like to turn the presentation over to Mr. Michael
4 Gallagher, Exelon Nuclear vice president for license
5 renewal and decommissioning to introduce his team and
6 commence their presentation. Thank you.

7 MR. GALLAGHER: Okay. Thank you, Meena.
8 Good morning. My name is Mike Gallagher and I am the
9 vice president of license renewal at Exelon.

10 I have 38 years of nuclear power plant
11 experience, all at Exelon and I've been working on our
12 license renewal project since 2006.

13 Slide 1, please. Before we get into
14 today's presentation I would like to introduce our
15 presenters.

16 To my right is Anna Krause and Anna is our
17 senior manager of design engineering at Peach Bottom.
18 And Anna has 14 years of nuclear power plant
19 experience.

20 To Anna's right is Paul Weyhmuller and
21 Paul is our license renewal technical manager for the
22 Peach Bottom project.

23 Paul has 37 years of nuclear power plant
24 experience including working on Exelon's license
25 renewal applications since 2011.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 To Paul's right is Julian Laverde and
2 Julian is our mechanical design manager for Peach
3 Bottom. Julian has nine years of nuclear power plant
4 experience.

5 And then to my left is Dave Distel. Dave
6 is our project licensing lead. Dave has 39 years of
7 nuclear power plant experience.

8 In addition to our technical support which
9 you see scattered through the room here we do have
10 with us our site vice president Pat Navin. So, slide
11 2, please.

12 CHAIR SUNSERI: Michael, while you're
13 changing slides there and to Pat also, we appreciate
14 the support that you're showing this process by having
15 such a large number of technical staff here in light
16 of the fact that you all are in the middle of an
17 outage at your station.

18 So we really appreciate that commitment to
19 address our questions. Thank you very much for that.

20 MR. GALLAGHER: Thank you, Chairman.
21 Outages are always challenging for us and we have
22 great people there and we have great people here. So,
23 we can do both.

24 CHAIR SUNSERI: Appreciate it.

25 MR. GALLAGHER: Thank you. So slide 2,

1 please.

2 This slide shows our agenda for the
3 presentation. We will be presenting to you some
4 background information about the station and then the
5 highlights of our subsequent license renewal
6 application, and also how we closed the one
7 confirmatory item.

8 Then we will present to you some important
9 technical topics related to subsequent license renewal
10 and how we address them in our application.

11 We believe we've developed a robust, high-
12 quality subsequent license renewal application. We
13 also have effective aging management programs to
14 ensure the continued safe operation of Peach Bottom.

15 We appreciate the opportunity to make this
16 presentation and look forward to answering any
17 questions you may have.

18 I now turn the presentation over to Anna.
19 Anna?

20 MS. KRAUSE: Thank you, Mike. Slide 3,
21 please.

22 Good morning. My name is Anna Krause and
23 I'm the senior manager of design engineering at Peach
24 Bottom.

25 Peach Bottom Units 2 and 3 are GE boiling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 water reactors with Mark I containments that are
2 jointly owned by Exelon and PSE&G and are operated by
3 Exelon.

4 The Peach Bottom Station is located in the
5 Commonwealth of Pennsylvania, approximately 40 miles
6 northeast of Baltimore, Maryland, and 60 miles
7 southwest of Philadelphia, Pennsylvania.

8 Slide 4, please. This slide shows an
9 aerial view of Peach Bottom. On the slide you can see
10 the power block, the independent spent fuel storage
11 pad or ISFSI pad, the north and south substations, the
12 plant intake and discharge canal which is the normal
13 heat sink for the station, and the emergency cooling
14 tower which comprises the emergency heat sink in the
15 event that the normal heat sink is not available.
16 Slide 5, please.

17 Peach Bottom operates on a 24-month refuel
18 cycle. Plant capacity factor for 2018 was 94.2
19 percent. For 2019 year to date capacity factor as of
20 September 30 is 98.6 percent. And as Mike mentioned
21 that will be impacted based on our Unit 3 refuel
22 outage that we are just concluding this week.

23 Our regulatory performance has Peach
24 Bottom in action matrix column 1 and all ROP
25 indicators are green.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHULTZ: Anna, just before you leave
2 that slide, can you give us a perspective of the
3 recent historical operation of the facility? You've
4 got capacity factors for '18 and '19. Over the last
5 five years how has the performance of the facility
6 been?

7 MS. KRAUSE: I would say over the last
8 five years performance of the facility has been very
9 strong.

10 We did have one scram in 2018 associated
11 with two condensate pumps that had tripped. That was
12 a result of improper maintenance practices that had
13 been performed on cable.

14 But overall, plant performance has been
15 very strong. We have a focus on equipment reliability
16 for our station that is very pervasive through our
17 culture. And that's how I would answer that question.

18 MR. GALLAGHER: Anna is being a little
19 humble here. Prior to that one reactor scram we had
20 a run of both units of 11 years without a scram. So
21 very high reliability at the site and a really good
22 maintenance focus is what we have.

23 MR. SCHULTZ: Thanks to both of you. So
24 that demonstrates your age-related performance is
25 excellent as well.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GALLAGHER: I think so, yes, because
2 the plant runs better and better every year that we
3 keep on top of it.

4 MR. SCHULTZ: Thank you.

5 MS. KRAUSE: Okay. Slide 6, please. This
6 slide provides an overview of Peach Bottom history.

7 Peach Bottom was initially licensed in
8 1973 for Unit 2 and 1974 for Unit 3. Each unit was
9 initially licensed for a rated power of 3,293
10 megawatts thermal.

11 A 5 percent increase in rated power was
12 performed in 1994 for Unit 2 and 1995 for Unit 3. The
13 independent spent fuel storage installation was
14 installed in 2000.

15 In 2014 a 15 percent extended power uprate
16 increase was approved which increased the rating on
17 each unit to 3,951 megawatts thermal.

18 In 2017 both Units 2 and 3, we performed
19 a measurement uncertainty recapture of 1.66 percent
20 which increased the rating on each unit to their
21 current rating of 4,016 megawatts thermal.

22 The current license expiration dates are
23 August 8, 2033 for Unit 2, and July 2, 2034 for Unit
24 3.

25 MEMBER MARCH-LEUBA: Anna, in 15 seconds

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or less can you educate us on the status and history
2 of Unit 1? You understand the question?

3 MS. KRAUSE: Right. Unit 1.

4 MR. GALLAGHER: I think I can probably
5 address this. So Unit 1 was a high-temperature gas-
6 cooled reactor. It was built by a consortium of
7 utilities, that was actually about 40 utilities that
8 were involved in the development of that. It went
9 online in 1967 and we took it offline in '78, I
10 believe.

11 It's in decommissioning. It's in a safe-
12 store condition. There's no fuel at that facility.
13 It's all been removed.

14 MEMBER MARCH-LEUBA: I said 15 seconds or
15 less. Just for the record.

16 MR. GALLAGHER: It's a neat facility.

17 MEMBER MARCH-LEUBA: It begs to talk about
18 Unit 1.

19 MR. GALLAGHER: Thank you.

20 MS. KRAUSE: Okay. Slide 7, please. This
21 slide provides an overview of significant plant
22 modifications implemented at Peach Bottom that address
23 component aging and long-term operations.

24 Modifications included main condenser
25 upgrades utilizing titanium tubes, hydrogen water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 chemistry and noble metal chemical addition for
2 reactor vessel internal protection.

3 Additional modifications include the
4 replacement of our main power transformers, reactor
5 pressure vessel core spray piping upgrade on Unit 3 as
6 well as torus recoating for both units.

7 Supporting extended power uprate operation
8 are the RHR cross-tie modifications, steam dryer
9 replacements and turbine generator set upgrades.

10 The station also upgraded to digital
11 control systems for EHC and feedwater. Fuel pool
12 cooling heat exchangers were recently replaced. And
13 we expanded our independent fuel storage installation
14 pad and it's in progress for use in 2020.

15 MEMBER MARCH-LEUBA: Again, for education
16 we spend a lot of time reviewing digital upgrades.
17 And I'm sure you'll understand how great the digital
18 way is and the operators love it.

19 How much work was it with this? We would
20 like to get your perspective, was it worth it.

21 MR. GALLAGHER: Maybe Ron can answer that
22 question.

23 MEMBER MARCH-LEUBA: And again, I'm
24 looking for a 15-second.

25 MR. DISABATINO: Sure. My name's Ron

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DiSabatino from Peach Bottom's engineering department.
2 We did significant upgrades for our EHC system from
3 the original GE system up to a Westinghouse engagement
4 system. So it was a complete wholesale replacement
5 all the way out to the sensors that control the
6 system.

7 Our feedwater system is also on that same
8 platform. So over the years when we retrofitted both
9 of those systems we have to bring them both to the
10 same platform as well. So it's considerable effort
11 and work. In-field wiring, computer system
12 development and testing.

13 But having them both on the same platform
14 addressed significant obsolescence issues with those.

15 MEMBER MARCH-LEUBA: So, order of
16 magnitude, factor of 10 is okay. How many man-year or
17 person-years were involved in that operation, and what
18 fraction of that was regulatory reviews?

19 MR. DISABATINO: We had probably dozens of
20 engineers on teams, greater teams involving operations
21 personnel and contractors as well supporting those
22 modifications.

23 I do not believe they had significant
24 regulatory impacts from a review perspective.

25 MEMBER MARCH-LEUBA: So it was mostly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineering work.

2 MR. DISABATINO: That was our non-safety
3 related.

4 MR. GALLAGHER: Non-safety related
5 systems. I mean, in general we're pretty careful
6 about doing complete system upgrades, particularly
7 with replacing analog to digital.

8 There's a lot of testing that needs to be
9 done. All the way from the factory, the cybersecurity
10 issues are pretty extensive. So there's a lot of
11 work.

12 I think Ron was getting into, okay, once
13 we get it onsite we can get the job done. But there's
14 a lot of work involved in getting to that point.

15 MEMBER MARCH-LEUBA: But the operators
16 love it, right?

17 MR. GALLAGHER: We have an operator here.
18 James?

19 MR. BROWN: James Brown, Peach Bottom,
20 currently licensed SRO. In the control room digital
21 EHC, digital feedwater has taken the -- it's been
22 fantastic for us. All the operators really, really
23 love it.

24 MEMBER MARCH-LEUBA: Thank you.

25 MS. KRAUSE: Okay. I will now turn it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 over to Paul Weyhmuller who will present to you the
2 highlights of our subsequent license renewal
3 application.

4 MEMBER KIRCHNER: May I ask a question on
5 this slide that's in front of us?

6 And that is as you were making these
7 modifications did you see with your step-wise increase
8 in power, did you see any -- how shall I describe it
9 -- wear or erosion in components?

10 I see you replaced the steam dryer as an
11 example. Did you see wear in any of the main steam
12 piping and such as a result of higher flow rates and
13 higher power rating?

14 MS. KRAUSE: We did perform extensive
15 testing post-EPU to look for any indications of
16 additional vibrations in the systems, particularly
17 around the OE for steam dryers.

18 We did a number of special tests and
19 monitoring too to ensure it was not negatively
20 impacted.

21 MR. GALLAGHER: But one thing, we do have
22 -- we have a commitment, one of our commitments in our
23 application to do an EPU assessment prior to entering
24 the second period of extended operation.

25 So we would gather any effects to that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point and any lessons learned from other stations.
2 And that's a specific commitment that we have to do
3 that.

4 MEMBER KIRCHNER: Thank you.

5 CHAIR SUNSERI: And that would include
6 flow accelerated corrosion evaluations?

7 MR. GALLAGHER: Yes. FAC is one of the
8 programs that would have to be reviewed.

9 MR. WEYHMULLER: All right. Slide 8,
10 please.

11 Good morning. My name is Paul Weyhmuller.
12 I'm the technical manager for Peach Bottom license
13 renewal project.

14 I will discuss the highlights of our
15 subsequent license renewal application focusing on
16 application development, new time-limited aging
17 analyses, overall GALL SLR consistency, review of the
18 aging management programs, the exceptions we have
19 taken, a summary of the first license renewal aging
20 management program effectiveness reviews that have
21 been conducted, and a status of open and confirmatory
22 items. Slide 9, please.

23 Exelon used industry and NRC guidance to
24 make our application as consistent with GALL SLR as
25 possible.

1 Our submittal was based on the guidance
2 provided in both NUREG-2191 and 2192.

3 In developing the Peach Bottom subsequent
4 license renewal application changes noted from first
5 license renewal include for scoping and screening we
6 have updated our packages for plant modifications as
7 well as to address NEI 17-01 guidance.

8 For aging management reviews the first
9 license renewal was pre-GALL so additional aging
10 effects required assessment based on NUREG-2191 GALL
11 SLR.

12 For aging management programs we have 47
13 programs for subsequent license renewal utilizing the
14 GALL SLR guidance.

15 Activities from first license renewal have been
16 addressed in subsequent license renewal programs.

17 Our aging management programs were
18 developed incorporating lessons learned from previous
19 Exelon projects as well as from benchmarking current
20 industry applications.

21 The aging management programs were also
22 developed using insights from industry RAIs.

23 For time-limited aging analyses the Peach
24 Bottom subsequent license renewal application has
25 reassessed the existing current licensing basis TLAAs.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Additional TLAAAs from repair or replacement activities
2 not part of the first license renewal application have
3 been added.

4 Examples of new TLAAAs which involve
5 replacement or repair activities include jet pump
6 repair components to address vibration or wear that
7 require assessment for loss of pre-load, replacement
8 steam dryer stress report and fatigue evaluation,
9 replacement core plate plug stress relaxation
10 analysis, and the Unit 3 core plate replacement piping
11 fatigue and leakage assessment, and loss of pre-load
12 evaluation for bolted connections.

13 There are a total of 35 TLAAAs found in the
14 subsequent license renewal application.

15 MEMBER KIRCHNER: For the record could you
16 explain what loss of pre-load is?

17 MR. WEYHMULLER: For certain hardware they
18 either have bolts or springs, in particular for
19 bolting with the fluence field that they sit in and
20 the thermal changes in the reactor.

21 We reassess that to make sure that either
22 the initial assessment made is bounding to take you
23 all the way out to the new fluence estimates at 80
24 years, or in some cases we've actually gone back and
25 reviewed the analysis with the OEM that supplied the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part and had a new calculation performed to assure
2 that it would make it, or to ascertain what is the
3 actual life of that part. Slide 10, please.

4 As stated earlier, Peach Bottom subsequent
5 license renewal application is based on GALL SLR.

6 Peach Bottom aging management review
7 achieves significant consistency with the GALL SLR as
8 reflected by the fact that 98.6 percent of AMR line
9 items were covered by notes A through E.

10 There are 50 commitments for the
11 implementation of subsequent license renewal for Peach
12 Bottom consisting of 47 commitments for the
13 implementation of individual aging management programs
14 and 3 additional commitments to assure that the use of
15 ongoing operating experience is utilized to update
16 aging management programs during the subsequent period
17 of extended operation.

18 As Mike had said earlier, a review of
19 operating experience is performed to assess the impact
20 of EPU on aging management programs prior to entering
21 the subsequent period of extended operation.

22 And the last commitment is the continued
23 use of FERC inspections for aging management of the
24 Conowingo Dam as is done for the first license renewal
25 period as the dam is the power source to Peach Bottom

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 during a station blackout.

2 These commitments will be captured within
3 subsequent license renewal UFSAR statement which is
4 contained in Appendix A of the subsequent license
5 renewal application.

6 These commitments are managed in
7 accordance with Exelon's commitment tracking program
8 which is based on the NRC endorsed NEI 99-04
9 Guidelines for Managing NRC Commitment Changes
10 process.

11 The table shown on the slide provides a
12 breakdown of aging management programs in regards to
13 consistency with GALL SLR.

14 The summary table also provides a
15 numerical breakdown for existing and new AMPs. There
16 are only 11 programs with exception which will be
17 shown on the following slides. Slide 11, please.

18 This and the next two slides show a
19 summary of the exceptions taken as part of Peach
20 Bottom's SLRA identifying the program, the exception
21 taken and the justification for the difference.

22 For each exception we have provided an
23 alternative to the recommendation found in GALL SLR.
24 Supporting technical justification has been provided
25 and has been found acceptable as identified in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 SER.

2 As the slides are displayed I can cover
3 any questions on specific programs as requested by the
4 ACRS members. Slide 12, please. And slide 13,
5 please.

6 CHAIR SUNSERI: What has your experience
7 been with the below-ground cables? I mean, I know you
8 put this water monitoring system, but are they prone
9 to flooding the vaults where they run?

10 MR. WEYHMULLER: There are instances where
11 cables have been wetted and the station is continuing
12 to improve dewatering activities.

13 Ultimately testing is the tool used to
14 assure the health of the cables because in some cases
15 during storms, certain conditions, manholes may
16 accumulate some water.

17 CHAIR SUNSERI: And do you know whether
18 the cables are continuous run, or are there splices in
19 some of those cables that are below?

20 MR. WEYHMULLER: I'd like to call on
21 Pierre Simo to answer that question, please.

22 MR. SIMO: Pierre Simo, Peach Bottom
23 design engineering.

24 Yes, we have developed ways that track all
25 the cable installation within those manholes. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is no splice in all the cable license renewal,
2 and also for all the overall -- the cable that's in
3 the station.

4 We have testing that is done on cable with
5 or without splice to understand the cable aging
6 process.

7 CHAIR SUNSERI: Okay, all right. Thank
8 you.

9 MEMBER BALLINGER: Back to slide 11. A
10 little slow on the uptake. The stud issue. How many
11 studs are required to be operable?

12 In other words, if you have a cracked one
13 that's in service, does it affect operation?

14 MR. GALLAGHER: Pete, do you have the
15 answer to that question? I don't know if we have an
16 analysis -- because what we do is we inspect them
17 beforehand and verify they're not cracked.

18 MEMBER BALLINGER: Yes, but that doesn't
19 help because they would crack in service.

20 MR. GALLAGHER: After the fact.

21 MEMBER BALLINGER: They would crack in
22 service.

23 MR. GALLAGHER: Pete, do you know the
24 answer to that question? Oh, Ron? Okay.

25 MR. DISABATINO: We do -- in addition to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the ultrasonic examination program we do have the leak
2 protection monitoring, so the double O-ring design
3 would -- if a bolt did fail, if there was leakage it
4 would be immediately detected by the operators.

5 MR. GALLAGHER: Give him a sense for how
6 many studs do we have on the reactor head?

7 MR. DISABATINO: It's a lot. I believe
8 it's 98.

9 (Simultaneous speaking.)

10 MR. GALLAGHER: So, there's a large number
11 of studs.

12 MEMBER BALLINGER: If I recall, the
13 deviation was not very large.

14 MR. GALLAGHER: Right. It essentially is
15 a few material certs are slightly over a few heats.

16 MEMBER BALLINGER: Yes.

17 MR. GALLAGHER: But it was enough that we
18 had to call it an exception.

19 And just, I mean you all know this.
20 Generally exceptions is something different than --
21 it's in the GALL and we have to point it out to the
22 staff so the staff can review it.

23 And that was a little bit -- the
24 difference we have.

25 MR. DISABATINO: I apologize. For the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 record, my name's Ron DiSabatino from Peach Bottom
2 engineering for the transcript.

3 MEMBER BALLINGER: Thank you.

4 MR. SCHULTZ: Follow-up question on slide
5 12. On internal coatings, the discussion indicates
6 the fire header piping is buried. The inspection was
7 performed in 2014 of that piping.

8 What was the basis for the inspection that
9 was performed at that time? Were there issues or was
10 this --

11 MR. WEYHMULLER: My understanding was it
12 was to get to a valve that was in the ground that was
13 not performing tight shutoff.

14 So when the valve was removed it allowed
15 the station's personnel access to the interior of the
16 pipe at the connection point and that's when the
17 inspection was done in each direction of the concrete
18 lining.

19 That's where they got the observation. So
20 we have an opportunistic plan right now.

21 MR. SCHULTZ: Okay. Can you characterize
22 the extent of inspection there? Trying to get an
23 appreciation for what an opportunistic inspection
24 entails.

25 MR. WEYHMULLER: Mike Baker.

1 MR. BAKER: Good morning. Mike Baker,
2 Peach Bottom license renewal team.

3 So we did actually cut out a section of
4 that piping in the concrete. We sent it to our lab,
5 our Valley Forge labs. They did an analysis of it.

6 They found that the concrete was in
7 excellent condition, adhered tightly. The piping
8 itself was in very good condition. So that was part
9 of our discussion with our exception, the fact that we
10 have good operating experience with that piping.

11 We also do a lot of fire system flushes
12 and testing to make sure that we don't have any debris
13 breaking off potentially and blocking downstream
14 systems.

15 MR. SCHULTZ: Thank you.

16 MR. GALLAGHER: Thanks, Mike. Any other
17 questions on the exceptions? We didn't want to go
18 through each one by one, but left it open for any
19 questions. Okay.

20 MR. WEYHMULLER: All right. Slide 14,
21 please.

22 The Peach Bottom aging management program
23 effectiveness reviews assessed first license renewal
24 activities and included a detailed review of
25 inspection schedules, results in data as well as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 relevant operating experience within the corrective
2 action program.

3 All first license renewal programs were
4 determined to be effectively implemented.

5 A summary of each review is found in each
6 AMP in element 10 operating experience under item
7 number 1 and in Appendix B of the subsequent license
8 renewal application.

9 In November of 2018 the NRC staff
10 conducted an IP 71003 phase 4 inspection post approval
11 site inspection for license renewal at Peach Bottom.
12 This inspection found no issues. Slide 15, please.

13 There are no open items from the review of
14 Peach Bottom subsequent license renewal application.

15 There is one confirmatory item involving
16 a commitment for the BWR vessel internals aging
17 management program.

18 Additional information was required by the
19 NRC staff to complete the assessment of the proposed
20 enhancement for core plate rim hold-down bolts.

21 This was addressed by revising the
22 enhancement to provide the source document, BWRVIP-25,
23 rev 1, which is used to determine the appropriate
24 actions to be taken to address stress corrosion
25 tracking of core plate rim hold-down bolts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This issue has been resolved with the
2 submittal of a supplement to the NRC staff on November
3 -- or October 9 of 2019.

4 I will now turn the presentation over to
5 Julian Laverde who will discuss specific technical
6 topics involving subsequent license renewal.

7 CHAIR SUNSERI: Paul, before you do that
8 I have one question about the confirmatory item.

9 As this is the front end of a whole series
10 of subsequent license renewals that are coming down
11 the pike here I think there's probably a lesson
12 learned in here for others that are downstream.

13 Can you -- if appropriate, could you
14 expand on why this became a confirmatory action, or
15 what was missed as far as the initial submittal so
16 that others may learn from that?

17 MR. GALLAGHER: I mean, we -- we had the
18 -- a similar enhancement, actually the identical
19 enhancement in our LaSalle application.

20 And there is discussions in the SRP that
21 have this particular enhancement wording.

22 So we think we followed the guidance to be
23 consistent with GALL. I think there were some changes
24 in thinking that came up, and I'm sure the staff can
25 talk about that at their point.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It really comes into play, I think that we
2 were -- the BWRVIP-25, rev 1 is imminent, coming out
3 for the industry.

4 And we had provided enough information to
5 the staff that showed that we were -- we could support
6 the implementation of BWRVIP-25, rev 1.

7 So I think it's a timing issue for the
8 rest of the industry. I think after this point for
9 any BWR that goes in now it should be -- it would be
10 one of the things you assess in the application, in
11 like Appendix C of how you address the rim hold-down
12 bolts.

13 And you would use the 25 rev 1. Because
14 it should be out momentarily.

15 CHAIR SUNSERI: Okay, thank you.

16 MEMBER KIRCHNER: Mike, could you expand
17 a little just for the record again. The slide says
18 additional information was required. Was there design
19 changes for the bolts or any technical modifications,
20 or just lack of information in the application?

21 MR. GALLAGHER: Yes. If you look at the
22 original commitment it had two elements to it. One
23 was to install the wedges, or to provide an analysis
24 that you didn't -- basically didn't need to install
25 the wedges. And we provided that to the staff at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 least two years before PEO.

2 The thinking was that since the VIP-25 rev
3 1 is imminent they really didn't want that kind of
4 open-ended commitment.

5 We didn't feel it was open-ended because
6 -- you know, if you didn't do the analysis you have to
7 install the wedges, and that's a hardware fix.

8 So, we think we had it covered. And again
9 I think the timing issue because the VIP-25 rev 1
10 allows you to either install the wedges, or to do some
11 inspections if the technique is developed, or to do an
12 analysis in accordance with the VIP. So it's an
13 approved methodology now.

14 MEMBER KIRCHNER: Thank you.

15 MR. SCHULTZ: Paul, one general question
16 associated with implementation of the overall program.

17 The aging management programs under GALL,
18 there's many of them, some existing now with
19 enhancements and as you've shown some new with
20 enhancements.

21 The question I have is most of these say
22 that they're going to be in place six months prior to
23 the implementation of the SLR.

24 The general question is how is this
25 managed so that six months prior to all of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 programs are going to be in place?

2 MR. WEYHMULLER: So, part of our project,
3 once we get approval, our plan is tight. We actually
4 go redo the station's procedures to make commitments,
5 modify plant reoccurring work orders, modify
6 procedures.

7 Those changes that we made for license
8 renewal are annotated to assure they can't be changed
9 without the proper process to make those changes.

10 And they get put in place, they'll be in
11 place within a year of conclusion of our project.

12 They'll go into the work order process.
13 In most cases they'll start with the next occurrence
14 of an item. Because they're typically good practices.

15 Many of our enhancements are minor
16 refinements where we failed to say and put it in CAP,
17 but it's a station expectation for anything that's
18 found to be deficient or not as expected that goes
19 into the CAP process.

20 But all that wording is put into the
21 various implementing documents and will be in place
22 within, say, a year of conclusion of the project.

23 If they have a certain specific time date
24 to start, no sooner than or prior to, the work
25 management process allows us to put the actual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calendar date on them so they do occur at the proper
2 times.

3 So that will all be in place as part of
4 our closure of this project, that the work will be
5 already scheduled and organized for the station and it
6 will be a seamless transition as they move into the
7 subsequent period of extended operation.

8 MR. SCHULTZ: Thank you.

9 MR. OESTERLE: Chairman Sunseri, this is
10 Eric Oesterle from the NRC staff. Just wanted to
11 point out that the staff also plans to provide its
12 perspectives when discussing the confirmatory item
13 during its presentation.

14 CHAIR SUNSERI: Yes, I just didn't want to
15 miss the opportunity to talk to them before they get
16 off the floor.

17 MR. LAVERDE: Thanks, Paul. Slide 16,
18 please.

19 Good morning. My name is Julian Laverde
20 and I'm the design mechanical engineering manager of
21 Peach Bottom Station.

22 In this section I will present how the
23 Peach Bottom subsequent license renewal application
24 has addressed the four technical topics related to SLR
25 that were of interest to the NRC commissioners during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the NRC staff preparations for SLR.

2 These topics were discussed in the staff
3 requirement memo for SECY-14-0016. Slide 17, please.

4 The first technical topic is related to
5 reactor pressure vessel embrittlement due to neutron
6 fluence.

7 The Peach Bottom fluence projections for
8 70 effective full power years which is through the
9 subsequent period of extended operation were performed
10 for neutron embrittlement analysis using our current
11 licensing basis methodology.

12 The analysis of upper shelf energy,
13 adjusted reference temperature, axial and
14 circumferential weld failure probability, and reflood
15 thermal shock for belt line materials have been
16 satisfactorily evaluated using the 70 effective full
17 power year fluence projections.

18 Peach Bottom will manage fluence
19 projections consistent with the GALL SLR neutron
20 fluence monitoring program.

21 Peach Bottom fluence projections will be
22 validated by reactor vessel material surveillance
23 program.

24 Peach Bottom submitted an enhanced SLR
25 program to manage reactor pressure vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 embrittlement consistent with GALL SLR reactor vessel
2 material surveillance program.

3 This program ensures that sufficient
4 capsules are contained within each vessel to support
5 the required testing intervals through the subsequent
6 period of extended operation and recommends that one
7 capsule be removed from each reactor vessel with
8 exposures between one and two times the peak neutron
9 fluence of interest projected at the end of the
10 subsequent period of extended operation.

11 MEMBER MARCH-LEUBA: What's the peak
12 fluence you're expecting? What's the number?

13 MR. GALLAGHER: Alex.

14 MEMBER MARCH-LEUBA: We don't need
15 significant digits.

16 MR. PSAROS: Peak fluence for the reactor
17 is 2.23×10^{18} and then 2.14 --

18 MEMBER MARCH-LEUBA: 10^{18} ?

19 MEMBER BALLINGER: It's a BWR.

20 MEMBER MARCH-LEUBA: Oh, it's a BWR.

21 MEMBER BALLINGER: It's a BWR.

22 MEMBER MARCH-LEUBA: We'll have an open
23 session on this topic later this week. So you can
24 read the transcript.

25 MR. GALLAGHER: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LAVERDE: So one capsule will be
2 withdrawn from each unit during the subsequent period
3 of extended operation at 60 to 62 effective full power
4 years.

5 Upon removal per schedule capsules will
6 have an exposure of 1.2 times that event of subsequent
7 period of extended operations for the vessel at
8 quarter-T which satisfies the GALL SLR criteria.
9 Slide 18, please.

10 MEMBER RICCARDELLA: Excuse me, that
11 number that you just quoted, that was quarter-T number
12 or inside surface?

13 MR. PSAROS: Alex Psaros, Exelon license
14 renewal. That was a zero T number.

15 MEMBER RICCARDELLA: Inside surface.

16 MR. PSAROS: That's correct.

17 MR. GALLAGHER: Yes, quarter-T is about
18 1.5 e^{18} .

19 MR. LAVERDE: Slide 18, please. The
20 second technical topic is related to irradiation
21 assisted stress corrosion cracking, or IASCC of
22 reactor vessel internals.

23 The BWR vessel internals aging management
24 program is used to manage age-related degradation of
25 stainless steel and nickel alloy reactor vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 internal components and welds that are susceptible to
2 cracking due to IASCC to ensure aging management of
3 reactor vessel internals is consistent with GALL SLR.

4 The BWR vessel internals program is based
5 on recommendations provided in GALL SLR BWR vessel
6 internals program and implements the reference BWRVIP
7 guidelines.

8 BWRVIP guidance addresses IASCC through,
9 one, periodic inspection using techniques capable of
10 detecting cracking due to stress corrosion cracking,
11 and two, the use of flow tolerance guidance that
12 considers the effect of neutrons fluence on material
13 properties and stress corrosion crack growth rates.

14 BWRVIP guidelines are adequate for use to
15 determine the proper reinspection interval and are not
16 time-dependent, but rather are based on neutrons
17 fluence values.

18 Reactor vessel internals for Peach Bottom
19 have been assessed using governing BWRVIP inspection
20 guidelines and existing program requirements were
21 determined to be acceptable.

22 Peach Bottom will manage reactor vessel
23 internal components and welds that are susceptible to
24 IASCC consistent with GALL SLR BWR vessel internals
25 program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SCHULTZ: You mention here again the
2 neutron fluence evaluation program. You've enhanced
3 that program as I understand it to be more cognizant
4 of changes in fluence that may result from different
5 loading patterns within the reactor core cycle to
6 cycle.

7 Could you describe a bit more about what
8 you've learned and how you've improved your program?

9 MR. PSAROS: Alex Psaros, Exelon license
10 renewal. We do -- in our process for modification,
11 whether it's in the core, core reload, fuel type
12 changes, all those kinds of things that can actually
13 impact the fluence calculations. We have a step power
14 process that that's evaluated every time so if there
15 is any impact we'll go ahead and recalculate fluence
16 numbers.

17 MR. SCHULTZ: Thank you.

18 MEMBER MARCH-LEUBA: This might not be
19 your area expertise but I'm sure somebody here. You
20 talk about internals and one issue with BWRs is
21 fouling of the jet pumps and such so you cannot really
22 reach proper flow. What's the highest flow you can
23 reach today?

24 MR. PSAROS: It depends. Alex Psaros,
25 Exelon license renewal. It depends where you are in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the cycle and what your core DP is.

2 Typically we can reach about 106 mid-
3 cycle.

4 MEMBER MARCH-LEUBA: Okay, so you're
5 pretty clean right now. You're really clean right
6 now. You can do 106, you're good.

7 MR. PSAROS: That's correct. Yes, towards
8 the end of the cycle DP drops a little bit, we can get
9 up to 110.

10 MEMBER MARCH-LEUBA: So the expectation
11 for 70 years there won't be any problem.

12 MR. PSAROS: We don't foresee a problem.

13 MR. LAVERDE: Slide 19, please. The third
14 technical topic is related to concrete and containment
15 degradation.

16 Overall, the concrete used at Peach Bottom
17 buildings and structures is in good condition.

18 All concrete aging effects and mechanisms
19 identified in GALL SLR have been appropriately
20 evaluated and dispositioned.

21 The aging effects due to alkali-silica
22 reaction known as ASR has not been identified in
23 performing inspections for Peach Bottom concrete
24 structures.

25 Monitoring programs manage concrete aging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 due to ASR consistent with GALL SLR.

2 Peach Bottom will manage concrete
3 structures consistent with GALL SLR programs
4 structures monitoring and inspection of water control
5 structures associated with nuclear power plants.

6 Peach Bottom's Unit 2 and Unit 3 are a GE
7 Mark I steel primary containments that are completely
8 enclosed and shielded within each reactor building,
9 and are supported on steel members that extend into
10 the concrete foundation.

11 The sand pocket regions are constructed
12 with metal covers and drain lines to prevent water
13 intrusion.

14 Drain lines which are periodically checked
15 for flow blockage have been observed to be free of
16 water leakage each refueling outage.

17 Also, the reactor vessel sacrificial
18 shield wall, gamma and neutron irradiation values
19 remain within established radiation exposure levels
20 through the subsequent period of extended operation
21 consistent with GALL SLR.

22 And Peach Bottom will manage each
23 containment consistent with GALL SLR IWE and Appendix
24 J programs. Slide 20, please.

25 And the fourth technical topic is related

1 to environmental qualification of electrical cables
2 and cable condition assessments.

3 The environmental qualification analysis
4 are updated for the subsequent period of extended
5 operation.

6 The current licensing basis design ambient
7 temperatures and accident profiles are utilized for
8 environmental qualification analysis of electrical
9 equipment.

10 Conservatism is maintained by making
11 bounding assumptions for environmental conditions.

12 Cable qualified life depends on material
13 and service environment. The analysis has determined
14 that the qualified life of Peach Bottom EQ cables are
15 at least 80 years.

16 The EQ cable analysis and the EQ program
17 are consistent with GALL SLR recommendations.

18 Cable condition assessment aging
19 management programs are currently in place for cabling
20 connections in adverse localized environments, cabling
21 connections in instrument circuits and inaccessible
22 power cables potentially subject to wetting or
23 submergence.

24 These programs will be enhanced for the
25 subsequent period of extended operations. Most

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 notably, there will be an additional 27 inaccessible
2 medium voltage cables added to the cable testing
3 population as well as a new commitment for at least
4 once every six years testing frequency.

5 The resulting aging management programs
6 for cable and connection installation materials for
7 subsequent license renewal will be consistent with
8 GALL SLR with only one exception for manhole
9 inspection frequency based on the installed water
10 level monitor.

11 MEMBER BROWN: Could I ask a question
12 before you go on? In the overall history of the
13 plants as they've operated up till today and you talk
14 about the cable condition assessments do you have a
15 feel for how many of the -- I'll take the medium
16 voltage cables, for instance, or even the
17 instrumentation cables.

18 Have you had to replace many? Is it like
19 30 percent of them have had to be, 50 percent? Is it
20 a result of inspections, or is it a result of --

21 MR. GALLAGHER: There was actually a wave
22 in the nineteen nineties or late eighties, nineteen
23 nineties, we replaced a lot of cables because of water
24 treeing. And that was taken care of.

25 And then, you want to give the assessment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 -- are you going to talk about it? Pierre? Is it
2 Pierre? Okay. He's asking about medium voltage
3 cables, so E3.

4 MEMBER BROWN: My interest is like you all
5 -- the plant started around, was it '73, '74? I'm
6 trying to remember the first slide.

7 MR. GALLAGHER: Yes.

8 MEMBER BROWN: You were going to be
9 potentially operating out to 2053.

10 MR. GALLAGHER: Yes.

11 MEMBER BROWN: And that period you're
12 talking about is roughly 17 or 18 years. So I was
13 kind of interested as to how many cables had to be
14 replaced, pulled out, new ones put in.

15 Is there an expectation of having to do
16 that or similar type operations over the next 50
17 years?

18 MR. GALLAGHER: Like I said, in the late
19 eighties, nineties, there was a lot because of the
20 water treeing.

21 But Anna, maybe you can talk about our
22 recent -- we've replaced a few recent cables.

23 MS. KRAUSE: We spoke a little bit about
24 our cable program and having a requirement to test --
25 we have commitments for testing our license renewal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cables to six years. And we've also applied that to
2 other cables outside of that.

3 MEMBER BROWN: You said two six years?

4 MS. KRAUSE: Every six years.

5 MEMBER BROWN: Okay.

6 MS. KRAUSE: My apologies. And then based
7 on our condition monitoring if our testing shows that
8 we are required to replace it post testing we do that.

9 With regards to our subsequent license
10 renewal -- I'm sorry, first license renewal testing we
11 did find two cables that we called remediation
12 required as a result of our testing. We performed
13 TAN-DELTA testing on those cables.

14 One of those was our 3EA circuit which we
15 are replacing this month. And the second was with our
16 3 startup circuit. We're in the design phase and then
17 are intending or have a tentative schedule to replace
18 that in 2021.

19 So as we do test we do potentially
20 identify cables that have an aging management concern
21 and we do go and replace those as required.

22 MEMBER BROWN: Is there a periodicity as
23 you go through? I mean, say you had 200 cables. Just
24 pick a number. Obviously you don't test all 200
25 cables every five years or something.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Is there a plan to ensure all cables get
2 tested over a period of time, or is it strictly on a
3 sample basis and you kind of pick and choose?

4 MS. KRAUSE: At this time we have all of
5 our medium voltage cables in our cable program and
6 intend to test those.

7 And Pierre Simo, did you want to add
8 anything to that answer?

9 MR. SIMO: Yes, I can. Pierre Simo, Peach
10 Bottom design engineering. We have a cable aging
11 management program --

12 MEMBER BROWN: Say that again? I didn't
13 hear you.

14 MR. SIMO: We have 100 circuits in the
15 aging management program. And 51 of those circuits
16 have been replaced since ---

17 MEMBER BROWN: You said 51?

18 MR. SIMO: Fifty-one.

19 MEMBER BROWN: That's roughly half.

20 (Off-microphone comments.)

21 MEMBER BROWN: Okay.

22 MR. GALLAGHER: And just so you know, Mr.
23 Brown. So we did, you know, we have a pretty
24 extensive program.

25 We did have one where we had a failure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recently before we could test it, before we did test
2 it, and that was on our A1D so it happened in May.

3 But what we did is we went out and
4 proactively replaced that circuit. And then the three
5 other diesels that are there. So E2, E3 and E4 to get
6 ahead of it.

7 But that was one that got us before we
8 actually got around to testing it.

9 MEMBER BROWN: So in other words that
10 would have put that diesel out -- effectively out of
11 service?

12 MR. GALLAGHER: Yes, it failed --

13 MEMBER BROWN: Just trying to get a
14 character --

15 MR. GALLAGHER: It failed during test. We
16 were doing a surveillance test, just a normal run, it
17 failed.

18 We did the root cause on it and found
19 that, you know, there was water intrusion in that
20 cable. So we replaced it and then the three
21 corresponding ones. We just did that in July and
22 August.

23 MEMBER MARCH-LEUBA: Just the whole
24 periodicity. The failure is typically on the
25 insulation, right? Is this a failure to provide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 continuity, or is it a ground?

2 MR. GALLAGHER: We had an overcurrent
3 trip. We had a trip of the diesel. So the actual
4 cable.

5 MEMBER MARCH-LEUBA: So the cable was --
6 (Simultaneous speaking.)

7 MR. GALLAGHER: Yes. But again, so we
8 replaced it and then the other three similar ones just
9 to make sure we would get ahead of it.

10 MEMBER DIMITRIJEVIC: Did Anna say also
11 the trip in 2018 was the cable maintenance related on
12 the --

13 MR. GALLAGHER: Yes, on the condensate.

14 MEMBER DIMITRIJEVIC: What was that issue?

15 MS. KRAUSE: That was where we had
16 replaced the cable and had not properly performed that
17 cable replacement. That was not aged cable failure.

18 MR. GALLAGHER: It was a new cable.

19 MS. KRAUSE: It was a new cable that was
20 not installed properly.

21 MEMBER BROWN: Is that procedure issue or
22 training issue? Cable replacement, hooking up lugs.
23 It's not rocket science. Excuse my characterization.

24 MS. KRAUSE: I agree. There was some
25 water evident in a conduit and they did not properly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seal the ends of the cable.

2 MEMBER BROWN: All right, thank you.

3 MR. LAVERDE: So, GALL SLR cables for
4 inaccessible instrument and control cables known as
5 E3B and inaccessible low voltage power cables known as
6 E3C will be implemented as new programs prior to the
7 subsequent period of extended operation.

8 These two new programs which are
9 consistent with GALL SLR recommendations with one
10 exception for manhole inspection frequency because of
11 the installed water level monitoring will implement
12 one time testing of a sample of cables.

13 I will now turn the presentation over to
14 Mike Gallagher for closing remarks.

15 MR. GALLAGHER: Okay. Thanks, Julian.
16 So, as I had stated earlier we've developed a
17 comprehensive high-quality subsequent license renewal
18 application along with robust aging management
19 programs that will ensure the continued safe operation
20 of Peach Bottom Units 2 and 3 during the subsequent
21 period of extended operations.

22 Pending any questions you may have this
23 concludes our presentation.

24 MEMBER BROWN: So, members, any additional
25 questions for the Exelon team before we release them?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Go ahead, Charlie.

2 MEMBER BROWN: So you've had first license
3 renewals you've been through. On how many plants?

4 MR. GALLAGHER: We've renewed -- we have
5 23 units. We've renewed all except one.

6 MEMBER BROWN: And is this the first SLR
7 for you all?

8 MR. GALLAGHER: Yes.

9 (Simultaneous speaking.)

10 MR. GALLAGHER: We're the lead BWR plant
11 for SLR in the industry.

12 MEMBER BROWN: That's what I thought.
13 Okay. I guess my question was, was there any --
14 during all your first license renewals and your run-up
15 to this were there any things you found that you
16 needed to address that weren't covered under our GALL?
17 The aging license renewal program that's been in
18 place.

19 I'm trying to just assess how good -- do
20 we need to do anything? Do we need to assess anything
21 else? Should the staff be asking some other
22 questions? That's what I'm looking for. Did we miss
23 something.

24 MR. GALLAGHER: Well, as you know, Mr.
25 Brown, so we've been involved in license renewal for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a long time and we also were involved as an industry
2 with Dominion commenting and giving input on the GALL
3 SLR.

4 I think the staff had like nine public
5 meetings and we participated in all those.

6 So the way I would look at it is -- I've
7 been through all the revisions. So pre GALL, GALL 0,
8 GALL 1, GALL 2 and now GALL SLR. It truly is a
9 continuum.

10 So I think the staff learns and the
11 industry learns each time and there's improvements
12 that are done.

13 If you compared this application with our
14 LaSalle application which we were in to talk to you
15 about in 2016 it's very similar.

16 So there's an incremental improvement in
17 it. So I think it's pretty solid. The aging
18 management is a continuum and we're always learning
19 and factoring in those changes.

20 MEMBER BROWN: Okay. So you think the
21 lessons learned are being cranked in as we go along?

22 MR. GALLAGHER: Absolutely.

23 MEMBER BROWN: Okay, thank you.

24 MR. GALLAGHER: And I know the staff is
25 already calling for a lessons learned meeting on this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process. I think we're going to have something in a
2 month or two.

3 And we'll give input to that and I'm sure
4 the staff will have input on that.

5 MEMBER BROWN: I have an interest in it.
6 I give a presentation to high school students on
7 nuclear engineering a couple of times a year for
8 trying to encourage people, these young kids to go
9 into engineering.

10 And when you talk about 60, 70, 80 years
11 they start -- their eyeballs start rolling back in
12 their heads in terms of you're going to operate these
13 plants for that long.

14 So I was just trying to get a feel for
15 what you've found and how we've gone long-term. Kind
16 of a parochial interest on my part. Thank you very
17 much.

18 MR. GALLAGHER: Okay.

19 MR. SCHULTZ: Mike, if we can flip that
20 question around, or your discussion around a bit.

21 As you've gone through this process are
22 there things that you have found that have caused you
23 to improve your current program with regard to your
24 40- to 60-year time frame program?

25 MR. GALLAGHER: Yes. I mean, we use

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operating experience for all of it.

2 I mean, if you looked at, say, buried pipe
3 program from the early days it was more of an
4 opportunistic type look.

5 The NSIAC initiative was developed and
6 there's extensive buried pipe program now. And it's
7 not just for license renewal systems because it's
8 really trying to minimize any hazardous material
9 leakage. It could be oil, it could be tritium,
10 whatever. So things like that are done.

11 As Pierre had mentioned we -- in license
12 renewal, the scope of subsequent license renewal is 39
13 circuits for cable testing. But we do much, much more
14 than that because we want our plants to run reliably.

15 So we've factored in that. That was pre
16 -- that was after GALL. There was a generic letter
17 came out on cables, and water intrusion and cables.

18 And so as a fleet we developed corporate
19 programs to be implemented. So there's always those
20 kinds of lessons learned that go on. And we factor
21 them in as appropriate.

22 MR. SCHULTZ: Good, thank you.

23 MEMBER KIRCHNER: Mike, this is kind of a
24 difficult question. And with the chairman's caveat
25 that it might be one person's opinion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But could you just because of public
2 interest describe briefly post Fukushima actions and
3 is there anything from that program that influenced
4 your GALL kind of approach to the SLR renewal? That's
5 kind of a complicated question.

6 Is there any overlap between post
7 Fukushima I'll call them backfits, but that's not
8 correct. What was done after Fukushima and what
9 you're doing in the GALL SLR areas.

10 MR. GALLAGHER: Technically the Fukushima
11 activities is well beyond design basis --

12 MEMBER KIRCHNER: Right.

13 MR. GALLAGHER: -- and the license renewal
14 is more on the design basis itself and maintaining
15 safe shutdown conditions. So what scope of equipment
16 do you need.

17 There is some overlap to that because for
18 like flooding protection.

19 MEMBER KIRCHNER: I'm looking at your
20 picture behind you. It shows a rather high water
21 table so to speak. And so flooding.

22 And you mentioned earlier with your
23 manhole program looking for water intrusion into your
24 cable ducts and raceways and such.

25 I'm just trying to think are there things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that are overlap between what you've done post
2 Fukushima and what you're doing for SLR, and any
3 lessons learned in that area.

4 I know embellishing Charlie's question
5 about what you've learned going through the GALL
6 process and are there things that you've had to
7 respond to.

8 MR. GALLAGHER: So, I would think -- the
9 only overlap really is in the structural monitoring
10 areas. So all the flood protection is in the
11 structural monitoring program. So that's all looked
12 at and made sure we have it and it's maintained.

13 But the big response for Fukushima, we can
14 have James Brown talk to you about -- I mean, there
15 was an extensive response where we could -- we have
16 equipment onsite in a hardened building. We cannot
17 rely on any plant equipment at all basically, any
18 active plant equipment. We have pumps and power
19 supplies and everything like that.

20 MEMBER KIRCHNER: You're mentioning the
21 FERC inspection of the dam versus your onsite
22 equipment.

23 MR. GALLAGHER: Yes. Yes. The FERC
24 inspection of the dam is for the aging management of
25 the Conowingo Dam to ensure you maintain that -- the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Conowingo pond and our station blackout power source.

2 So, I mean that's an extensive program
3 that's done down there and it's all done under FERC
4 supervision. I mean, they actually have FERC
5 engineers involved in those inspections.

6 So that's the only overlap I could offer.
7 But the whole Fukushima response is very extensive as
8 you know.

9 MEMBER KIRCHNER: Out of bounds here, but
10 I was just looking to see if there was any overlap and
11 influence on your SLR.

12 CHAIR SUNSERI: Any other questions from
13 the members? All right, well I appreciate that.

14 I did not record any open items or follow-
15 up items I should say. We will discuss the
16 confirmatory item further with the staff when they're
17 up there.

18 As far as I think our discussion goes we
19 don't have anything else.

20 MR. SCHULTZ: I've got one more question.
21 We talked about it a bit and the staff is going to
22 perhaps address it as well.

23 But we noted that the operating experience
24 associated with the extended power uprate levels, that
25 was going to be focused on for SLR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 My question is aren't we doing that
2 already? Shouldn't we be doing that already? Why was
3 it that this came up, that for the SLR program we're
4 going to make sure we look at impacts of extended
5 power uprates?

6 Aren't you doing that in any case?

7 MR. GALLAGHER: Yes.

8 MR. SCHULTZ: And isn't it well documented
9 not only within your organization, but within the
10 industry?

11 MR. GALLAGHER: Yes, we are. But the
12 point was is to have a backstop so that we have a
13 commitment to look at the plant-specific effects.

14 So we just put the EPU in place a couple
15 of years ago. So what it would like 5 years, 10
16 years, 15 years. And so there's a backstop commitment
17 that ensures that that's done if you go to the period
18 of extended operation.

19 But it is done in conjunction with
20 operating experience and our corrective action program
21 now.

22 MR. SCHULTZ: Understood. Thank you.

23 CHAIR SUNSERI: All right. We've made
24 good progress through this first part of the meeting
25 today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I would normally like to press on, but our
2 phone line has gone down so we're going to need to
3 take a 15-minute break to reestablish the phone line
4 so we can at least cut in the people that need to talk
5 on that.

6 So we will take a break here until five
7 till on this clock up here.

8 (Whereupon, the above-entitled matter went
9 off the record at 9:40 a.m. and resumed at 9:56 a.m.)

10 CHAIR SUNSERI: All right, we are
11 reconvening the ACRS meeting to discuss the Peach
12 Bottom SER.

13 And we have the staff on the stage here
14 and I'll turn it over to Meena.

15 MS. KHANNA: Yes. I'm going to just turn
16 the presentation right over to Bennett Brady. She'll
17 be leading the discussion for us today. Thank you so
18 much.

19 CHAIR SUNSERI: Thank you, Meena.

20 MS. BRADY: Good morning, Chairman, and
21 members of the subsequent license renewal review. My
22 name is Bennett Brady. I am the senior project
23 manager for the safety review of the Peach Bottom
24 Atomic Station Units 2 and 3 subsequent license
25 renewal application.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 As you heard from Meena earlier we're here
2 today to discuss the NRC staff's safety review of the
3 Peach Bottom SLRA as documented in our safety
4 evaluation report, or SER.

5 Joining me at the table today are Dr.
6 Allen Hiser, senior technical advisor for License
7 Renewal Aging Management Division of the New and
8 Renewed Licenses, our new division name.

9 Also here are Bill Rogers, senior project
10 manager also in the division of DNRL, Mo Sadollah,
11 electrical engineer from the Division of Engineering,
12 and joining us from Region 1 are Kevin Mangan, senior
13 reactor inspector, and Justin Heinly who will be on
14 the phone later, the senior resident inspector.

15 Laura Gibson here will be manning or
16 womaning the slides.

17 Seated in the audience and joining us on
18 the phone are members of the technical staff who
19 participated in the review of the SLRA and conducted
20 their audits. Next slide, please.

21 This slide just gives a brief overview of
22 our presentation today. We will be talking about SER
23 section 2 which covers scoping and screening, SER
24 section 3, aging management review, SER section 4, the
25 time-limited aging analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then we will also talk about the
2 confirmatory item and like the applicant we did we
3 were going to take the four technical issues that the
4 Commission recommended we address and give you some
5 examples of that from the application.

6 Then the region will give a discussion and
7 a presentation on their inspections and lastly on the
8 material plant condition. Next slide, please.

9 Peach Bottom Units 2 and 3 were initially
10 licensed in October 1973 and July 1974 respectively.

11 The licensee, Exelon Generation Company,
12 LLC, or Exelon, submitted -- was issued an initial
13 license renewal application were issued in May 2003
14 for Unit 2 and July 2003 extended the expiration dates
15 to August 2033 for Unit 2 and July 2034 for Unit 3.

16 On July 10, 2018 Exelon submitted a
17 subsequent license renewal application for Peach
18 Bottom Units 2 and 3. Next slide, please.

19 The Peach Bottom review is the second
20 safety review performed by the staff using the GALL
21 SLR and SRP SLR guidance that was issued in 2017.

22 The staff's Peach Bottom SLRA review
23 process was the same as that followed during the
24 review of the Turkey Point subsequent license renewal
25 review.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The staff identified and implemented
2 several efficiencies as compared to the process that
3 we used for initial license renewal.

4 And one of these efficiencies dealt with
5 the conduct of audits. Instead of one large and
6 lengthy onsite audit the staff conducted two standard
7 audits, an operating experience audit and an in-office
8 audit.

9 The majority of the audit activities and
10 breakout discussions were conducted here in this
11 office with the use of portals and telecommunications.

12 The first audit was the operating
13 experience audit which was conducted a couple of
14 blocks north of here.

15 The applicant provided computers that we
16 could use to access their record actions database.

17 During this, the Peach Bottom operating
18 experience audit, the staff performed an independent
19 review of the plant-specific operating experience to
20 identify any age-related events and degradation as
21 documented in the applicant's corrective action
22 program database.

23 The second audit was the in-office audit.
24 The team focused on two areas. First, the scoping and
25 screening review, and second, the review of aging

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 management programs, or AMPs, aging management review
2 items and time-limited aging analyses.

3 For Peach Bottom the staff's review was
4 also informed by the results of the Region 1 initial
5 license renewal inspection, the IP 71003 phase 4
6 inspection performed in November of 2018.

7 However, it should be noted that these two
8 activities were going on at the same time, but the
9 inspection was related to the applicant's first
10 license renewal.

11 The inspection is intended to review the
12 implementation of the AMP elements during the period
13 of extended operation and their ability to perform
14 their intended function and also provide an assessment
15 of plant material conditions.

16 Later in this presentation Kevin Mangan,
17 Region 1, senior reactor inspector, will discuss the
18 results of the IP 71003 phase 4 inspection and Justin
19 Heinly, senior resident inspector, will talk about the
20 plant material conditions. Next slide, please.

21 The Peach Bottom SER with one confirmatory
22 item was issued on October 7, 2019 with one
23 confirmatory item as you know related to the core
24 plate rim hold-down bolts.

25 Since issuing of the -- during the staff's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in-depth technical review of SLRA it issued 48 RAIs,
2 4 of which were follow-up RAIs.

3 One might have expected that this is a new
4 program covering 60 to 80 years that there would be a
5 lot of significant increase in RAIs. However, this
6 was not the case. Forty-eight RAIs was a significant
7 decrease in RAIs from those that we issued during the
8 initial license renewal.

9 The staff believes that this was due to
10 the high quality of the subsequent license renewal
11 application. Next slide, please.

12 In the next few slides I will present the
13 results of the staff safety review as described in the
14 SER.

15 SER section 2 includes the scoping and
16 screening of structures and components subject to an
17 aging management review.

18 The staff reviewed the applicant's scoping
19 and screening methodology, procedures and their
20 results.

21 The staff also reviewed the various
22 summaries of the safety-related SSCs, the non-safety
23 related SSCs affecting safety functions, and the SSCs
24 relied upon to perform functions in compliance with
25 the Commission's regulations for fire protection,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 environmental qualification, station blackout and
2 anticipated transients without a scram.

3 Based on the results from the in-office
4 audits, the additional information provided by the
5 applicant on the portal and our meetings the staff
6 concluded that the applicant's scoping and screening
7 methodology and implementation were consistent with
8 the SRP SLR and the requirements of 10 CFR Part 54.
9 Next slide, please.

10 MEMBER KIRCHNER: May I interrupt you?
11 Just from a process standpoint you mentioned I think
12 if I heard you correctly the number of RAIs were much
13 less than in the initial license extension
14 application.

15 MS. BRADY: Yes. I'm not referring to
16 Peach Bottom. I'm referring to all the first license
17 renewals.

18 MEMBER KIRCHNER: So that's -- I don't
19 want to lead the witness so to speak. The applicant
20 supplied a much better application on the second -- on
21 the SLR? Or the staff has learned a lot more since
22 the first? Could you just elaborate?

23 MS. BRADY: It was a very good
24 application.

25 MEMBER KIRCHNER: Okay.

1 MS. BRADY: Many of the technical
2 reviewers came to me saying this is a good
3 application.

4 We just, we did not have many questions
5 from the application. Questions is what leads to RAIs
6 that we were not able to answer.

7 So yes, it was a very thorough quality
8 application. As I think Mike mentioned they
9 participated in our thought when we were developing
10 the GALL, they were at all our meetings usually
11 sitting on the front row. And they have been
12 preparing for this, well prepared.

13 MEMBER KIRCHNER: Thank you.

14 MR. SCHULTZ: Just to follow that up a
15 moment. It seemed as if the in-office audit generated
16 a number of opportunities for RAIs, that there were a
17 number of issues that were identified through that
18 audit where the staff felt additional information was
19 required.

20 MS. BRADY: Yes. This was a very
21 efficient process for us particularly in using
22 portals.

23 We've used portals before, but I think
24 that we used that quite extensively. We would have a
25 question. We would present it to the applicant and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they would have something on the portal that day or
2 the next day giving us the information we needed.

3 Formerly you would have audits that went
4 onsite for two weeks and that generated RAIs. But it
5 was not as thorough as being able to have more
6 sessions and discuss more.

7 Maybe it brought more RAIs, I don't know,
8 but it certainly resolved more. Because the applicant
9 was very active in -- when we proposed an issue they
10 very quickly responded and said we will take care of
11 it. We'll get you a supplement next week. And they
12 did.

13 MR. SCHULTZ: So the efficiency of
14 processing issues, questions was much improved given
15 this approach.

16 MS. BRADY: Yes, that would be our
17 opinion. We had what we call the optimization
18 project. It's going on at the same time that we
19 developed the guidance. That was one of the things
20 that came out of that review was that we would try to
21 do most of the auditing in the office and operating
22 experience audit.

23 If these sources didn't resolve a problem
24 then we would have an onsite audit. There were sort
25 of two conditions that led us to an onsite audit.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One, there was a really significant area
2 that we just could not resolve through RAIs. We
3 needed to go to onsite, get on the table and talk face
4 to face.

5 Or the second one that was really an issue
6 that the staff needed to go take a look at the
7 equipment, the configuration and then we would do an
8 onsite audit.

9 For Peach Bottom all our RAIs were
10 resolved before we needed to go to an onsite.

11 MR. SCHULTZ: And the applicant this
12 morning mentioned briefly that in preparing their
13 application they looked at the request for additional
14 information that had been --

15 MS. BRADY: Yes.

16 MR. SCHULTZ: -- in other applications in
17 order to improve their initial application.

18 MS. BRADY: And that would be a lesson
19 learned that I would recommend to future applicants.
20 Look at the RAIs from previous reviews.

21 MR. SCHULTZ: Thank you.

22 MS. BRADY: SER section 3 and its
23 subsections cover the status review of the applicant's
24 aging management programs for managing the effects of
25 aging in accordance with 10 CFR 54.21(a)(3).

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Sections 3.1 through 3.6 include the AMR
2 items in each of the general systems areas within the
3 scope of subsequent license renewal as shown on the
4 slide here.

5 For a given AMR item the staff reviewed
6 the item to determine whether it is consistent with
7 the GALL SLR report.

8 For AMR items not consistent with the GALL
9 SLR report the staff reviewed the applicant's
10 evaluation to determine whether the applicant's
11 results would be adequately managed so that the
12 intended functions would be maintained consistent with
13 the current licensing basis for the subsequent period
14 of extended operation.

15 Based on the review, the results from the
16 in-office audit and the additional information
17 provided by the applicant the staff concluded that the
18 applicant's aging management review activities and
19 results were consistent with the SRP SLR and the
20 requirements of 10 CFR Part 54. Next slide.

21 The SLRA described a total of 47 AMPs, 11
22 new and 36 existing. This slide here shows how these
23 AMPs were distributed. This is the same distribution
24 that you've seen from the applicant.

25 On the left side are the distribution

1 between existing, new and enhanced, and one plant-
2 specific enhancement.

3 The column on the right side shows the
4 distribution from the SER. As you will notice there
5 is no change in the distribution of these AMPs.

6 There were a lot of changes within the
7 AMPs, within the enhancements and exceptions, but the
8 distribution stayed the same. Next slide, please.

9 Section 4.1 documents the staff evaluation
10 of the applicant's identification of applicable TLAAs.

11 The staff evaluated the applicant's basis
12 for identifying those plant-specific or generic
13 analysis that needed to be identified as TLAAs and
14 determined that the applicant has provided an accurate
15 list of TLAAs.

16 Section 4.2 through 4.7 documents the
17 staff review of the applicable Peach Bottom TLAAs for
18 the areas that are shown on this slide.

19 Based on its review and the information
20 provided by the applicant the staff concludes that
21 either one of three things.

22 One, the analysis remains valid for the
23 subsequent period of extended operation, two, the
24 analysis has been projected to the end of the
25 subsequent period of extended operation, or three, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effects of aging on the intended functions will be
2 adequately mentioned in the subsequent period of
3 extended operation as required by 10 CFR 54.21(c)(1).

4 Based on the review and the results from
5 the in-office audit and additional information
6 provided by the applicant the staff concluded that the
7 applicant's TLAA activities and the results were
8 consistent with the SRP SLR and the requirements of 10
9 CFR Part 54. Next slide, please.

10 We've talked before about the one
11 confirmatory item. The staff identified one
12 confirmatory item in the SER associated with the BWR
13 vessel internals program AMP, B.2.1.7.

14 Specifically, the applicant had proposed
15 an enhancement to perform one of two activities post
16 licensing to address potential for mitigation of
17 stress corrosion cracking at the core plate rim hold-
18 down bolts.

19 The first option was to install wedges
20 which the staff found acceptable.

21 The second option was to submit an
22 inspection plan to the NRC for future review and
23 approval.

24 This option did not satisfy the staff's
25 need to complete its technical evaluation prior to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 granting a new license since the completed inspection
2 plan was not currently available during the staff's
3 SLRA review.

4 It would be delivered to us at some future
5 time after licensing.

6 In response to the staff's concern the
7 applicant submitted a supplement to the SLRA which
8 modified the enhancement to AMP B.2.1.7 in accordance
9 with the BWRVIP-25 revision 1.

10 There were three options. One, to install
11 wedges, or two, inspect the core plate rim hold-down
12 bolts, or three, demonstrate the analysis that the
13 installation of wedges and inspections of the core
14 plate rim hold-down bolts are not required.

15 The staff determined that each of these
16 three options included in the supplement would be able
17 to be confirmed by the oversight process and were
18 therefore acceptable.

19 On the basis of this information the staff
20 determined that its concerns related to this
21 confirmatory item were resolved.

22 The staff will update the SER following
23 this meeting in order to close this item.

24 I would mention that we also consider this
25 a timing issue. It did not come up until very late in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our review, about a week before we were to publish the
2 SER.

3 The applicant very quickly proposed a
4 solution which we accept, but that was not enough time
5 to get it into the application.

6 Also, the applicant, what they proposed
7 was consistent with GALL, but the GALL was developed
8 back in -- the draft of 2016, published in 2017, and
9 at that time we did not really have an acceptable
10 issue for that item.

11 We will be issuing an interim staff
12 guidance shortly that will correct this area. Any
13 further questions on the confirmatory item?

14 MEMBER KIRCHNER: So, Bennett, on that
15 question, on this issue rather. It says demonstrate
16 instead via analysis.

17 So, what kind of margin do you look for in
18 that analysis? I'm out of the thermal hydraulics
19 world so we deal with uncertainties in calculations
20 and so on, and usually we were calculating against a
21 peak clad temperature or some figure of merit like
22 that.

23 What figure of merit do you use here for
24 something to decide you don't have to inspect?

25 MS. BRADY: There was one TLAA on the loss

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of pre-load for these bolts. And sorry, I don't
2 remember the exact figures, but the margin for that
3 was large.

4 MEMBER KIRCHNER: Okay.

5 MS. KHANNA: We have a staff member here
6 that can address the question. Mr. Jim Madoff.

7 MR. MADOFF: This is Jim Madoff of the
8 staff. I was part of the review. I was the peer
9 reviewer for the vessel internals program including
10 the aspects related to aging management of the core
11 plate bolts. That included cracking and loss of pre-
12 load effects.

13 The reason we have an AMR further
14 evaluation on this is because we -- at the time of the
15 GALL update we were doing a review of the VIP 25
16 revision 1 report including Part 50 aspects,
17 inspection basis, the new generic analysis which would
18 get them out of either installing wedges or even doing
19 inspections because some plants have found the
20 inspections to be infeasible.

21 We looked at mechanical loads, fluences,
22 bolting patterns as part of that. I can't go into the
23 details because it is a proprietary report, but we do
24 have a non-public SE right now.

25 Everything has been approved. We're only

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ironing out the proprietary information with EPRI and
2 the report is scheduled to be issued with the final SE
3 and approved by February of this year.

4 So technically we've approved the report.
5 We had Dr. Ianson (phonetic) look at the mechanical
6 loads. Chris Sidler (phonetic) and I looked at the
7 materials aspect. What happened is because, at the
8 time of the GALL update, because we were in a pending
9 review where Dr. Ianson was trying to iron out some of
10 the mechanical loading issues with EPRI we couldn't
11 reference it in the AMP.

12 So we had the confirmatory action to
13 either install wedges or something in the future.
14 What happened is when we looked at it a little further
15 there were some aging management issues with having a
16 future promissory note coming.

17 So we had them amend their enhancement to
18 make it more consistent with VIP-25 rev 1 since it was
19 technically approved.

20 We do have the non-public SE available to
21 give to you if you want to look at it. But right now
22 their amendment amends it to VIP-25 rev 1 and will be
23 approved in winter of 2020. They'll be able to go
24 ahead.

25 MR. OESTERLE: Excuse me, Jim. About the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question about margins. Can you address that or is
2 that proprietary?

3 MR. METTA: The margins is proprietary,
4 but they had sufficient margins on bolting patterns,
5 on fluences and loading conditions. So we addressed
6 that in the VIP-25 SE. But that's basically what
7 happened.

8 So right now there's no technical issue
9 with the way they're handling this.

10 MR. SCHULTZ: Bennett, before we go to the
11 next section I had a question on slide 8. Just a
12 general question.

13 You're showing here the original
14 disposition and the final disposition. And they're
15 similar. And I can recall in many instances when
16 we've done the extended license renewal overall
17 approach that -- that is in the last sequence where we
18 did the license renewals there were differences
19 between the original disposition, final disposition.

20 In this case it's the same. So does that
21 mean that the license application is in very good
22 shape, or does it mean that the GALL program that was
23 developed for SLR is in really good shape? Or is it
24 some combination of the two? What do you conclude
25 from this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. BRADY: I would conclude this is
2 rather fortuitous. There are a lot of changes within
3 the AMPs, within the enhancements, within the
4 exceptions. At the end of the day they were the same.

5 I would like to say this is a good GALL,
6 but I can't say that.

7 MR. SCHULTZ: All right. All right. Just
8 checking. Thank you.

9 MS. BRADY: Does anyone else?

10 MR. OESTERLE: Yes, this is Eric Oesterle
11 from the staff and I would add, Committee Member
12 Schultz, that I believe it's a combination of the two,
13 that the guidance was very good and the application
14 was very good.

15 And as you can see by Exelon's
16 presentation their very high percentage consistency
17 with the GALL SLR allowed them to achieve a high-
18 quality application and resulted in few changes.

19 MR. SCHULTZ: That helps. Thank you.
20 Thank you very much.

21 MS. BRADY: Next slide, please. This is
22 similar to what the applicant did. Back in 2014 we
23 went to the division with a SECY proposing changes for
24 subsequent license renewal.

25 The Commission said no changes are needed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in the rule. But go forth and work on these four top
2 issues for subsequent license renewal. And these are
3 the four issues.

4 At this point the next four slides are
5 going to take examples of where we have addressed
6 these issues and how they relate to the application
7 from Peach Bottom. Allen Hiser will begin the
8 discussion.

9 MR. HISER: Okay. Next slide. The
10 technical issue on RPV neutron embrittlement at high
11 fluence actually doesn't apply to BWRs. It really is
12 applicable to PWRs where the fluences get up on the
13 order of 10^{20} , not 10^{18} .

14 So this is not considered high fluence for
15 BWR.

16 The reactor vessel material surveillance
17 program as the applicant described this morning plans
18 to withdraw one capsule from each unit and to test
19 that capsule at approximately 60-62 EFPY.

20 Our conclusion was that the fluence levels
21 for these capsules would encompass the fluences on the
22 vessel at the quarter-T location for 80 years. And
23 that's the vessel fluence of interest for BWRs is
24 really relates to PT dimension in the quarter-T
25 location.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this is consistent with the GALL SLR
2 guidance. I think a comment that you've heard and
3 will continue to hear.

4 Now, there is -- the time-limited aging
5 analyses are described in SLRA section 4.2 and these
6 are things that relate to neutron embrittlement such
7 as suggested reference temperature which is used for
8 pressure temperature limits, Charpy upper shelf energy
9 and things like that.

10 Those are evaluated in SLRA section 4.2.
11 The way that neutron embrittlement is estimated in
12 this section is consistent with our guidance in
13 Regulatory Guide 199 revision 2 and it includes
14 consideration of surveillance program data. Next
15 slide.

16 Similar to the RPV fluence technical topic
17 the technical issue related to IASCC reactor vessel
18 internals for Peach Bottom is not significantly
19 different between subsequent license renewal and the
20 first license renewal.

21 IASCC of internals is managed by the
22 vessel internals program B.2.1.7 using VT-1 and EVT-1
23 inspections to detect cracks.

24 A water chemistry program is also used to
25 mitigate the effects of the water environment that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 could promote cracking.

2 There is a TLAA associated with IASCC
3 which is addressed in SLRA section 4.2.14. This
4 analysis actually was initiated in the original
5 license renewal application and identified a fluence,
6 a threshold value of 5 times 10^{20} neutrons per
7 centimeter squared for IASCC and embrittlement of the
8 internals.

9 Now, fluence for the core shroud and top
10 guide are projected to exceed this value for 80 years.

11 So in the SLRA the applicant dispositioned
12 its TLAA in accordance with 10 CFR 54.21(c)(1)(iii) by
13 demonstrating the effects of aging will be managed
14 during a subsequent period of extended operation.

15 And these will be managed using the AMPs
16 that are listed in the last bullet there. Next slide.

17 MEMBER RICCARDELLA: Excuse me, Allen.
18 Has there been any history of core shroud cracking at
19 these units?

20 MR. HISER: I believe Peach Bottom does
21 have core shroud cracking, yes.

22 MEMBER RICCARDELLA: But they continue to
23 inspect.

24 MR. HISER: Yes, that's correct,
25 consistent with the BWRVIP.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The next topic relates to irradiation of
2 concrete and steel, SLRA section 3.5.2.2.2.6 addresses
3 the aging effects of reduction of strength and loss of
4 mechanical properties due to irradiation for
5 structural concrete and loss of fracture toughness due
6 to neutron irradiation embrittlement of structural
7 steel in the locations that are listed there.

8 This figure illustrates the general
9 configuration and location of the component supports
10 that were reviewed for these aging effects.

11 Peach Bottom units are Mark I containments
12 with a GE General Electric BWR 4 RPV design.

13 The staff noted for this design the
14 concrete and steel structures that are exposed to the
15 highest level of irradiation and may be susceptible to
16 these aging effects are the sacrificial shield wall
17 which is -- the RPV support skirt which is down below
18 that, the reactor pedestal and lateral stabilizers as
19 indicated on the figure. Next slide.

20 For the aging effects due to irradiation
21 of concrete the components of interest are the
22 concrete in the sacrificial shield wall and the
23 support pedestal.

24 To address this potential aging effect the
25 applicant performed analyses that estimated a peak

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 neutron fluence of 1.9 times 10^{18} neutrons per
2 centimeter squared and the gamma dose of 1 times 10^{10}
3 rad at the inner concrete surface of the sacrificial
4 shield wall.

5 The staff noted that the applicant's
6 estimated neutron fluence is below the threshold given
7 in the SRP SLR report of 1 times 10^{19} neutrons per
8 centimeter squared beyond which degradation of the
9 concrete due to irradiation may be significant.

10 Therefore a plant-specific program is not
11 needed to manage the degradation of concrete due to
12 neutron fluence.

13 The staff noted that the applicant's
14 estimated gamma dose is at the SRP SLR threshold of 1
15 times 10^{10} rad.

16 The staff finds that a plant-specific
17 program is not needed to manage degradation of
18 concrete due to gamma dose because the irradiation
19 peak location is typically located within 1 to 1.5
20 feet of the center line of the RPV belt line, and at
21 that location the shield wall concrete does not
22 perform a structural function.

23 In addition, the staff noted the fluence
24 and dose levels estimated by the applicant are
25 conservative because the applicant ignored the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 attenuation of the shielding provided by the quarter
2 inch thick steel liner on the inner side of the shield
3 wall.

4 Finally, the staff verified that the
5 fluence and dose values at the structural portion of
6 the sacrificial shield wall concrete and at the RPV
7 pedestal are bounded by the applicant's estimated peak
8 fluence values.

9 Based on its review of the SLRA, the
10 UFSAR, and reference calculations reviewed during the
11 audit the staff noted that the peak neutron fluence
12 and gamma dose values will not exceed the SRP SLR
13 thresholds at which significant degradation of
14 concrete mechanical properties is expected, will not
15 exceed the SRP SLR thresholds at areas where the
16 shield wall and the RPV pedestal concrete do perform
17 a structural function, and are conservatively below
18 the SRP SLR thresholds.

19 Therefore the staff finds that the
20 applicant's proposal to manage the effects of aging
21 using the structures monitoring program is acceptable
22 and a plant-specific program is not needed.

23 For the aging effects due to irradiation
24 of structural steel the components of interest are the
25 sacrificial shield wall, RPV skirt and RPV lateral

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stabilizers.

2 To address this potential aging effect the
3 applicant used the transition temperature approach
4 described in NUREG-1509 to assess whether radiation
5 embrittlement of steel is a concern for the RPV skirt
6 and sacrificial shield wall.

7 And using the transition temperature
8 approach the applicant first of all identified the
9 material composition, initialed nil-ductility
10 transition temperature, or NDTT, and respective lowest
11 service temperature, LST, of the shield wall and
12 skirt.

13 Secondly, they calculated total fluence in
14 DPA for these components for 80 years of operation and
15 the corresponding expected shift in the NDTT and
16 determined the 80-year NDTT of the components and
17 compared it to the respective LST.

18 Based on its review of the SLRA, UFSAR and
19 reference calculations reviewed during the audit the
20 staff finds that the applicant's implementation of
21 NUREG-1509 Transition Temperature Approach to be
22 acceptable.

23 The staff finds that the 80-year maximum
24 total fluence expected at the RPV skirt and
25 sacrificial shield wall will result in 80-year NDTT

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 values that are below the components LST of 100
2 degrees F and therefore there is sufficient margin
3 between the 80-year NDTT and the lowest service
4 temperature.

5 Additionally, staff finds that the
6 applicant demonstrated that the aging effects due to
7 radiation embrittlement for the steel sacrificial
8 shield wall are more limiting than those for the other
9 structural steel components including the welds of the
10 sacrificial shield wall and the RPV lateral stabilizer
11 at the top of the sacrificial shield wall.

12 For these reasons the staff finds that
13 loss of fracture toughness due to irradiation
14 embrittlement is not an aging effect that requires
15 management for the RPV structural steel component
16 supports at Peach Bottom.

17 MEMBER KIRCHNER: Allen, may I ask, I
18 think you used the word "verified" when you were
19 talking about the concrete irradiation.

20 Did the staff do independent calculations,
21 or other kind of -- use other tables or benchmarks to
22 just look at the applicant's estimates of fluence?

23 MR. HISER: I'm not sure about that. Yes.
24 One of the reviewers.

25 MR. KREPEL: Scott Krepel here. I did the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fluence review related to this. And no, we did not do
2 any independent calculations for Peach Bottom
3 specifically.

4 However, the results were consistent with
5 some of the other independent calculations that we
6 have done at other plants.

7 Also, the licensee provided data from
8 several different reviews including plant-specific
9 calculations that were used with NRC approved methods
10 as well as calculations that EPRI had done that were
11 independently confirmed.

12 Also, there were some reports that came
13 from the Department of Energy's lab for reference to
14 the nuclear power plants that have the same operations
15 as Peach Bottom.

16 So we have a lot of information to be able
17 to support those conclusions for fluence.

18 MR. HISER: Thanks, Scott.

19 MEMBER KIRCHNER: Okay, thank you.

20 MR. HISER: Okay. With that we'll go to
21 the next slide and I'll turn the floor over to Mo
22 Sadollah.

23 MR. SCHULTZ: Allen, before you leave just
24 a side question. The capsules that are going to be
25 tested as part of the program are reinserted capsules

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if I recall.

2 Are there any issues associated with that
3 aspect of the program?

4 MR. HISER: If I remember one of them was
5 a reconstituted capsule that was reinserted.

6 MR. SCHULTZ: Yes.

7 MR. HISER: No, they've been used at Peach
8 Bottom previously. And there are ASTM standards.
9 There's standard practices to do that.

10 MR. SCHULTZ: Okay, good. Thank you.

11 MEMBER BALLINGER: If my memory serves me
12 the shroud cracking issue on Peach Bottom, there was
13 an inspection and they compared the growth rates of
14 the cracks with respect to BWRVIP something, 70
15 something.

16 And am I recalling right that they
17 discovered that there was a lot more growth than the
18 models would have predicted? Is the Peach Bottom one
19 the one where they had that issue and that required or
20 was going to require a revision to MRP 226 or
21 whatever? Am I just completely off base here?

22 MR. JENKINS: Yes, this is Joel Jenkins.
23 I was involved in the review of the core shroud. And
24 that was not the issue with Peach Bottom.

25 MEMBER BALLINGER: Okay. All right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JENKINS: There was cracking there and
2 we evaluated the licensee's evaluation of that.

3 MEMBER BALLINGER: Okay. All right. So
4 I've got to do a little more research on that. Thank
5 you.

6 MR. SADOLLAH: Okay. All right. So on
7 the topic of the electrical cable qualification and
8 condition assessment as it relates to this application
9 we would like to discuss two areas.

10 One has to do with the underground cables
11 and submerged conditions, potential submerged
12 conditions of underground medium voltage cables. And
13 also we would like to talk about the cables as -- the
14 qualified cables and issues as it relates to the
15 qualification of the cables. So, Peach Bottom has
16 installed what's called Smartcover systems on
17 electrical cable manholes.

18 This system monitors water accumulation
19 constantly, continuously, water accumulation in the
20 sumps, in the electrical manholes that has the
21 following features.

22 It is floatless so there's no mechanical
23 float, or no physical contact of the moving parts that
24 monitors the level amount of water in the manholes.

25 And also automatic alarms are generated if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the water level exceeds a certain amount, or if
2 there's an issue, if there's a problem, a malfunction
3 within the system.

4 Smartcovers we found out that have been
5 used recently kind of widely in water and waste water
6 applications in the industry.

7 We have not seen -- there has not been any
8 reports of adverse operating experience with this
9 system.

10 So based on that Exelon took exception for
11 annual inspection of manholes, electrical manholes,
12 that GALL SLR AMP XIE3A and 3B and 3C recommend and
13 proposed a five-year inspection frequency rather than
14 annual.

15 The staff reviewed the situation. We
16 found the proposal acceptable as an alternative to the
17 recommendations of GALL primarily because the
18 continuous monitoring and the self-diagnostic features
19 of the systems that are installed.

20 MEMBER RICCARDELLA: Excuse me. What is
21 this technology used in these Smartcovers?

22 MR. SADOLLAH: It's like ultrasonic, some
23 kind of ultrasonic.

24 MEMBER KIRCHNER: As part of your
25 inspection or review did you look at the history of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flooding in the cable areas, underground buried
2 cables?

3 MR. SADOLLAH: So we do an OpE --
4 independent search of the OpE functions, the operating
5 experience aspects of the thing.

6 We did look at the corrective actions
7 database and there was no serious -- significant
8 indications of water accumulations in those systems.

9 I'm not sure how far back those went prior
10 to the installation of the system.

11 MEMBER KIRCHNER: So they're not getting
12 intense precipitation issues on a frequent basis.

13 MR. SADOLLAH: Not that I could recall.

14 MEMBER KIRCHNER: Okay. Thank you.

15 MR. HEINLY: Hi, this is Justin Heinly,
16 senior resident inspector. I might be able to help
17 out with that if you'd like a little more insight.

18 CHAIR SUNSERI: Yes.

19 MR. HEINLY: So as a part of the baseline
20 inspection sample we do look at those cable vaults and
21 how they manage the water intrusion in the pump house.

22 We do a corrective action search and we
23 look at the reliability of those answers as well as
24 how they manage the water.

25 We would say that with -- the program is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 adequate and ensures that they're able to pump out the
2 water prior to safety-related cables being submerged
3 in water. So they've consistently had a very strong
4 program we think.

5 MEMBER KIRCHNER: Thank you.

6 MEMBER DIMITRIJEVIC: But that has to be
7 done under some assumption of what kind of you know --
8 the water you have outside.

9 I mean, if you say adequately pumps, does
10 that mean adequately pumps if you get, you know, which
11 they just had 30 inches in 8 hours.

12 Then I mean, you know, what assumptions
13 are done in this adequate pumping analysis.

14 MR. SADOLLAH: Yes. So my understanding
15 is that there is a certain threshold or level of water
16 accumulation that generates an alarm.

17 Once that alarm is generated operators are
18 notified, they notify the maintenance group to do a
19 manual pump down.

20 MEMBER DIMITRIJEVIC: Manual pump down.

21 MR. SADOLLAH: Right.

22 MEMBER DIMITRIJEVIC: Okay, so the --

23 MR. HEINLY: This is Justin again. Those
24 manual pump downs do require them to open the lids on
25 these cable vaults, and they do do an inspection when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they're there to determine whether the water has
2 exceeded the lowest cable line.

3 And they would write a condition report if
4 that was the case. We monitor for that on baseline.

5 MEMBER DIMITRIJEVIC: Thanks.

6 MR. SADOLLAH: Okay. If there's no other
7 questions I'll continue.

8 And so the next topic is with the EQ-
9 qualified cables. So the cables that are qualified
10 under the environmental qualification EQ program are
11 covered under 10 CFR 50.49.

12 For subsequent license renewal -- for
13 first renewal and subsequent license renewal the EQ
14 program is considered a TLAA and was confirmed by the
15 staff that meets -- their program at Peach Bottom
16 meets GALL SLR recommendation as an AMP to manage the
17 aging effects of the cables. Not just cables, there's
18 also other components in that EQ program, but in
19 particular we talk about the cables here.

20 So the staff reviewed Peach Bottom's
21 methods of re-analysis leading to extension of
22 qualified life for the cables.

23 The re-analysis can take advantage of
24 additional conservatism that's built in the original
25 calculations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Originally obviously plants were only
2 interested in a 40-year qualified life, but there were
3 -- typically there are conservatisms such as the
4 ambient temperature in a given area that leads to a
5 certain number of years for a qualified life.

6 And once you take advantage of those
7 conservatisms based on actual environment temperatures
8 that you have in different zones of the plant you can
9 in most cases extend the life.

10 So the staff confirmed consistency with
11 GALL SLR and the provisions of 10 CFR 50.49 as well as
12 applicable current standards and guidance.

13 And if there are no further questions back
14 to Bennett.

15 MS. BRADY: Next slide, please. In
16 conclusion for the SLRA safety review the staff finds
17 that the requirements of 10 CFR 54.29(a) have been met
18 for the subsequent period of extended operation.

19 We would now like to turn the discussion
20 over to Kevin Mangan on the results of the inspections
21 and from Justin again on the materials condition of
22 the plant. Then we'll have general questions, please.
23 Kevin?

24 MR. MANGAN: Good morning, everyone. As
25 mentioned my name's Kevin Mangan and I'm the senior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reactor inspector in Region 1, Division of Reactor
2 Safety, Engineering Branch 1. And we're responsible
3 for license renewal inspections.

4 I'm the license renewal point of contact
5 for the region and I was also the team lead for the
6 phase 4 license renewal inspection of Peach Bottom
7 completed last December.

8 And on the phone with me is Justin, senior
9 reactor inspector. His wife decided to have a baby
10 last week so he couldn't join us.

11 So we're here to discuss Region 1's review
12 and assessment of the implementation of the aging
13 management programs for license renewal, material
14 condition of the plant and the overall regulatory
15 assessment of Peach Bottom Units 2 and 3.

16 The license renewal inspection program and
17 the baseline inspection program are both used to
18 inspect different aspects of the existing aging
19 management program at Peach Bottom and throughout the
20 region.

21 This slide I have up here describes the
22 specific license renewal inspections that we have
23 performed at Peach Bottom. And they are used to
24 assess the implementation of license renewal
25 commitments for the first period of extended

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operation.

2 As you see the phase 1 and phase 2
3 inspections were performed prior to Peach Bottom
4 entering the period of extended operations.

5 The phase 1 inspection occurs during the
6 last outage prior to entering the period of extended
7 operation, and a phase 2 inspection is a programmatic
8 team inspection that focused on verifying that all the
9 aging management programs are being -- and the
10 commitments associated have been properly implemented
11 prior through procedures, et cetera, prior to entering
12 the period of extended operations.

13 And as you can see the phase 1 inspection
14 was not performed at Unit 3. And also the phase 2
15 inspection at Unit 3 was of limited scope. And this
16 is due to the AMPs -- the two units, they submitted
17 their license renewal at the same time. Aging
18 management programs are the same.

19 Some of the systems are used at both units
20 like the emergency diesel generators are common to
21 both units. Station blackout cable and the equipment
22 associated with that and the emergency cooling tower
23 is common to both units.

24 So as a result we much more limited the
25 scope in our Unit 3 evaluation as opposed to Unit 2

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 evaluation.

2 But overall the region's conclusion
3 following the completion of all the inspection was
4 that Exelon had put in place the required procedures
5 and programs as described in the updated final safety
6 analysis report to meet the requirements of license
7 renewal amendments and also the associated
8 commitments.

9 So that was all done prior to entering the
10 period of extended operation.

11 Subsequent to that we did have one more.
12 It's called phase 4 inspection. And that's done 5 to
13 10 years into the period of extended operation.

14 And as I said, we conducted that. That
15 was a one-week inspection, a team of three people and
16 we did it starting in November of 2018, completed in
17 December of 2018. Next slide.

18 So for -- at Peach Bottom Exelon committed
19 to 35 aging management programs. Seventeen were
20 previously existing programs which no changes were
21 required. Twelve programs were previously existing
22 but were enhancements included in those programs. And
23 there were six new aging management programs created.

24 For the phase 4 inspections we picked six
25 aging management programs and these are the six we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 picked.

2 Sample select data, we based them on
3 criteria that's kind of outlined in the inspection
4 procedure.

5 We focused on new and enhanced procedures.
6 We wanted to make sure we picked some of those.

7 We looked at the aging management programs
8 that were impacted by either internal operating
9 experience, either conditions that they identified or
10 external operating experience such as like the GALL
11 report rev 1 and rev 2 that maybe changed some of the
12 commitments to see how they addressed those.

13 Certainly talked to the resident
14 inspectors and their input on any aging management
15 issues that they've looked at or were interested in us
16 looking at.

17 And AMPs that are not inspected by other
18 inspection procedures. There's a lot of AMPs that we
19 already cover in the baseline inspection, heat sink
20 inspections, ISI inspections for vessel internals, et
21 cetera. They're all already covered so this
22 inspection we tried not to focus on that and redo the
23 same work.

24 And then finally we looked at some risk
25 insights to pick the samples. For example, flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accelerated corrosion program comes up pretty high in
2 risk. There's a lot of pipe failure problem areas,
3 steam breaks associated with that.

4 One other thing that Exelon does, they do
5 an aging management program effectiveness review.
6 They do that every five years. That really helped.
7 We looked at that review and that identified all the
8 10 aspects of aging management program and where they
9 were meeting it, where they found problems, corrective
10 actions that they had identified, operating
11 experience, et cetera. So that also helped influence
12 us to look at things that they had identified that
13 were problems to see how they addressed them in our
14 selection process.

15 And then for the inspection program we
16 really do focus on aging effects, monitoring and
17 trending corrective actions and implementing operating
18 experience for this program as opposed to the original
19 inspection program which looked at all 10 aspects of
20 an aging management program and makes sure all the
21 procedures were in place, et cetera. Any questions on
22 that?

23 So as I said not only do we have the
24 license renewal inspection program. We also have a
25 baseline inspection program that looks at a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these aging management programs either directly or
2 indirectly as part of their inspection process.

3 So, as I mentioned before, the ISI module
4 performed which is an in-service inspection module.

5 It's performed at every plant each outage
6 and is a biennial heat sink inspection, which is not
7 a triennial heat sink inspection. So that covers
8 another existing aging management program.

9 Some other ones, we've enhanced some
10 programs like the design basis assurance inspection
11 program now has -- our aim is to look at aging
12 management programs for the components we've selected.

13 For these first couple, the first three we
14 identified no violations associated with any aging
15 management programs so the conclusion is the aging
16 management --

17 CHAIR SUNSERI: Yes, why don't you just
18 hold on for a second. We lost the public line and
19 we're trying to get Justin back on.

20 MR. MANGAN: He's on the next slide so let
21 me see if I can get him back on.

22 CHAIR SUNSERI: I think they've reached
23 out to him. They're trying to reconnect him. But if
24 you want to text him or something.

25 Justin, you back? Maybe not. Well, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can go ahead.

2 MR. MANGAN: All right. I'll continue my
3 slide and I'll see if he joins here.

4 So as I said we identified no violations
5 in these first three inspection procedures, the ISI
6 heat sink and design basis assurance inspection
7 related directly to aging management programs.

8 Additionally, our baseline inspection
9 program allows the resident inspectors to select any
10 kind of problem identification and resolution samples
11 where they identified the site had found some problems
12 and they wanted someone to go in and look.

13 MR. HEINLY: I'm back.

14 MR. MANGAN: There we go. Look and see
15 what corrective actions they had taken to address
16 those identified deficiencies and whether they were
17 adequate.

18 So there's a couple here that are directly
19 or indirectly related to aging management programs.

20 So structural monitoring program we looked
21 at as a PNR sample and Unit 2 coating defects. You
22 see 2015 and 2018 for those. Both of those didn't
23 identify any deficiencies. Thought that those
24 programs were -- corrective actions were adequate.

25 For the final three PNR samples -- and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they were developed as a result of some non-cited
2 violations that were written. Justin's going to talk
3 about a few of those in the next slide.

4 But for the problem identification and
5 resolutions cable reliability program. So we reviewed
6 the actions following cable failures that had been
7 discussed related to the EDGs and noted that Exelon
8 had missed two opportunities in 2016 and 2018 to
9 replace the cables associated with the Unit 3
10 emergency auxiliary transformer which is a separate
11 cable.

12 Test results in 2014 concluded that the
13 cables were not in the action range and required
14 replacement for the next available work window. I'm
15 sorry. Let me re-say that.

16 Tests in 2014 concluded that the cables
17 were in the action range and would have required
18 replacement in the next available work window. But
19 the information was not communicated till 2018 and as
20 a result the station did not correctly prioritize the
21 replacement of those cables given their position.

22 These cables were originally in scope of
23 the license renewal, but were subsequently scoped out
24 since they were energized less than 25 percent of the
25 time and that was a pre-GALL requirement that they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 didn't have to put them in the program.

2 And as I said that was consistent with the
3 license renewal guidance at the time.

4 MEMBER KIRCHNER: Has that changed?

5 MR. MANGAN: That has changed.

6 MEMBER KIRCHNER: Because it doesn't make
7 technical sense. And the percent time energized is
8 not a factor necessarily.

9 MR. MANGAN: I think that was the original
10 -- you can probably answer that better than I.

11 MR. SADOLLAH: Yes, yes. The thinking
12 process was that if a cable is only partly energized
13 growth of water trees would be limited.

14 But we're learning now that no, it's a lot
15 more conservative whether a cable is energized all the
16 time is to factor that in the testing of your
17 inspections.

18 MEMBER KIRCHNER: I just think one would
19 intuitively expect that the environmental conditions
20 around the cable would be a bigger factor than whether
21 it's energized or not.

22 MR. MANGAN: So yes. As I said they were
23 scoped out. So that's -- we're operating in a license
24 renewal space that it wasn't a license renewal aging
25 management program issue and it is in their cable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 management program and they are testing it to assess
2 degradation.

3 MEMBER KIRCHNER: Thank you.

4 MR. SCHULTZ: I'm trying to tie that
5 discussion on the cable reliability program. That
6 happened second quarter 2018 on your previous slide.

7 Then as part of the 71004 based core
8 inspection that was also -- the medium voltage cables
9 was also addressed? And so that happened after no
10 findings, but?

11 MR. MANGAN: It's a good question. And I
12 did that so I was questioning myself when all this
13 happened afterwards.

14 And so for our review of the aging
15 management program we were focused on the aging
16 management program and the cables that were required
17 to be reviewed as part of the aging management program
18 in their license renewal commitment.

19 These cables and diesel cables were both
20 scoped out of license renewal because they were
21 energized less than 25 percent of the time so they
22 were not scoped for a license renewal inspection.

23 MEMBER KIRCHNER: So how is this resolved
24 now?

25 MR. SCHULTZ: Yes, that's a good question.

1 Especially the diesel cables.

2 MR. MANGAN: I don't want to steal too
3 much of Justin's thunder, but the diesel cables, as I
4 said they had replaced all those cables. So those are
5 brand new cables now. They are in the cable testing
6 program.

7 MEMBER KIRCHNER: And they are now part of
8 the program.

9 MR. MANGAN: And then as far as subsequent
10 license renewal they are all within the scope of
11 license renewal.

12 MR. SCHULTZ: We do want to hear from
13 Justin.

14 MS. BRADY: Justin, are you with us?

15 MR. MANGAN: Yes, he is.

16 MR. HEINLY: I'm here.

17 MR. MANGAN: For the second one, external
18 flood seals. This is a problem identification
19 resolution where the residents got out and found a
20 couple of degraded flood seals.

21 And we did an extended communication on
22 that and reviewed what the site had done.

23 So the inspection, reviewed activities
24 related to the inspection of the external building
25 flood seals after EDG building flood seals were found

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be missing.

2 Inspector reviewed Exelon's previous
3 evaluation to assess how that was previously missed
4 and determined that the flood seals had been
5 determined to be inaccessible for inspection. So
6 that's why they hadn't been looked at before.

7 Our inspectors looked at that and
8 determined the seals were accessible and should have
9 been inspected.

10 And then subsequent to that inspectors
11 also found that a total population of 108 flood seals
12 onsite were incorrectly evaluated as inaccessible and
13 needed to be inspected.

14 Exelon subsequently went and inspected all
15 the seals, did not identify any missing or degraded
16 seals. And so as a result it was an insight as
17 opposed to any kind of onsite violation or anything
18 like that.

19 And then, finally, following the failure
20 of RICS static O-ring for a pressure switch, this
21 resulted in inoperability. A retrospective review
22 corrective actions looked at the extent of condition
23 of that event.

24 And inspection identified the replacement
25 of seven other HPSI and RICS O-ring switches had not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been scheduled till 2023 and questioned whether this
2 time frame was commensurate with the significance of
3 the issue.

4 And as a result of those questions Exelon
5 created corrective actions creating a new PM. And
6 they go in and look at the O-ring pressure switches on
7 a six-month frequency until they schedule or replace
8 the O-rings.

9 And so O-rings are not really directly
10 tied to aging management programs in license renewal
11 but they are part of the EQ program for the HIPSI one.
12 The RICSI ones were not.

13 And that is an aging management program
14 for our EQ program in general.

15 Any questions on any of those? All right.
16 I will turn it over to Justin now.

17 MR. HEINLY: All right. Good morning,
18 everybody. Can you hear me okay?

19 CHAIR SUNSERI: Just fine.

20 MR. HEINLY: Okay, great. So, we're on
21 slide 4, the resident inspector insights and
22 inspection results.

23 So I just wanted to take a moment to talk
24 about material condition from the resident inspector
25 point of view. Hold on just one second here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I just wanted to talk about the
2 material conditions from the resident's point of view.

3 So currently Peach Bottom Units 2 and 3
4 are in the licensee response column. They have all
5 green findings and PIs which indicates from a baseline
6 perspective that the licensee is effectively
7 identifying conditions adverse to quality and
8 correcting them in a timely manner.

9 As Kevin kind of mentioned there were a
10 few insights that we wanted to provide coming from the
11 baseline inspection as far as how the licensee is
12 identifying issues.

13 We did have two inspections -- inspection
14 results we wanted to talk about.

15 So the first bullet there, the first thing
16 that we wanted to just highlight was that there were
17 no findings as a part of the license renewal program
18 inspection.

19 So from a program perspective Kevin and
20 his team identified that the programs that were
21 established were adequate.

22 However, under baseline inspection we did
23 have two issues we wanted to talk to you about.

24 First NRC identified -- this was the --
25 I'm sorry, the self-revealing issue with corrective

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 action program involving the Echo-1 diesel underground
2 cables.

3 So as Kevin had mentioned the underground
4 cables for Peach Bottom for the diesel were excluded
5 from the license renewal program because there was an
6 exception for whether it be energized 25 percent of
7 the time or not.

8 However, the licensee conservatively put
9 them into their corporate procedure to be a part of
10 their cable monitoring program.

11 So under that program they were to have
12 tested them on a frequency of I believe about every
13 six years.

14 When they went out to test them the first
15 time they determined that it was either inaccessible
16 or too difficult to be able to actually test them.

17 They wrote up the condition report. And
18 unfortunately through a couple of missteps in the
19 corrective action program they never did end up
20 completing the diesel cable testing.

21 Unfortunately that resulted in the Echo-1
22 diesel cable failure and resulted in the Echo-1 diesel
23 being inoperable.

24 It was unfortunate that they missed the
25 multiple opportunities to identify it. We did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identify through a detailed risk evaluation that this
2 actually was still a green issue and the result of
3 this was that the licensee went out and performed
4 testing on all of their diesel cables and actually
5 proactively replaced every one of them to ensure that
6 the diesels remained reliable.

7 So when we look at it from a license
8 renewal perspective it wasn't really part of the
9 license renewal program.

10 MR. SCHULTZ: Justin, can you hear me?

11 MR. HEINLY: Specifically we wrote a
12 violation on the HIPSI exhaust pressure switches. The
13 station had gone through a PM program many years back
14 where they looked at the due dates of PMs some of
15 which were so far in the future that they actually
16 exceeded the life of the plant. So they deactivated
17 those PMs.

18 Once license renewal and now subsequent
19 license renewal came about those PMs had to be
20 reactivated.

21 Unfortunately not all of them were
22 identified and in this case one of them for the HIPSI
23 soft pressure switch had been missed.

24 So again we wrote a criterion 3 onsite
25 violation against it. However, it was of minor safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 significance because when they do their calculation
2 they --

3 (Off-microphone comments.)

4 MR. HEINLY: To the point of highlighting
5 these examples which indicate that the licensee has
6 been able to identify aging components in a timely
7 manner and that they didn't result in any safety
8 significant issues. They maintained an effective
9 corrective action program that identified them prior
10 to those issues arising.

11 So just kind of generally speaking of
12 material conditions. So you know, for a plant
13 proposing 50 years of operation the material condition
14 is generally adequate for safety-related structures
15 and components.

16 The licensee to their credit have been
17 successful in completing large capital improvement
18 projects to maintain or improve the position of those
19 SSCs.

20 So, some of the large projects that we
21 talked to would be an RHR cross tie modification. They
22 replaced their recirc MD sets with a solid state
23 central drive modification. They implemented various
24 program replacements.

25 They replaced two steam dryers. And

1 they're currently in an endeavor that's probably about
2 six to eight years long to replace their cooling water
3 system for the diesels from a surface water-based
4 system to an air-cooled diesel, which not only will
5 help them with various piping concerns, but also will
6 help them from a risk perspective.

7 So for all those factors together we
8 believe that the licensee is able to manage the
9 effects of aging and we're able to confirm that
10 through effectiveness.

11 I do want to open it up before we conclude
12 if there are any questions on the specific or
13 calculated risk.

14 MEMBER KIRCHNER: So, I would ask. I had
15 asked the applicant earlier -- not well -- about the
16 conflation between SLR and post Fukushima actions and
17 such.

18 I mean, clearly diesel generators play a
19 big role in risk mitigation. And that they wouldn't
20 -- cables for diesel generators wouldn't be under an
21 AMPs-like program.

22 Is that because they would naturally, or
23 not naturally, but be covered by other regulatory
24 requirements?

25 MR. HEINLY: So, our understanding is that

1 based upon the time frame of which Peach Bottom got
2 into license renewal is why those cables were not
3 required to be scoped in.

4 Yes, we understand it doesn't seem
5 intuitive. I think that's going to be corrected with
6 the second license renewal and the programs there.

7 But to their credit their corporate
8 program requires them to do that because they
9 recognize the risk involved with the cables.

10 MEMBER KIRCHNER: So from a process
11 standpoint is it -- would you -- this is like a lesson
12 learned kind of experience.

13 Going forward with other SLRs are you
14 going to somehow through an instruction or some branch
15 position or something capture this and then have it
16 included in future SLR AMPs programs?

17 How do you capture this in regulatory
18 space if that's the right way to phrase it?

19 MR. SADOLLAH: With GALL SLR currently
20 would include these cables in it.

21 MEMBER KIRCHNER: So the latest version of
22 GALL for SLR would. And this application predated it.

23 MR. SADOLLAH: It does not have that 25
24 percent exception.

25 MEMBER KIRCHNER: Okay, thank you.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GALLAGHER: If I could just add one
2 thing. This is Mike Gallagher with Exelon.

3 So just for clarity the equipment was
4 always in the scope of license renewal. It's whether
5 or not it's in the testing program. And so that was
6 the distinction.

7 So the cables were in scope, they were
8 always in scope, so they are covered by Part 54 and
9 it's covered there.

10 So what we in the original renewal, so
11 just to give you numbers. It was 14. We had 14
12 circuits that were in the test program of all the
13 circuits that are in.

14 We've added 27 additional circuits 4 of
15 which are these diesels. And we did not test,
16 unfortunately did not test the diesel cable, the E-1
17 cable that failed, but we had tested 10 other circuits
18 that were originally less than 25 percent and so was
19 not in the testing scope.

20 But we added -- developed our corporate
21 cable program and we added additional cables, not only
22 the 27 that we're adding formally for SLR, but many,
23 many other cables because -- for power generation and
24 that type of thing.

25 So we had tested 10 circuits that were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 less than 25 percent. Similar cable to the diesels
2 and they tested fine.

3 But unfortunately we didn't get to -- and
4 as Justin said we lost a couple of opportunities to
5 get to it earlier. And that's really our learning for
6 this.

7 I think for the SLR program overall it's
8 covered and as Mo had said it's in the SLR GALL.

9 MEMBER KIRCHNER: And how often are the
10 diesel generators tested at load?

11 MR. GALLAGHER: Jim? Monthly?

12 MR. BROWN: James Brown from Exelon. We
13 test them monthly.

14 MEMBER KIRCHNER: Thank you.

15 MR. GALLAGHER: Monthly operability runs.

16 MEMBER DIMITRIJEVIC: So, this is my
17 question. When you test the cables because you test
18 diesel generators monthly you know that the cables are
19 working or not, right? So what's a cable test? Do
20 you test for certain degradation mechanisms?

21 What degradation mechanisms were you
22 testing?

23 MR. GALLAGHER: Yes. There's a formal
24 test that's called TAN-DELTA test where you basically
25 have to disconnect the cables and then you do this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 test and the test would basically give you a baseline,
2 its performance level. And you can monitor and trend
3 for degradation.

4 MEMBER DIMITRIJEVIC: What type of
5 degradation are you looking to detect?

6 MR. GALLAGHER: The insulation
7 degradation.

8 MEMBER DIMITRIJEVIC: Insulation. So what
9 is the fail amount? The hot shot or the open circuit.
10 I mean, I was wondering how does that failure mode
11 depends on is the cable energized or not? That's what
12 I'm sort of curious about.

13 MR. MANGAN: So the original theory was
14 that the treeing effect that causes medium voltage
15 cables to degrade, the cable insulation to degrade,
16 was water and being energized. So that combination is
17 what's causing the treeing effect, causing the cables
18 to degrade.

19 So if they weren't ever energized then the
20 water wouldn't tree and it wouldn't cause degradation
21 of the cable. That's what the original assumptions
22 were.

23 Subsequently to that they said well,
24 that's not -- any underground cable could be wetted.
25 They all could have tested -- I think originally it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was 10 years for Peach Bottom. They moved that back
2 to six years and that was a GALL report regression
3 also.

4 So they eliminated that statement that if
5 it's energized less than 25 percent of the time you
6 don't have to test it as part of license renewal. So
7 now all those cables are tested.

8 MEMBER DIMITRIJEVIC: Because if you test
9 for insulation your main fail amount would be hot
10 short or some spurious operation, not actually loss of
11 the circuit.

12 MR. MANGAN: If the cable degrades then
13 you have the voltage it's going to go to ground and
14 going to short the cable and it will fail. So that's
15 what the high pot -- it's TAN-DELTA testing, but it's
16 kind of like a high pot test, in high pot tests. That
17 they just test it, see how much voltage drops across
18 the cable, and then trend it.

19 If that voltage drops faster that's an
20 indication of cable degradation.

21 MEMBER BROWN: Be careful on saying it's
22 a high pot test. A high pot test largely destroys the
23 cable. If it fails. So you can't recover. The TAN-
24 DELTA is more of a phase angle type test as opposed to
25 an insulation resistance which is just a current, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guess through the cable insulation to ground.

2 MR. MANGAN: Right. And a TAN-DELTA test
3 is the phase rate. But the IEEE standard describes it
4 as kind of next step as once you start seeing the
5 degradation is you go to the high pot test and verify
6 that it's going to hold.

7 MEMBER RICCARDELLA: For the record what
8 was the word you used, the treeing effect? Tree
9 effect?

10 MR. MANGAN: Tree. Tree.

11 MEMBER RICCARDELLA: T-R-E.

12 MR. MANGAN: If that insulation failed it
13 kind of looks like a tree in the cable insulation.

14 MEMBER RICCARDELLA: Thank you.

15 MEMBER BROWN: It gets mushy.

16 MR. SCHULTZ: Mike, I wanted to catch you
17 while you were at the microphone. But I have a
18 general question.

19 And that is with a couple of instances
20 today where in the case of cables determined in the
21 corrective action program that it was inaccessible and
22 then found later that it was in fact an accessible
23 cable that could have been tested.

24 And there has been an extent of condition
25 evaluation of what is accessible and what is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inaccessible in these testing programs, especially
2 those related to the testing for extended operation?

3 MR. GALLAGHER: I think the cable issue is
4 a different accessibility issue. It's about can it be
5 -- can personnel safely disconnect cables to do the
6 testing and its associated proximity to other
7 equipment.

8 So it was more a concern that the
9 maintenance technicians had when we first were going
10 to test that cable.

11 MR. SCHULTZ: Okay.

12 MR. GALLAGHER: And so, I mean obviously
13 we can -- we should have challenged that better
14 because we can do it because we actually replaced
15 those cables. So you still would have the same
16 accessibility concerns.

17 So, I wouldn't tie it together with like
18 the flood seal inaccessibility. I think that was just
19 a programmatic, you know, you have a list of all your
20 seals, what you're going to see.

21 Some are deemed inaccessible because of
22 their location. And then there was some of them that
23 really were accessible, we just had to correct that.

24 MR. SCHULTZ: So it has been examined as
25 a result of the overall, overarching review of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 corrective action program issues.

2 MR. GALLAGHER: Yes, I would think so.
3 The idea is we want to look at the equipment and we
4 want to inspect the equipment, do the inspections.

5 So you know, inaccessible, we really want
6 to make sure it really is inaccessible. But we would
7 use the accessible equipment to kind of -- based on
8 the results of those inspections we would have to look
9 for extent of condition which could drive you into
10 doing something with inaccessible equipment if there
11 was something -- some degradation that you had to
12 chase after.

13 So just because it's inaccessible doesn't
14 necessarily mean it will never be dealt with.

15 MR. SCHULTZ: That's right. I'm glad you
16 mentioned that the definition of inaccessibility has
17 got different aspects associated with it.
18 Clarification of that is important. Thank you.

19 MEMBER BALLINGER: Stay there for a
20 minute. To pull that string a little further, it was
21 -- the cable issue with the diesels was a result of
22 you said multiple failures to see things? Did I read
23 that right? That it was a series of events that had
24 to occur in order for this cable to not be picked up
25 on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. GALLAGHER: I think --

2 MR. HEINLY: Yes.

3 MR. GALLAGHER: Okay, Justin.

4 MEMBER BALLINGER: So we're assuming that
5 this has been put in a corrective action so this
6 sequence of events which occurred was thought through
7 and then somehow fixed?

8 MR. GALLAGHER: Yes. Essentially the
9 first attempt was done under the corrective
10 maintenance program. It should have been created as
11 a preventive maintenance program so that it could be
12 -- ensure that there would be a recurring work order
13 to go after it.

14 So, we've corrected that and so
15 programmatically that's there.

16 There are only certain windows where we
17 can do some of these testing. And some of them aren't
18 that frequent. So you really want to make sure if you
19 miss an opportunity you want to get the next one.

20 And so that's covered programmatically.

21 MEMBER BALLINGER: So do you consider this
22 an isolated event?

23 MS. KRAUSE: If I could just -- Anna
24 Krause. If I could just add a little bit of more
25 detail.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We did enter this issue into the
2 corrective action program. And we performed a root
3 cause analysis or evaluation on the breakdowns. And
4 then we have created corrective actions and actually
5 completed corrective actions to prevent recurrence on
6 this issue.

7 Specific to the diesel cables we did
8 create preventive maintenance tasks to ensure that
9 they are permanently within our work management
10 process so that we don't miss them again which is how
11 I would characterize our first missed opportunity to
12 have tested those in 2013.

13 And then going forward just around general
14 accountability and making sure that the cable program
15 owner is properly tracking the testing being completed
16 and the test results.

17 But in conclusion we have this within our
18 corrective action program and thoroughly review this
19 issue with actions.

20 MEMBER BALLINGER: Lastly, this kind of
21 scenario is an isolated event?

22 MS. KRAUSE: Yes. We looked at other
23 programs as well to understand if there were any
24 similar type of gaps. And we'll continue to do that
25 on an ongoing basis based on our operating experience

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with this issue.

2 MEMBER BALLINGER: Thank you.

3 MEMBER DIMITRIJEVIC: The same way, when
4 you discovered the new cable wasn't connected right
5 did you go back and check for all new cables, the
6 replacement, the connection was made right?

7 MS. KRAUSE: That was associated with our
8 condensate pump cables that we had pulled. We also
9 did an extent of condition on that and have replaced
10 all of our condensate pump cables.

11 MEMBER DIMITRIJEVIC: I think the issue
12 was in replacement that connection wasn't made right.
13 That's what you said.

14 MS. KRAUSE: Correct. There was also a
15 root cause performed on that as well.

16 MEMBER DIMITRIJEVIC: And did you go back
17 and check other replacement cables?

18 MS. KRAUSE: Yes. We performed an extent
19 of condition and extent of cause as a result of that
20 and didn't find any additional cables that we needed
21 to replace.

22 But we did replace all the ones associated
23 with the condensate pumps that had been installed
24 during that time frame.

25 MEMBER DIMITRIJEVIC: I have another

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question about the inaccessibility. Because you had
2 these flood seals, you said that many of them were not
3 tested originally, but then retested. Are they part
4 of your Fukushima -- did you look in all of these
5 flood seals as a part of your Fukushima initiative?

6 MR. GALLAGHER: Yes. Flood seals.
7 Julian.

8 MR. LAVERDE: Julian Laverde, design
9 engineer manager.

10 We did -- the list of seals that were
11 inaccessible were part of the initial look for
12 Fukushima. So they were part of that initial review.

13 We had identified them as being
14 inaccessible. And then when the resident identified
15 some opportunities for us to do that we went and we
16 looked at the entire scope. We were able to get
17 through the majority of them successfully.

18 MEMBER DIMITRIJEVIC: Do you have flood
19 seals on these manholes for cables which are also part
20 of the problem?

21 MR. LAVERDE: Yes.

22 MEMBER DIMITRIJEVIC: You do. And they're
23 --

24 MR. LAVERDE: They're a part of the
25 program and they're inspected through the structures

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 monitoring program.

2 MEMBER DIMITRIJEVIC: Thanks.

3 CHAIR SUNSERI: Any other questions? So
4 I had one for Justin if you're there. Can you still
5 hear us?

6 MR. HEINLY: Yes, I can.

7 CHAIR SUNSERI: So I heard you use the
8 phrase in describing the material condition of the
9 plant as generally adequate. And I think I heard that
10 from another staff member during their presentation as
11 well.

12 That doesn't sound like a very strong
13 endorsement to me. Can you provide a little bit more
14 perspective on what generally adequate from a material
15 condition perspective means?

16 MR. HEINLY: Sure. You know, we use that
17 kind of terminology when we talk about some of our
18 inspection results. Specifically, when we talk about
19 PINR and assessment of programs.

20 So, that looks like to me is that the
21 inspection record shows that they have primarily all
22 green findings, green PIs so they're able to identify
23 and correct issues prior to them becoming safety
24 significant.

25 So just to kind of dive into it a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit more. I mean, what we see is the site is
2 proactive about -- they establish a work management
3 program that looks more at replacement or repairs
4 prior to failure than being reactive.

5 So most of what the residents will look at
6 on a day to day basis are preventive maintenance work
7 orders.

8 A very, very small subset of the work
9 orders that are performed out in the field are
10 actually corrective maintenance.

11 So it kind of gives you an indication that
12 the site is very proactive in identifying when and how
13 the failure modes can occur, and making sure that they
14 have maintenance tasks for replacement schedules
15 before that occurs.

16 So hopefully that helps just a little bit
17 with what we see out there on a day to day basis.

18 CHAIR SUNSERI: Yes, that's helpful.
19 Thank you. Okay. So we are on slide 21.

20 MR. GALLAGHER: Chairman, one other thing.

21 CHAIR SUNSERI: Yes.

22 MR. GALLAGHER: One of my guys corrected
23 me on some numbers I gave out. So the first renewal
24 circuits, I think I said 14 and it's 12.

25 And then we added 27, total 39. So I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 might have said 14 rather than 12.

2 CHAIR SUNSERI: That's okay. Thanks.

3 MR. MANGAN: Justin and next slide.

4 MR. HEINLY: Yes. So, the inspectors
5 found -- this is the conclusion. So the inspectors
6 found the aging management programs were being
7 implemented in accordance with the licensed condition.

8 So the region will still continue to
9 monitor the AMP using the baseline ROP process. If
10 there aren't any other questions I'll pass it back
11 over to Bennett.

12 MS. BRADY: Thank you, Justin. This
13 completes the presentation of the staff's review of
14 the Peach Bottom subsequent license renewal
15 application as documented in the safety evaluation
16 report with one confirmatory item and the Region 1
17 presentation on inspections and plant's material
18 condition.

19 At this point we would be pleased to
20 address any further questions that you may have.

21 CHAIR SUNSERI: Members, any additional
22 questions for staff?

23 MR. SCHULTZ: This may be for the staff
24 here or for you, Justin.

25 Earlier I asked the applicant, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensee what -- how they would implement all of these
2 programs that need to be in place six months prior to
3 the SLR.

4 And the response was that this is going to
5 be an ongoing process really between now and that time
6 frame, and they'll be implementing augmentation to
7 their current program as it's developed some of which
8 would be developed over the next few years and
9 continuing depending upon the order of magnitude of
10 the effort.

11 From your perspective, Justin, how do you
12 monitor all these changes that will occur to the
13 overall program as it moves forward toward the SLR?

14 MR. HEINLY: Yes, that's a great question.
15 So I think fundamentally in the ROP when we go out and
16 inspect we are trained as inspectors to go back to
17 what is the governing document. So start with the
18 regulations, the FSAR and then most of those programs
19 are going to be driven through a corporate-level
20 procedure or a site-level procedure that's implemented
21 by Exelon.

22 So I think one good example that we could
23 use would be the maintenance rule program establishes
24 guidelines for the structural monitoring program.
25 They're kind of all and the same.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So as guidelines change for structural
2 monitoring and the requirements get pulled in for
3 second license renewal and required to be implemented
4 we will pick that up when we do a structural
5 monitoring sample because as inspectors we'll go back
6 to that program, we'll review the revisions and the
7 changes that have been made to that program, and then
8 capture those as areas for focus when we look at
9 inspections.

10 We kind of call them first-time
11 evolutions. So when a plant does something for the
12 first time it's usually the most -- carries with it a
13 little bit more risk, whether that be from discovery
14 or just the first time you do something you're not
15 sure of the outcome.

16 So those are the ways that under the
17 baseline program I think that we'll be capturing the
18 changes that are going to occur.

19 MR. SCHULTZ: Thank you for that response.
20 I appreciate it.

21 CHAIR SUNSERI: Any other questions from
22 members? All right, we're going to turn to the room
23 here to see if there's any members of the public that
24 would like to come to the mike and make a statement.

25 And there's no one coming to the mike so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we'll go to the phone line. Anybody on the public
2 phone line that would like to make a statement? Now
3 is your opportunity to state your name and provide
4 your comment.

5 All right. We have none there so we can
6 close that phone line. Thank you, Justin, for your
7 participation.

8 Now we'll go around the members to see if
9 there's any final thoughts or comments you would like
10 to have. I'll start with Vesna.

11 MEMBER DIMITRIJEVIC: No additional
12 questions. Thank you. That was very informative for
13 everybody here, your presentation. Thank you very
14 much.

15 CHAIR SUNSERI: All right, great. Thank
16 you. And Steve, our consultant?

17 MR. SCHULTZ: Just echo your opening
18 comments about the presentations that have been made
19 by Exelon today and the staff that has helped support
20 the application as well as the discussions.

21 And also the staff. The SER lists a
22 couple of pages full of staff who have been involved
23 in the SER process.

24 It's impressive not only because of the
25 numbers of individuals that have been involved, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 their experience base and their disciplines. Very
2 thorough review. Thank you.

3 CHAIR SUNSERI: Jose.

4 MEMBER MARCH-LEUBA: I'd like to second
5 that opinion. I'm pleasantly impressed by this
6 review, by the quality of the presentations and the
7 quality of the engineering behind it. Both the staff,
8 the inspectors and the licensee.

9 It's highly unusual when we ask questions
10 and there's an answer ready within a few seconds.
11 Most of the time you don't understand what we're
12 asking. Today you did so thank you very much.

13 CHAIR SUNSERI: Charlie.

14 MEMBER BROWN: I'm not going to add to
15 that. Thank you.

16 CHAIR SUNSERI: Pete.

17 MEMBER RICCARDELLA: Yes, I have no
18 further comments other than echo my colleagues.

19 CHAIR SUNSERI: Okay, thanks. Paul?

20 MEMBER KIRCHNER: No further questions or
21 comments. Thank you to the staff and to the applicant
22 for a very good set of presentations.

23 CHAIR SUNSERI: And Ron.

24 MEMBER BALLINGER: No further comments.

25 CHAIR SUNSERI: Okay, thank you. All

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 right. Well, we have reached the end of the meeting.

2 I want to extend my compliments to both
3 the applicant and the staff for the well thought out
4 and informative presentations. Makes our job easier
5 when we can ask questions because we read the tons of
6 material coming into this thing and our opportunity to
7 interact with you helps understand the clarity to all
8 that volume of material that we've seen. And so we do
9 appreciate that.

10 So I recorded no follow-up items and we
11 are adjourned.

12 (Whereupon, the above-entitled matter went
13 off the record at 11:33 a.m.)

14

15

16

17

18

19

20

21

22

23

24

25

Peach Bottom Atomic Power Station, Units 2 and 3 Subsequent License Renewal Application



**ACRS Subcommittee Presentation
November 5, 2019**


Introductions

- Mike Gallagher VP, License Renewal
- Anna Krause PB Sr. Mgr. Design Engineering
- Paul Weyhmuller LR Technical Manager
- Julian Laverde PB Mechanical Design Manager
- Dave Distel LR Licensing Engineer

Agenda

- Introductions Mike Gallagher
- Station Description and Overview Anna Krause
- GALL Consistency and Commitments Paul Weyhmuller
- Open and Confirmatory Items Paul Weyhmuller
- Technical Topics Julian Laverde
- Closing Remarks Mike Gallagher

Peach Bottom Station Location



Peach Bottom Station



Peach Bottom Current Performance

- Plant operates on 24 month refueling cycle
- Plant Capacity Factor:
 - 2018 94.2%
 - 2019 98.6% (as of 9/30)
- Regulatory Status
 - ROP Action Matrix Column 1
(Licensee Response/Baseline Inspection)
 - All ROP Indicators are Green

Station Overview

Peach Bottom	Unit 2	Unit 3
Full Power License - 3293 MW _t	10/25/1973	7/02/1974
5% Power Uprate to 3458 MW _t	1994	1995
Independent Spent Fuel Storage Installation (ISFSI)	2000	
First License Renewal Approval	2003	2003
15% EPU to 3951 MW _t	2014	2014
1.66% MUR to 4016 MW _t	2017	2017
Current License Expiration	8/08/2033	7/02/2034

Significant Plant Modifications

Peach Bottom	Unit 2	Unit 3
Main Condenser Upgrades (titanium tubes)	1991	1991
Hydrogen Water Chemistry	1997	1997
Noble Metal Chemical Addition	1998	1999
Main Power Transformers	2010	2009
RPV Core Spray Piping Upgrade	Not Required	2013
Torus Recoat	2012	2013
RHR Cross-tie Modification (EPU)	2014	2015
Steam Dryer Replacement (EPU)	2014	2015
Turbine/Generator Set Upgrade (EPU)	2014	2015
Digital Control Systems (EHC and Feedwater)	2018	2017
Fuel Pool Cooling Heat Exchangers	2017	2017
ISFSI Pad Expansion	2020	

GALL-SLR Consistency and Commitments



SLR Application Development

- Scoping and Screening
 - ✓ Updated for plant modifications
 - ✓ Updated to NEI 17-01 guidance
- Aging Management Reviews
 - ✓ PB FLR was pre-GALL, additional aging effects required assessment based on NUREG-2191 GALL-SLR
- Aging Management Programs (AMPs)
 - ✓ Total of 47 AMPs per GALL-SLR guidance
- Time-Limited Aging Analyses (TLAAs)
 - ✓ Existing TLAAs re-assessed
 - ✓ New TLAAs for SLR due to component repair/replacement
 - ✓ Jet Pump repair components for Loss of Preload
 - ✓ Replacement Steam Dryer Stress Report and Fatigue Evaluations
 - ✓ Replacement Core Plate Plugs for Stress Relaxation Analysis
 - ✓ U/3 Core Spray Replacement Piping for Fatigue and Loss of Preload
 - ✓ Total of 35 TLAA analyses per GALL-SLR guidance

GALL Consistency

- Submittal based on GALL-SLR
- High AMR consistency (98.6% Notes A thru E)
- 50 License Renewal Commitments
 - ✓ 47 Aging Management Programs
 - ✓ 3 Additional Commitments
 - ✓ OPEX Review, EPU OPEX Review, FERC Inspection of Conowingo Dam
 - ✓ UFSAR Supplement (Appendix A of the SLRA)
 - ✓ Managed by Exelon Commitment Tracking program based on NEI 99-04, “Guidelines for Managing NRC Commitment Changes”

		AMPs Consistent with GALL	AMPs Consistent with Enhancement	AMPs with Exception without Enhancement	AMPs with Exception and Enhancement	Plant Specific AMPs
Existing	36	8	19	2	6	1
New	11	8	0	3	0	0
Total AMPs	47					

GALL Consistency - AMP Exceptions

Program	Exception	Justification
Water Chemistry	Using this AMP to manage Auxiliary Boiler water chemistry.	Scope addition, while not part of BWRVIP-190, standards exist for monitoring water parameter (ISBN-0-7918-1204-9).
Bolting Integrity	Using this AMP to manage submerged mechanical bolting on intake structure traveling screens.	Scope addition, while this AMP is used to manage closure bolting for pressure retaining components, inspection requirements will be adequate to manage loss of preload.
Closed Treated Water	NUREG-2191 recommends EPRI document "Closed Cooling Water Chemistry Guideline" Rev. 1. Peach Bottom uses Rev.2 of this guideline.	Revised guideline incorporates latest industry OPEX. No changes to monitoring criteria.
Reactor Head Closure Stud Bolting	NUREG-2191 requires the use of material with ultimate tensile strength of less than 170 ksi for in-service studs. Both units have studs installed with studs over 170 ksi.	Test reports show some test values over limit. Studs are inspected for cracking.
	NUREG-2191 requires the use of material with yield strength of less than 150 ksi for replacement studs. Replacement stud has test results over 150 ksi.	Test reports show some test values over limit. Stud was inspected for cracking and will be re-inspected if utilized.
BWR Vessel Internals	Steam Dryer will not be inspected per BWRVIP-139-A	BWRVIP-139-A is for GE designed steam dryer assemblies. PB has installed Westinghouse steam dryers and has submitted an inspection plan to the NRC.

GALL Consistency - AMP Exceptions

Program	Exception	Justification
Fire Water System	NUREG-2191 requires foam system discharge test annually to confirm spray patterns. When not possible, visual inspection of nozzles and air testing is performed.	Single nozzle which sprays across down the inside of the tank. Nozzle has a vapor seal. One time visual inspection to assure proper orientation as it is within the fuel tank.
Internal Coatings	NUREG-2191 requires an internal inspection of portions of concrete lined pipe. Opportunistic inspections will be performed.	Fire header piping is buried. Various periodic flow tests will assure coating has not degraded impacting performance. 2014 inspections found concrete lining in good condition. When made available, visual inspection will be performed.
	NUREG-2191 requires coating found not meeting acceptance criteria are repaired, replaced, or removed. HPCI lube oil reservoir coating will not be repaired.	NMAC's Terry Turbine User's Group provides recommendations that degraded coatings not be replaced. Only remove portions that show poor adhesion.
ASME Section XI-IWE	NUREG-2191 requires pressure retaining components subject to cyclic loading that have no fatigue analysis are inspected for cracking. Peach Bottom will only inspect high temperature mechanical penetrations.	Peach Bottom, had it been constructed to a later code, would have met requirements of ASME Code for fatigue waivers for low temperature penetrations. High temperature penetration accessible surfaces will be inspected for cracking.
	Program will manage flow blockage due to fouling for the Core Spray System, High Pressure Coolant Injection System, Reactor Core Isolation Cooling System, and Residual Heat Removal System pump suction strainers.	No existing GALL line items exist for the management of flow blockage due to fouling for these components and as a result the IWE Program was selected because the station Containment ISI program plan and procedures will perform the required aging management actions.

GALL Consistency - AMP Exceptions

Program	Exception	Justification
E3A - Medium Voltage Cables	<p>NUREG-2191 recommends, inspections for water accumulation and manhole condition annually. Additionally, inspections for water accumulation are also to be performed after event driven occurrences, such as heavy rain.</p> <p>Manholes with level monitoring and alarms that result in consistent, subsequent pump out of accumulated water prior to wetting or submergence of cables will be inspected at least once every five years with additional inspections following event driven occurrences, such as heavy rain, rapid thawing of ice and snow, or flooding, when level monitoring indicates water is accumulating.</p>	<p>Level monitoring instrumentation, with alarms monitored by Operations Personnel, provide for detection of water level on an on-going basis. Corrective actions are taken when an alarm is received which includes manual pumping of the manhole as needed. In cases where it can be determined that cables have not been subjected to significant moisture, manhole inspections will be performed on a five-year frequency when structural inspections are performed.</p> <p>Following event driven occurrences, inspections and subsequent pump outs, as needed, will be performed when level instrumentation has detected increasing water levels.</p>
E3B - I&C Cables		
E3C - Low Voltage Cables		

FLR Aging Management Effectiveness Reviews

- Program effectiveness reviews included:
 - ✓ Detailed review of inspection schedules, results, and data
 - ✓ Review of relevant operating experience within the Corrective Action Program
- All first LR Programs were effectively implemented
- Summary of each review is found in Element 10, “Operating Experience” of each AMP and in the SLRA in Appendix B
- In November 2018, the NRC staff conducted a 71003 Phase 4 inspection at PBAPS, to assess aging management program effectiveness, and identified no issues

Open and Confirmatory Items

- **Open Items**
 - There are no Open Items
- **Confirmatory Items**
 - CI 3.0.3.2.3-1: BWR Vessel Internals Program
 - NRC Staff review of Enhancement 1 identified that additional information was required for core plate rim holddown bolts
 - A revision to Enhancement 1 was made to include the guidance of BWRVIP-25, Revision 1
 - Response to this Confirmatory Item was submitted to the NRC Staff in a supplement October 9, 2019

Technical Topics



RPV Embrittlement

	SLRA Sections Addressing GALL-SLR Recommendations
Reactor pressure vessel neutron embrittlement at high fluence	3.1.2.2.3 Loss of Fracture Toughness Due to Neutron Irradiation Embrittlement 3.1.2.2.13 Loss of Fracture Toughness due to Neutron Irradiation or Thermal Aging Embrittlement 4.2 Reactor Vessel and Internals Neutron Embrittlement Analyses A.2.1.20 Reactor Vessel Material Surveillance A.3.1.2 Neutron Fluence Monitoring

- Fluence projections through SPEO (70 EFPY) were performed for neutron embrittlement analyses
- Analysis for USE, ART, Axial/Circ Weld Failure Probability, and Reflood Thermal Shock for beltline materials have been satisfactorily evaluated using the 70 EFPY fluence projections
- PBAPS will manage fluence projections consistent with GALL-SLR AMP X.M2, Neutron Fluence Monitoring Program
- PBAPS will manage embrittlement consistent with GALL-SLR AMP XI.M31, Reactor Vessel Material Surveillance Program.
 - ✓ One capsule will be withdrawn from each unit during SPEO at 60-62 EFPY

IASCC of Reactor Vessel Internals (RVI)

	SLRA Sections Addressing GALL-SLR Recommendations
IASCC of reactor internals and primary system components	3.1.2.2.12 Cracking Due to Irradiation-Assisted Stress Corrosion Cracking 4.2.1.2 Reactor Vessel Internals Neutron Fluence Analyses 4.2.14 First License Renewal Application Core Shroud IASCC and Embrittlement Analysis A.2.1.7 BWR Vessel Internals A.3.1.2 Neutron Fluence Monitoring

- IASCC is addressed in accordance with BWRVIP guidelines through:
 - ✓ periodic inspection using techniques capable of detecting cracking due to SCC
 - ✓ flaw tolerance guidance that considers the effect of neutron fluence on material properties and SCC growth rates.
- BWRVIP guidelines are adequate for use to determine the proper re-inspection interval and are not time dependent, rather are based on neutron fluence values.
- PBAPS Rx vessel internals have been assessed using governing BWRVIP inspection guidelines and existing program requirements were found acceptable
- PBAPS will manage RVI components and welds that are susceptible to IASCC consistent with GALL-SLR AMP XI.M9

Concrete and Containment Degradation

	SLRA Sections Addressing GALL-SLR Recommendations
Concrete and containment degradation	3.5.2.2.1 Pressurized Water Reactor and Boiling Water Reactor Containments 3.5.2.2.2 Safety-Related and Other Structures and Component Supports 4.6 Primary Containment Fatigue Analyses A.2.1.30 ASME Section XI, Subsection IWE A.2.1.32 10 CFR Part 50, Appendix J A.2.1.34 Structures Monitoring A.2.1.35 Inspection of Water-Control Structures Associated with Nuclear Power Plants

- Concrete overall is in good condition
 - ✓ No effects of ASR have been identified for PBAPS concrete structures
 - ✓ PBAPS will manage concrete structures consistent with GALL-SLR AMPs XI.S6, “Structures Monitoring” and XI.S7, “Inspection of Water-Control Structures Associated with Nuclear Power Plants”
- The Peach Bottom Mark I steel containments are in good condition
 - ✓ The Sand Pocket Region has been observed to be free of water leakage, each refueling outage
 - ✓ Reactor Vessel Shield Wall gamma and neutron irradiation remains within conservative radiation exposure levels, through SPEO, consistent with GALL-SLR
 - ✓ PBAPS will manage each containment consistent with GALL-SLR AMPs XI.S1, “ASME Section XI, Subsection IWE” and XI.S4, “10CFR 50, Appendix J”

Electrical Cable EQ and Condition Assessment

	SLRA Sections Addressing GALL-SLR Recommendations
Electrical cable qualification and condition assessment	3.6.2.2.1/4.4.1 Environmental Qualification of Electric Equipment A.2.1.37 through 41 Cable and Connection Insulation Programs A.3.1.3 Environmental Qualification of Electric Equipment

- Environmental Qualification of Electrical Equipment
 - ✓ EQ cable analyses have been updated for 80 years of operation
 - ✓ EQ cables have been evaluated to have a qualified life > 80 years
 - ✓ Cable analysis and EQ program are consistent with GALL-SLR
- Electrical cable condition assessment
 - ✓ Added new or enhanced programs to be consistent with GALL-SLR
 - E1 Accessible Non-EQ Cables and Connections (enhanced)
 - E2 Non-EQ Instrument Cables and Connections (enhanced)
 - E3A for Medium Voltage Cables (enhanced)
 - E3B for Instrument & Control Cables (new)
 - E3C for Low Voltage Cables (new)

Peach Bottom Atomic Power Station, Units 2 and 3 Subsequent License Renewal Application



**ACRS Subcommittee Presentation
November 5, 2019**



Advisory Committee on Reactor Safeguards Plant License Renewal Subcommittee

Peach Bottom Atomic Power Station Units 2 and 3 Subsequent License Renewal Safety Evaluation Report (SER) with Confirmatory Item

November 5, 2019

Bennett Brady, Senior Project Manager
Office of Nuclear Reactor Regulation

Presentation Outline

- **Overview of Safety Review of Peach Bottom SLRA**
- **SER Section 2, Scoping and Screening Review**
- **SER Section 3, Aging Management Review**
- **SER Section 4, Time-Limited Aging Analyses**
- **Closure of Confirmatory Item**
- **Specific Areas of Review – Reactor Vessel and Internals, Irradiated Concrete, and Electrical Cables**
- **SLRA Review Conclusion**
- **Region Presentation on Inspections and Plant Material Conditions**
- **Region Conclusion**
- **Summary Conclusion**

Overview of Safety Review of Peach Bottom SLRA

Unit	Initial License	Initial License Renewal Application	Renewed License	Expiration Date	Subsequent License Renewal Application
2	10/25/1973	07/02/2001	05/07/2003	08/08/2033	07/10/2018
3	07/02/1974	07/02/2001	05/07/2003	07/02/2034	07/10/2018

- Application Submitted – July 10, 2018
- Acceptance Determination – September 6, 2018
- Safety Evaluation Report with Confirmatory Item – October 7, 2019

Audits and Inspections

	Dates	Location
Operating Experience Audit	September 17-27, 2018	Rockville, MD
In-office Audit	November 13, 2018 - April 29, 2019	Rockville, MD

SER Overview

- **SER with Confirmatory Item Issued October 7, 2019**
 - Confirmatory Item (CI) 3.0.3.2.3-1 BWR Vessel Internals
- **Requests for Additional Information (RAIs)**
 - 48 RAIs issued, 4 of which were follow-up RAIs

SER Section 2

Structures and Components Subject to Aging Management Review (AMR)

- Section 2.1 Scoping and Screening Methodology
- Section 2.2 Plant Level Scoping Results
- Sections 2.3, 2.4, 2.5, Scoping and Screening Results

SER Section 3

Aging Management Review (AMR)

- Section 3.0 Use of the Generic Aging Lessons Learned Report
- Section 3.1 Reactor Vessel, Internals, and Reactor Coolant System
- Section 3.2 Engineered Safety Features
- Section 3.3 Auxiliary Systems
- Section 3.4 Steam and Power Conversion Systems
- Section 3.5 Containment, Structures and Component Supports
- Section 3.6 Electrical and Instrumentation and Control Commodities

SER Section 3

3.0.3 - Aging Management Programs (AMPs)

SLRA - Original Disposition of AMPs

- 11 new GALL programs
 - 8 consistent
 - 3 consistent with enhancements
- 35 existing GALL programs
 - 8 consistent
 - 27 consistent with enhancements/exceptions
- 1 plant-specific with enhancement

SER - Final Disposition of AMPs

- 11 new GALL programs
 - 8 consistent
 - 3 consistent with enhancements
- 35 existing GALL programs
 - 8 consistent
 - 27 consistent with enhancements/exceptions
- 1 plant-specific with enhancement evaluated against Appendix A1 of the SRP-SLR

Time-Limited Aging Analyses (TLAAs)

- 4.1 Identification of TLAAs
- 4.2 Reactor Vessel and Internals Neutron Embrittlement Analyses
- 4.3 Metal Fatigue Analyses
- 4.4 Environmental Qualification of Electric Equipment
- 4.5 Concrete Containment Tendon Prestress Analysis
- 4.6 Primary Containment Fatigue Analysis
- 4.7 Other Plant-Specific TLAAs

Confirmatory Item 3.0.3.2.3-1 BWR Vessel Internals

Issue: SLRA, AMP B.2.1.7 “BWR Vessel Internals” proposed to either:

- install core plate wedges or
- submit for NRC approval an inspection plan for the core plate rim hold-down bolts to mitigate stress corrosion cracking.

Staff determined the second option - a future inspection plan - does not provide sufficient information for the staff’s evaluation.

Resolution: Applicant enhances AMP B.2.1.7, in accordance with BWRVIP-25, Revision 1, to:

- install wedges or
- inspect core plate rim hold-down bolts, or
- demonstrate instead via analysis that the installation of wedges and inspections of the core plate rim hold-down bolts are not required.

The staff determined each of the three proposed options was acceptable.

Specific Areas of SLRA Review

- Reactor Pressure Vessel Neutron Embrittlement
- Reactor Vessel Internals – Irradiation-Assisted Stress Corrosion Cracking
- Irradiated Concrete and Containment
- Electrical Cable Qualification and Condition Assessment

RPV Neutron Embrittlement at High Fluence


- Neutron fluence of PBAPS Units 2 and 3 at 80 years estimated at 2.23×10^{18} n/cm²
 - Not considered “high fluence”
- Reactor Vessel Material Surveillance Program (B.2.1.20) enhancement
 - Unit 2: withdraw 120 degree capsule (reconstituted specimens) at 60-62 EFPY
 - Unit 3: withdraw 120 degree capsule at 60-62 EFPY
- Evaluation of time-limited aging analyses in SLRA Section 4.2
 - Implements Regulatory Guide 1.99, Revision 2, including consideration of surveillance program data

Reactor Internals Irradiation-Assisted Stress Corrosion Cracking (IASCC)

- IASCC of reactor vessel internals managed by:
 - BWR Vessel Internals program (B.2.1.7)
 - VT-1 and EVT-1 examinations to detect cracks
 - Water Chemistry program (B.2.1.2)
- SLRA Section 4.2.14 Core Shroud IASCC and Embrittlement Analysis
 - License renewal application (for 60 years) Section 4.3.2.2 identified a threshold value of $5.0E+20$ n/cm² ($E > 1$ MeV) for IASCC and embrittlement
 - Fluence for core shroud and top guide projected to exceed this value for 80 years
 - Dispositioned in accordance with 10 CFR 54.21(c)(1)(iii)
 - Inspections of core shroud (BWRVIP-76-R1-A) and top guide (BWRVIP-26-A)

Irradiation of Concrete and Steel

Components of Interest



Irradiation of Concrete and Steel

Concrete

- The shield wall concrete provides radiation shielding and only the lower 10 ft of the wall concrete performs a structural function
- SRP-SLR thresholds are not exceeded at the peak location
- A plant-specific program is not needed

Steel

- Used NUREG-1509 transition temperature approach
- 80-yr nil-ductility transition temperature (NDTT) is less than the lowest service temperature (LST) of 100° F
- Loss of fracture toughness is not an aging effect that needs to be managed for the RPV structural steel component supports

Electrical Cable Qualification and Condition Assessment

- Peach Bottom has installed the Smartcover™ system on electrical cable manholes to monitor water accumulation:
 - Float-less transmitter design for level monitoring and alarm
 - Self-monitoring capability
 - Alarms are generated to alert operators if high water level is sensed or a malfunction occurs
 - Staff accepted five-year inspection frequency as an exception for annual inspection per GALL-SLR
- EQ qualified cables are covered under the EQ program per 10 CFR 50.49
 - Exelon used the provisions of re-analysis per 10 CFR 50.49 to monitor and extend the qualified life of the cables
 - The staff audited the re-analysis methods and calculations and confirmed consistency with current rules and guidelines

SLRA Review Conclusion

- On the basis of its review of the SLRA and the resolution of the confirmatory item, the staff determined that the requirements of 10 CFR 54.29(a) have been met for the subsequent license renewal of Peach Bottom Atomic Power Station Units 2 and 3.

Region I AMP Inspections

License Renewal Inspection Program for Period of Extended Operations

Inspection	Dates	Results
U2 IP 71003 Phase 1	4Q 2012 ML13029A013	No Findings
U3 IP 71003 Phase 1	Not performed	N/A
U2 IP 71003 Phase 2	March 2013 ML13071A608	No Findings
U3 IP71003 Modified Phase 2	4Q 2014 ML14121A474	No Findings
U2 and U3 IP71003 Phase 4	4Q 2018 ML18355A401	No Findings

Region I AMP Inspections

AMPs Reviewed During 71004 Phase 4 Inspection

- Flow Accelerated Corrosion Program (existing)
- Maintenance Rule Structural Monitoring Program (existing)
- Ventilation System Inspection and Testing Activities (enhanced)
- Outdoor, Buried and Submerged Component Inspection Activities (enhanced)
- Fire Protection Activities (enhanced)
- In-accessible Medium Voltage Cables not subject to 10 CFR 50.49 Environmental Qualification Requirements (New)

Region I AMP Inspections

ROP Baseline Inspections

Inspection	Date	Age Management Program
IP71111.08 ISI	Annually alternate units	Reactor Pressure Vessel and Internals ISI Program
IP71111.07T Heat Sink	2013, 2016, 2019	GL 89-13 Activities Heat Exchanger Inspection Activities
IP71111.21M DBAI	4Q 2017	Ensure the selected SSCs that are subject (operating in the post-40-year licensing period) to aging management review pursuant to 10 CFR Part 54 are being managed for aging in accordance with appropriate aging management programs.
<u>IP71152 PI&R Sample</u> The structural monitoring program did not match the procedural requirements for all elements	1Q 2018	Maintenance Rule Structural Monitoring Program
<u>IP71152 PI&R Sample</u> Review of Unit 2 Torus Coating Defects	4Q 2015	Torus Water Chemistry
<u>IP71152 PI&R Sample</u> Cable reliability program	2Q 2018	Inaccessible Medium-Voltage Cables not subject to 10 CFR 50.49 Environmental Qualification Requirements
<u>IP71152 PI&R Sample</u> External flood seal	4Q 2018	Maintenance Rule Structural Monitoring Program
<u>IP71152 PI&R Sample</u> U-3, Static O-Ring Pressure Switch Failure	2Q 2019	10 CFR 50.49 Environmental Qualification Requirements

Region I AMP Inspections

Resident Inspector Insight and Inspection Results

- No findings from License Renewal Program inspections and the AMPs being appropriately implemented
- Green NCV of 10 CFR Part 50, Appendix B, Criterion XVI, “Corrective Action,” involving Exelon’s E-1 EDG underground cable failure
- Green NCV of 10 CFR Part 50, Appendix B, Criterion III, “Design Control,” involving High Pressure Coolant Injection (HPCI) System Exhaust Pressure Switches Exceeded Documented Qualified Life

Region Conclusion

- **Regional Inspections**

The inspectors found the aging management programs were being implemented in accordance with the license condition. The region will continue to monitor AMPs using the baseline Reactor Oversight Process.

Summary Conclusion

- Completes the staff's presentation on the safety review of the Peach Bottom SLRA as documented in the Safety Evaluation Report with Confirmatory Item and the Region I presentation on inspections and plant material conditions
- Additional questions