

41.1

'83 JAN 26 P1:40

OFFICIAL TRANSCRIPT PROCEEDINGS BEFORE

NUCLEAR REGULATORY COMMISSION

A Line

PROD. & UTIL FAC. 50-275

DKT/CASE NO.

TITLE PACIFIC GAS & ELECTRIC COMPANY DIABLO CANYON DESIGN VERIFICATION PROGRAM OPE/OGC MEETING

PLACEsan Francisco, California

DATE January 13, 1983

PAGES 1 thru 84

8301280267 830113 PDR ADOCK 05000275 T PDR



(202) 628-9300 440 FIRST STREET, N.W. WASHINGTON, D.C. 20001



		2
1	CONTENTS	
2	PRESENTATION	PAGE
3	GARY H. MOORE, DCP	3
4	ROY FRAY, DCP	12
5	GARY H. MOORE, DCP	25
6	W. H. WHITE, DCP	29
7	M. R. TRESLER, PG&E, DCP	47
8	GARY H. MOORE, DCP	56
9	M. J. JACOBSON, DCP	64
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22	2	
23	3	
24	4	
25	5	

	3
1	PROCEEDINGS
2	MR. FRIEND: I would like to begin, if we may.
3	This meeting at this time is to try to brief OPE
4	and OGC on some of the facets of our internal program, as
5	well as the Independent Design Verification Program. Some
6	of the members of OPE and OGC have indicated a desire to review
7	more of the detailed paperwork that is involved and we are
8	certainly willing to do that at a time that we can work out
9	mutually with them.
10	I think as far as introductory remarks that ought
11	to be about enough. Let's turn the meeting over to Gary Moore
12	and his staff, who will give a detailed presentation of the
13	processes that we have been involved with here for the last
14	year almost. Gary.
15	MR. MOORE: Thank you, Howard.
16	First off, I noticed on at least some of the handouts
17	that it looks like the order has somehow gotten messed up
18	with regard to how these flimsies were put together. So,
19	if you can somehow check what is up on the screen and rearrange
20	your pile of paper, I would appreciate it.
21	MR. REYNOLDS: Excuse me, Gary. Do you have separate
22	handouts for this meeting?
23	MR. MOORE: They are different, yes.
24	MR. REYNOLDS: Do you have an extra copy?
25	MR. EISENHUT: Are there any copies?

	[3A
	1	MR. MOORE: I think the problem was we didn't anti-
	2	cipate Howard has asked myself and some of my colleagues
	3	to give a presentation that would cover the various processes
	4	that are being used both for review and for engineering reso-
	5	lution with regard to the Phase I/Phase II are of design review.
	6	Before we enter into this specific presentation,
	7	I would like to kind of overview the remainder of this after-
	8	noon's discussion to give the staff and the Commission's staff
	9	an idea of where we are going in terms of the presentation.
	10	First off, we will start with the review process
	11	itself. I will give a discussion and, hopefully, it will
	12	help the audience here to understand better what the project
	13	is doing in terms of review activity.
	14	Then Roy Fray, the Verification Program's coordinator,
	15	will give a very similar presentation, but will address the
	16	Independent Verification Program, commonly known as the IDVP.
	17	Then Roy will also describe the tracking, reporting and docu-
	18	menting processes that are used for both programs. They are
	19	essentially identical.
	20	Then I will try to describe what in my mind would
	21	be an accurate representation of an engineering resolution
Ing Company	22	process. You will have to appreciate it is going to be very
	23	general and very abstract. I am trying to make it fit all
rs Repo	24	cases.
Bowy	25	But to give better understanding, we decided to use

- 3	38
1	an example technique and I have selected four specific
2	examples that have come from the Verification Program to try
3	to better explain the engineering resolution process. I have
4	selected why don't I stop. Feel free to move, okay?
5	MR. EISENHUT: Go ahead.
6	MR. NORTON: You are not interfering with them at
7	all, Gary.
8	MR. MOORE: Well, if anybody was bothered with moving
9	while I was talking, I didn't want that to throw anybody off.
10	I have selected two examples from the Phase I scope
11	of work and I would say this is the TG&E Phase I scope, which
12	is a little bit broader than the IDVP definition of Phase I.
13	Specifically, what the project is doing in regards to the
14	engineering resolutions the fuel-handling building that
15	many of you saw yesterday and that presentation will be
16	made by Dr. White, my assistant project engineer for seismic
17	areas.
18	Then we will also have a presentation of the Phase
19	I piping and pipe support program. That will be given by
20	Mike Tresler, the engineering group supervisor for piping
21	and then we will shift to Phase II and I will give two speci-
22	fic examples; one, dealing with the pressure temperature
23	analysis that you heard referred to this morning and, also,
24	an example with regard to the fire damper. This is not a
25	significant example, but I think you will understand why I

BOWTIS Reporting Company

1 chose it when we get there.

	2	So, with that overview, I would like to launch right
	3	into the Diablo Canyon review slides and I would like to
	4	approach that portion of the presentation by giving you a
	5	little bit of background outlining the organization on the
	6	project that is addressing this program and, in fact, all
	7	of the engineering activities on the project, what I feel
	8	are the objectives of our review program, the various method-
	9	ologies that we are using for review and then I make reference
	10	to Roy's presentation for tracking and reporting.
	11	I don't think any of this information is new to
	12	anyone, but I would just like to kind of go through the
	13	chronology a little bit.
	14	The Verification effort really started with the
	15	original diagram there back in September, at which time PG&E
	16	initiated the Verification activities during October and
	17	November through Dr. Cloud's organization and on November
	18	19th, 1981, we received an order from the NRC with Attachment
	19	1, which essentially outlined, at least at that time, what
	20	constituted Phase I.
	21	Also, attached to that order was a letter from Mr.
Autochuo	22	Denton that outlined what is now known as Phase II in terms
xiing C	23	of scope.
wine Repo	24	Now, the first public document that I could recall
BOW	25	that announced PG&E's program with regard to verification was

in our eighth semi-monthly report. In that report we identified our program as the Technical Program. It later became
known as the Internal Technical Program and because of where
we were in the verification process, its scope had only been
directed at Phase I activities.

Later, I think people have used the term regarding 6 Corrective Action Program, which I personally consider a sub-7 set of the Internal Technical Program and I think of it as 8 that portion of the program, which is specifically directed 9 at the concerns identified by the independent reviewers. I 10 acquired that definition by usage, I think, is the way to 11 describe it. So, when I say "Technical Program, Internal 12 Technical Program," it is really the same thing. 13

I will also point out the second place I think where the Internal Technical Program was described was in the overall PG&E management plan, which also contains a description of it.

I would like to move on now to the organization 18 which is performing the Diablo Canyon Project Review Program 19 and specifically, I am speaking to the organization that 20 reports to me as project engineer for Unit 1. I would like 21 to point out a couple of things on this chart. You will see 22 that the Verification Program Coordinator, Mr. Fray, reports 23 directly to me and, as he will point out, he is kind of the 24 pinch point, if you will, between the independent program and 25

modul

8

Report

the project.

Ŧ

1

	2	Then the rest of the organization, I think, looks
	3	pretty much like a standard organization that would address
	4	design activities for a nuclear power plant. I would like
	5	to point out one thing, though. This organization is
	6	involved in not only verification activities, but also all
	7	engineering activities associated with Unit 1 and if you want
	8	to look real close, in some cases we also do Unit 2, where
	9	there isn't a lot that is different for Unit 2.
	10	Moving on to the objectives that I consider are
	11	the objectives of the Diablo Canyon Review Program and
	12	I will say "Programs," because they are really different
	13	these objectives were outlined, as I mentioned earlier, in
	14	the overall PG&E management plan.
	15	The first objective was, I think at this point in
	16	time, to address technical issues identified as a result of
	17	the original annulus problem. Then the second objective is
	18	to address issues identified by the Independent Design Veri-
	19	fication Program. Now, those of you who are engineers will
	20	certainly appreciate my next statement. Any time you are
	21	reviewing a complex technical area with engineers, you are
s Reporting Compony	22	almost guaranteed to find other technical issues along the
	23	way and that is where our third objective is, that if we find
	24	any other technical concern in any of our work, it is picked
Bowe	25	up as part of this program.

The fourth objective is where we spent quite a bit 1 of discussion this morning and I will try to give it another 2 attempt, I think, at trying to describe what the project 3 activities are with regard to Phase II. I think Dick Anderson 4 was very accurate in his statement that there is a difference 5 between the programs associated with Phase I and Phase II 6 and all morning I was struggling trying to think of a good 7 example. This may or may not be a good example, but I will 8 try. 9

I think you are well aware of the Verification Pro-10 gram activities associated with Phase I; namely, it is an 11 extensive, complete piping review, structural review, that 12 sort of thing. If I could draw a parallel to Phase II in 13 the high energy line break area, if I was interested in per-14 forming the same type of a program as Phase I, I would look 15 at the subject area of high energy line break and I would 16 redo everything associated with that subject. That would 17 be determined break locations, do the pressure temperature 18 analysis, do the rupture restraints, work associated with 19 that, the whole subject. 20

In Phase II we are not doing that and I think that that is the ingredient that we were having trouble passing on to you folks this morning. In that specific area for Phase II -- and as I said, I will use that as a specific example later on in the presentation -- we are only doing the pressure

temperature analysis associated with that subject area and 1 the reason we are is that we have no need -- we have not deter-2 mined a need ourselves, the independent program has not deter-3 mined a need -- to go into those other areas. Now, I like 4 to think of the Phase II program also as an issue-driven 5 program. When we identify an issue in Phase II or the IDVP 6 identifies an issue in Phase II, we address that issue and 7 I will show you how those issues are addressed a little bit 8 later on. 0

I would like to also point out that there are some activities on the project, and I would like to clarify something, or at least the impression I think Dick left you with this morning, and that was that he said when Bechtel came on the job, they made an assessment. I think Mr. Eisenhut guestioned him on how that assessment was made.

I think Dick was referring to the Bechtel engineers, 16 when they came on the job. I would like to point out that 17 as part of this fourth objective, when I became project 18 engineer in January, before Bechtel's involvement, I instituted 19 some work addressed at specific areas of more of the design 20 process than anything else. So, I have had the people for-21 matting design criteria in a format that is very familiar 22 to people today to ease auditing. 23

In 1968, design criteria was not packaged like we
package it today. At least, it was not packaged that way in

NOON

8

Report

PG&E. We also have reviewed calculations to make sure that they are properly checked, that are located, that are properly filed, that sort of thing. So, it is an overall getting ready for, if you will, the Phase II activities that we expected from the IDVP.

Now, in conjunction with that, I will point out
that any time you are into those kinds of areas, you are apt
to find an issue, and as I alluded to -- I don't say I mentioned all of the issues this morning -- but we did find some
issues in that work. The DC breakers are of that nature,
the component cooling water system is of that nature and I
gave you one other example, that I can't recall right now.

So, those are the objectives for Phase I and Phase
 II Diablo Canyon Project Review.

Moving on to methodology used, once again I think 15 this will point out the difference. I apologize for the 16 reverse order here. I am trying to relate back on this morn-17 ing's discussion. "B" is the type of review that is being 18 used in Phase I, where you establish a scope; you identify 19 an established criteria, methodology. You have established 20 the program. Then you go ahead and perform that program and 21 22 you document the review.

you document the review. This is well explained, I think, at least in terms of areas of the plant for subject matter of the plant with regard to what we are doing in the structures and in piping.

To a lesser extent, you could also use "B" methodology in 1 terms of what we are doing in the pressure temperature analysis 2 for Phase II, smaller scope. 3

With regard to "A," this is primarily where we are 4 spending most of the time in Phase II. We get an issue; we 5 review the specific issue that is being addressed and then 6 we are obligated to review that issue with regard to generic 7 8 implications. Depending on the subject, that could be many, many things. Based on that work, if we identify findings, 9 we take one task. If we identify no findings, we take another 10 task. Obviously, cn the project if we find any problems 11 associated with the work, we resolve it and what I have used 12 here is the term, "resolve it by the engineering process," 13 which we will speak to later. 14

15 Of course, as part of that resolution process, we are obligated to document that and this documentation can 16 be in the form of documenting as we know it to address open 17 items for audit. It also can be in the form of documentation 18 in terms of new design where the engineering resolution process 19 has resulted in a modification. 20

Then we anticipate having to prepare that work in 21 some nature in a report. 22

Compon

SOWERS

This is an easy one. This is called passing the 23 2 Report buck. Since the two tracking and reporting mechanisms are 24 so similar between the two different programs, I am going to 25

let my subordinate make that presentation.

I will entertain questions now on this part of the 2 presentation. We are into the IDVP next. 3

MR. SCHIERLING: Coming back to the question I asked 4 earlier today, the open items that you have identified thus 5 far in your program, in your semi-monthlies, they were the 6 result of the review that was done by Bechtel, PG&E when you 7 took over and probably to some extent it is still going on. 8 MR. MOORE: Yes. 9

MR. SCHIERLING: You also said that Phase II is 10 an issue-driven program. How do these issues arise? Don't 11 you have some kind of a program where you review something 12 and the issue comes up and then it falls into this sequence? 13

MR. MOORE: Certainly. That is what I tried to 14 illustrate by an example. Maybe it wasn't a good example. 15 It is just the scope of the program, if you will. When Dr. 16 Cooper's program identifies a concern - and by stretching 17 my mind we can speak about a Phase II issue -- a power supply 18 to the control room ventilation system. A concern was raised 19 about common systems that are fed power from both units. There 20 was a concern identified with regard to power. 21

So, then that is an issue. But then you can look Compony 22 at that issue in a broader sense. Are there any other common 23 (day) systems fed by both units in terms of power? So, it is a 24 program, if you will, to address that concern, versus review 25

8

1

	12
1	of all systems for all forms of power supply. It is a scale
2	type of thing. And I think it is fair to say it is less
3	structured in Phase II than in Phase I.
4	We have not identified the needs in Phase II to
5	undertake the extensive program that we committed to in Phase
6	I. It is just based on engineering judgment and need. I
7	think if people were to sit down and review the Phase II issues
8	so far defined versus Phase I issues, I think that would become
9	apparent.
10	I would like to now pass the presentation on to
11	Roy Fray who will describe the IDVP review process.
12	MR. FRAY: Thank you, Gary.
13	I will briefly outline the IDVP review process and
14	then discuss the project's tracking, reporting and documenta-
15	tion. For the discussion of the IDVP review process, I will
16	for the most part be using material or presenting material
17	that has been extracted from the IDVP Phase I and Phase II
18	program plans.
19	I will parallel Gary's presentation and I will touch
20	on background. I will discuss the IDVP organization briefly,
21	IDVP objectives, IDVP methodology, tracking and reporting,
22	the system that the IDVP utilizes. This may be a little bit
23	repetitive of some of the material that Gary presented on
24	the background, but at any rate the order defined the actions
25	that constitutes the Phase I of the program. The letter defined

Bowers Reporting Compony

	1	those actions that constitute Phase II.
	2	In the time frame of October '81 to February '82
	3	the Robert L. Cloud organization began Phase I efforts. In
	4	February of '82 Teledyne Engineering Service agreed to manage
	5	the independent program and on April 27th, NRC approved the
	6	IDVP Phase I program management plan and in the July '82 time
	7	frame, Stone & Webster Engineering Corporation began their
	8	Phase II effort.
	9	Then in December of '82, just recently, the NRC
	10	approved the IDVP Phase II program management plan.
	11	Next, I would like to just briefly review the IDVP
	12	organization. Teledyne Engineering Services is providing
	13	program management for the IDVP and, in particular, Dr. Cooper
	14	is serving as program manager. Dr. Cooper reports to Mr.
	15	Maneatis, executive vice president of Pacific Gas & Electric
	16	Company and to Mr. Denton of the Nuclear Regulatory Commission.
	17	TES has three main subcontractors; R. F. Reedy,
	18	Incorporated, reviewing QA activities, R. L. Cloud Associates,
	19	reviewing seismic, mechanical and structural areas, Stone
	20	& Webster Engineering Corporation, reviewing safety systems
	21	and analyses and, as you heard earlier today, performing the
Auchi	22	adjunct construction quality assurance review.
Ing Co	23	Next, I would like to touch on the IDVP objectives.
s Report	24	The Independent Design Verification Program, which you will
Bowe	25	hear a lot of us refer to as the IDVP today, as defined by

the Phase I and Phase II program plans, is designed to be responsive to the order and letter. The IDVP is designed to eliminate uncertainties in the correctness of the safetyrelated seismic and systems design. The IDVP will evaluate the significance of any errors that are found and, lastly, the IDVP will determine whether or not the design is in compliance with the PG&E licensing application.

8 This logic diagram summarizes the methodology which 9 is being used by the IDVP. The IDVP first develops a design 10 chain. That is, they identify the internal and external 11 organizations that were involved with design. They then 12 select and review a generic -- perhaps a better term here 13 is "initial sample" -- which includes performing -- this review 14 includes performing independent sample calculations.

In parallel, they review the quality assurance and design control aspects that were in place at the time of the design. If there are findings, the IDVP then evaluates significant findings and if they are significant, additional verification and/or sampling may be required. Additional verification involves reviewing additional design for a narrow concern. For example: reviewing pumps for NPSH consideration.

Additional sampling involves a complete review of additional designs. An example of that might be reviewing five additional piping problems. If the resolution of specific or generic IDVP concerns involves corrective action by the

s Reporting Company

1	15
1	project, then the IDVP reviews that corrective action.
2	Finally, when specific concerns that is, the EOI
3	concerns and generic concerns, which would be additional veri-
4	fication or sampling-like concerns are resolved, the IDVP
5	review is documented and reports are issued.
6	Last, I would like to touch on the tracking and
7	reporting that is produced by the IDVP. Rather than get into
8	the details of a complex system, I am going to more or less
9	treat it like a "black box," but I would like to mention a
10	few of the important aspects of the system.
11	First, it documents concerns that are raised by
12	the IDVP. Each concern is assigned a specific file number
13	and that file is maintained open until the concern is resolved
14	and any corrective action that may be required while the
15	resolution is completed.
16	Second, it provides for a classification of concerns
17	as an error, A, B, C or D; as a deviation, as a closed item
18	or as an open item for PG&E investigation.
19	Three, this system provides for information exchange
20	between the IDVP and the project on the IDVP's concerns; that
21	is, the concerns that the IDVP has raised.
22	Fourth, it provides for the IDVP to monitor the
23	project's internal technical program via the project's semi-
24	monthly reporting.
25	Last, it provides for reporting of concerns and the

resolution of those concerns to the NRC.

1

huchuo

That concludes my discussion of the IDVP review 2 process. Before I go on to describe the projects, tracking, 3 reporting and documenting, I would ask if there are any 4 questions that I could answer or that Dr. Cooper, who is here, 5 could answer? 6 MR. COOPER: Let me add just one thing that occurs 7 to me in looking at this last one. Whenever there is a trans-8 mittal that goes to the NRC, it also goes to what Mr. Denton's 0 letter termed "the designated other party." So, the mechanism 10 for communication there also exists. 11 MR. KENNEKE: Could I ask one question? In the 12 earlier handout on the schedule, there was a line, line 16, 13 on the actual verification, is that a joint process between 14 the IDVP and the ITP or is it one checks on the other? 15 MR. COOPER: I would say it is a parallel process. 16 MR. FRAY: Parallel. 17

18 MR. KENNEKE: Parallel process.

MR. COOPER: Their program requires that they do it and then our program, our definition of how we review their corrective action will spell out how we do it. The only qualification is whether it is a sampling basis --

MR. KENNEKE: So, in other words it will be something 14 like the status and final report. There are two lines really 15 involved, rather than a single line?

		1/
	1	MR. COOPER: It is part of the review of their
	2	corrective action program in the boxes. It is one of the
	3	elements in the review of those corrective action programs.
	4	MR. KENNEKE: But they are done independently, not
	5	as a cooperative venture?
	6	MR. COOPER: Yes.
	7	MR. SCHIERLING: Roy, I think you also might want
	8	to mention that since everything comes under IDVP, that on
	9	occasion the NRC also feeds into the IDVP; for example, the
	10	Brookings Report.
	11	MR. FRAY: Perhaps an arrow.
	12	If there are no further questions on the IDVP process,
	13	I will go on to describe the projects, tracking, reporting
	14	and documenting the verification concerns, open items and
	15	errors. I will describe the IDVP technical interface. I
	16	will identify the project procedures that specify tracking,
	17	reporting and documenting. I will describe the project's
	18	tracking and reporting and the project's documentation.
	19	This diagram shows the technical interface between
	20	the IDVP and the project and that technical interface is the
	21	verification group. EOI's is there in open items, which docu-
Ing Company	22	ment the concerns that the IDVP has raised and requests for
	23	information from the independent program are distributed
is frepor	24	appropriately to the project's discipline groups by the
BOWE	25	verification group.

	18
1	The resolution of EOI's and the response to the
2	requests for information flow from the various discipline
3	groups into the verification group and are then distributed
4	appropriately to the IDVP consultants. And together, of course,
5	with this is a pinch point or focus point. You can see that
6	there is a focusing here and then a defocusing and then the
7	process is reversed.
8	MR. KENNEKE: The three subcontractors do not send
9	their material through Teledyne?
10	MR. FRAY: No. They communicate directly with the
11	project. I might say, though, that in general communications
12	from a particular subcontractor to the project and the other
13	way around is copied to the program manager from TES.
14	MR. MOORE: I think there is an exception to that,
15	though. Correct me if I am wrong, anything of a conclusionary
16	nature from the subcontractor is first put to the program
17	manager and then out to all the parties.
18	MR. COOPER: Yes, that is true.
19	MR. MOORE: And not directly to the
20	MR. COOPER: They may issue it, but it is only after
21	we have reviewed it and had some documented concurrence sheet
22	in with it. I just might mention, we have an assistant project
23	manager for each of the organizations. They work very closely
24	with them, but we did want to get in the interface step there,
25	have that go through us, but we track it continuously. We get

Bowers Reporting Company

	1	all the information that we need. We don't ask for all copies
	2	of everything just the things we need
	-	or everything, just the things we need.
	3	MR. FRAY: I would like to point out one other thing
	4	I think for slide-making purposes, this interface slide is
	5	all of the disciplines that were reflected on the organization
	6	chart. For schematic purposes, we are only showing four.
	7	MR. SCHIERLING: Roy, another comment, I think it
	8	might be appropriate to talk about how that interface takes
	9	place; that it can be through file sheets, meetings and what
	10	nature they have.
	11	MR. FRAY: Yes. This slide is oriented toward the
	12	paper interface, but it is somewhat applicable to meetings
	13	also since the Verification group, in general, arranges and
	14	coordinates the meetings between the IDVP and the project
	15	in accord with Procedure No. 7.
	16	One last thing I would like to mention
	17	MR. COOPER: Excuse me. That is true. We have
	18	meetings and if those meetings involve conclusionary material,
	19	the staff and the designated other parties may attend as
	20	observers, but no matter how many meetings we have, our
	21	decisions are based upon paper that flows through as paper.
Auch	22	MR. FRAY: I think that is a good point to make,
Co Co	23	Bill.
s Report	24	One last thing I would like to mention about this
Bowe	25	slide is that the IDVP is monitoring issues that are raised

	1	20
	1	in the internal technical program, as Gary mentioned, prior
	2	to semi-monthly reports, which goes through the Verification
	3	group to the independent consultants.
	4	Next, I would like to identify the procedures that
	5	specify the project's tracking, reporting and documenting
	6	of concerns, open items and errors.
	7	First, there are the normal quality procedures,
	8	which are in the PG&E engineering manual; specifically, 9.1,
	9	the nonconformance procedure and 10.1, the discrepancy proce-
	10	dure.
	11	Secondly, there are implementing procedures which
	12	have been developed by the Verification group for the Diablo
	13	Canyon Verification Program. These were developed specifically
	14	for this effort.
	15	Procedure No. 1 describes the steps to be followed,
	16	the procedures to be followed for interfacing with the inde-
	17	pendent consultants.
	18	Procedure No. 2 addresses the steps to be followed
	19	in addressing IDVP open item, error and program resolution
	20	reports.
	21	Three describes the procedures No. 3 is "Item
Autochi	22	for Review" and this describes the procedures for timely report
Ing Co	23	ing of concerns that are identified internally; that is, in
is Repor	24	our internal technical program.
Bowe	25	No. 4 describes the procedures for responding to the

1 project's own open items.

3

Rep

25

No. 5 describes the procedure to be followed in arranging by booking and site visits by the independent consultants.

5 This diagram shows the relationship between the var-6 ious tracking and reporting pathways. As I said, there are two 7 basic reporting pathways; the normal quality pathway and then 8 there is also the verification program reporting pathway.

21

The nonconformance procedures provides for reporting 0 via this normal quality pathway and also via the verification 10 pathway. The discrepancy procedures provide for reporting 11 via the verification pathway, if the discrepancy is of a 12 generic nature. The item for review procedure, as I said 13 earlier, provides for timely reporting, the 14-day time limit 14 to either demonstrate a concern is of no safety significance, 15 or to initiate an open item. 15

The EOI procedure discusses how the project resolves 17 EOI's that are generated by the IDVP. The open item procedure 18 describes how the project resolves internally identified con-19 cerns. Both the internally generated and externally generated 20 concerns are tracked via what we call our commitment control 21 system, CCS, which is a computer-based tracking system. Also, 22 both the internally and externally identified concerns are 23 reported in the project semi-monthly report. 24

Let me finally add that the verification procedures,

	1	open item, IFR and EOI procedures, are they do not replace
	2	the normal quality procedures. So, in some instances there
	2	is a dual reporting and tracking via these two pathways.
		Next. I would like to turn to the project documenta-
	4	Heat, I would like to this project documente
	5	tion of concerns that have been identified. The resolution
	6	process that we use is a two-step process. The first step
	7	is resolution and the second step is completion. Resolution
	8	of a concern includes the following: a complete understanding
	9	of the concern, determination of significance, course of action
	10	to resolve the concern, identification and description of
	11	any physical modification that will be required and, of course,
	12	documentation via what we call our resolution package of these
	13	four items.
	14	We use what we call a resolution sheet to provide
	15	guidance in assembling this resolution package and this
	16	resolution sheet requires description of the concern, signi-
	17	ficance of the concern, description of resolution, description
	18	of physical modification and some sign-offs by project
	19	supervisors.
	20	MR. MCORE: I think it is important to point out,
	21	if you will notice, there is, under "Description of Physical
Aurya	22	Modification," a category of questions and that is unique
ng Con	23	to a resolution report, because at the point in time at
s Reports	24	this point in time, you may or may not know if resolutions

BOWNERS

25 are required.

23 MR. FRAY: Modifications are required. 1 MR. MOORE: I am sorry. Modifications. 2 MR. FRAY: Now, the second step is completion and 3 completion of a concern involves these items: completion 4 of the tasks that were specified as part of the resolution, 5 completion of any physical modification that may be required 6 and preparation of a completion package, which documents these 7 two items. And, as Gary mentioned, on the completion sheet 8 there is no longer an option to not answer the question of 9 physical modifications. At this point, you either know there 10 are or you know there aren't and, again, there are a set of 11 questions that are asked, description of concern, significance, 12 description of the completion, description of any physical 13 modification and the sign off. 14

This concludes my presentation on the project's tracking, reporting and documenting. I would be happy to answer any questions.

MR. COOPER: Roy, just to make thing completely 18 clear -- I am not sure just how much in detail the gentlemen 19 have been involved -- in those resolution sheets with their 20 packages of completion sheets, when they come into the 21 independent program, it is often in response to an open item 22 that we have transferred to PG&E to work on. We will review 23 those transmittals, usually with the assistance of, for 24 example, Stone & Webster, or whoever is appropriate, and if 25

CON

8

Repo

	24
1	We agree that the response is probably truly responsive to our
2	questions, then we will issue an open item report back to
3	our subcontractor to continue the process going. In other
4	words we control who has the ball stage in response to these
5	sheets. Then, of course, we have to go through and, although
6	it is called a completion sheet there, if it is an item we
7	raise, it is not completed, so eventually we go through our
8	paperwork to close it.
9	MR. KENNEKE: You say it is often in response to
10	an item that you have issued. What else might it be in response
11	to?
12	MR. COOPER: Well, I said it is often in response
13	to an open item transferred to PG&E. They may use this
14	mechanism even though we have not formally taken the concern
15	from our house into their house and transferred it. They
16	may still use this mechanism to feed us information on concerns
17	that we are still working on in our house.
18	MR. KENNEKE: That is the distinction I was trying
19	to make.
20	MR. FRAY: To make it a little clearer, there is
21	a certain point in Bill's process where he is looking for
22	input and that point is signified by issuance of a certain
23	kind of report or piece of paper. Often we feel that we have
24	the information that will help him, so we don't wait for that
25	point to arrive. We send the information to him.

Bowers Reporting Company

Any other questions? Okay. I will turn the meeting
 back over to Gary.

MR. MOORE: Thank you, Roy. 3 One point that I would like to just reference back 4 to that last slide, down at the bottom it talks about physical 5 modifications required. First off, as Roy pointed out, we 6 are obligated to make an absolute statement, "yes" or "no;" 7 and if we say "yes," and it is a completion report, that is 8 the trigger for the IDVP to go into motion, come to the site 9 10 and verify the corrective action. That is how this parallels an independent as-built-in process occurs. 11 MR. KENNEKE: That is different than the --12 13 MR. MOORE: No. That is the same thing. That is the trigger mechanism. I was trying to explain the process. 14 MR. KENNEKE: Well, that has a starting -- is it 15 starting in mid-February or --16 MR. MOORE: It is ongoing. All of these procedures 17 and systems and processes are related to the issues either 18 that are identified by an EOI number or an open item number. 19 I would like to move on -- now, we have left the 20 review process or processes that are used on the project 21 or by the independent verification consultants and now we 22 are going to describe another process that addresses 23

24 engineering resolutions.

8

Repo

Sec.

25

As I mentioned earlier, I am going to try to, in one

slide, identify at least in my mind what the engineering
 resolution process is on the project for issues raised in the
 Verification program.

The first step, and this may seem an obvious step, 4 but it is often very difficult to get past that first step, 5 it is to first fully understand the issue. I know, at least 6 my management, often wonders why it takes us so long to get 7 resolution and closure on an issue. Oftentimes, it is spent 8 here in the first box, because so much of this program is 9 based on paper and the systems and designs are quite often 10 complex and the engineers do not always write the question 11 that they meant to ask and, of course, we don't always write 12 the response that we meant to give. So, we spend a lot of 13 time in that first box. That is my point. 14

15 Then, since this is a review process, we have to identify the applicable criteria. This is a little bit 16 different than a normal design process where the engineer 17 is allowed to go out and generate the criteria, if you will, 18 that is applicable to his problem. Here we are kind of given 19 the criteria, if you will. So, it is necessary to identify 20 21 that and also the methodology that we use. Methodology is whatever you need to do to solve your engineering problem. 22

As I mentioned earlier in the program, the first
thing that is done is investigate and resolve the specific
issue that was raised up in the first box. I will go back to

Reporting Compony

the example I used before. There is a concern expressed with the power supply to common ventilation systems. We need to resolve that concern in a technical sense. After you have completed that step, or oftentimes in parallel with completing that step, you then are obligated to investigate and resolve generic implications associated with the original issue.

Again, going back to my example, I would say 7 investigate all common systems for shared power supply. Then, 8 of course, the last step in the process is to document what 9 you have done. I would like to expand a little bit in terms 10 of what is in the "document for process" box. We have been 11 speaking about a lot of paperwork associated with the Verifi-12 cation program, all of these EOI resolution reports and com-13 pletion reports and Phase I final reports and Phase II final 14 reports, interim technical reports. We have guite a bit of 15 documentation associated with the Verification program. 16

But we in the project have another very important 17 product and that is design and if any of this work from this 18 process results in design change, then we have calculation 19 packages prepared. We have drawings prepared. If you need 20 to buy equipment associated with this resolution, you need 21 to prepare specifications and procure equipment and, then, Reporting Company 22 of course, our documentation is then sent to the field or to 23 the materials department to be placed with the vendors and 24 STAWON ST eventually that information ends up at the site and since 25

Unit 1 is an operating plant, that is a little bit more of an involved process than a plant that is under a CP type of requirement.

We have an obligation to have all changes approved 4 by the plant manager and there is a group on site that does 5 that, called the PSRC's, plant staff review committee -- I 6 believe is correct -- who is the group that insures that we 7 are not changing the licensing basis of the license, I guess, 8 is the best way I can put it. They have a set of regulations 9 that the operator, if you will, must conform to and if they 10 determine that our design is an unreviewed safety issue, then 11 we must seek the staff's approval before that change can be 12 put into the plant. If they determine that it is not an 13 unreviewed safety issue, then we can go thead and make the 14 change in the plant and then we are obligated to inform the 15 staff, I believe, on a yearly basis that we have made that 16 change in the plant. 17

Now, the new regulations require us also to indicate 18 that change in the audit. Now, when that change is constructed, 19 if any changes to that design occur as part of the construction 20 process, then those as-built modifications have to come back 21 to engineering, be approved. The documentation has to be 22 modified to reflect that change and reissued. That is how 23 we keep the information at the plant and here in the general 24 office in continual ... hopefully, the same state on the 25

Autodu

8

Repo

1 drawings as is in the plant.

	2	So, that is what I would consider a very general
	3	and very abstract resolution design process. Now, to try
	4	to drive it home a little easier, I think, I would like to
	5	now pass the podium over to Dr. White, who will discuss the
	6	first Phase I specific example. That is dealing with the
	7	fuel handling building.
	8	MR. FRIEND: I am sorry I interrupted you. The
	9	way you discussed the as-built process, it sounded like you
	10	could avoid the whole previous process through as-built. I
	11	think you can point out there are limited amounts of freedom
	12	for as-builts and there are bigger chains that have to come
	13	back to engineering.
	14	MR. MOORE: Yes, yes. In fact, on this job there
	15	are several breaks. Good point, Howard.
	16	If the design change is not too significant, we
	17	have an on-site engineering group that has been delegated
	18	the authority to, if you will, approve the design at that
	19	point and allow it to be constructed. If it is a significant
	20	design change, then it has to come back to the general office
	21	before it gets changed.
Aucdu	22	Bill, would you come up and give a presentation
Ing Co	23	on the fuel handling building?
rs Report	24	MR. WHITE: So far, we have been talking about the
BOWE	25	engineering resolution process in a fairly abstract manner.

29

.

What I am going to do now is get down to the nuts and bolts
 of the whole operation and see how engineering resolves the
 issues by investigating problems of design modifications and
 this kind of thing.

As Gary mentioned, the Phase II operation as it 5 stands right now is primarily reacting to issues. That is 6 quite different from the mode of operation of Phase I. It 7 initially was that kind of program, reacting to EOI's and 8 OI's and this kind of mode of operation. It is too the point 9 now where the interaction between EOI's and developing resolu-10 tions to them on an individual basis will be more time consum-11 ing than stepping back, looking at the entire subject; in 12 this case, the fuel handling building. 13

14 It is easier to go through the analysis of the fuel 15 handling building from start to finish and use that as the 16 approach for eliminating or resolving questions that have 17 been brought up, either by the IDVP's or by the internal 18 program.

Now, as the design analysis and design modification takes place naturally we have the EOI's, the individual items, brought up in the background, making sure that the overall process will resolve the individual issues. But it is not being driven by that kind of program. It is looking at the overall design, the overall seismic analysis of each individual building.

Compoint

8

Repo

Now, from a general step or general review process
 that we go through for each individual building, it ends up
 being kind of a four-step operation and these four steps are
 summarized in the Phase I report in Section 2.1.

Now, the initial step, as Gary was talking about, 5 is trying to get our hands on the issues. The first thing 6 we need to do is to round up the drawings that define the 7 buildings and pull together the assemblage of drawings; in 8 other words, take a look at the fuel handling building. The 9 actual fuel handling building is on a number of drawings. 10 It is not just a single set of drawings and it is necessary 11 to bring this information together and condense it and then 12 go to the field and see if there are any differences between 13 drawings that were used initially to put together the seismic 14 model in this particular case versus the actual structure 15 that is there in the field. 16

In some cases we come up with minor discrepancies
between the actual structure and what is shown on the drawing.
These are minor deviations. That is the first step.

The second step is to make sure that the structural model used in the seismic analysis does, in fact, provide an adequate representation of the as-built configuration. So, first, we gather the drawings, digest that information, go to the field and make sure we have a clear picture. Then we review the seismic model to make sure, like I said,

1 that it is an adequate representation of the as-built 2 configuration.

After that is completed, then we see that the seismic 3 design criteria that was used for the analysis of that parti-4 cular structure was as indicated in the FSAR and adequately 5 applied. We will get into what that really amounts to for 6 the fuel handling building when we get around to the specific 7 example, but that is one of the steps of the process, to make 8 sure that the seismic design criteria was adequately applied 9 to the analysis of the structure. 10

The fourth item is to review the assumptions and methodology and input to the overall analysis process. We are also getting down to checking individual members, this kind of thing, for the particular building that we are working with.

Now, if in any of these steps, we end up with the 16 need for analysis and design beyond what was done for the 17 initial design, you end up in an iterative loop. In other 18 words, we do the analysis, modifications perhaps are needed 19 and then you have to ask yourself the question, have the modi-20 fications required any revisiting or modifications to the 21 original analysis. In some cases there are; in which case 22 we have to go back to the analysis and reassess the adequacy 23 of the design modifications. Normally, that is the end of 24 it, but on occasion the modifications that were originally 25

Compound

8

Report

1 expected will need some fine tuning. So, we go through this
2 analysis and design iteration step until the whole thing is
3 settled down and all of the criteria are eventually met.

So, those four steps and then the analysis and design iteration step is done on all of the Category 1 structures that we have; intake structure, fuel handling building, office building, containment, interior concrete, annulus steel, all of them, the same basic four steps.

Now, when you get to the individual buildings, that is where they have to be modified a little bit to suit that particular building, but in general those are the four steps we go through.

For the fuel handling building in particular, the 13 first thing we did was to take a look at the response spectra 14 that was used as input to the analysis of the fuel handling 15 building and for the people that were in the field yesterday, 16 the fuel handling building was the steel superstructure above 17 the spin fuel pool. If you happen to remember the cover that 18 we were looking at, the fuel handling building is the super-19 structure supporting the crane above it. 20

That structure now is supported off the top of the auxiliary building. So, the input motion to the fuel handling building comes from the vibration of the response of the auxiliary building. So, we will take that response back to make sure that was adequately applied to the fuel handling
		34-35
	1	building.
	2	MR. EISENHUT: Bill, in your example, correct me
	3	again now, on the fuel handling building, has the spectra
	4	been finalized?
	5	MR. WHITE: Yes.
	6	MR. EISENHUT: Okay. So, you, at this point
	7	now, you were, in fact, though, proceeding through the analysis
	8	previously before they were finalized?
	9	MR. WHITE: Yes.
	10	MR. EISENHUT: Would you just comment on the
	11	iterative process you went through?
	12	MR. WHITE: When the EOI process started, there
	13	were a few EOI's written again for issues to the fuel handling
	14	building. So, people started looking at the overall analysis
	15	and design process that was used in developing the structural
	16	configuration. When we got involved in the project, the first
	17	thing we wanted to do was to have ourselves assess the ade-
	18	quacy of the fuel handling building. So, we started going
	19	through the model that was used in the original seismic
	20	analysis and also making estimates of the load that we
	21	expected that fuel handling building to seek.
Aucolu	22	I should mention that the estimate of the loads
Ting Co	23	on the fuel handling building is a fairly simply process because
III Repo	24	it is a low frequency building, has a response factor in the
Bow	25	auxiliary building that is fairly insensitive to the actual

34-35

response of the auxiliary building itself. The frequency
of the fuel handling building is like two or three cycles
per second and the peak in the response factor for the auxiliary
building is about 10 to 12 cycles per second, very stiff building. So, the auxiliary building is simply passing through
the ground motion at these low frequency vibrations.

So, it was very easy to say, okay, I am not sure 7 what the actual response of the auxiliary building is, but 8 I know that that frequency is like 10 CPS. It is not going 9 to affect the response factor at two to three cycles per 10 second. So, we were able to pick up those loads now and put 11 them on a fairly simple model and then assess the adequacy 12 of the design very early in the overall operation, simply 13 independent of the initial response of the auxiliary building. 14

So, that is what allowed us to start assessing the adequacy of this building before the actual analysis of the auxiliary building was complete. So, that was our next step essentially, was to go through a process of estimating the loads in the fuel handling building and then checking the adequacy of the connections relative to the acceptance criteria and also taking a look at the adequacy of the members.

In some cases we found that the criteria did not appear to be met, based on loads from my hand calculations. We were finding some members were somewhat overloaded, relative to the acceptance criteria. Same thing for connections. This

1 was based on some preliminary end calculations, but the indi-2 cation was we needed to take a deeper look into the overall 3 response of the building.

So, from the hand calculations we built a simple dynamic model, taking out one frame, column on the east side, column on the west side and then the roof truss' on top. So, we got a simple model, built a dynamic model of that and then a more detailed analysis of the fuel handling building.

We were still getting indications that the criteria 9 that the project was committed to could not be met. Now, 10 to give you an indication of how far off or how close we were 11 getting to meeting the criteria, if, as an example, we had 12 used the latest code values for connections, which is the 13 8th edition of the AISC, we were able to show that most of 14 the connections were excellent. However, the code of record 15 for Diablo Canyon is not the 8th edition. It is the 7th 16 edition and there the capacity for bolted connections is less 17 than the values used in the 8th edition. Therefore, we did 18 not meet our acceptance criteria. 19

Some of the modifications that we are making are for exactly that reason. We would be able to meet the 8th edition, but it is not what we are signed up for. We have gone back to take a look at the modification needed, however, to meet the more stringent 7th edition. So, some of the modifications have resulted from that kind of a situation.

So, as I was mentioning, we went through simple hand calculations, then a simple dynamic model. Still, indications are criteria was not being met and by that time we decided to just go ahead and build a detailed dynamic analysis model of the whole fuel building essentially and use that as the basis for design.

Now, to show you the level of detail that we are looking at for our dynamic model, this is a typical cross section through the fuel handling building. This is supported off the auxiliary building, elevation 140, and that is the top row of the spin fuel pool, to give you an orientation of where we were yesterday.

This is a general configuration of the overall 13 structure. From that, we put together a very simple model 14 of a given cross section. This is typical of what we use 15 on kind of the second stage overall calculations. This can 16 be used to get a good indication of the load on a particular 17 crane, but one of the controlling loading conditions for the 18 fuel handling building is the presence of the crane itself. 19 So, in order to get a good model of the crane and its effect 20 on the structure, you need more than just one crane. 21

So, the next configuration that was used involved a larger portion of the overall structure and here it is about seven columns at one end of the structure. Here this model can be used with the introduction of the crane loads now to

get a real good indication of the force of the members and the load on a connection, this kind of thing. 2

1

Company

8

Report

After, again, we have made an assessment of the 3 initial load on that portion, then we go into an analysis 4 of the entire structure where here we are able to distribute 5 the load to the rest of the fuel handling building from the 6 crane. So, this is the evolution, if you will, of our analysis 7 of the fuel handling building. Starting off with very simple 8 hand calculations and then moving to a simple 2-D dynamic 9 model, then going to the seven frame model and then finally 10 the entire structure. 11

This is the kind of steps that you go through or 12 the process that was gone through in the engineering resolution 13 process that had its initiation back at the EOI level, but 14 did not try to react to those specific items. Now, when we 15 get finished with this analysis in design and modification, 16 the actual fuel instaliation, then we will go back and fill 17 out the little resolution forms and we will check the box 18 on modifications and whatever else is required to finally 19 close out that particular item. But, as you can see, this 20 is, in my estimation, a very thorough analysis of the building 21 and this is the kind of thing we are doing on the others as 22 well. 23

MR. KNIGHT: Bill, let me just ask -- Donald asked 24 earlier if your spectra were final, if you had the final spectra. 25

	1	You said, "yes." Has there been any interaction with the
	2	IDVP yet on this effort and more specifically I say
	3	"interaction." Let me define it. Are we in the mode where
	4	let me back up two steps. One of the commitments in the IDVP
	5	is to come back and look at the action, look at the corrective
	6	action taken. This is clearly a corrective action.
	7	MR. WHITE: Yes.
	8	MR. KNIGHT: Ergo, at some point, there has to be
	9	an interaction between you and they, at which time they will
	10	take a look at this process you have gone through and offer
	11	their own reaction or opinions on what you have done. Has
	12	that process started or is it
	13	MR. WHITE: It was definitely started. I am trying
	14	to remember where we are in that overall process. In the
	15	Phase I report, there we have indicated the kind of analysis
	16	that we are doing for the auxiliary building, which is
	17	we have to have that closed out before we can finish up this
	18	one, from a real paper point of view. From a practical point
	19	of view, they are not tied that close because of the actual
	20	dynamic uncoupling of the two. But from a paper step point
	21	of view, we need to close out and finalize the response factor
Aucchu	22	of the auxiliary building.
Ing Co	23	MR. KNIGHT: In your response you say the final
s Report	24	spectra, that stuff is done? You have finished your analysis
Bower	25	of the aux building?

	41
1	MR. WHITE: Right. We have finished our analysis
2	in terms of we haven't finished our analysis of the low
3	diaphragm. That work right now is in progress, but in terms
4	of generating a response factor, we have done all we intend
5	to do.
6	MR. EISENHUT: You, therefore, have the I guess,
7	go back to Jim's earlier question and the IDVP has said
8	they have reviewed or have they reviewed the
9	MR. WHITE: They are in the process of reviewing
10	our analysis in support of the response factor.
11	MR. COOPER: I would like Mr. Denison to respond
12	for the IDVP.
13	MR. DENISON: Ned Denison, Cloud Associates. I
14	feel No. 8, revision zero outlines the process that we will
15	use to review the fuel handling building. It includes a look
16	at as-built versus drawings. It includes a look at the dynamic
17	analysis through spectra generation and it includes our review
18	of member qualifications.
19	At this point our review is strictly in the criteria
20	methodology stage; that is, we have reviewed the different
21	supplements to the Phase I final report issued by the DCP.
22	It is our intention to also review the implementation. That
23	work right now on the implementation is somewhere between
24	zero and 10 percent.
25	MR. KNIGHT: As far as the IDVP is

Bowers Reporting Company

MR. DENISON: As far as the IDVP is concerned.

MR. KNIGHT: But as far as the project is concerned, you are ready to do it whenever it needs to be done? I am just trying to get a handle -- I am being a little parochial, but I am looking at -- it is half past January.

1

hood

8

Noday

BOWER

MR. MOORE: Phase I is ahead of Phase II a little 6 bit. We have twice weekly what we call administration meetings 7 with the Cloud organization. Those meetings are for them 8 to come over and right now, it looks like about one meeting 9 a week is for civil issues and one meeting a week is for 10 piping issues, and they are continually seeking where we are 11 in our work and when we submit a Phase I report section, if 12 you will, that is the public signal that we are done with 13 an area. At which time they initiate R.F.I.'s for 14 information. We discuss this. We give them like lists of 15 calculations that are completed. We give them a list and 16 they extract a sample of calculations from that list. 17

I have heard the question of spectra brought up 18 several times. With regard to the Hosgri Spectra, we have 19 that issued under a DCM No. C-17 and that particular design 20 criteria memorandum is in Revision 4 and we, I believe --21 don't hold me exactly to this -- but I believe that includes 22 the entire site. Now, you must appreciate we are different 23 on final. If something happens tomorrow, say with the annulus 24 steel, say, to where we are required to change that structure, 25

then by definition the spectra changes and the final spectra
 today becomes unfinal.

With regard to DE and DDE, those two design criteria memoranda have been issued, but do not have spectra everywhere on the site.

6 MR. WHITE: With respect to where we have spectra, 7 we have spectra every place except in the Triven (?) Building 8 and for all of the other structures we have everything.

MR. KNIGHT: We are trying to find places where 9 we can take our relatively limited resources and get the biggest 10 bang for our buck and if we come into a situation where we 11 say, okay, we are looking at the spectra and looking at some 12 other things and say, well, gee, we can't quite understand 13 or guite agree and then are told, oh, yeah, but that changed 14 yesterday, because, you know -- I understand there may be 15 situations where things evolve. We are trying to find that 16 place where the probability is best. 17

MR. DENISON: I would suggest, Jim, that we have 18 been involved in this Diablo Canyon project in an attempt 19 to integrate the schedules. We are also in the same boat. 20 We are looking for places to come in and conduct a sampling. 21 When those schedules are prepared -- that is strictly an Company 22 administrative matter -- there will be dates when the Diablo 23 8 Canyon project is 25, 50 and a hundred percent done with their Repo 24 work and we are choosing those milestones as sampling points. 25

Certainly, the signal of a hundred percent done, if it is going to come to us, it can certainly come to you. That might be your indication that the building work is done, that the member qualifications have been performed and it is ready to be reviewed.

MR. EISENHUT: Ned, I certainly think that helps, 6 but at the same time, you know, you start with a spectra and 7 the spectra gets finalized and eventually you are out in the --8 the project is out in the field making modifications to the 9 facility and some day we are just mortified that someone is 10 going to come along and say, well, gee, the fuel handling 11 building, the superstructure, all the modifications are done 12 and we will say, well, gee, we ought to start reviewing the 13 spectra. And that -- you know, we are just very sensitive. 14 We are here at the eleventh hour with -- and that is why we 15 are looking -- if you can say when something is final and 16 then on those pieces if the IDVP can say they are happy with 17 that piece, too, say to speak, it turns on the staff. I will 18 be leaning on Jim and he knows it. 19

MR. FRIEND: If we didn't make it clear this morning, I would like to clarify that we will try to do a better job of identifying those areas that we think are final final and ready for IDVP and your own review at your discretion. We understand your need.

MR. EISENHUT: We think that would be extremely

octay 11amog 25

Compony

8

helpful.

1

2	MR. KE	NNEKE:	Can I	ask as	a general	matter what
3	kinds of control	s are t	here in	nternal	to the pro	ject that
4	either present o	r contr	col new	areas?		

MR. WHITE: Well, we have a quality assurance pro-5 gram, which essentially is a doer and a checker and that is 6 typical of all of the operations within Bechtel and nuclear 7 power, as far as that is concerned. In addition to that, 8 there is a design verification program on areas where modifi-9 cations are generated. So, in terms of competence level, 10 in terms of the overall design process, first, you are for-11 getting all about dotting the "i's" and crossing the "t's" 12 from the QA point of view. First off, you have a structure 13 sitting in the field that was designed originally and if we 14 were coming up with modifications that were causing gross 15 changes within that configuration, we would have to go back 16 and take a very, very close look at our overall analysis of 17 the design process. Either we were way off the mark or origi-18 nally it was way off the mark. We aren't finding those kinds 19 of things. 20

21 So, in general, our analysis is coming very nearly 22 confirming essentially that the original design was quite 23 good. What we are doing now is making minor modifications 24 to that. But to me that is a very valid check on the overall 25 process. And aside from the actual QA operation, which requires,

like I said, a qualified doer and a qualified checker to go
 through the entire process.

MR. MOORE: Excuse me. I would like to refer you to the agenda. I don't want to steal Mike Jacobs' total thunder here. We have that identified as Step 5 in this program. I don't want to put you off, but that is one of the things that is going to help us assure that new areas are included in this design.

9 MR. FRIEND: I just wanted to clarify the original 10 work that was done was done to standards and criteria and 11 procedures and processes that were in place in the time frame it was done. The work that we are doing today on the Verifi-12 cation Program is done to standards and criteria for 1982. 13 14 We think we have a good quality program. We think we have 15 in place all of the procedures and controls necessary to assure 16 that we don't have a recurrence and Mike will tell us in a little more detail about this in a few minutes. 17

MR. SCHIERLING: One question. I didn't go into the fuel handling building yesterday. Are there any modifications currently being made in the fuel handling building on this issue?

MR. WHITE: Yes. All the modifications on the fuel handling building have been related to the field and they are in the process of installing those modifications; new members in some locations, spacer bars in others, making

		*/
	1	modifications to connections, beefing up gosset plates,
	2	replacing E-325 bolt with a 490 bolt, in some cases bigger
	3	bolts, these kinds of modifications. Those are ongoing right
	4	now.
	5	Any others?
	6	MR. MOORE: Thank you, Bill. I believe correct
	7	me if I am wrong, Jim I believe in the hot shot, the center
	8	part of the building, they are now about 20 percent completed.
	9	26.
	10	I would like to move on now, as time is getting
	11	late I would like to have Mike Tresler, the group supervisor
	12	for piping, discuss the second specific example of the engineer-
	13	ing resolution process and that particular example deals with
	14	piping and pipe support design. Mike.
	15	MR. TRESLER: We get five minutes, the way I under-
	16	stand this, so I will move on quickly.
	17	The overhead indicates the steps that we go through
	18	in the piping and pipe support review and design process.
	19	There are really five major steps. The first step was to
	20	establish procedures and criteria and this step, of course,
	21	was completed long ago.
Aucohux	22	The second step was to verify the as-built piping
rting Co	23	configuration. That is complete.
odag subo	24	The next step, once we have the as-built configura-
Bow	25	tion, is to verify the piping analyses that these drawings

48 are based on. That is about 80, 90 percent complete. 1 Following that, we verify the pipe support design, 2 using the results of the piping analysis as input, and that 3 effort is also about 80 to 90 percent complete. Any support 4 designs that we find are not acceptable are rejected and new 5 design is prepared. 6 Following that is the construction process, which 7 is not really one of the steps of engineering. But as part 8 of construction, as-builts are prepared of any minor deviations 9 from our design. Those as-builts are submitted back to the 10 engineering discipline. 11 Our final step in the design process is to reconcile 12 these as-builts with the calculations and actual design 13 conditions. 14 To be a little bit more specific in each of these 15 steps, the establishment of criteria actually preceded estab-16 lishing procedures. In establishing the criteria we made 17 a very thorough review of all of our licensing commitments, 18 which included the FSAR and Hosgri Report. 19 We also at that time took advantage of the oppor-20 tunity and actually expanded our acceptance criteria and 21 procedural-type criteria beyond that that we had committed 22 to in the FSAR and Hosgri Report. The reason for that was 23 to minimize questions by reviewers and to assure the success 24 of our review program. 25

8

Report

	1	Following that, we established the procedures for
	2	our review and in establishing the procedures, we made sure
	3	that all of those issues that were raised by the project review,
	4	as well as IDVP review, were covered procedurally in our piping
	5	and pipe support review effort. Also, of course, we made
	6	sure that the procedures covered all aspects of design and
	7	criteria for acceptance of that design review.
	8	Following establishing the procedures and criteria,
	9	we did review all of the large bore "large bore" being
	10	two and a half inch diameter and larger piping by field
	11	walk-down. Any minor differences or major differences
	12	although I don't believe we found any were identified on
	13	the drawings and these marked-up drawings, corrective drawings,
	14	served as the input to the piping review.
	15	This was done for the large bore. In the case of
	16	the small bore piping, that wasn't necessary because the con-
	17	struction drawings served as a basis for the review and those
	18	construction drawings, which are small bore piping isometrics,
	19	were as-built as a part of the construction process.
	20	Following development of the as-built configuration,
	21	we reanalyzed all of our large bore piping and during that
Aucdu	22	reanalysis we not only considered the Hosgri condition, but
ting Co	23	we have considered DE and DDE thermal and dead load. Also,
ris Repo	24	we do hydrodynamics analysis when appropriate.
Bound	25	The output from this piping analysis, of course, is

primarily the stresses and we compare that with allowables to show acceptance of the piping system. Also, we get valve accelerations as output and we compare those with allowables from the vendors and show acceptance of the valves for operability and integrity.

6 The nozzle loads, loads on penetrations and contain-7 ment, are coordinated with the appropriate discipline for 8 recalculation to show acceptance or for comparison of estab-9 lished allowables. That work is in process and coming near 10 completion now.

In some cases we have had to perform analysis with what we term "preliminary spectra," and in a few cases it turned out we have had to perform reanalysis because the final spectra developed was not enveloped by our preliminary spectra. In other cases it was.

In all cases if we used preliminary spectra as input, it is identified in controls such as that analysis is not finally accepted until all preliminary inputs are documented as being final from the civils, as an example, with our spectra.

Following completion of the piping analysis, it is issued to the support group to begin qualification of the pipe support. We perform a review of every pipe support, whether the load has increased or not and each one is qualified as built or redesigned. We have not only, of course, considered

		31
	1	the new loads, but we have considered the other criteria,
	2	such as frequency, in this poview.
	3	If rejection occurs and new design is required,
	4	it is accomplished. There are five levels of review and
	5	approval in that process and then it is issued to construction.
	6	Following the construction process through, they have a tight
	7	control over the building of the supports, such that the
	8	support is not signed off until it is inspected and an as-
	9	built prepared that agrees exactly with that actual as-built
	10	configuration. That is the design that is submitted back
	11	to us for our review and formal acceptance.
	12	That, we consider to be a part of our design process
	13	and we don't consider the design to be final until we have
	14	accepted the as-built drawing.
	15	Along with the process of designing the pipe support
	16	and qualifying the support, we also coordinate any loads of
	17	any significance with the Civil Department so that they can
	18	verify that the structure can withstand those loads that are
	19	being put on their structure by the piping system.
	20	Of course, also, we incorporate any as-built
	21	information on the drawings and those drawings are issued
Aucdus	22	so that they represent the as-built configuration of the plan.
Ing Co	23	I have some sample overheads, one of a piping
ns Repo	24	analysis, if I can get that put up now.
Bowy	25	MR. CHANDLER: Before we get into the specifics, I

52 would like to ask just one point of clarification. 1 MR. TRESLER: Sure. 2 MR. CHANDLER: Before, when you were talking about 3 your analysis, you indicated you went back to the FSAR commit-4 5 ment, Hosgri commitment. You indicated there were some instances where you expanded on your commitment. 6 7 MR. TRESLER: That is correct. MR. CHANDLER: Could you clarify what you mean by 8 that? 9 MR. TRESLER: One example which comes to mind is 10 the fact that our review now takes into consideration the 11 loading on the supports that is provided by the rigid range 12 spectrum in the analysis. In other words, previously we had 13 a 33 hertz cutoff for our dynamic analysis and no considera-14 tion was given to the loading contribution from frequencies 15 above 33 hertz. 16 Now, we envelope the ZPA with the tributory mass 17 and with the dynamic analysis and use that envelope load as 18 our design load. That was not a requirement by any of our 19 licensing documentation, but we felt that since we were redoing 20 all of our analyses, we would consider it to make sure it 21 would not come up as an issue. 22 MR. CHANDLER: That is an example, not intended 23 24 to be all-inclusive? MR. TRESLER: No. There are other cases, yes. 25

Reporting Company

BOWERS

53 MS. BLACK: When you did change these, did you amend 1 the FSAR to describe your --2 MR. TRESLER: No, we have not, not in that case. 3 I don't want to say that we aren't doing it, though. We do 4 have a process in-house where anything we do that deviates 5 from the FSAR is communicated to our licensing department and 6 they have a process ongoing to change the FSAR, but we don't 7 do it daily. 8 MR. FRIEND: Jusc to clarify, an example might be 9 we didn't do it on some pipes and not do it on other pipes. 10 We did it across the board. It was just a decision we made 11 to implement this reevaluation. 12 MR. CHANDLER: Thank you. 13 MR. ANDERSON: I think we also have to point out 14 that this doesn't deviate from FSAR criteria. It may 15 eventually in FSAR upgrading be described as -- it is an 16 improvement. 17 MR. NORTON: I am not sure you have to describe 18 in an FSAR where you do something more conservative than the 19 material in the FSAR. I don't think there is any such 20 requirement. 21 MR. CHANDLER: The point is that it is consistent 22 fundamentally with the FSAR. 23 MR. NORTON: Certainly. It is as conservative. 24 MR. TRESLER: We are also on record with that in that 25

Reporting Compony

1 it is described in our Phase I final report, which we 2 submitted to the NRC.

As a part of this program that we have gone through, we have, besides experiencing piping support modifications -we have had a few piping modifications and to put that in perspective, we have modified approximately 200 feet of piping, as far as piping reroute and that is out of about 70,000 feet of piping. So, what has occurred is certainly not a significant percentage of the plant.

What you see on the board is a typical piping analysis isometric. This one happens to be component cooling water to one of the containment fan coolers. We looked at that line during our walk-down yesterday. There has been two modification required by reanalysis. One of those was a deletion of a support which used to be located at Node 80 and I think if you look you can see Node 80 on that "iso."

Also, we had to add a vertical restraint and that was at Node .260 and the support number is 4283R. Now, that is not to say that there aren't other support modifications, but these were the only support modifications that were required because of the piping reanalysis.

If you can give me the next overhead now? This is one of the supports which had to be modified as a result of increased loads on the support. This is actually a detail of two supports, even though it has one

	55
1	support number. These are parallel lines very similar in
2	configuration, exactly the same system and fluid conditions.
3	The two snubbers that you see there used to be
4	granell snubbers and they were 5 kip load rated. We have
5	had to change them to 10 kip snubbers and the associated hard-
6	ware has been changed also.
7	This is a typical modification. Other modifications
8	have been resetting spring cans for dead load or thermal con-
9	sideration, shimming to create a seismic restraint, where
10	we had an excessive gap previously. In other cases we may
11	find that the seismic or thermal movement is greater than
12	previous analysis indicated and we have to open up the gap.
13	We also have had structural modifications and I
14	think very frequently we have had base plate modifications.
15	As Dick described this morning, I think a fair percentage
16	of those base plate modifications have resulted because of
17	our desire to complete our review and show qualification and
18	so we have used a very simple screening criteria to sort out
19	those that don't require modification, rather than doing finite
20	element analysis in an attempt to save that support.
21	All of our work that we have done, as I said pre-
22	viously, is done to procedures. All the results of our work
23	is documented and our program, methodology, criteria, proce-
24	dures, results are described in detail in our internal technica
25	program Phase I final report.

Bowers Reporting Company

56 Are there any questions? 1 MR. MOORE: Thank you, Mike. 2 I think what you have heard on Phase I reference 3 back to some of my comments before. You see why we character-4 ize that as a program. It is those extensive, detailed, 5 significant analyses that are very complete and thorough, 6 not to say that the other work is not complete and thorough. 7 What I would like to do now is discuss the first 8 of two specific examples that have come from the Phase II 9 scope of review. The first example deals with the pressure 10 temperature analysis that is part of a high energy line break 11 analysis that is performed on a nuclear power plant. 12 I will start off with a little bit of background. 13 This analysis is performed to determine the environment of 14 both temperature and pressure from various postulated line 15 breaks. With regard to why we on the project are looking 16 at this, Stone & Webster and the project, in a confirmation 17 of Stone & Webster's work, determined that the original 18 analysis gave non-conservative results. 19 We had an issue and now the project has undertaken 20 a program to address this issue. 21 Now, I would like to go through the steps of the 22 resolution process with regard to this issue. First, we must 23 establish a criteria and methodology. Once again, the criteria 24 is per our licensing commitments of the NRC. The methodology

Company

2 Repor

3

1	for this particular problem is that methodology used by
2	Bechtel. It has been used on their other nuclear jobs.
3	Then we have established the scope of reanalysis.
4	Now, here is a case where Stone & Webster had identified a
5	concern in three specific compartments in the plant. You
6	may recall it was in the Turdon (?) Building, Area GE and
7	Area GW. We looked at that specific concern, but when we
8	scoped our project review, we felt there was enough justifi-
9	cation to investigate all such compartments. Here is how
10	we are addressing not only the specific concerns, but the
11	generic aspect of that same concern.
12	The first step in performing the analysis is to
13	confirm the as-built condition and what is important to this
14	analysis with regard to our plant are the specific vent areas,
15	the openings in the compartments, the specific volumes, the
16	volumes of the subcompartments and the surface areas of those
17	compartments. The surface area is important for condensation
18	considerations.

57

Secondly, we concerned other input date associated 19 with this analysis. A couple of examples, we need to describe 20 the ambient temperature at which you start the high energy 21 Reporting Company line release at; also, what we call blow-down data, the data 22 that is used in the analysis that represents the release of 23 energy into the subcompartments and there are other parameters 24 that go into the analysis. 25

BOWRIS

	11	30
	1	MS. BLACK: Excuse me. I was looking at what input
	2	data did you use. Did you use the expected or the worst case
	3	in the case of the ambient temperature?
	4	MR. MOORE: It varied. In regard to the ambient
	5	temperature, that is under consideration right now with the
	6	IDVP. I believe that the FSAR stated that 70 degrees was
	7	used. Elsewhere in the FSAR there are temperatures that are
	8	indicated different from 70 with regard to those specific
	9	locations. I can't give you a simple answer. I think that
	10	you are not always justified in using worst case data in all
	11	cases.
	12	MS. BLACK: But if you were going to reanalyze this
	13	in your own project
	14	MR. MOORE: I believe we stuck to the 73, although
	15	I am not performing this analysis personally. Our obligation
	16	is to be able to justify with support, whatever the assumption.
	17	MS. BLACK: Then you use the assumptions of the
	18	FSAR even though you may not agree with them?
	19	MR. MOORE: No. I wouldn't make that statement,
	20	no. If we had a problem with a number in the FSAR and could
	21	not justify it technically, then we would take steps to
Auodu	22	correct it.
Ing Co	23	Then models are constructed and these models are
rs Repor	24	computer models that represent the physical configuration
Bowe	25	of the plant and then you actually run the model and then

those computer analysis results in output run, which are reviewed and documented. One of the reasons that I picked this example is, number one, I think it is probably the single most significant issue that has been identified in Phase II to date. Number two, it illustrates how design processes relate to other design processes.

7 This analysis results in an environment. After 8 that information is made available, we as design engineers 9 are then obligated to factor that new information into areas 10 of the design elsewhere in the plant. Specifically, this 11 analysis is used in areas like environmental qualification 12 of equipment.

Even though we have not identified any problems associated with environmental qualification of equipment, because this analysis may change an environment, we then go back and may have to do something in the environmental qualification area.

I think it is very important to recognize that that may result in a modification and I, as project engineer, have problems accepting that particular modification as a modification that was required as part of the verification process. It is kind of an indirect thing.

MS. BLACK: Just one more question, when you consult the new computer model to analyze, why do you use a new computer model? Why don't you use the one that was used originally or

Reporting Company

SOW R

	1	do you always make do you just make a judgment at that point?
	2	MR. MOORE: Well, with regard to that specific issue,
	3	one of the concerns was how the original code was applied.
	4	The original code happened to be a code that was really built
	5	for containment, a single compartment, if you will, and when
	6	it was applied to the subcompartments outside of containment,
	7	what actually occurred when the analysis was performed, a
	8	numerical instability occurred. The steady state conditions
	9	approached after the pressure. The computer program allowed
	10	that pressure to go slightly negative and the model then
	11	acted as if cool air came into the room, okay, and it, if
	12	you will, pulsated. That cool air ended up dropping the over-
	13	all environmental temperature. That is why you ended up with
	14	your non-conservative results.
	15	The actual case is that that room stayed positive
	16	in terms of pressure. Cool air is not brought in and the
	17	steady state temperature ends up at a higher level.
	18	So, with regard to why we are using new computer
	19	codes is special computer codes for outside containment is
	20	a code specifically developed to handle multi-compartment
	21	situations. Also, it is a verified code.
Auodu	22	MR. EISENHUT: I was going to ask you that question
ting Co	23	of which code is it and has it been verified. So
rs Repor	24	MR. MOORE: Well, the Bechtel guys will have to
BOWE	25	help me with its name, but it is a verified computer code.

	10
1	MR. FRIEND: COPATA is the name of the code and
2	it has been verified. It has been verified and used widely
3	by Bechtel. The code, I believe, has been described in a
4	Bechtel topical report to the Nuclear Regulation Commission
5	and in any case it has been used in a number of applications
6	by Bechtel and other nuclear power plants.
7	MR. MOORE: I think it would be our project statement,
8	Mr. Eisenhut, that it is a verified code. I don't have the
9	report in my hand and I don't want to entertain the alterna-
10	tive.
11	MR. EISENHUT: That is all right. I was just going
12	to say I have already asked someone to be sure that that is
13	on the
14	MR. SCHIERLING: Was that used for outside contain-
15	ment?
16	MR. MOORE: What was used? The Bechtel code?
17	MR. SCHIERLING: The Bechtel code.
18	MR. MOORE: Yes. Okay. Any more questions?
19	What I would like to do is move on to the last
20	example. This example is not significant in terms of an issue,
21	but it illustrates a point that I would like to leave this
22	room with. I will start with some background.
23	Number one, the subject just happens to deal with
24	a fire damper. Many of us who toured the auxiliary feed water
25	pump room noticed a damper between the steam-driven pump and

Bowers Reporting Compony

the motor-driven pump room. As a part of the SWEC walk-down 1 procedure in terms of their verification of our work, they 2 were unable to determine the fire barrier rating of that damper 3 prior to their walk-down. Then as many members of the staff 4 noticed, this particular fire damper has what looks to be 5 large gaps in it. Now, here it is supposed to be a barrier 6 and you just look at it and it appears to be full of large 7 cracks, if you will. 8

So, that is the issue. We received that issue from 9 Stone & Webster and Teledyne. We initiated one of our people 10 on on-site engineering to go out and very carefully inspect 11 the damper and we were able to identify a U.L. rating on that 12 damper. Then we also pursued the issue of gaps associated 13 with that damper and determined two things. The gaps were 14 there for thermal expansion reasons, as a technical explana-15 tion of why you had gaps in the damper in the first place. 16

Then when we confirmed the size of those gaps, they 17 were within the U.L. criteria for that rating. We transmitted 18 that information back to Teledyne and Stone & Webster. They 19 came back out. Basically, we gave them a completion report 20 with no modifications. That triggered them to come out and 21 verify our resolution and completion. They did that. They 22 were able to also confirm for themselves that the rating was 23 on the damper and they also agreed to and confirmed our state-24 ment about the gaps meeting the U.L. criteria. 25

ng Company

Report

	63
1	That allowed the IDVP program to close that item
2	as an EOI. So, here we have an issue that was an open item.
3	It was transferred to the project for resolution and it went
4	straight to close.
5	The message that I would like to leave with you
6	is it illustrates that just because you identify an item
7	associated with Diablo, it doesn't always end up as an error.
8	MR. FRIEND: Thank you very much, Gary.
9	MR. CHANDLER: If I could ask out of curiousity,
10	how was that one closed. If I went back to the sheet that
11	you had handed out earlier
12	MR. COOPER: It would have been in that line
13	labeled, among other words, "invalid."
14	MR. MOORE: If I could find my notebook, I could
15	give you the complete package.
16	MR. COOPER: The summary table.
17	MR. CHANDLER: You would view that as invalid, rather
18	than resolved?
19	MR. COOPER: It is resolved in that we got additional
20	information, but it is a bunch of words that we are trying
21	to use to find one word to describe what they all were. We
22	failed to find one word. We had room for about three.
23	MR. CHANDLER: Thank you.
24	MR. MOORE: If anyone is interested, I have the
25	complete completion package on that fire damper.

1	MR. FRIEND: Okay. Are there any other questions
2	of Gary or on the subject that he was covering?
3	We would like to just try to hurry through our
4	description of the QA program on the verification process
5	and I would like to ask Mike Jacobson to make this presentation.
6	I have asked Mike to move along as rapidly as he can. The
7	hour is getting late and we would like to complete this as
8	soon as we can, but we certainly want to encourage any
9	questions also of Mike.
10	MR. JACOBSON: Thank you.
11	On the project quality assurance end of the Diablo
12	Canyon project, today I am going to be addressing the QA pro-
13	gram for the verification process and other current work being
14	performed by the Diablo Canyon project team.
15	The program was developed to cover those activities
16	relating to the verification process and the resolution of
17	items identified by the IDVP. It was not intended to cover
18	all activities on Diablo Canyon, but it was intended to assure
19	appropriate controls over the design process.
20	Our initial Bechtel involvement, and this was April
21	1982, was the formation of the integrated project team. There
22	followed > transition period to establish a QA program to
23	be used by a project team. This document was approved by
24	PG&E and by NRC, with some clarifications requested. We subse-
25	quently provided those clarifications and we understand that

Conter.

1 those are acceptable to the NRC.

	2	We developed and improved the project nuclear
	3	quality assurance manual, which is the policy manual, which
	4	defines how the committed program is actually put into place
	5	and we then reviewed all of the implementing procedures that
	6	would be used for compliance with the new program. A number
	7	of modifications were made to those procedures as to training
	8	of personnel.
	9	Finally, the PG&E QA program that had been in effect
	10	prior to the formation of the project team remained in effect
	11	during this transition.
	12	The project program is based on Bechtel's topical
	13	report, BQ-Top-1-3A, which is NRC approved and, as I mentioned,
	14	existing PG&E procedures were modified or supplemented where
	15	necessary to mesh properly with this new program. The program
	16	complies with regulatory guides and ANSI Standards on QA,
	17	as described in the topical and it was also reviewed to assure
	18	that it meets the requirements of the PG&E QA program committed
	19	to in the FSAR.
	20	I have supplied a list of the regulatory guides
	21	that we meet. I am not going to bother to read them.
Aucolu	22	The next slide summarizes the activities being
Ing Co	23	undertaken by the project team. This is somewhat repetitive
s Report	24	of what has been presented before. I would just like to show
BOWR	25	it for the purposes of how the work is split up. Design

phase activities include the definition of design criteria and the control of design criteria documents to assure that the most current ones are being applied. We have design analysis based on that criteria and design output documents in the form of drawings, design changes and specifications.

The following items are process and IDVP items, 6 which Roy Fray and Gary Moore addressed and also identifying 7 the processing and correcting open items identified from our 8 own internal technical program. We receive in some cases 9 support from the Bechtel staff and specialty groups. The 10 project is also involved in preparing procurement packages 11 for materials and services needed. This includes contract 12 documents and specifying the QA requirements that will apply 13 to that work. 14

The construction organization that installs the modifications is also part of the project team. The project team receives support in the procurement area from PG&E and potentially from Bechtel's staff. Almost all of our activity has been through PG&E. Orders are placed through PG&E's materials department. Supplier surveillance and control is provided by PG&E, as well as audits of the suppliers.

22 This slide shows the scope of the project QA program, 23 how that is divided.

MS. BLACK: I would like to ask a question now. 25 Is this just a design as it relates to the verification process

and design modifications required by this process or are you 1 looking at the design process as it was carried out in the 2 past? 3 MR. JACOBSON: This program is a current activity 4 of the current design activities and it covers both Unit 1 5

and Unit 2, corrections of items that come up and also any 6 new design that will be issued at this point. 7

MS. BLACK: As well as the design work that is being 8 done, say, on the pressure temperature analysis, the computer 9 services that were designed, would you have any role in that? 10 MR. JACOBSON: That is correct. The program does 11 cover that. 12

MR. FRIEND: All of these contemporary activities 13 of the project, today's activities, are covered by this pro-14 gram. The review of the past design activities was part of 15 the Independent Design Verification Program and Robert F. 16 Reedy made those reviews. 17

18

modu

Report

MS. BLACK: Thank you.

MR. JACOBSON: This slide shows the division of 19 scope, if you will, the PG&E procurement functions and con-20 struction. Those operations remain under the PG&E QA program 21 as they were prior to the formation of the project team. 22

There are three basic elements involved in the 23 8 structure of the project QA program. First, the quality is 24 achieved by those doing the work through the use of these 25

items, management, skilled personnel, planning, procedures appropriate to the work activities, supervision and technical direction.

Second, the fact that quality has been achieved 4 is verified through surveillance, checking, testing and review 5 of work activities and documentation. This verification 6 function is performed by individuals who are not directly 7 responsible for performing the work activity, but are qualified 8 to have iniciated it. In the case of calculations, we have 9 10 an independent checker by another designer who would have been qualified to originate that work. 11

Third, we have an independent quality assurance group that is responsible for the review, surveillance and audit of quality-related activities. For the Diablo Canyon project this group is the project quality assurance group that I supervise.

Project QA reports independently off the project.
I report to the quality assurance manager of projects on the
Bechtel management staff and he in turn reports to the San
Francisco Power Division QA manager. I also receive project
guidance and management support from the quality management
member of Howard Friend's management team.

Also, down here is the quality engineering group,
which is a part of engineering, and assist them in meeting
their quality requirements on a continuing basis.

Company

Reporting

1	More specific levels of reviews are implemented
2	as a part of the program and are shown here. First, as I
3	mentioned, checking and design output documents by engineers
4	who do not perform the original activities. We have a formal,
5	assigned verification of systems and structures performed
6	by engineers, day to day surveillance by the quality engineer-
7	ing group, quality engineering review of selected engineering
8	documents, such as design change notices and specifications,
9	day to day monitoring by the project QA group and project
10	QA also independently approves certain documents, such as
11	the quality requirements and specifications, engineering
12	material memos and also scope documents defining how work
13	is to be assigned the staff group. All of those with the
14	objective to make sure that appropriate quality requirements
15	have been imposed.

Formal preplanned project audits by project QA are required to audit each area of activity on the project; QA management audits by Bechtel QA management staff, to provide a further independent overview of the project and finally, audits by other external organizations, R. F. Reedy, Incorporated, NRC and PG&E QA, as the licensee.

MR. CHANDLER: Let me ask you just one question. This seems to be generally quality reviews of either the paper involved or work in progress. Is there a quality review of completed work?

	70
1	MR. JACOBSON: Our program is reviewing the work
2	that has been performed since the formation of the project
3	team, so we are not going back into the
4	MR. CHANDLER: No, no, no, no. Modification to
5	determine what is necessary, you track it through the
6	design, procurement and from what I can see here, work as
7	it is being done, but is there a review then of what is
8	completed?
9	MR. JACOBSON: You are referring to in the field?
10	MR. CHANDLER: In the field.
11	MR. JACOBSON: Yes, there is. That is covered by
12	the PG&E QA program and they have another set of inspectors
13	and auditors out there to do continuing reviews of the com-
14	pleted product.
15	MR. SCHIELING: Along that line, do you have
16	there is an integrated work force at the site, PG&E/Bechtel.
17	Are there also Bechtel's QA personnel involved?
18	MR. FRIEND: We have a limited number of Bechtel
19	QA personnel at the site, yes.
20	Any other questions?
21	MR. KENNEKE: Is this different than might have
22	existed five years ago, let us say?
23	MR. JACOBSON: Well, I think it may be different
24	with the standards that the design is required to meet. It
25	is a different program than was used before. It is based on

18

1

1

á.

.w/
1	a Bechtel topical. Before they were using PG&E QA programs.
2	All programs evolve over time. Ours has been no exception.
3	There have been a lot of changes made over the years.
4	MR. KENNEKE: But the kinds of things that are here
5	are not different qualitatively?
6	MR. JACOBSON: No.
7	MR. EISENHUT: Al, let me follow up on that question,
8	if I could.
9	This program is really a program, as I understand
10	it, that addresses any Phase I design, modification, review
11	work, all the way through installation and any Phase II, other
12	follow-on activities, anything that might fall out. Now,
13	this program is really a Bechtel QA overlay that was used.
14	Now, if Bechtel was doing the job five years ago, then, in
15	fact, it would have been the difference between whatever the
16	Bechtel topical version today in existence is versus five
17	years ago and the only difference there was any revisions
18	to the standards, so to speak.
19	However, really we are comparing an apple and an
20	orange because this program is a program and the Bechtel pro-
21	gram for those particular modifications. The rest of the
22	project, as I understand, was under the PG&E QA program, which,
23	of course, was not covered by anything like a Bechtel topical.
24	It was more of a plant specific QA program and that program
25	was the subject of the Reedy evaluation generically.

Boweis Reporting Company

So, the real comparison what I think you were getting at, Al, was how does this program for Phase I/Phase
getting at, Al, was how does this program for Phase I/Phase
II evaluations modifications compare against what we have
used on the rest of the plant five years ago and that is a
different question, I think, than
MR. KENNEKE: Let me follow up two things to see
if I understand correctly. Is this chart labeled "Bechtel"
or "Joint Project QA" and is there a different chart that
would apply to the PG&E internal QA?
MR. JACOBSON: Yes. What I am addressing is the
program being used by the integrated project team.
MR. KENNEKE: Does PG&E use different things than
are here? My point is that these seem like general kinds
of things.
MR. FRIEND: Maybe I can help. When we came together
to form a joint project, it was obvious that we needed some
quality assurance program. We had a choice of how we might
proceed. We elected to take the Bechtel topical program and
tailor it as appropriate to meet the PG&E commitment of the
SAR and other licensing commitments such that we had a project
quality assurance program whose father might be the Bechtel
topical and mother might be PG&E's existing conditions.
We applied that to the engineering work. The work
outside of engineering, the procurement and construction work,
was and continues to be primarily controlled by PG&E procurement

organization and general construction department. They have
a quality assurance program that has been developed and
evolving over the years that covers those activities, that
is procurement and construction, and I haven't studied the
documents line by line, but I would believe that the contemporary today PG&E quality assurance program is quite comparable
to the Bechtel program.

One of the reasons why we elected to do what we 8 did was that we felt, and experience has shown, that the bulk 9 of the new people that were added to the project would be 10 Bechtel people and it would be useful for us if they were 11 familiar with -- generally familiar with Bechtel programs 12 and Bechtel quality assurance procedures. So, we elected 13 to lean in that direction because we felt that that would 14 15 be the most efficient way of getting new people involved in the project. 16

But the remainder of the project, outside of
engineering, has a very viable quality assurance program also
that has been recently audited by Reedy, has been reviewed
and audited by the Commission and so forth. I hope that helps.
MR. NORTON: You might want to add that the IDVP
all have quality assurance programs of their own also. Reedy
has a QA program. Cloud has a QA program. Teledyne has a

people. You have a tremendous interface, if you will, of

QA program and those programs are being audited by PG&E QA

hood

8

Repx

24

25

QA programs because everybody has got one.

2	MR. COOPER: Let me say something in clarification
3	of this slide. That last item on there identifies external
4	organizations and I think we had better define exactly what
5	that is because just having it appear there might give us
6	a broader sense than it really has.

As part of our verification of the Diablo Canyon project corrective action program as defined in our ITRA, Reedy's organization on behalf of the IDVP is auditing the implementation of this NRC-approved program, so that the Reedy audit is somewhat more limited in scope than might appear from what is right there. But on the other hand, they are quite broad in looking at what they are looking at.

The other thing I should mention along those lines 14 is, of course, Reedy's organization is the same one that did 15 do the QA reviews and audits of the previous program, so they 16 are very familiar with the differences. The Reedy work on 17 the present effort has been essentially completed for those 18 activities which the project is conducting completely within 19 house because the project is indicated as having some work 20 done by organizations other than the Diablo Canyon project. 21

Reedy is continuing to look at those let's call them service organizations to the Diablo Canyon project, but he has essentially completed his audit of his in-house activities. There was a standard report kind of meeting last

Company

Reporting

week, January 5th, I believe, which again was a properly noted
type of meeting and at that time, Reedy reviewed the status.
He reported that he had no findings and he had 20 some
observations -- somebody remind me of what the right number
is. It is either 20 or 26 or something. Twenty was the number.
Okay. And something like 20 observations, QA observations.
No QA findings in his work to date.

8 MR. SCHIERLING: Let me add something to that. The 9 project QA program that we are talking about here was submitted 10 by PG&E, not by Bechtel. It is a program, a true Diablo Canyon 11 project program. It is not a Bechtel program. It is a PG&E 12 program and I think you, George, are in charge of that program. 13 They report directly to you on the findings of that program.

MR. MANEATIS: Yes. And I might add in answer to 14 those questions that the PG&E quality assurance program also 15 audits this project QA. So, that subject is audited just 16 like every other entity, including the IDVP. So, we have 17 quite a high idea of QA purview overall as a function, but 18 you are correct, the program is the PG&E/Bechtel program, 19 but it is really the PG&E because the project -- we are the 20 licensee. The project reports to us. 21

MR. KENNEKE: Let me pursue it a little bit further, please. If I delete the specifics, the conceptual element of the program seems to me universal.

MR. MANEATIS: Yes.

25

MR. KENNEKE: In what sense are the seven or eight elements new today -- you mentioned earlier you go by today's standards -- in comparison to say five or six years ago? In what way have the concepts of QA evolved to the point of specifying additional checks and balances on the system that didn't exist then?

76

MR. DICK: Let me try to answer that one. 7 There is something here which is not shown and the 8 thing which is not shown here are several tiers of implementing 9 documents, procedural documents. We could have diagramed 10 it, but it is a rather complex thing. Suffice it for present 11 to note that each of the principal departments within the 12 project has a set of implementing procedures. Those are the 13 things which the individual engineers and other people doing 14 quality-related work use as guides in their day to day activities 15

Now, you are quite correct when you say conceptually what you see before you is similar to what you might have seen five years ago, but the implementing procedures are quite different and those things have evolved over the last not only five years, but the last ten or twelve years since we have had quality assurance programs formally applied to the nuclear industry.

I think those would be the main differences that you would see, sir.

MR. KENNEKE: Could you give an example of a

Reporting Compa

		77
	1	significant change in those procedures? What kind of things?
	2	MR. DICK: Well, at the risk of possibly overlooking
	3	something more significant, I would say that which is most
	4	relevant to what we are considering here is, in fact, design
	5	verification activities, how we would go about that. That
	6	is somewhat more detailed now than it was in the past. Perhaps,
	7	another good example is the control of interfaces between
	8	organizations doing design work. Does that help you?
	9	MR. KENNEKE: Additional checks on the
	10	MR. DICK: Yes. The interfaces, for example, would
	11	be much more formally controlled than, perhaps, they might
	12	have been five or ten years ago. And that, I might add, is
	13	more or less common practice in the industry.
	14	MR. SCHIERLING: Just for clarification, someone
	15	mentioned earlier that the NRC approved this is an NRC-
	16	approved QA program.
	17	MR. FRIEND: I didn't say that. I wish I could
	18	say it.
	19	MR. SCHIERLING: Yesterday I had a few more stipu-
	20	lations on it and it is in the process of being approved.
	21	It is getting extremely close.
Aucodu	22	MR. DICK: May I add one more thing? The basic
ING CO	23	approval of this program is by PG&E. We seek the Commission's
s Report	24	concurrence as we might with respect to the SAR.
BOWEI	25	MR. JACOBSON: My last slide. I previously mentioned

	. [78
	1	management commitment as an important part of the program.
	2	This final slide provides some examples of how management
	3	is involved in this project program. These are some of the
	4	things that have been mentioned before. Both PG&E and Bechtel
	5	have approved project QA program in QAM. Both perform inde-
	6	pendent audits of the projects. Both are recipients of status
	7	reports that address the status and adequacy of the program
	8	and both perform periodic reviews of that and attend audit
	9	exit interviews.
	10	MR. CHANDLER: Is that independently or through
	11	the project?
	12	MR. JACOBSON: These are all overview roles; PG&E
	13	management and PG&E QA department and some of the managers
	14	over there and Bechtel management, so they are all independent
	15	activities.
	16	MR. CHANDLER: Thank you.
	17	MR. FRIEND: Thank you very much. Any other
	18	questions? Are there any other areas that anyone would like
	19	to question or address? Yes, sir.
	20	MR. MAESCH: I have one question about the initial
	21	schedule that was handed out this morning. You show three
Aucoluc	22	NR decision blocks, each about a month long. Is that the
wing C	23	time required for the NRC staff to do the safety evaluation
wis Repo	24	or is there also built into this a time for the Commissioners
BOW	25	themselves to review NRC staff evaluations?

	1	MR. FRIEND: That is our best guess at the time
	2	it would take for the Commission staff to complete their safety
	3	evaluation report and to obtain Commission concurrence.
	4	MR. MAESCH: So, both Commission concurrence and
	5	Commission review of the staff's safety evaluation and the
	6	staff's preparation of the safety evaluation is to be completed
	7	in each of these three segments within an approximate 30 day
	8	period?
	9	MR. FRIEND: The final steps of those processes;
	10	yes. By the way, at the Commission meeting where we talked
	11	about the process, it is not clear to me that the Commission
	12	has decided that they need to take action on each of these
	13	steps. I think that was a matter that was discussed at that
	14	time and I came away with the .mpression that there might
	15	be a possibility that they might not wish to take an action
	16	on each of these steps.
	17	MR. WHITE: Don't you want to point out that the
	18	30 day block, a lot of work can be done prior to the beginning
	19	of that 30 day block.
	20	MR. FRIEND: That is what I tried to infer when
	21	I said the final step of the project.
Auodus	22	MR. KENNEKE: Could you identify the source of your
ding Co	23	impression?
ms Repo	24	MR. MANEATIS: The source of the impression was
Bown	25	really the record, I think. There was a lot of discussion

1 at that meeting. I got the impression that it wasn't totally 2 resolved.

3 MR. FRIEND: I believe it was something that
4 Commissioner Hearn said in passing and I think --

5 MR. MANEATIS: We were all sitting there. We ought 6 to be able to remember.

7 MR. FRIEND: We can look at the transcript, though, 8 and I believe you will find that there is some discussion 9 in there about whether or not it is necessary for the Commission 10 to act on each step of the process and I believe there are 11 some other remarks by the staff about their position in that 12 regard.

MR. EISENHUT: Late in the day as tired as I am, I hate to venture into this, but I will. I have to comment on some of these comments.

First, the 30 day block was a yardstick the staff, 1.2 just as a rough estimate figured that after the internal pro-17 gram efforts were complete, after the IDVP efforts were com-18 plete and the last document was laying on our table, we 19 figured 30 days for us to do an approval and the good general 20 counsel probably recognizes it was not fine tuned as well 21 as what fine steps were in that. This process being on for 22 some year and a half now, 30 days is probably close enough, 23 so we didn't try to fine tune what it was. 24

Set.

25

The comment referred to by Mr. Friend and Mr. Maneatis

	01
1	was that this Commission discussion in early December that
2	culminated in the vote to go and approve the step 1, 2, 3
3	approach, there were at least two Commissioners who stated
4	that they felt there was no need for the staff to seek
5	Commission approval for Step 1 or Step 2. That is reinstate-
6	ment of the low power license. The record certainly speaks
7	for itself, but my recollection, I was asked whether I felt
8	there was a need to go back to the Commission and my view
9	was not in my opinion. However, it was we have once giveth
10	the license and the Commission has taketh away. So, the
11	Commission now has the license. So, I will defer to the
12	general counsel on his interpretation of what is required.
13	MR. MALSCH: Let me ask you, Daryl, now for your
14	understanding of the NRC decision in each of the three steps.
15	That is the issuance of your safety evaluation report.
16	MR. EISENHUT: It would be and it is not clear.
17	We certainly didn't fine tune it as that would be the date
18	of the safety evaluation report. We would try to have it
19	there as much as possible before that to facilitate we
20	are shooting for a decision on those dates. However, it is
21	clearly recognized that a process that once it gets to the
22	Commission, the Commission may well decide for their own
23	reasons, that process could take varying amounts of time.
24	So, we did not try to factor that explicitly in. We are trying
25	to get our evaluation completed as soon as possible after

Bowers Reporting Company

1 getting the last document in.

8

â

2	The program, I believe, on Step 1, reinstatement
3	of the general power fuel power license, I believe most of
4	the documents start coming in the door on the schedule about
5	February 15th. The last document comes in the door about
6	March the 1st. So, we are certainly going to do overything
7	we can to stay in phase and on top of the reports. That is
8	why we have expressed some concern today in fact, we are
9	quite concerned that we are really afraid that the process
10	is moving along and at the eleventh hour we are going to find
11	out that, as an example, the modifications in the fuel handling
12	building are complete and we are over here saying but we have
13	questions about the soil and the foundation leading to what
14	the spectra ought to look like.

It gives me a good opportunity, I guess, to strongly 15 encourage the continued interaction -- I believe it is the 16 IDVP has been setting up. Bob Cloud had a meeting set up, 17 I believe, at one point or tentatively set up with internal 18 program. We would certainly encourage that those technical 19 meetings get started so that we would very much like be a 20 participant in those because a basic premise is that we take 21 some of our comfort and some of our confidence in our 22 evaluation by witnessing the process. That is, we are there 23 24 witnessing the discussions between the ITP and the IDVP and 25 that we hope will short circuit our review time to facilitate

1 maybe staying on those schedules. I mean, that is a basic 2 premise that went into the 30 days.

83

MR. MALSCH: Let me ask a question. If we, for 3 purposes of argument, added, let's say, a two or three week 4 period on top of the bars here for Commission decision-making 5 processes themselves, would that simply shift the whole 6 schedule on the top line two or three weeks to the right? 7 MR. FRIEND: No. What we would prefer to do would 8 be to hold the date and state our review process with the 9 staff and others earlier so that we could still achieve the 10 dates that we are looking at and allow the longer period of 11 12 time. MR. MALSCH: Let me suggest that you ought to talk 13

14 with Daryl about this because I think as things stand now 15 there would need to be a Commission decision to delegate 16 reinstating the license maybe to the staff in order for the 17 Commission not to become involved in this process as things 18 stand now. I don't know whether there has been any discussions 19 about this. I think you ought to think about building into 20 the schedule --

21 MR. FRIEND: We will certainly do that, but is there 22 any way that we could start the deliberation process to see 23 whether or not the Commissioners would delegate to the staff 24 any one of these steps?

25

MR. MALSCH: I am sure there is a way you could do

		84
	1	that. You would just have to raise that with the Commission on
	2	paper recommending that the staff be delegated authority to
	3	reinstate the fuel loading license, for example, with the
	4	Commission reserving its authority to pass on low power. That
	5	can be done. I just think the people need to be thinking
	6	about this.
	7	MR. FRIEND: Thank you. We will consider that and
	8	consider it appropriately and take some steps.
	9	MR. MALSCH: Particularly if you want to move some
	10	documents back, I mean, stick with your dates, you will need
	11	to be thinking about that very soon.
	12	MR. FRIEND: Yes. Certainly.
	13	MR: MANEATIS: Are there any other questions? Do
	14	you want to say anything further, Mr. Friend?
	15	MR. FRIEND: No. I just want to say I just looked
	16	at my watch and I am surprised it is 6 o'clock and I just
	17	remembered the old adage that time really flies when you are
	18	having fun. I would like to adjourn this meeting if it is
	19	agreeable to everybody.
	20	MR. EISENHUT: I think it is and I think we will
	21	be following up with you as we said on the the next
Aucdu	22	iteration, I think, will be in terms of the discussion of
Ing Co	23	the allegations, which is a serious matter.
s Report	24	MR. FRIEND: Thank you all for your patience and
Bowe	25	attention today.

(Whereupon, at 6:00 p.m., the meeting adjourned.)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: Pacific Gas & Electric Company, Design Verification Program for Diablo Canyon/OPE/OGC Meeting Date of Proceeding: January 13, 1983/3-6 P.M.

Docket Number:

Place of Proceeding: San Francisco, California

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Deborah Easley

Official Reporter (Typed)

Lebarah Easley Isam

Official Reporter (Signature)

DEVELOPMENT OF PROJECT QA PROGRAM

 INITIAL BECHTEL INVOLVEMENT— APRIL, 1982

DEVELOP AND APPROVE PROJECT QA PROGRAM DESCRIPTION

DEVELOP AND APPROVE PROJECT NUCLEAR QUALITY ASSURANCE MANUAL

MODIFY AND APPROVE IMPLEMENTING PROCEDURE

STAFF AND TRAIN PERSONNEL

 PG&E QA PROGRAM REMAINS IN AFFECT DURING TRANSITION

DCP QA PROGRAM

- BASED ON BECHTEL TOPICAL REPORT BQ-TOP-1 REV. 3A WHICH IS NRC APPROVED
- EXISTING PG&E PROCEDURES WERE MODIFIED OR SUPPLEMENTED WHERE NECESSARY
- COMPLIES WITH REGULATORY GUIDES AND ANSI STANDARDS ON QUALITY ASSURANCE AS DESCRIBED IN BQ-TOP-1.

REGULATORY GUIDES

- 1.28 QUALITY ASSURANCE PROGRAM REQUIREMENTS
- 1.38 QUALITY ASSURANCE REQUIREMENTS FOR PACKAGING, SHIPPING, RECEIVING, STORAGE AND HANDLING OF ITEMS
- 1.64 QUALITY ASSURANCE REQUIREMENTS FOR THE DESIGN OF NUCLEAR POWER PLANTS
- 1.74 QUALITY ASSURANCE TERMS AND DEFINITIONS
- 1.88 COLLECTION, STORAGE, AND MAINTENANCE OF QUALITY ASSURANCE RECORDS
- 1.123 QUALITY ASSURANCE REQUIREMENTS FOR CONTROL OF PROCUREMENT OF ITEMS AND SERVICES
- 1.144 AUDITING OF QUALITY ASSURANCE PROGRAMS
- 1.146 QUALIFICATION OF QUALITY ASSURANCE PROGRAM AUDIT PERSONNEL

ACTIVITIES INVOLVED IN VERIFICATION PROCESS

DESIGN

PROCUREMENT

CONSTRUCTION DESIGN CRITERIA · RECEIPT. HANDLING AND STORAGE ANALYSIS ACTIVITIES INSTALLATION DESIGN OUTPUT INSPECTION AND DRAWINGS PREPARE PROCUREMENT TEST **DESIGN CHANGES** PACKAGES SPECIFICATIONS TEAM CONTRACT DOCUMENTS **QA REQUIREMENTS** PROCESSING IDVP ITEMS EOI'S PROJECT ERROR REPORTS **RESOLUTION REPORTS** PLACE ORDER THROUGH PLACE ORDER **OPERATIONS** THROUGH PG&E **BECHTEL PROCUREMENT** PROCESSING OPEN **ITEMS FROM ITP** SUPPLIER SURVEILLANCE SUPPLIER SURVEILLANCE AND CONTROL AND CONTROL (BECHTEL ORDERS) (PG&E ORDERS) BECHTEL STAFF AND SPECIALTY GROUP SUPPLIER AUDIT SUPPLIER AUDIT **DESIGN SUPPORT** (BECHTEL ORDERS) (PG&E ORDERS) BECHTEL **PG&E ACTIVITIES** STAFF ACTIVITIES

ACTIVITIES INVOLVED IN VERIFICATION PROCESS

DESIGN PROCUREMENT CONSTRUCTION DESIGN CRITERIA RECEIPT. HANDLING AND STORAGE ANALYSIS INSTALLATION DESIGN OUTPUT INSPECTION AND DRAWINGS TEST **DESIGN CHANGES** PREPARE PROCUREMENT SPECIFICATIONS PACKAGES CONTRACT DOCUMENTS PROCESSING IDVP ITEMS **QA REQUIREMENTS** OIR'S ERROR REPORTS PLACE ORDER THROUGH **RESOLUTION REPORTS** PLACE ORDER **OPERATIONS** BECHTEL PROCUREMENT THROUGH PG&E PROCESSING OPEN SUPPLIER SURVEILLANCE SUPPLIER SURVEILLANCE **ITEMS FROM ITP** AND CONTROL AND CONTROL (BECHTEL ORDERS) (PG&E ORDERS) BECHTEL STAFF AND SPECIALTY GROUP SUPPLIER AUDIT SUPPLIER AUDIT (PG&E ORDERS) DESIGN SUPPORT (BECHTEL ORDERS) COVERED BY COVERED BY **PROJECT QA PROGRAM PG&E QA PROGRAM**

QA PROGRAM ELEMENTS

- QUALITY IS ACHIEVED THROUGH THE USE OF: MANAGEMENT COMMITMENT SKILLED PERSONNEL PLANNING PROCEDURES SUPERVISION AND TECHNICAL DIRECTION
 QUALITY IS VERIFIED THROUGH: SURVEILLANCE CHECKING TESTING
 - REVIEW OF WORK ACTIVITIES AND DOCUMENTATION
 - QUALITY CONTROL AND QUALITY VERIFICATION ARE PERFORMED BY INDIVIDUALS WHO ARE NOT DIRECTLY RESPONSIBLE FOR PERFORMING THE WORK ACTIVITY
 - AN INDEPENDENT QUALITY ASSURANCE GROUP IS RESPONSIBLE FOR THE REVIEW, SURVEILLANCE AND AUDIT OF QUALITY RELATED ACTIVITIES



12 ... Pary asis were literals & ret and the water of Marsh Barsher and

LEVELS OF QUALITY REVIEWS

- 1. CHECKING OF DESIGN OUTPUT DOCUMENTS CALCULATIONS DRAWINGS DESIGN CHANGE NOTICES SPECIFICATIONS ENGINEERING MATERIALS MEMOS
- 2. DESIGN VERIFICATION OF SYSTEMS AND STRUCTURES
- 3. DAY-TO-DAY SURVEILLANCE BY QUALITY ENGINEERING
- 4. QUALITY ENGINEERING REVIEW OF SELECTED ENGINEERING DOCUMENTS
- 5. DAY-TO-DAY MONITORING BY PROJECT QA
- 6. PROJECT AUDITS BY PROJECT QA
- 7. QA MANAGEMENT AUDITS BY BECHTEL QA MANAGEMENT STAFF
- AUDITS BY OTHER EXTERNAL ORGANIZATIONS R. F. REEDY, INC. NRC PG&E QA

OF QUALITY PROGRAM

		PreE	BECHTEL
		MANAGEMENT	TANAGEMENT
1.	APPROVE PROJECT NA PROGRAM	X	χ.
2.	Approve NOW1	x	x
3.	PERFORM AUDITS	x	X
4.	REFIEW STATUS REPORTS		
	VEEKLY PROGRESS REPORT MONTHLY PROGRESS REPORT CA ACTIVITY REPORT	X X X	X X X
5.	PERIODIC REVIEWS OF PROGRAM STATUS AND ADEQUACY	x	x
6.	ATTEND AUDIT EXIT INTERVIEWS	X	x



<u>.</u>

۰.

8- 3 1

3 (A)

.

, j

.

1

1 . P . B

N 10 1.18

)

18 ¹² 17 ¹⁴

13

्र द्वास क्षे

1

.

10

1

æ. 4 : * *

8 65 8

ŝ.

**

x 5.2 87





¥.,...

÷.,

NO	REQD		MATER	RIALS PER ASSEMBL	Y		
1	-	DELETED					
2	-	DELETER	>		1		_
3	2	BAR 6	1/2 × 0'-10' LG	(COPE TO FIT)			
4	2	R Yz'x 9	7 × 1'- 0" LG				
6	1	WBXZE	3×2'-71/2'LG (CUT TO FIT)	1 mail		_
6A	1	NBXZE	3x2'-6'1G (CUT TO FIT)			_
7	1	8WF28	3 ×7'-6"LG				
7A 8	1	WBX2	8×8-41/2 (CUT TO FIT)			
	1-7			DSGN C'ILLIAM YA DWN FYC CHKD BD	SK-11-1SL		
-		O CANYON	UNIT: ONE	BHT 5 OF BHTS	PG&E CO		0
PHOJE	CI. DIABI	LU CARION	Contra Cont			ISSUE	MEV





C) ()

5

No. of the second se

	REA _	IF	_	LI	NE	1-K	2-31	7-12	8	- HA	NGER	SYME	IOL		SL)
	EL	117-0	<u>·</u>	21.	_						Loc	N DW	G _50	0042	!
	ISSUE		-	CRIPT			ANG	c		PRE	PARAT	TION	A	PROVA	AL
REV	DATE		DE	SCHIP	non	OFCH	ANGE	3		DSGN	DWN	CHKD	DUS	ENGR	ENG
0		DELE ADD ITEM	ITEN B	ITEM: 15 OTY	5 1,2 12 CHA	9,1 13,1	0,11 4,15 0 To	± .16.1 .4.	7,18	60.Yu	FYC	-	57		
NOT	ES:	- K 2 - : SYS /. -K 2 - : SYS /.	317- 4 CCI 322- 14 C	IZ B NS IZ B CWS	сом. Сом	. FAN I. FAN	CLR V CLI	z ca z ca	:W 3 :W R	SUPP	L¥ N				
NOT	ES:	- K 2 - 5 5 YS / 4 - K 2 - 1 5 YS /	317- 4 CC 322- 4 C 14 C	IZ B VS VS WS	CON.	FAN		2 CC 2 Z CC 2 Z CC	:W S :W R 4_54	SUPP. ETUR	L¥ ~				
NOT SHE	ES: 1 1 6 6 6	- # 2 -: 5 YS /. - # 2 -: 5 YS /. igned A 6X	317- 4 CC 322- 4 C 14 C	IZ B US US US	CON.	FAN		2 CC 2 Z CC 2 Z CC	W S W R <u>4</u> St	SUPP. DETUR					
NOT	ES: 1 1 6 2 3	- K 2 - 3 SYS / - SYS	317- 4 CCJ 322- 4 C 14 C	IZ B WS IZ B CWS	CON.	FAN I. FAN R SYM		2 CC 2 CC 2 CC 11	W S W R 4 St 12			16 AWING	17 NO	18 19	20
NOT	ES: 1 6 6 2 3	- # 2 -: 5 YS /- 5 YS /- 5 YS /- GNED A 6X	317- 4 CC 322- 4 C 14 C	IZ B WS IZ B CWS	CON.	FAN I. FAN R SYM		2 CC 2 Z CC TOTAL	W S W R 4 St 12 IN WK	SUPP. ETUR HEETSI		16 AWING	17 NO	18 19	20
NOT	ES: 1 1 6 6 2 3	- K2- SYS / -K2- SYS / SYS /	3/7 4 CC/ 322- 4 C	IZ B WS IZ B CWS	CON.	FAN I. FAN R SYN		Z CC Z Z CC TOTAL		SUPP. ETUR HEETSI	LY N Id IS	16 AWING (-//-	17 NO 152	18 19	20

OVERVIEW

- I. DESCRIBE REVIEW PROCESS
 - DCP
 - IDVP
- II. DESCRIBE TRACKING, REPORTING & DOCUMENTING PROCESS
- III. DESCRIBE ENGINEERING RESOLUTION PROCESS — GENERAL
- IV. DESCRIBE FOUR SPECIFIC EXAMPLES OF THE ENGINEERING RESOLUTION PROCESS
 - PHASE I FUEL HANDLING BUILDING REVIEW
 - PIPING & PIPE SUPPORT REVIEW
 - PHASE II PRESSURE/TEMPERATURE ANALYSIS REVIEW — FIRE DAMPER REVIEW

ENGINEERING RESOLUTION PROCESS



FIRE DAMPER

- BACKGROUND
 - SWEC EOI
 - FIRE BARRIER RATING
 - GAPS
- RESOLUTION PROCESS
 - IDENTIFIED DAMPER RATING ON DAMPER
 - GAPS FOR THERMAL EXPANSION
 - MEASURED GAPS ARE WITHIN UL CRITERIA
- CLOSED EOI

PRESSURE/TEMPERATURE ANALYSIS

BACKGROUND

- P/T ENVIRONMENT FROM POSTULATED LINE BREAKS
- NATURE OF CONCERN ORIGINAL ANALYSIS GAVE NONCONSERVATIVE RESULTS

PRESSURE/TEMPERATURE ANALYSIS (Cont'd)

- RESOLUTION PROCESS
 - ESTABLISH CRITERIA & METHODOLOGY
 - ESTABLISH SCOPE OF REANALYSIS
 - CONFIRM AS BUILT AREAS, VOLUMES & SURFACE AREAS
 - CONFIRM OTHER INPUT DATA (AMBIENT TEMPERATURE, BLOW DOWN DATA, ETC.)
 - CONSTRUCT MODELS
 - PERFORM COMPUTER ANALYSIS
 - REVIEW & DOCUMENT RESULTS
 - FACTOR RESULTS INTO PLANT DESIGN (ENVIRONMENTAL QUALIFICATION, ETC.)

1 × - 32 - 1

IDVP REVIEW

- BACKGROUND
- ORGANIZATION
- OBJECTIVES
- METHODOLOGY
- TRACKING AND REPORTING

BACKGROUND

- NOVEMBER 19, 1981 ORDER SUSPENDING LICENSE DEFINED ACTIONS THAT CONSTITUTE PHASE I OF THE INDEPENDENT DESIGN VERIFICATION PROGRAM (IDVP)
- NOVEMBER 19, 1981 DENTON LETTER DEFINED ACTIONS THAT CONSTITUTE PHASE II OF THE IDVP
- OCTOBER 1981 TO FEBRUARY 1982
 ROBERT L. CLOUD ASSOCIATES, INC. BEGINS PHASE I (SEISMIC) EFFORTS
BACKGROUND (Cont'd)

- FEBRUARY 1982 TES AGREES TO MANAGE THE IDVP
- APRIL 27, 1982 NRC APPROVES IDVP PHASE I PROGRAM MANAGEMENT PLAN
- JULY 1982 STONE & WEBSTER ENGINEERING CORPORATION BEGINS PHASE II (SYSTEMS) EFFORTS
- DECEMBER 8, 1982 NRC APPROVES IDVP PHASE II PROGRAM MANAGEMENT PLAN

ORGANIZATION NUCLEAR REGULATORY COMMISSION PACIFIC GAS AND ELECTRIC CO. H. R. DENTON G. A. MANEATIS **TELEDYNE ENGINEERING SERVICES** PROGRAM MANAGEMENT STONE & WEBSTER ENGINEERING CORPORATION R. L. CLOUD ASSOCIATES, INC. R. F. REEDY, INC. SEISMIC, MECHANICAL AND STRUCTURAL SAFETY SYSTEMS AND ANALYSES Q. A. ACTIVITIES (PHASE II)

2. 4.

OBJECTIVES

- THE INDEPENDENT DESIGN VERIFICATION PROGRAM (IDVP) AS DEFINED IN THE IDVP PHASE I AND II PROGRAM MANAGEMENT PLANS IS DESIGNED TO BE RESPONSIVE TO THE NOVEMBER 19, 1981 "ORDER" AND "LETTER"
- THE IDVP IS DESIGNED TO ELIMINATE UNCERTAINTIES IN THE CORRECTNESS OF THE SAFETY-RELATED SEISMIC AND SYSTEMS DESIGN
- THE IDVP WILL EVALUATE SIGNIFICANCE OF ANY ERRORS THAT ARE FOUND
- THE IDVP WILL DETERMINE WHETHER OR NOT THE DESIGN IS IN COMPLIANCE WITH THE PG&E LICENSE APPLICATION



1.1.

1

*

IDVP TRACKING AND REPORTING

1.1

•



- DCP DOCUMENTATION
- DCP TRACKING AND REPORTING
- DCP PROCEDURES
- IDVP-DCP TECHNICAL INTERFACE

DCP TRACKING, REPORTING AND DOCUMENTING OF CONCERNS, OPEN ITEMS AND ERRORS

MECH TES IDVP DCP ELEC RLCA VERIFICATION CIVIL SWEC HVAC RFR

IDVP-DCP TECHNICAL INTERFACE

.....

DCP PROCEDURES

ENGINEERING MANUAL PROCEDURES 9.1 — NONCONFORMANCES 10.1 — DISCREPANCIES

- DIABLO CANYON VERIFICATION PROGRAM PROCEDURES
 - NO. 1 INTERFACE WITH CONSULTANTS
 - NO. 2 ADDRESSING OF IDVP OPEN ITEM, ERROR AND PROGRAM RESOLUTION REPORTS
 - NO. 3 ITEM FOR REVIEW
 - NO. 4 DCP OPEN ITEMS
 - NO. 5 DIABLO CANYON SITE VISITS BY
 - IDVP CONSULTANTS

DCP TRACKING AND REPORTING

10 CHR REPORTING



- EOI IDVP ERROR & OPEN ITEM, DCVP PROC NO. 2
- IFR ITEM FOR REVIEW, DCVP PROC NO. 3
- OI DCP OPEN ITEM, DCVP PROC NO. 4
- NCR NONCONFORMANCE REPORT, ENGR MANUAL PROC 9.1
- NRC NUCLEAR REGULATORY COMMISSION
- SMR DCP SEMIMONTHLY REPORT

DCP DOCUMENTATION/COMPLETION

- 3.4 DCP COMPLETION OF AN IDVP CONCERN INCLUDES THE FOLLOWING:
 - 3.4.1 COMPLETION OF TASKS THAT WERE SPECIFIED AS PART OF THE DCP RESOLUTION
 - 3.4.2 COMPLETION OF ANY PHYSICAL MODIFICATIONS THAT ARE REQUIRED
 - 3.4.3 <u>A COMPLETION PACKAGE</u> WHICH CLEARLY DOCUMENTS THE ABOVE ITEMS

DCP REVIEW

BACKGROUND

1

- ORGANIZATION
- OBJECTIVES
- METHODOLOGY
- TRACKING AND REPORTING

BACKGROUND

- SEPTEMBER 28, 1981 DIAGRAM ERROR
- OCTOBER AND NOVEMBER 1981 PG&E VERIFICATION
- NOVEMBER 19, 1981 ORDER SUSPENDING LICENSE WITH ATTACHMENT 1 WHICH DEFINED ACTIONS THAT CONSTITUTE PHASE I OF THE IDVP
- NOVEMBER 19, 1981 DENTON LETTER ACCOMPANYING ORDER WHICH DEFINED ACTIONS THAT CONSTITUTE PHASE II OF THE IDVP
- FEBRUARY 26, 1982 PG&E 8th SEMI-MONTHLY REPORT IDENTIFIES PG&E TECHNICAL PROGRAM

DIABLO CANYON PROJECT ORGANIZATION



OBJECTIVES

- ADDRESS TECHNICAL ISSUES IDENTIFIED AS A RESULT OF THE ORIGINAL ANNULUS PROBLEM
- ADDRESS ISSUES IDENTIFIED BY THE INDEPENDENT PROGRAM
- ADDRESS ANY OTHER TECHNICAL CONCERNS IDENTIFIED DURING THE EVALUATION OF ANY TECHNICAL ISSUE
- REVIEW PG&E DESIGNED SAFETY-RELATED SYSTEMS IN PREPARATION FOR THEIR EVALUATION IN THAT PORTION OF THE PHASE II PROGRAM DEALING WITH THE INTERNAL PG&E DESIGN PROCESS

METHODOLOGY



.



B

TRACKING & REPORTING

DESCRIBED BY R. R. FRAY AS PART OF THE IDVP PRESENTATION





4 4. 5. 1 ROOF DIAPHRAGM CRANE GIRDER COLUMN FIGURE 2.1.34 ٠. DIABLO CANYON POWER PLANT UNITS 182 FUEL HANDLING BUILDING MODEL TYPICAL CROSS-SECTION









(NOT TO SCALE) FIGURE 2.1.3-11 DIABLO CANYON POWER PLANT UNITS 1 AND 2 FUEL HANDLING BUILDING PARTIAL BUILDING MODES 2.2 MODE SHAPE NO. 1, FREQ. = 1.6 Hz EAST-WEST DIRECTION

3634



(NOT TO SCALE)

FIGURE 2.1.3.12

DIABLO CANYON POWER PLANT UNITS 1 AND 2

FUEL HANDLING BUILDING PARTIAL BUILDING MODEL 2.2 MODE SHAPE NO. 3, FREQ. = 2.7 Hz NORTH-SOUTH DIRECTION

