

PDR

UNITED STATES OF AMERICA NUCLEAR REGULATORY COMMISSION

Title: NEWS MEDIA BRIEFING ON FINAL RULE 10 CFR PART 20

Location: ROCKVILLE, MARYLAND

Date: DECEMBER 13, 1990

Pages: 38 PAGES

PUBLIC DOCUMENT

90 DEC 17 A8:29

RECEIVED

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS
1323 Rhode Island Avenue, Northwest
Washington, D.C. 20005
(202) 234-4433

9103060226 901213
PDR 10CFR PDR
PT9.7

286182

IF02
0/1

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on December 13, 1990, in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - - -

NEWS MEDIA BRIEFING ON FINAL RULE

10 CFR PART 20

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland

Thursday, December 13, 1990

PRESENT:

JOSEPH FOUCHARD, Director of Public Affairs
DONALD COOL, Office of Research

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

P-R-O-C-E-E-D-I-N-G-S

10:15 a.m.

MR. FOUCHARD: All right. Let's move ahead with the briefing for the news media on the Commission's action in approving the first major revision to our radiation protection regulations in 30 years.

Doctor Donald Cool of our Office of Research is going to take you through the major changes in the regulation, and after he's finished we'll be pleased to take your questions.

So, Donald, go ahead.

DOCTOR COOL: Thanks, Joe.

Joe Fouchard asked me to try and provide you with a very brief overview sketch of -- come on, I'm not that bad. Maybe I will and maybe I won't. Maybe we'll do it without the microphone. If I start talking too softly, just let me know and I'll try and talk a little bit louder.

The revision which the Commission just affirmed is the first complete revision of 10 CFR Part 20, which is the NRC's Basic Standards for Protection Against Radiation that has been conducted since the time the rule was originally put out in the 1950s. Since the time the rule was originally put out, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 have been 90 -- over 90, in fact -- amendments at
2 various times looking at specific aspects, changing
3 various things, but this is the first time the
4 Commission has ever gone through and completely
5 revised and updated, put the entire rule back into a
6 coherent structure again. That was one of the major
7 purposes of doing this revision.)

8 The revision adopts the currently
9 published recommendations of the ICRP and it adopts
10 and implements the Federal Guidance for Occupational
11 Exposure that was signed by President Reagan in 1987.
12 As Chairman Carr said during his brief statement
13 before the affirmation vote, the rule is to be
14 effective 30 days after the publication in the Federal
15 Register. Licensees will have until January 1st,
16 1993, to implement those provisions. They may
17 implement it before that time if they so desire by
18 notification to the Commission. The agreement states
19 will have until January 1st of 1994 to bring their
20 regulations into conformance with the new standards
21 adopted.

22 We are currently in the process of moving
23 into that implementation phase that the Chairman
24 mentioned. In particular, we're preparing a number
25 of different regulatory guides. A number of these are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 totally new guides. In other cases, they are major
2 revisions of existing guidance documents. Those
3 guides will be available in draft form within the next
4 few months with the goal to have the final guidance
5 documents in place by about the end of 1991 so that
6 licensees have a full year between the time when final
7 guidance is available and the time when they must
8 implement the rule.

9 For some of the major provisions of this
10 revision to 10 CFR Part 20, let's first look at the
11 occupational exposure. The dose limits are now based
12 on the summation of internal and external exposures,
13 rather than the previous 10 CFR Part 20 which had
14 separate limitations, an external exposure limit and
15 controls on internal exposure. Summation will be
16 required if each component had to be monitored for,
17 and in most cases licensees will not have to worry
18 about the summation requirement because in most cases
19 there is either an external exposure situation or an
20 internal exposure situation, but there are relatively
21 few instances where there are significant
22 contributions from both of those sources.

23 The limits are expressed in terms of an
24 annual basis, 5 rem per year total effective dose
25 equivalent. The previous rule contained quarterly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 dose limits, which have been eliminated. The previous
2 rule also had a cumulative dose limit which has been
3 eliminated. In the internal dose, the dose is
4 calculated using what is called a "committed effective
5 dose equivalent" approach. It is an approach whereby
6 the exposure in each of the organs is looked at and
7 calculated and the risk to all of the organs which
8 might be exposed as a result of an intake of
9 radioactive material is considered in looking at the
10 limit. The old Part 20 used what was called a
11 "critical dose" approach where only the exposure to
12 the organ that was most highly exposed was considered
13 in determining compliance.

14 Appendix B of the rule, which contains the
15 values for airborne radioactivity occupational
16 exposure have been modified to reflect the new dose
17 limits and to reflect the 30 years worth of data we
18 have on how radioactive materials move in the body,
19 the metabolic models and the information that we have
20 on the dose received from various radionuclides.

21 Licensees are now going to be required as
22 a part of this new rule to have a radiation protection
23 program. Many licensees, by virtue of requirements
24 in Part 35, Part 30 and other places, already have
25 such programs, but in fact now all licensees will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 required to have those programs. As one part of that
2 program, licensees will be required to have procedures
3 and engineering controls to achieve doses which are
4 as low as reasonably achievable or ALARA, that phrase
5 which you have often heard. The old Part 20 contained
6 a "licensee should" try to work to having reduced
7 doses to as low as reasonably achievable. This new
8 rule moves that up a step and makes it a "shall."
9 They shall have these programs for looking at as low
10 as reasonably achievable.

11 There is a brand new dose limit which has
12 not been part of the previous Part 20, which is a dose
13 limit on exposures to the embryo fetus, the unborn
14 child. That limit, which is a half a rem over the
15 course of the pregnancy of the declared pregnant woman
16 is consistent with the recommendations of the NCRP and
17 is in fact lower than the recommendations which ICRP
18 put out in 1977 for that situation.

19 There are dose limits contained in the
20 rule for minors, which are individuals who are under
21 18 years of age who may be working part-time, say, in
22 a university, in a laboratory, something of that
23 order. Those dose limits are ten percent of whatever
24 the occupational dose limit was. So, in that case,
25 it would be a half a rem total effective dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 equivalent for a whole body exposure.

2 For members of the public, the new Part
3 20 contains an explicit dose limit of 100 millirem,
4 which is a five fold reduction from the implicit value
5 that was contained in the previous Part 20. Appendix
6 B also contains values which correspond to the public
7 dose limits for airborne radioactive effluents and for
8 liquid radioactive effluents. Those values are
9 actually calculated to a 50 millirem level, one-half
10 of the total public dose limit value, to account for
11 the fact that there could be exposure to two different
12 pathways.

13 There are values contained in the table,
14 Appendix B, for disposal to the sanitary sewer as
15 there was in the previous Part 20. Those values now
16 represent a calculation to a value of 500 millirem,
17 which is a factor of 10 reduction in the dose limit
18 that they're corresponding to from the old Part 20.

19 In terms of monitoring, record keeping,
20 and reporting, a lot of the other provisions that go
21 along with having limitations on dose, monitoring will
22 be required if the dose could exceed ten percent of
23 the limit. In terms of external exposure, that's the
24 same as was contained in the old Part 20. For
25 internal exposures, that represents a reduction from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the previously required monitoring level, from 25
2 percent to ten percent.

3 For reporting and record keeping,
4 licensees must provide dose data to employees each
5 year. This requirement is actually contained in 10
6 CFR Part 19, which is being amended along with 10 CFR
7 Part 20. The previous Part 19 had required that
8 licensees provide that information to an employee if
9 he requested it. The new rule requires that it be
10 provided, whether or not they request it, to each of
11 the employees.

12 10 CFR Part 20, the old rule, contained
13 a requirement that licensees in one of seven
14 categories such as power reactors, high-level waste,
15 independent spent fuel storage, fuel cycle facilities,
16 large radioisotope production facilities,
17 radiographers, those categories of licensees had to
18 provide statistical summaries of their employees'
19 exposure each year to the NRC, and they also had to
20 provide to the NRC what were called "termination
21 reports," reports of an individual's exposure when
22 they terminated employment with that particular
23 licensee.

24 Those two provisions, the statistical
25 summary and the termination reports, have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 eliminated in favor of those licensees now providing
2 to the NRC each year each individual's dose for that
3 year. It is exactly the same kind of information
4 which we are requiring the licensee to provide to the
5 individual themselves. That information will be kept
6 by the NRC in our radiation exposure information
7 reporting system, which is the same system where we
8 currently keep the termination report data and can be
9 used to provide a database of exposures, exposure
10 history, our ability to determine trends in exposures
11 in the license facilities and is a step in moving
12 towards a request by the National Cancer Institute for
13 a national dose registry.

14 That, in very brief terms, is some of the
15 highlights of the provision and we'll be glad to try
16 and answer any particular questions there may be on
17 the rule.

18 MR. FOUCARD: George?

19 QUESTION: (Question off mike.) You're
20 reducing the exposure limit for the public and you're
21 keeping the one for workers at the same level. I
22 mean -- reducing the one for the public because you
23 feel that the risks are greater than previously
24 thought. Can you explain the discrepancy between
25 those two actions there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHI'GTON, D.C. 20005

1 DOCTOR COOL: Okay. Let me elaborate on
2 that just a little bit for you.

3 The recommendations which we're putting
4 out today are consistent with the currently published
5 ICRP recommendations, which is 100 millirem per year.
6 We are at a five rem per year. If you look at the
7 limit which is in effect in the new rule today versus
8 what the limit was in the old rule, simply comparing
9 limits, you will find that the limit has in fact been
10 reduced for occupational exposure because individuals
11 could receive three rem per quarter up to a maximum
12 of 12 rem per year as long as their cumulative
13 exposure was less than five times their age.

14 So, in fact, if you want to compare limit
15 for limit, the occupational exposure has been reduced.
16 And it's also been reduced in the sense that you now
17 are applying the five rem value to both internal and
18 external summed, and previously each of those were
19 limited separately. The five previously had only
20 applied to external exposure.

21 But I'd like to also point out that limits
22 constitute only one part of the requirements. The
23 second part of the requirements is to reduce exposure
24 as low as reasonably achievable, the ALARA program,
25 and under those provisions exposures have been reduced

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 to well below those dose limits. The average exposure
2 of workers in the nuclear power plants is now
3 something less than 400 millirem per year,
4 significantly less than the dose limits, and that will
5 be continued.

6 QUESTION: (Question off mike.) Just so
7 I'm clear on this, the annual limit for workers -- is
8 what?

9 DOCTOR. COOL: The annual limit, if I
10 wanted to add up all the possibilities, I could have
11 gotten to about 17, three rem per quarter to a maximum
12 of 12 rem per year external plus an additional amount
13 for internal exposure.

14 QUESTION: Someone earlier today spoke of
15 the limit as five. I still don't understand how you
16 get 17. You also said something about multiplying by
17 age. Would you go over that again?

18 DOCTOR COOL: Okay. I will try to
19 elaborate a little bit more.

20 We're talking now about old Part 20, not
21 what the Commission affirmed today. What is currently
22 existing today contained a basic dose limit for
23 external exposure of five rem per year or three rem
24 per quarter. All right?

25 Now, there was a provisions known by its

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 equation, 5N-18, which said that if an individual had
2 accumulated less exposure than five rem times his age
3 minus 18, assuming he starts at age 18 to work, that
4 he could accumulate greater than the five rem value
5 so long as he was within the three rem per quarter and
6 less than that cumulative equation, five times his age
7 minus 18.

8 So, it would be possible for an individual
9 who, say, started working at age 25 and who had not
10 had previous exposure to receive up to 12 rem per year
11 under that combination provision until such time as
12 he had reached the five times his age minus 18, 5N-
13 18, cap, at which point he would be effectively at
14 five because that's all that cumulative equation would
15 have allowed because we went to a strict five.

16 QUESTION: (Question off mike.) Why do
17 you rely on ICRP 1977 data --

18 DOCTOR COOL: We are well aware of the
19 fact that ICRP is looking at a revision of its
20 recommendations. They've been considering it. They
21 circulated rather widely in the scientific community
22 earlier this year some draft provisions that they were
23 considering. Those revisions do not change the basic
24 framework for radiation protection which was
25 implemented in their 1977 recommendations. One very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 strong reason for going forward now is to put that
2 framework into place so that future changes which need
3 to be made can build on that framework.

4 The ICPR recommendations that they are
5 considering will not change the dose limit for members
6 of the public. The ICRP considerations for
7 occupational exposure have been expressed in a couple
8 of ways over the past few months and I have not seen
9 what their final was. What was being discussed when
10 it was actually circulated before would have been a
11 limit of two rem per year averaged over periods of
12 five years with a maximum amount of five in any given
13 year. The maximum amount of five still corresponds
14 to where our dose limit would be.

15 I'd like to remind you once again that the
16 limits represent simply one level and that underneath
17 that the ALARA has to be applied, which has reduced
18 doses to well below the five, well below a
19 recommendation of two.

20 MR. FOUCHARD: I think, Don, you ought to
21 note that the federal government is gearing up for a
22 broad scale consideration of the new ICRP
23 recommendations.

24 DOCTOR COOL: Yes, under the auspices of
25 the Executive Office of the President, the Committee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 on Interagency Radiation Research and Policy
2 Coordination, CIRRPC. That group has formed a science
3 subpanel within the last several months to look at the
4 new recommendations and to provide a federal
5 government consensus view on how to proceed, how to
6 implement those recommendations, recognizing that
7 ICRP, if they come out with what they have talked
8 about, will suggest an average. "That means that it
9 might be -- there are possibilities for implementing
10 that in several different ways when you have to write
11 a regulatory limit. See, ICRP is not bound by having
12 to go out and inspect and enforce a licensee.

13 One of the things that we're going to have
14 to consider as we look at how to apply new
15 recommendations is what its impact is going to be on
16 overall exposures in the industry because it's one
17 thing to simply say, "I want to reduce any given
18 individual's exposure." If I do that, and depending
19 on how I do that, I may in fact increase the total
20 amount of exposure in the population because I will
21 have to send two or three people in to do a job where
22 only one individual might have to do it before and a
23 collective dose might actually be greater.

24 So there are a number of considerations
25 that we're going to be looking at. That group will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 start looking at it and will probably hold its first
2 meeting in January.

3 One further thing that I thought of in
4 response to your question, the federal agencies are
5 required to implement the guidance issued under the
6 auspices of the Environmental Protection Agency, under
7 their federal guidance authority. This regulation
8 implements the occupational guidance which was
9 published, signed by President Reagan in 1977 and --
10 '87, excuse me -- and it is consistent with the
11 current draft of the public exposure guidance which
12 is currently being circulated.

13 Yes?

14 QUESTION: (Question off mike.) Are you
15 saying that this -- conformance with the ICRP --
16 you've got to change this thing in order to implement
17 it --

18 DOCTOR COOL: There will have to be
19 changes in numbers certainly. There will not have to
20 be changes in structure of the rule, at least I hope
21 so.

22 QUESTION: A change in numbers meaning
23 individuals?

24 DOCTOR COOL: I cannot predict until those
25 recommendations come out what sort of changes might

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 be necessary. But it's certainly reasonable to
2 hypothesize that one of the things that we might need
3 or want to do for various reasons would be to reduce
4 the occupational exposure further, consistent with
5 their recommendation. We will probably want to look
6 at weighting factors for individual organs which may
7 require modification. There are a number of different
8 numerical things which will have to be examined, but
9 the structure of the rule based on those
10 recommendations we do not expect to have to change
11 because we do not believe the recommendations are
12 going to change that structure.

13 Yes, sir?

14 QUESTION: (Question off mike.) Yes. I
15 wondered if you could explain why go through this
16 process of actually formulating -- regulation if it
17 could be changed in a couple of months? Wouldn't it
18 perhaps have been quite adequate just to wait until
19 one has -- the ICRP -- and then make it somehow fit
20 in? I don't understand why they have to be such
21 different -- confined differences. Was there a need
22 to rush into this all?

23 DOCTOR COOL: I don't believe we rushed
24 into this.

25 QUESTION: Why go through the process in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 a couple of months when it might be changed again?

2 DOCTOR COOL: This revision represents the
3 culmination of something on the order of 12 years
4 worth of work.

5 QUESTION: Yes.

6 DOCTOR COOL: And one side of the coin
7 would be, "Gee, it's coming out. Why don't we wait?"
8 Then there would be something else which we could wait
9 for and there could be something else which we could
10 wait for. You could do that more or less indefinitely
11 and never change anything.

12 Your alternative is, I have this new
13 structure. I know the structure isn't going to remain
14 the same in the new recommendations. I know that we
15 are implementing reductions in the public exposure
16 level. I know that we are putting in a new dose limit
17 to the embryo fetus. I know that we have reduced
18 occupational exposures from the maximum allowable and
19 separate limitation to a single limitation.

20 The Commission believed it was appropriate
21 to go ahead and do those things now because it could
22 do them now. It had been through the process, rather
23 than to hold up the process, wait for ICRP to come
24 out, determine how it might be implemented and start
25 the whole process through again, through a proposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 rule, public comment, development of final rule, which
2 takes a great deal of time.

3 QUESTION: (Question off mike.) What does
4 this mean in terms of the plant operators? Are most
5 of them already meeting -- or will they have to do
6 something --

7 DOCTOR COOL: Okay. There will be a
8 number of procedures record keeping sorts of systems
9 that are going to need to be modified so that the
10 reports now conform to the new rules so the
11 terminology corresponds appropriately. In terms of
12 are there individuals out there who today are being
13 exposed in excess of these values and will need to be
14 reduced, no, we do not believe that there are and
15 that's a direct result of that other half of the
16 regulation. You have limitation and you have ALARA.
17 As a result of that effort, up to this point
18 voluntary, to reduce exposures as low as reasonably
19 achievable, those individuals are not receiving
20 exposures occupationally which are for the vast
21 majority of the individuals anywhere close to those
22 limits.

23 QUESTION: Let me make sure I understand
24 this. Workers and the general population already at
25 plants are believed to be exposed to less than the--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 DOCTOR COOL: Significantly less.

2 MR. FOUCHARD: I think it's important --

3 Doctor Cool indicated that the average exposure to
4 nuclear power plant workers at the present time is
5 somewhat less than 400 millirem per year. There has
6 been no instance in the United States certainly where
7 the number 100 mr to the general public has been
8 reached, let alone the 500, and that includes March
9 of 1979 in Pennsylvania.

10 DOCTOR COOL: Frank Congel, correct me if
11 I'm wrong, but the effluent data around the power
12 facilities for exposure of the public, those values
13 to maximum individuals are a couple orders of
14 magnitude less than one millirem. Am I remembering
15 that correctly?

16 MR. CONGEL: Yes. Transposed dose is well
17 under five millirem per year and as you go away from
18 the plant it's well under that.

19 DOCTOR COOL: Lynn?

20 QUESTION: Don, do you know what the
21 status of NCRP's review of the soon to be released
22 ICRP recommendations, is that an important piece in
23 the equation for our federal agencies to factor into
24 the regulations also?

25 DOCTOR COOL: The last time we talked to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 them several weeks ago. they had held at least one
2 meeting. I understood that someone was off busy
3 trying to draft something. Mr. Beckner, who is with
4 the NCRP, had indicated that they would have something
5 perhaps by the end of 1991. That was just sort of off
6 the top of his head sort of approach. Certainly what
7 NCRP decides to do or not do in terms of the
8 recommendations that it makes here in the United
9 States will have to be taken into account by not only
10 the NRC but by all of the federal agencies that are
11 involved in radiation protection. One of the things
12 that the CIRRPC Committee will be looking at is those
13 recommendations or what we can learn about those
14 recommendations as well as what we can learn about the
15 ICRP recommendations.

16 Ms. Duriga?

17 QUESTION: (Question off mike.) Why are
18 you increasing the concentrations of radioactivity
19 to -- near water for workers of the public? Although
20 the rems are staying the same or going down, you know
21 radioactivity is going up.

22 DOCTOR COOL: For those who are not
23 familiar with the structure of the rule, what Ms.
24 Duriga was referring to is the values in the Appendix
25 B of the rule which are values published which are,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 by design, scientifically corresponding to whatever
2 the dose limit in the rule is.

3 The revised Part 20 which was affirmed
4 today contains revised calculated values which
5 correspond to the dose limits. Because of what we
6 have learned in the intervening past 30 years with
7 regard to metabolism and dosimetry of those
8 radionuclides, some of those values went up, some of
9 them stayed the same, some of them went down. They
10 were calculated so that they would, in fact, still
11 represent a value corresponding to the dose limit.

12 QUESTION: (Question off mike.) First of
13 all, I was going to ask the opposite of -- why did it
14 take so long? How do you intend to enforce the
15 second prong of this, which is the ALARA?

16 DOCTOR COOL: Okay. Let me see if I can
17 answer. Why did it take so long? The process of
18 attempting to take what are recommendations written
19 by the ICRP, which do not really consider
20 implementation or enforcement to something which we
21 can, in fact, implement and enforce has taken a long
22 time because of a number of considerations. There was
23 an advanced notice which was put out which we received
24 a great deal of comment on. We spent a great deal of
25 time, and this is back in the mid-1980s, developing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 a rule with wide input from various industry groups
2 and other groups, concern groups with regard to what
3 the provision should look like and how practical were
4 the provisions that we were considering.

5 The proposed rule that resulted from that
6 was published in 1986. The comment period on it, just
7 the comment period itself, was open for nearly three-
8 quarters of a year. The revised requirements then
9 were put together by the staff, once again going
10 through all those comment letters. We had 830 comment
11 letters. The stack was a rather large stack of paper
12 because several of the letters were several inches
13 thick of various and sundry comments and documents
14 that were provided. Those were all gone through by
15 the staff and looked at in considering what the final
16 rule would be.

17 Those were then provided to the
18 Commission. The Commission asked some questions, some
19 very good questions, which required us to go back and
20 explain, look at some particular impacts, how this
21 might be implemented and that required some additional
22 time.

23 It's never an easy -- there's never a
24 single or easy reason as to why something takes a
25 relatively long period of time. This represents, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 believe, the best answer is a very deliberative and
2 careful process to try and implement it in a way that
3 we can, in fact, implement it and enforce it and look
4 at it.

5 Enforcement on the second prong, ALARA.
6 ALARA is, by its nature, as low as reasonable
7 achievable, a philosophical concept. What may be in
8 one situation the as low as reasonably achievable dose
9 may not be the as low as reasonably achievable dose
10 in the other situation. That is why the requirement
11 contained in the new Part 20 is for licensees to have
12 in place the mechanism, procedures and engineering
13 controls to control doses to as low as reasonably
14 achievable rather than a requirement that the doses
15 themselves be as low as reasonably achievable.

16 By having the requirement be that they
17 have in place the structure, the procedures,
18 engineering controls, we can go in and we can
19 determine whether they have that structure, whether
20 they have the procedures, whether they have the
21 engineering controls, whether they are reviewing on
22 appropriate periodic basis the doses and their
23 facilities, whether they are implementing actions
24 where they find that doses can be reduced. If we find
25 that that has not taken place, then that is a citeable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.Y.

WASHINGTON, D.C. 20005

1 violation.

2 QUESTION: (Question off mike.) Is that
3 going to be done --

4 DOCTOR COOL: That will be done through
5 the routine inspection and enforcement procedures
6 which we already have in place. We already -- our
7 inspectors go in and look at licensee's programs, look
8 at various records which they are required to keep,
9 look at the minutes and results of meetings of
10 radiation safety committees and those sorts of things.
11 What this is providing, it is providing a handle, if
12 you will, a firm handle to actually look at that
13 particular area and to cite and enforce against it,
14 if necessary, where previously you only had in Part
15 20 that they should. It was not a citeable provision.

16 Now there is a mechanism to cite under that
17 procedure.

18 Yes, sir?

19 QUESTION: (Question off mike.) Would you
20 mind putting these -- into some kind of context for
21 everyday life, aside from rems and millirems? I mean,
22 could you perhaps give us what the equivalent is for
23 somebody, for a member of the public or someone who's
24 a worker in a nuclear power plant or something like
25 that just so that it means something in their daily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 lives?

2 DOCTOR COOL: Okay. Without trying to do
3 a whole lot of mathematics in my head, which I will
4 undoubtedly get wrong --

5 QUESTION: (Question off mike.) This is
6 just -- scientific journal.

7 DOCTOR COOL: The dose conversion factor,
8 which the Commission is now using, is a conversion
9 factor of 5×10^{-4} effects per a rem of radiation.
10 That's five in 10,000 per a rem of radiation, five
11 chances in that 10,000 that if you got one rem that
12 you would have an induced fatal cancer. Now, you can
13 multiply that by whatever dose number, the five rem
14 value, the 100 millirem value, the ALARA values where
15 workers are actually being exposed at less than .4
16 rem, the individuals around the power plants which are
17 less than five millirem, and come up with some sort
18 of estimate of fatal cancer exposures.

19 Is that the sort of thing you're looking
20 for or --

21 QUESTION: (Question off mike.) Oh, no,
22 I'm thinking in terms of -- chest x-rays, something
23 like that.

24 DOCTOR COOL: Okay. Something that we put
25 out in a press conference a little while ago, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 National Council on Radiation Protection and
2 Measurements had issued a report on what natural
3 background currently is the United States. They
4 estimated that an average person in the United States
5 received about one millirem per day as a total of
6 natural background. The average of medical exposures
7 and various things like that, one millirem per day or
8 about 360 millirem per year as an average exposure to
9 an average individual in the United States.

10 QUESTION: That's through what, sunlight?

11 DOCTOR COOL: That's all of those sorts
12 of things, cosmic radiation coming in from sunlight,
13 the natural radioactive material which is in the
14 ground, in the bricks, radon gas in the air, natural
15 potassium and tritium which is contained in your body,
16 all of those various sorts of things.

17 MR. FOUCHARD: You might point out there
18 are variations in natural background also. It's
19 different in Denver than it is in --

20 DOCTOR COOL: Considerable variations.

21 QUESTION: So, one assumes that these
22 limits are then over and above this?

23 DOCTOR COOL: That's correct.

24 QUESTION: (Question off mike.)
25 Considering that the average person is getting three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1325 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 doses --

2 DOCTOR COOL: That's correct.

3 QUESTION: You had said that licensees
4 have until January 1st, 1993 to come into compliance
5 with this. You also mentioned something about 1994.

6 DOCTOR COOL: Okay.

7 QUESTION: (Question off mike.) Could you
8 clarify that? Also, what would be the penalties for
9 noncompliance?

10 DOCTOR COOL: All right. The NRC has,
11 under its Atomic Energy Act authority, entered into
12 what are known as agreements with a number of states
13 where by the states have the authority to regulate
14 some source byproduct materials. Under those
15 agreements, they have comparable regulations to that
16 of the Commission. Those states will have until
17 January 1st, 1994 to conform their regulations with
18 this new regulation.

19 QUESTION: So they get an extra year.

20 DOCTOR COOL: So they get an extra year.

21 QUESTION: How many such states are there?

22 DOCTOR COOL: There are 20 agreement
23 states. There are a number of procedural rationale
24 for allowing them that amount of time. Some of the
25 states have their regulations actually codified in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 legislature and it requires a legislative vote. Some
2 states have legislatures which meeting only every
3 other year. So, for those sorts of reasons, the
4 Commission chose to provide them with what has been
5 the standing practice of three years to bring their
6 regulations into conformance.

7 I believe you had a question.

8 QUESTION: Which industries, if any, face
9 major changes in their manufacturing processes or
10 their work practices in order to meet any lower limits
11 that you may have?

12 DOCTOR COOL: Okay. There is one group
13 perhaps that faces the greatest chance of having to
14 change their procedures. That is the uranium fuel
15 fabrication industry, that set of plants which is
16 making the uranium dioxide and fabricating the fuel
17 rods for the nuclear power reactors.

18 One of the things that has happened in
19 this revision, in the occupational exposure, is that
20 the values for insoluble uranium have come down by a
21 factor of six. That's one of the ones that came down
22 and came down significantly. As a result, individuals
23 who used to be at, say, ten percent of the limit are
24 now much more close to the limit and those facilities
25 may need to make some modifications on their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 production lines to account for these changes and to
2 be able to assure and be able to demonstrate that
3 they're in compliance with the limit.

4 They may also, in addition to looking at
5 changes to their system, look at how the model which
6 relates an amount of radioactive material to a dose
7 actually compares to the assumptions which are in Part
8 20, one of the things that has to be recognized. The
9 limit is in terms of dose. The concentration values
10 which are presented in the table makes some
11 assumptions about the particle size, about how
12 radioactive material behaves in the body. Those are
13 based on what has been called a standard man. It may,
14 in fact, not be a good representation for what's
15 actually occurring in a facility.

16 So, one of the options that a licensee
17 like that would have would be to look at those
18 assumptions and to determine whether or not there is
19 a more appropriate value which still corresponds to
20 the same dose limit.

21 QUESTION: Did you say they can petition
22 you or something to kind of -- in other words, if they
23 do a different dose assessment they may be able to--

24 DOCTOR COOL: The rule provides that they
25 can go and look at those parameters and that they may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 use them upon approval of the Commission. They would
2 have to come to the Commission for approval before
3 they could use those modified parameters.

4 QUESTION: So, they can get a special
5 exemption?

6 DOCTOR COOL: They could get a special
7 exemption.

8 Yes, sir?

9 QUESTION: Is this going to affect the
10 clean-up of the nuclear weapons plants? Are there any
11 charges in here that impact on that process?

12 DOCTOR COOL: I really can't answer what
13 the Department of Energy will do. The Department of
14 Energy is looking at trying to implement the federal
15 guidance just as we are implementing the federal
16 guidance with this. This does not affect cleanup
17 standards in terms of an environmental standard amount
18 of material on the ground.

19 MR. FOUCARD: Actually though, the --
20 well, Part 20 applies only to the licensed industry,
21 traditionally government facilities have --

22 QUESTION: This doesn't really apply then.

23 MR. FOUCARD: It does not apply to Rocky
24 Flats. It does not apply to Fernald.

25 QUESTION: Is there an average in nuclear

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 power plants for millirems per year for the workers
2 who are exposed to radiation in the plants? We have
3 a figure for the general public of about 365 a year.
4 Is there a ballpark estimate or average for power
5 plant workers?

6 DOCTOR COOL: I'm not quite sure I
7 understand your question.

8 MR. FOUCHARD: I think the answer is 400
9 mr a year. That's the number I've been talking about.

10 QUESTION: For power plant workers?

11 DOCTOR COOL: For power plant workers.

12 Yes, sir?

13 QUESTION: (Question off mike.) When you
14 talked about how long this has taken --

15 DOCTOR COOL: At the time that the rule
16 was published as a proposed rule, the Commissioners
17 at that time asked the staff to prepare a backfit
18 analysis and that was published during the public
19 comment period for the proposed rule and contains
20 several options for how the rule might meet the
21 backfit analysis. It wasn't that it didn't meet it,
22 there were several options available for how it might
23 meet -- this particular rule might meet the criteria
24 of the backfit provisions which the Commission
25 operates under.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 The Commission looked very closely and
2 very hard and had a great deal of discussion with
3 regard to how this rule compared to its criteria
4 within the backfit analysis.

5 QUESTION: (Question off mike.) The
6 backfit rule says something about actual benefits,
7 right, and that this rule, as it's written, the
8 backfit analysis has something to do with possible
9 benefits or --.

10 DOCTOR COOL: The Commission's finding,
11 and I don't have the specific wording here, was that
12 they determined that there was a substantial increase
13 in safety on the basis of the reduction in the limits.
14 They also found that this rule was justified on
15 qualitative factors as well as the quantitative
16 factors and that that was within their particular
17 purview and analysis, actual reductions in dose
18 limits.

19 QUESTION: If there aren't substantial
20 changes that most industry will have to do to conform,
21 why is there a two year delay in implementation?

22 DOCTOR COOL: Let me remind you once again
23 that to the first part of the question you asked a
24 little while ago I said that there would be a number
25 of procedural changes, record keeping changes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 formatting changes. There may need to be computer
2 code modifications so that the records come out in the
3 proper form or are expressed in the proper way. There
4 may need to be changes to procedures. Certainly a
5 reduction from 25 to 10 percent in terms of the
6 monitoring level may require some changes for some
7 individuals.

8 So, as a result of those procedural
9 necessities to allow people time to look at the rule
10 and to implement it properly in terms of procedures,
11 they are allowed until January 1, 1993 to come into
12 compliance with the rule. They may implement it
13 earlier if they so choose. If they choose to
14 implement it earlier, they must implement it in its
15 entirety. It cannot be implemented in a piecemeal
16 fashion.

17 QUESTION: (Question off mike.) And on
18 the ALARA issue, even though it's been recommended -
19 - is there any sense from your inspectors as to what
20 percentage of the plants are not using the -- as the
21 lowest reasonable achievable --

22 DOCTOR COOL: I do not think that there
23 will be any change in that. The voluntary use of that
24 has been total.

25 QUESTION: In other words, your

1 recommendation has been treated as a --

2 DOCTOR COOL: Has been treated and taken
3 and run with quite well by the licensees.

4 Yes, sir?

5 QUESTION: (Question off mike.) To what
6 extent does the decision to reduce exposure levels
7 suggests that the previous standards were inadequate
8 and that -- have been allowed to be exposed to
9 radiation levels that are now considered unacceptable?

10 DOCTOR COOL: Anytime you go through and
11 reduce limits, you have the implication that what you
12 had before was not acceptable. I don't really believe
13 that's the particular case here. The reason
14 particularly we don't believe that's the case is that
15 the actual exposures under the rule in its totality,
16 limits and ALARA, have reduced the doses to well below
17 what were the old limits or the new limits.

18 QUESTION: So why reduce them if the old
19 ones were adequate? Why change?

20 DOCTOR COOL: The limits have been revised
21 to reflect the current philosophy and the current
22 science. But part of that philosophy continues to be
23 to produce exposures to as low as reasonably
24 achievable below the limits and that philosophy also
25 continues in place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVENUE, N.W.
WASHINGTON, D.C. 20005

1 Yes, ma'am? You've been waiting very
2 patiently.

3 QUESTION: (Question off mike.) You
4 mentioned earlier that this rule might prompt changes
5 in procedures such as having two or three workers
6 do -- that previously would have taken less people.
7 Do you have any estimate of how much rule change is
8 going to cost the industry?

9 DOCTOR COOL: There have been various
10 estimates that have been made. I think it would be
11 a complete crystal ball estimate if I were to try and
12 guess today what the actual cost would be. So, I will
13 not.

14 QUESTION: (Question off mike.) Has the
15 industry not given any --

16 DOCTOR COOL: They have complained at
17 various times. Sometimes they've included ground
18 numbers, sometimes they haven't.

19 MR. FOUCARD: How about one more, Dave?

20 DOCTOR COOL: Yes, sir?

21 QUESTION: I don't understand then how you
22 can do a cost benefit analysis.

23 DOCTOR COOL: I'm not prepared, standing
24 here today, to quote to you the values in the cost
25 benefit analysis That is part of the Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 package which I believe, Joe, is publicly available
2 at this point?

3 MR. FOUCHARD: Well, you can get it in the
4 public document room this afternoon.

5 QUESTION: But they were in dollar
6 figures?

7 DOCTOR COOL: There were dollar figures
8 estimated, yes. I'm just not prepared today to try
9 and quote to you for different types of facilities.
10 Of course, the dollar being changed, what they
11 actually have to spend may be somehow different from
12 what they may have implied a year or two ago.

13 MR. FOUCHARD: One last one. Go ahead,
14 ma'am.

15 QUESTION: (Question off mike.) Okay.
16 I want to know if ALARA only applies to rem doses or
17 whether it applies also to the actual amount of
18 radioactivity. You're increasing the amount of
19 radioactivity -- that can go out, even though your
20 rems are calculating that this is the same or less,
21 the biological damage. You're actually allowing more
22 strontium, cesium, iodine into some of the air and
23 waterways. How does this comply with your philosophy
24 of as low as reasonably achievable if you're already
25 achieving levels that are lower and now you're raising

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 the amount of radioactivity? How does that comply
2 with ALARA?

3 DOCTOR COOL: ALARA, that philosophy
4 applies to all of those provisions, including that
5 licensees should limit their effluence to as low as
6 reasonably achievable. The values in the public
7 exposure arena in general have gone down to some
8 extent. I'm not prepared to, and I don't think it
9 would be appropriate for us to try and debate numbers.
10 I think the gist of the question that you asked right
11 at the beginning was does ALARA apply to those values
12 as well as the dose limits and the answer is yes, it
13 does.

14 QUESTION: (Question off mike.) No, does
15 the ALARA apply to what the NRC's limits are? You've
16 got concentrations in Appendix B that are now higher
17 than your past Appendix B. So, you're going to go
18 higher -- the ones that are in existence are already
19 reasonably achievable than from what you've been using
20 for decades. So now you're having higher
21 concentration levels. Why raise the ceiling if your
22 philosophy is ALARA? Why not just leave it the same
23 and for the ones that reduce, reduce? Why are you
24 raising some amounts of radioactivity and you're
25 putting it through these equations to say the rems are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 something else?

2 DOCTOR COOL: Yes. I think you're
3 confusing the two halves of the regulatory framework.
4 One is a limit and the values are calculated to
5 correspond to a limit, by whatever the mechanism is.
6 Separate from that, ALARA applies below the limit, has
7 applied and continues to apply.

8 QUESTION: Well, it doesn't apply to the
9 limit itself.

10 DOCTOR COOL: It doesn't apply to the
11 limit. It applies to what must be achieved underneath
12 that limit.

13 QUESTION: I understand. Thank you.

14 MR. FOUCHARD: I think it's fair -- I'll
15 make the last comment and that is that anybody who was
16 nearing these limits would be in trouble with us.

17 (Whereupon, at 11:02 a.m., the above-
18 entitled matter was concluded.)
19
20
21
22
23
24
25

CERTIFICATE OF TRANSCRIBER


This is to certify that the attached events of a meeting
of the United States Nuclear Regulatory Commission entitled:

TITLE OF MEETING: NEWS MEDIA BRIEFING ON FINAL RULE 10 CFR PART 20

PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: DECEMBER 13, 1990

were transcribed by me. I further certify that said transcription
is accurate and complete, to the best of my ability, and that the
transcript is a true and accurate record of the foregoing events.



Reporter's name: Peter Lynch