

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title: Advisory Committee on Reactor Safeguards  
Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, December 4, 2019

Work Order No.: NRC-0726

Pages 1-112

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

669TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

OPEN SESSION

+ + + + +

WEDNESDAY

DECEMBER 4, 2019

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear  
 Regulatory Commission, Two White Flint North, Room  
 T2D30, 11545 Rockville Pike, at 1:00 p.m., Peter  
 Riccardella, Chairman, presiding.

COMMITTEE MEMBERS:

- PETER RICCARDELLA, Chairman
- MATTHEW W. SUNSERI, Vice Chairman
- JOY L. REMPE, Member-at-Large
- RONALD G. BALLINGER, Member
- DENNIS BLEY, Member

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHARLES H. BROWN, JR. Member

VESNA B. DIMITRIJEVIC, Member

WALTER L. KIRCHNER, Member

JOSE MARCH-LEUBA, Member

DAVID A. PETTI, Member

ACRS CONSULTANTS:

MICHAEL L. CORRADINI\*

STEPHEN SCHULTZ\*

DESIGNATED FEDERAL OFFICIALS:

KENT HOWARD

MIKE SNODDERLY

\*Present via telephone

CONTENTS

1

2 Opening Remarks by the ACRS Chairman . . . . . 4

3 Peach Bottom Subsequent License Renewal . . . . . 6

4 Public Comments . . . . . 45

5 NuScale Source Term Topical Report Methodology . 46

6 Adjourn . . . . . 112

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## P R O C E E D I N G S

1:00 p.m.

CHAIRMAN RICCARDELLA: The meeting will come to order.

Scott?

MR. BROWN: Sure. I would just like to announce for the Committee that we have a new member on the ACRS staff, Thomas Dashiell. Thomas comes to us to be our Conference Room Manager, which we badly need, as you all have seen. Thomas has served for years in the Navy, retired with honors from the Navy. We won't hold that against you, Thomas.

And following that, he's been here at NRC for 15 years as an AV Project Manager, IT Project Manager. While he was in the Navy, he worked directly under two Presidents. So, he comes with high credentials. And here at NRC, he worked the AV equipment for the Commission itself in the hearing rooms and in the auditorium. So, he comes with high skills and we're glad to have him on our staff.

So, we're glad you're here, Thomas. Thanks.

CHAIRMAN RICCARDELLA: Welcome, Thomas.

So, this is the first day of the 669th meeting of the Advisory Committee on Reactor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Safeguards. I'm Pete Riccardella, Chairman of ACRS.

2 ACRS was established by the Department of  
3 Energy Act and is governed by the Federal Advisory  
4 Committee Act, or FACA. The ACRS section of the U.S.  
5 NRC public website provides information about the  
6 history of the ACRS and provides FACA-related  
7 documents, such as our Charter, Bylaws, Federal  
8 Register notices for meetings, letter reports, and  
9 transcripts of all full and subcommittee meetings,  
10 including slides and presentations at the meetings.

11 The Committee provides its advice on  
12 safety matters to the Commission through its publicly-  
13 available letter reports. The Federal Register notice  
14 announcing the meeting was published on November 18th,  
15 2019, and provided an agenda and instructions for  
16 interested parties to provide written documents or  
17 request opportunities to address the Committee, as  
18 required by FACA.

19 In accordance with FACA, there is a  
20 Designated Federal Official for the meeting. The DFO  
21 for today's meeting is Mr. Kent Howard.

22 During this meeting, the Committee will  
23 consider the following: Peach Bottom subsequent  
24 license renewal; NuScale Source Term Topical Report  
25 methodology; Susquehanna Atrium 11 fuel transition and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 application/Framatome, and preparation of reports.

2 As reflected in the agenda, portions of  
3 the NuScale and Atrium 11 sections may be closed in  
4 order to discuss the proprietary information  
5 designated as sensitive or proprietary information.

6 There is a phone bridge line. To preclude  
7 interruptions of the meeting, the phone will be placed  
8 in a listen-in mode during the presentations and  
9 Commission discussions. We have received no written  
10 comments or requests to make oral statements from  
11 members of the public regarding today's session.  
12 There will be an opportunity for public comment, as we  
13 have set aside 10 minutes in the agenda for comments  
14 from members of the public attending or listening into  
15 our meeting. Written comments may be forwarded to Mr.  
16 Kent Howard, the Designated Federal Official.

17 A transcript of open portions of the  
18 meeting is being kept. And it is requested that  
19 speakers use one of the microphones in the room,  
20 identify themselves, and speak with sufficient clarity  
21 and volume, so that they may be readily heard.

22 So, the first topic on the agenda is Peach  
23 Bottom Atomic Power Station subsequent license renewal  
24 application, and I will turn the meeting over to Matt  
25 Sunseri, who is Chairman of the License Renewal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 Subcommittee.

2 VICE CHAIRMAN SUNSERI: Thank you,  
3 Chairman Riccardella.

4 As Pete mentioned, I'm Matt Sunseri,  
5 Chairman of the Plant License Renewal Subcommittee.

6 The purpose of this full Committee meeting  
7 is for Exelon Generation Company LLC and the NRC staff  
8 to brief the full Committee on the subsequent license  
9 renewal application for the Peach Bottom Atomic Power  
10 Station's Units 2 and 3. The Plant License Renewal  
11 Subcommittee previously met on November 5th of this  
12 year to discuss the matter.

13 At the conclusion of these presentations,  
14 we will be ready to start our Committee work on letter  
15 writing at your pleasure following this briefing. So,  
16 anytime after that.

17 There are members of both the NRC and  
18 Exelon staff listening in on the phone. So, this  
19 reminder about using the microphones is particularly  
20 important because they just can't hear us if we don't  
21 do that.

22 At this point, I'd like to turn to Meena  
23 Khanna to see if she has any opening remarks as well.

24 MS. KHANNA: Thank you. Thank you,  
25 Chairman Riccardella and Subcommittee Chairman

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Sunseri, and Members of the ACRS.

2 I am Meena Khanna, Acting Deputy Director  
3 of the Division of New and Renewed Licenses, which is  
4 DNRL. We sincerely appreciate the opportunity today  
5 to present to the ACRS full Committee the results of  
6 the staff's review of the second application for  
7 subsequent license renewal and which is the first  
8 subsequent license renewal application for a boiling  
9 water reactor. This application was submitted by  
10 Echelon Generation Company LLC for the Peach Bottom  
11 Atomic Power Station, Units 2 and 3, located near  
12 Delta, Pennsylvania.

13 As Subcommittee Chairman Sunseri  
14 mentioned, we had the opportunity to present the  
15 results of the review of this application to the ACRS  
16 Subcommittee on Plant License Renewal approximately a  
17 month ago on November 5th. Subsequently, we issued  
18 the updated SER on November 19th.

19 By way of background, Peach Bottom Units  
20 2 and 3 received approval for their initial renewed  
21 licenses from the NRC on May 7th, 2003. The NRC  
22 review at that time was performed using guidance  
23 developed prior to the issuance of the Generic Aging  
24 Lessons Learned Report, or the GALL report. The NRC  
25 developed guidance for review of subsequent license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 renewal applications, and it was issued in July 2017  
2 as NUREG-2191, also referred to as GALL SLR, and  
3 NUREG-2192, SLR SRP, following extensive interactions  
4 with the ACRS. The staff performed its review of the  
5 Peach Bottom SLR application using these NUREGs.

6 The NRC Project Manager for the Peach  
7 Bottom SLR application review is Ms. Bennett Brady,  
8 seated behind me. Ms. Brady will introduce the staff,  
9 who will be seated at the table, that will be  
10 presenting or addressing questions regarding the  
11 staff's review of the Peach Bottom SLR application.

12 Part of the management team that are here  
13 with me today: to the left is Anna Bradford, the  
14 Director of the Division of New and Renewed Licenses.  
15 To my right is Eric Oesterle, Chief of the License  
16 Renewal Projects Branch. And in the audience are  
17 other DNRL and NRR technical review Branch Chiefs and  
18 their staffs that have been involved with the review.  
19 There may also be some technical staff on the phone.

20 In addition, we are fortunate to have  
21 representatives from Region I also on the phone that  
22 include Kevin Mangan, Senior Reactor Inspector, as  
23 well as Justin Heinly, Senior Resident Inspector at  
24 Peach Bottom.

25 The staff will provide an overview of its

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety review which will include a discussion of the  
2 confirmatory item related to the core plate rim hold-  
3 down bolts, which, as we discussed at the ACRS  
4 Subcommittee meeting, was closed based on the  
5 supplemental information provided by Exelon.

6 Staff will also provide a discussion of  
7 the regional inspection of the Aging Management  
8 Program implementation for initial license renewal and  
9 address the material condition of the Peach Bottom  
10 facility.

11 We look forward to a productive discussion  
12 today with the ACRS and will address any questions  
13 that you may have.

14 At this time, I'd like to turn the  
15 presentation over to Mr. Michael Gallagher, Exelon  
16 Nuclear Vice President for License Renewal and  
17 Decommissioning, to introduce his team and commence  
18 their presentation.

19 Thank you.

20 VICE CHAIRMAN SUNSERI: Thank you.

21 And, Mike, one other thing I need to  
22 mention is that Members Riccardella and myself are  
23 going to recuse ourselves from any discussions on the  
24 metal and environmental fatigue issues and radiation  
25 embrittlement issues with the reactor pressure vessel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 and the sacrificial shield wall. That's just due to  
2 some outside business that we've done.

3 Thank you.

4 MR. GALLAGHER: Okay. Thank you, and  
5 thank you, Meena.

6 Good afternoon. My name is Mike  
7 Gallagher, and I'm the Vice President of License  
8 Renewal at Exelon. I have 38 years of nuclear power  
9 plant experience, all at Exelon, and have been working  
10 on our license renewal project since 2006.

11 Slide 1, please.

12 Before we get into today's presentation,  
13 I'd like to introduce the presenters.

14 To my right is Anna Krause, and Anna is  
15 our Senior Manager of Design Engineering for Peach  
16 Bottom. And Anna has 14 years of nuclear power plant  
17 experience.

18 To Anna's right is Paul Weyhmuller, and  
19 Paul is our License Renewal Technical Manager for the  
20 Peach Bottom project. Paul has 37 years of nuclear  
21 power plant experience, including working on Exelon's  
22 license renewal project since 2011.

23 And to Paul's right is Julian Laverde, and  
24 Julian is our Mechanical Design Manager for Peach  
25 Bottom. And Julian has nine years of nuclear power

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 plant experience.

2 And to my left is Dave Distel, and Dave is  
3 our Project Licensing Lead. And Dave has 39 years of  
4 nuclear power plant experience.

5 In addition, here in the room we have our  
6 technical support personnel, and, also, as mentioned,  
7 on the NRC conference line, we have our Peach Bottom  
8 technical staff available to answer questions on the  
9 conference line.

10 And we also have with us here today Pat  
11 Navin, and Pat is our Site Vice President at Peach  
12 Bottom.

13 Slide 2.

14 So, this slide shows our agenda for the  
15 presentation. This is a similar presentation that we  
16 gave the Subcommittee and that we abbreviated somewhat  
17 to be focused on the main activities. Included in our  
18 presentation, we did include slides that we presented  
19 to the Subcommittee meeting as backup material. And  
20 again, we can go into any questions that the full  
21 Committee may have.

22 We believe we developed a robust, high-  
23 quality subsequent license renewal application, and we  
24 also have developed effective aging management  
25 programs to ensure the continued safe operation of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Peach Bottom.

2 We appreciate the opportunity to make this  
3 presentation and look forward to answering any  
4 questions you may have.

5 With that, I'll turn it over to Anna  
6 Krause.

7 Anna?

8 MS. KRAUSE: Thank you, Mike.

9 Slide 3, please.

10 Good afternoon. My name is Anna Krause,  
11 and I'm a Senior Manager of Design Engineering at  
12 Peach Bottom.

13 Peach Bottom Units 2 and 3 are GE boiling  
14 water reactors with Mark I containments that are  
15 jointly owned by Exelon and PSE&G and operated by  
16 Exelon.

17 The Peach Bottom Station is located in the  
18 Commonwealth of Pennsylvania, approximately 40 miles  
19 northeast of Baltimore, Maryland, and 60 miles  
20 southwest of Philadelphia, Pennsylvania.

21 On the aerial view of Peach Bottom, you  
22 can see the power block; the independent spent fuel  
23 storage installation pad; the north and south  
24 substations; the plant intake and discharge canal,  
25 which is the normal heat sink for the station, and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 emergency cooling tower, which comprises the emergency  
2 heat sink for the station in the event that the normal  
3 heat sink is not available.

4 Slide 4, please.

5 Peach Bottom is operated on 24-month  
6 refueling cycles. The station capacity factor for  
7 2018 was 94.2 percent, and then, year to date through  
8 October 31st is 96.2 percent.

9 Our regulatory performance as Peach Bottom  
10 is in action matrix column 1 and all ROP indicators  
11 are green.

12 Slide 5, please.

13 Now this slide shows the dates for thermal  
14 power license changes for Peach Bottom Units 2 and 3.  
15 We also show that the independent spent fuel storage  
16 installation was installed in 2000. And then, the  
17 current license expiration dates are August 8th, 2033,  
18 for Unit 2, and July 2nd, 2034, for Unit 3.

19 MEMBER REMPE: Anna, I thought there was  
20 a measurement uncertainty recapture in 2002, but it's  
21 not shown here. Is that true? The reason I'm asking  
22 is because I kind of looked ahead and it might be good  
23 for us to clarify that.

24 MR. GALLAGHER: Yes, that's a license  
25 recapture.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MR. WEYHMULLER: Yes, we did a -- it was  
2 called Appendix K in its day, where they did the  
3 measurement uncertainty recapture at that point. And  
4 then, subsequent to that, you see that we did the EPU  
5 modification. With that, the Appendix K mod was taken  
6 away, and they did the EPU project, and then,  
7 subsequently, followed back up with what was now known  
8 as MUR, or the uncertainty recapture, and reinstated,  
9 basically, what had been there in the past.

10 MEMBER REMPE: The reason I'm asking is I  
11 was involved in the EPU approval, and I remember that  
12 earlier letter, but it may come up in our  
13 deliberations on the letter today. So, thank you.

14 MR. WEYHMULLER: Okay.

15 MS. KRAUSE: All right. Moving to Slide  
16 6, this slide provides an overview of significant  
17 plant modifications that have been implemented at  
18 Peach Bottom that address component aging and long-  
19 term operations.

20 Okay. I will now turn it over to Paul  
21 Weyhmuller, who will present to you the highlights of  
22 our subsequent license renewal application.

23 MR. WEYHMULLER: Thank you, Anna.

24 Slide 7, please.

25 Good afternoon. My name is Paul

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Weyhmuller. I'm the Technical Manager for the Peach  
2 Bottom license renewal project. I will discuss the  
3 highlights of our subsequent license renewal  
4 application, focusing on application development, our  
5 new time-limited aging analyses, the overall GALL SLR  
6 consistency, a review of the aging management  
7 programs, the exceptions we have taken, and a summary  
8 of the first license renewal aging management program  
9 affecting these reviews that have been conducted.

10 Slide 8, please.

11 Exelon used industry and NRC guidance to  
12 make our application as consistent with GALL SLR as  
13 possible. Our submittal is based on the guidance  
14 provided in both NUREG-2191 and 2192.

15 In developing the Peach Bottom subsequent  
16 license renewal application, changes noted from first  
17 license renewal include:

18 For scoping and screening, we have updated  
19 our packages for plant modifications as well as to  
20 address NEI 17-01 guidance.

21 For aging management reviews, the first  
22 license renewal was pre-GALL. So, additional aging  
23 effects required assessment based on NUREG-2191 GALL  
24 SLR.

25 For aging management programs, we have 47

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 programs for subsequent license renewal utilizing the  
2 GALL SLR guidance. Activities from first license  
3 renewal have been addressed in subsequent license  
4 renewal programs.

5 Our aging management programs were  
6 developed incorporating lessons learned from previous  
7 Exelon projects as well as from benchmarking current  
8 industry applications. The aging management programs  
9 were also developed using insights from industry RAIs.

10 For time-limited aging analyses, the Peach  
11 Bottom subsequent license renewal application has  
12 reassessed the existing plant current licensing basis  
13 TLAAs. Additional TLAAs for repair or replacement  
14 activities not part of the first license renewal  
15 application have been added. There are a total of 35  
16 TLAAs found in the subsequent license renewal  
17 application.

18 MEMBER BLEY: Before you go on, in the  
19 core plate replacement -- I may have asked this  
20 before, but I'm asking it again -- what was the main  
21 difference between Units 2 and 3? Why did 3 need the  
22 improvement?

23 MR. WEYHMULLER: There was cracking noted  
24 on Unit 3 attributed from early operation. That was  
25 thought to be the cause of why there were additional

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 defects found in that piping system that warranted  
2 replacement. It got to be --

3 MEMBER BLEY: And none on Unit 2?

4 MR. WEYHMULLER: That's correct.

5 MEMBER BLEY: Thank you.

6 MR. WEYHMULLER: Okay. Slide 9, please.

7 As stated earlier, Peach Bottom subsequent  
8 license renewal application is based on GALL SLR.  
9 Peach Bottom aging management review achieved  
10 significant consistency with the GALL SLR, as  
11 reflected by the fact that 98.6 of AMR line items are  
12 covered by notes A through E.

13 There are 50 commitments for the  
14 implementation of subsequent license renewal at Peach  
15 Bottom, consisting of 47 commitments from the  
16 implementation of individual aging management programs  
17 and 3 additional commitments for OPEX actions and for  
18 the continued use of FERC inspections for specific  
19 water-controlled structures. These commitments will  
20 be captured within the subsequent license renewal  
21 UFSAR supplement, which is contained in Appendix A of  
22 the subsequent license renewal application.

23 These commitments are managed in  
24 accordance with Exelon's commitment tracking program,  
25 which is based on the NRC-endorsed NEI 99-04,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 "Guidelines for Managing NRC Commitment Changes  
2 Process".

3 The table shown on the slide provides a  
4 breakdown of aging management programs in regards to  
5 consistency with GALL SLR. The summary table also  
6 provides a numerical breakdown for existing and new  
7 AMPs.

8 There are only 11 programs with  
9 exceptions. For each exception, we have provided an  
10 alternative to the recommendation found in GALL SLR.  
11 Supporting technical justification has been provided  
12 and has been found acceptable, as identified in the  
13 SER.

14 Slide 10, please.

15 The Peach Bottom aging management program  
16 effectiveness reviews assessed first license renewal  
17 activities and included a detailed review of  
18 inspection schedules, results, and data, as well as a  
19 review of relevant operating experience within the  
20 corrective action program. All first license renewal  
21 programs were determined to be effectively  
22 implemented. A summary of each review is found in  
23 Appendix B of the subsequent license renewal  
24 application for each specific aging management program  
25 under OPEX Item No. 1.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           In November of 2018, the NRC staff  
2 conducted an IP 71003 Phase 4 inspection, post-  
3 approval site inspection for license renewal at Peach  
4 Bottom. This inspection found no issues.

5           I will now turn the presentation over to  
6 Julian Laverde, who will discuss how we closed the one  
7 confirmatory item and a brief summary on the specific  
8 technical topics involved in subsequent license  
9 renewal.

10           MR. LAVERDE: Thank you, Paul.

11           Slide 11, please.

12           Good afternoon. My name is Julian  
13 Laverde, and I am the Site Mechanical Design  
14 Engineering Manager at Peach Bottom.

15           There was one confirmatory item involving  
16 a commitment for the BWR vessel internals aging  
17 management program. Additional information was  
18 required by the NRC staff to complete the assessment  
19 of the proposed enhancement for core plate rim hold-  
20 down bolts. This was addressed by revising the  
21 enhancement to provide the source document, BWR 25,  
22 Revision 1, which was used to determine the  
23 appropriate actions to be taken to address stress  
24 corrosion cracking of core plate rim hold-down bolts.

25           This issue has been resolved with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       submittal of a supplement to the NRC staff on October  
2       9th, 2019, and the NRC has closed this item, as stated  
3       in the updated SER dated November 19, 2019.

4               Slide 12, please.

5               In the Subcommittee meeting, we presented  
6       how Exelon addressed the four technical topics related  
7       to SLR that were of interest to the NRC Commissioners  
8       during the NRC staff preparations for SLR. These  
9       topics were discussed in Staff Requirements Memo for  
10      SECY-14-0016.       The four topics are:       RPV  
11      embrittlement, IASCC of reactor vessel internals,  
12      concrete and containment degradation, and electrical  
13      cable EQ and condition assessment.

14              To summarize, we have constructed our  
15      aging management programs in these areas to be  
16      consistent with the GALL SLR guidance. For example,  
17      for RPV embrittlement, we have developed flows  
18      projections through SPEO, satisfactorily evaluated  
19      reactor vessel material properties through SPEO, and  
20      added a commitment to withdraw and test an RPV  
21      surveillance capsule for each unit.

22              For IASCC, we have confirmed the  
23      acceptability of existing BWR guidelines to manage the  
24      aging of reactor vessel internals to SPEO.

25              For concrete and containments, we have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 reported that the concrete and containment at Peach  
2 Bottom are in good condition.

3 And finally, the EQ cable and condition  
4 assessment, we have updated analysis to show EQ cables  
5 have a qualified life greater than 80 years. And we  
6 continue to visually inspect and test, per GALL SLR  
7 recommendations.

8 I will pause here to see if we have any  
9 questions on these topics.

10 (No response.)

11 I will now turn the presentation over to  
12 Mike Gallagher for closing remarks.

13 MR. GALLAGHER: Okay. Thank you, Julian.

14 Slide 13, please.

15 This was our summary presentation of what  
16 we gave earlier to the Subcommittee. And as I stated  
17 before, we developed a comprehensive, high-quality  
18 subsequent license renewal application, along with  
19 robust aging management programs that will ensure the  
20 continued safe operation of Peach Bottom during the  
21 subsequent period of extended operation.

22 Pending any questions you may have, this  
23 concludes our presentation.

24 VICE CHAIRMAN SUNSERI: I didn't want to  
25 distract. I missed an opportunity to ask a question

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 a little earlier. So, I'll ask you now, just for  
2 completeness, and I'll ask the staff also when it's  
3 their turn.

4 But the 71003 Phase 4 inspection, that  
5 seems like a significant activity to meet the  
6 effectiveness of the aging management program. And to  
7 have no findings, how extraordinary is that? I mean,  
8 in your experience working with your peers, is that a  
9 typical finding or is that an extraordinary finding?

10 MR. GALLAGHER: I mean, there have been  
11 several or many Phase 4 inspections done at other  
12 sites, and there have been findings, usually a green  
13 finding. And in ours, we didn't have that, not to say  
14 we didn't get any lessons learned at all from the NRC  
15 review. I think the staff, the regional staff did  
16 thorough reviews. We had well prepared for it, for  
17 the inspection. And we would have initiated any  
18 corrective actions for further improvements in our  
19 programs, and there were items like that that were  
20 identified and acted on. But there were no findings.

21 VICE CHAIRMAN SUNSERI: Yes. I mean, I  
22 asked the question because we don't get to go visit  
23 the sites and do the detailed reviews. So, we rely on  
24 staff's feedback for a lot of our information. We  
25 always want to push to make sure that these reviews

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 are being done with the rigor and technical competence  
2 that we need to ensure the regulations are going to be  
3 met and that the applicants are upholding their end of  
4 the story also. So, this seems like a good news story  
5 to me, anyway.

6 MR. GALLAGHER: Yes, I think so.

7 VICE CHAIRMAN SUNSERI: Anyone else?

8 (No response.)

9 All right.

10 MS. KHANNA: So, we'll definitely address  
11 that. We've got the regional folks on the phone, and  
12 they'll be happy to address a little bit more details  
13 of the inspections.

14 Thanks.

15 VICE CHAIRMAN SUNSERI: Thank you.

16 All right. Well, we can swap out then.

17 MS. BRADY: Good afternoon, Chairmen and  
18 Members of the ACRS.

19 My name is Bennett Brady. I am the  
20 Project Manager for the safety review of the Peach  
21 Bottom Atomic Power Station, Units 2 and 3, subsequent  
22 license renewal application.

23 As you know from Meena, we are here today  
24 to discuss the NRC staff's safety review of the Peach  
25 Bottom SLRA, as documented in the Safety Evaluation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Report, or SER, as it's known, which was issued on  
2 November 19, 2019.

3 Joining me here at the table is Bill  
4 Rogers, Senior Project Manager in the Division of New  
5 and Renewed Licenses, or DNRL, who also assisted me in  
6 managing the project. In addition, joining us by  
7 telephone is Kevin Mangan, Region I, Senior Reactor  
8 Inspector, and Jon Greives, Region I, DRP Branch  
9 Chief, responsible for Peach Bottom.

10 I would suggest that we ask them, when we  
11 get to the end of our presentation, to address your  
12 question about how unusual this finding is.

13 Angela Wu, also a Project Manager in DNRL,  
14 will be controlling the slides.

15 Seated in the audience and joining us by  
16 phone are members of the NRR technical staff who  
17 participated in the review of SLRA and conducted the  
18 audits.

19 Next slide, please.

20 We will begin the presentation with a  
21 general overview of the staff's safety review,  
22 followed by an overview of SER Section 2 on scoping  
23 and screening; SER Section 3, aging management review,  
24 and Section 4, time-limited aging analysis. We will,  
25 then, discuss the closure of the confirmatory item,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the Region I initial license renewal inspection that  
2 coincided with the staff's SLRA review, and the  
3 Resident Inspector's perspective on plant material  
4 conditions, and then, finally, the summary conclusion.

5 Next slide, please.

6 Peach Bottom Units 2 and 3 were initially  
7 licensed in October 1973 and July 1984, respectively.  
8 The licensee, Exelon Generation Company LLC, or  
9 Exelon, submitted the application for a subsequent  
10 license renewal in July 10, 2018.

11 Next slide, please.

12 As you've heard, the Peach Bottom SLRA is  
13 the second safety review performed by the staff using  
14 the GALL SLR and SRP SLR guidance issued in 2017. The  
15 staff's Peach Bottom SLR review was the same as that  
16 used for Turkey Point SLRA review. The staff  
17 identified and implemented several efficiencies as  
18 compared to the safety review of initial license  
19 renewal applications.

20 One of these efficiencies dealt with the  
21 conduct of audits. Instead of one large and lengthy  
22 onsite audit, the staff conducted two standard audits,  
23 an operating experience audit, and an in-office audit.  
24 The majority of audit activities and breakout  
25 discussions were conducted in-office through the use

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 of portals and telecommunications.

2 During the Peach Bottom operating  
3 experience audit, the staff performed an independent  
4 review of plant-specific operating experience to  
5 identify pertinent examples of age-related  
6 degradation, as documented in the applicant's program  
7 corrective action program database.

8 During the in-office audit, the audit team  
9 first focused on two areas: first, the scoping and  
10 screening review and, second, the review of aging  
11 management programs, or AMPs; aging management review  
12 items, and the time-limited aging analysis.

13 For the Peach Bottom SLRA, the staff  
14 review was informed by the results of the Region I  
15 initial license renewal inspection, the IP003 Phase 4.  
16 This inspection was performed in November of 2018, as  
17 has been mentioned, and coincided with the SLRA review  
18 timeline. However, it should be noted that the Phase  
19 4 inspection is related to the initial renewed license  
20 and is independent of the SLRA review. We will  
21 discuss this inspection more in detail later in our  
22 presentation.

23 Next slide, please.

24 The Peach Bottom SER with a confirmatory  
25 item was issued on October 7, 2019. The confirmatory

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 item was related to the core plate rim hold-down  
2 bolts. During the ACRS Subcommittee meeting on  
3 November 5, 2019, the staff presented how this  
4 confirmatory item was closed on the basis of  
5 supplemental information provided by Exelon. Since  
6 that meeting, the staff has updated the SER to close  
7 the confirmatory item. The updated SER was issued on  
8 November 19, 2019, and details of the closure of this  
9 confirmatory item will be discussed later in this  
10 presentation.

11 During the staff's technical review of the  
12 SLRA, it issued 48 RAIs, four of which were followup  
13 RAIs. Although this was an early SLRA review, and new  
14 topics were reviewed for the 60-to-80-year time  
15 period, one might well have expected to have more RAIs  
16 than initial license renewal. However, this was a  
17 significant decrease in the number of RAIs from the  
18 recent initial license renewal application reviews.  
19 The staff believes that this was due to the high  
20 quality of the subsequent license renewal application.

21 Next slide, please.

22 In the next few slides, we will present  
23 the results of the staff's safety review, as described  
24 in the SER. SER, Section 2, describes the scoping and  
25 screening of structures and components subject to an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 aging management review. The staff reviewed the  
2 applicant's scoping and screening methodology,  
3 procedures, and the results. The staff review  
4 included, as required by the license renewal rule, the  
5 results of the integrated plant assessment, the  
6 safety-related SSCs, non-safety-related SSCs affecting  
7 safety functions, and SSCs relied upon to perform  
8 functions in compliance with the Commission's  
9 regulations for fire protection, environmental  
10 qualification, station blackout, and anticipated  
11 scrams without a scram.

12 Based on the staff's review, the results  
13 from the in-office audit, and review of additional  
14 information provided by the applicant, the staff  
15 concluded that the applicant's scoping and screening  
16 methodology and implementation were consistent with  
17 the SRP SLR and the requirements of 10 CFR Part 54.

18 Next slide, please.

19 SER, Section 3, and its subsections, cover  
20 the staff's review of the aging management programs  
21 for managing the effects of aging, in accordance with  
22 10 CFR 54.21(a)(3). Sections 3.1 through 3.6 include  
23 the AMR items in each of the general system areas  
24 within the scope of license renewal, which is shown on  
25 this slide. For a given AMR item, the staff reviewed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the item to determine whether it is consistent with  
2 the GALL SLR report. For AMR items not consistent  
3 with the GALL SLR report, the staff reviewed the  
4 applicant's evaluation to determine whether the  
5 applicant has demonstrated there is reasonable  
6 assurance that the effects of aging will be adequately  
7 managed, so that the intended functions will be  
8 maintained, consistent with the current licensing  
9 basis for the subsequent period of extended operation.

10 Based on this review, the results from the  
11 in-office audit, and additional information provided  
12 by the applicant, the staff concluded that the  
13 applicant's aging management review activities and the  
14 results were consistent with the SRP SLR and the  
15 requirements of 10 CFR Part 54.

16 Next slide, please.

17 The SLRA described a total of 47 AMPs, 11  
18 new AMPs, and 35 existing. This slide identifies the  
19 applicant's original SLRA distribution of these AMPs  
20 in the left column and the final disposition, as  
21 documented in the SER, in the right column. All of  
22 the AMPs, with the exception of the plant-specific  
23 AMP, were evaluated by the staff for consistency with  
24 the GALL SLR report. As a result of the staff review,  
25 the applicant made several changes in the AMPs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1       However, the distribution of AMPs did not change, as  
2       you will see comparing the left column and the right  
3       column. The plant-specific AMP was evaluated against  
4       the criteria contained in Appendix A1 of the SRP SLR.

5               Based on the staff's review, the results  
6       from the in-office audit, and review of additional  
7       information provided by the applicant, the staff  
8       concluded that the applicant's aging management  
9       program activities and results were consistent with  
10      the SRP SLR and the requirements of 10 CFR Part 54.

11             Next slide, please.

12             SER, Section 4, identifies time-limited  
13      aging analysis, or TLAAs. Section 4.1 of the report  
14      documents the staff evaluation of the applicant's  
15      identification of applicable TLAAs. The staff  
16      evaluated the applicant's basis for identifying those  
17      plant-specific or generic analyses that need to be  
18      identified as TLAAs and determined that the applicant  
19      has provided an accurate list of TLAAs, as required by  
20      10 CFR 54.21(c)(1).

21             Section 4.2 and 4.7 document the staff's  
22      review of the applicable Peach Bottom TLAAs for the  
23      areas shown on this slide. Based on its review, the  
24      information provided by the applicant, the staff  
25      concludes that either one of three conditions are met:

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (I) the analysis remains valid for the subsequent  
2 period of extended operation; (ii) the analysis has  
3 been projected to the end of the subsequent period of  
4 extended duration, or (iii) the effects of aging on  
5 the intended functions will be adequately managed for  
6 the subsequent period of extended operation, as  
7 required by 10 CFR 51.21(C)(1).

8 Based on the staff review, the results  
9 from the in-office audit, and the review of additional  
10 information provided by the applicant, the staff  
11 concluded that the applicant's TLAAs analysis and  
12 results were consistent with the SRP SLR and the  
13 requirements of 10 CFR Part 54.

14 Next, Bill Rogers will assess the closure  
15 of the confirmatory item and the Region I activities.

16 Thank you.

17 MR. ROGERS: Thank you, Bennett.

18 Good afternoon.

19 The SER with confirmatory item issued  
20 October 7th, 2019, included one confirmatory item  
21 associated with the BWR vessel internals AMP B.2.1.7.  
22 Specifically, the applicant had proposed an  
23 enhancement to perform one of two future activities  
24 post-licensing to address the potential for stress  
25 corrosion cracking of the core plate rim hold-down

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 bolts and its mitigation.

2           The first option was to install core plate  
3 wedges, which the staff found acceptable. The second  
4 option was to submit an inspection plan to the NRC for  
5 future review and approval. Since the completed  
6 inspection plan as well as the acceptance criteria was  
7 not currently available during the staff's SLRA  
8 review, that is, it would be developed at a future  
9 date, this option did not satisfy the staff's need to  
10 complete its technical review prior to granting a new  
11 license.

12           In response to the staff's concern  
13 regarding the inspection plan, the applicant submitted  
14 a supplement to the SLRA which revised the enhancement  
15 to AMP B.2.1.7, to be in accordance with BWRVIP 25,  
16 Revision 1, to: one, install wedges or, two, install  
17 core plate rim hold-down -- excuse me -- inspect core  
18 plate rim hold-down bolts, or, three, demonstrate via  
19 analysis that the installation of wedges and  
20 inspection of the core plate rim hold-down bolts were  
21 not required. The staff determined each of the three  
22 options included in the SLRA supplement can be  
23 confirmed by inspection through the reactor oversight  
24 process and were, therefore, acceptable.

25           On the basis of this information, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 staff determined that its concerns related to the  
2 confirmatory item are resolved, as documented in the  
3 November 19, 2019, updated SER.

4 Next slide, please.

5 In conclusion, for the SLRA safety review,  
6 the staff finds that the requirements of  
7 10 CFR 54.20(a) have been met for the subsequent  
8 license renewal of Peach Bottom Units 2 and 3.

9 Next, I'll discuss regional inspections  
10 and observations on the plant condition.

11 The Region conducts a license renewal team  
12 inspection, IP 71003 Phase 4, 5 to 10 years following  
13 the entry into the initial period of extended  
14 operation. The team examines a sample of AMPS to  
15 verify the effects of aging were being managed  
16 effectively to ensure structures, systems, and  
17 components in the scope of these programs maintain the  
18 ability to perform their intended functions.

19 I'll address the Peach Bottom IP 71003  
20 Phase 4 initial license renewal inspection on the next  
21 slide. The Peach Bottom IP 71003 Phase 4 initial  
22 license renewal inspection was performed in November  
23 of 2018 on both Units 2 and 3. Exelon had committed  
24 to 35 aging management programs at Peach Bottom for  
25 the initial period of extended operation. Seventeen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 AMPs were previously existing program in which no  
2 changes were required. Twelve programs were  
3 previously existing, but were enhanced. And there  
4 were six new AMPs created.

5 For the Phase 4 inspection, a sample of  
6 six of these AMPs were reviewed. The AMPs listed here  
7 on the slide were selected based on inspection  
8 procedure criteria such as new enhanced AMPs, AMPs  
9 impacted by internal or external operating experience,  
10 Resident Inspector input, AMPs not inspected by other  
11 baseline inspections, and risk insights.

12 In addition, the staff considered the  
13 applicant's periodic AMP effectiveness review, which  
14 is performed every five years. The applicant's  
15 reports on this activity were used by the staff in the  
16 AMP selection process and to provide insights on  
17 program performance.

18 The Region's inspection focuses on the  
19 program's detection of aging effects, monitoring and  
20 trending, corrective actions, and implementation of  
21 operating experience elements. The inspection team  
22 did not identify any findings and concluded that  
23 Exelon that was effectively implementing the AMPs  
24 review.

25 Next slide, please.

1           And before we go on, were there any  
2 questions on that specific topic related to the  
3 earlier question?

4           VICE CHAIRMAN SUNSERI: It just strikes me  
5 as, I guess, impressive that an inspection scope so  
6 big and of so many technical areas, and you have no  
7 findings. I mean, you could look at it, I want to  
8 look at as a glass half full; it was a very thorough  
9 inspection and they did a good job. Another way of  
10 looking at it, though, is you didn't look at it very  
11 good and missed something, right? So, that's what I'm  
12 trying to figure out.

13           MR. ROGERS: Okay. I'd like us to give  
14 the Region an opportunity to address that comment or  
15 question.

16           MR. GRAY: Thanks for that.

17           This is Mel Gray. I'm a Branch Chief in  
18 NRC, Region I, responsible for oversight of  
19 inspections in license renewal. And I have with me  
20 Kevin Mangan, and he was a team leader. But I'm going  
21 to turn it over to Kevin.

22           My opinion definitely is it was an  
23 invasive inspection that demonstrated licensee  
24 performance.

25           But go ahead, Kevin.

1 MR. MANGAN: Yes, so for that inspection,  
2 as you said, this is Kevin Mangan and I was the team  
3 lead.

4 That inspection is a one-week inspection  
5 with three inspectors. And as you said, we didn't  
6 identify any violations. Of note, it was the first  
7 Phase 4 inspection ever done in the United States. We  
8 have done a couple since then, one in Region I and I  
9 think one in Region II. There may be one or two  
10 others.

11 There were some violations identified in  
12 other inspections of this inspection, but here and,  
13 then, we also did Ginna, and that also identified no  
14 finding.

15 MEMBER KIRCHNER: Could I ask a follow-on  
16 question then, Bill?

17 I know at the Subcommittee meeting we  
18 heard good things about the applicant's preventive  
19 maintenance program, particularly with regard to  
20 cables. We heard about the diesel generator cables.  
21 So, fairly proactive.

22 If my notes are correct, the applicant,  
23 they changed out about 100 -- there are about 100  
24 medium-voltage circuits and they replaced about half.  
25 So, I'm curious why you inspected medium-voltage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 cables rather than, say, I&C protection system cables.

2 MR. MANGAN: This is Kevin Mangan again.

3 So, for that particular AMP, a lot of the  
4 cables you've mentioned are, for the scope of the AMP,  
5 I think there was only 8 or 10 cables in scope. The  
6 cables that were replaced were not in the scope of the  
7 AMP. They were in the scope of license renewal, but  
8 were excluded because they were energized less than 25  
9 percent of the time, which was the criteria when they  
10 first received their license renewal.

11 So, for the cables we looked at, which is  
12 limited scope, they are risk-significant and there  
13 were changes to the GALL from -- Peach Bottom was a  
14 pre-GALL plant. Through Rev. 1 and Rev. 2, they went  
15 from 10-year inspections to seven-year inspections,  
16 and that particular requirement that excluded cables  
17 that were energized less than 25 percent of the time  
18 was removed. So, those are some of the reasons why we  
19 looked at that, to see what kind of changes Exelon was  
20 making to the program to address the operating  
21 experiences of the GALL reports.

22 MEMBER KIRCHNER: Well, if I remember  
23 correctly from the Subcommittee meeting, and the  
24 applicant and your inspections, going back to the  
25 diesel generator cables, those are active less than 25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 percent of the time. And yet, there was a problem  
2 there which the applicant addressed and corrected.

3 I'm not sure about that 25 percent of the  
4 time. It's still sticking in my mind as not a good  
5 criterion to use on cable inspection. So, this is a  
6 more generic question than just the applicant.

7 MR. ROGERS: So, I think it might be  
8 helpful to have one of the electrical reviewers  
9 address the change to the GALL and how that's been  
10 modified.

11 MR. SADOLLAH: Yes. Hi. This is Mo  
12 Sadollah at NRR, a Design Engineer.

13 So, that provision that was in the  
14 previous GALL revision, Rev. 0, subsequently, in Rev.  
15 1 and Rev. 2, and then, ultimately, in the SMR, that  
16 was removed. So, that 25 percent threshold was no  
17 longer there. Whether the cables are energized or  
18 not, they're considered in the scope.

19 MEMBER KIRCHNER: That's what I was  
20 looking for. So, that's been removed?

21 MR. SADOLLAH: Yes.

22 MEMBER KIRCHNER: Okay. Thank you.

23 MR. SADOLLAH: Yes.

24 MR. ROGERS: Any additional questions on  
25 that topic?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 (No response.)

2 Go to slide 14.

3 Okay. At the ACRS Subcommittee meeting on  
4 November 5th, 2019, the Senior Resident Inspector  
5 discussed the plant's performance and material  
6 condition. The Senior Resident stated that the NRC  
7 assessment of Peach Bottom was that the material  
8 condition of the plant was acceptable and meets  
9 regulatory requirements for systems, structures, and  
10 components, based on the inspection results and green  
11 performance indicators which resulted in both Peach  
12 Bottom units being in the licensee response column.

13 In addition, Resident Inspectors continue  
14 to inspect and assess the licensee's ability to manage  
15 the effects of aging through the baseline inspection  
16 program.

17 And again, if there are any additional  
18 questions related to plant material conditions or how  
19 this assessment was made, I would offer the question  
20 to the Region in that area.

21 VICE CHAIRMAN SUNSERI: I recall the  
22 discussion was very good at the Subcommittee. So, we  
23 got a really thorough briefing then.

24 MR. ROGERS: Good. Thank you.

25 And considering the NRC inspection

1 results, the inspectors found that the aging  
2 management programs were being effectively implemented  
3 in accordance with the facility's renewed license.  
4 And the NRC will continue to monitor AMP effectiveness  
5 using the baseline reactor oversight process.

6 And if there are no additional questions  
7 at this point, I'll turn the presentation over to  
8 Bennett for a summary conclusion.

9 MS. BRADY: The NRC has now completed its  
10 presentation of its conclusions from the staff's  
11 safety review of the Peach Bottom SLRA and the Region  
12 I conclusions on AMP inspections and plant license  
13 conditions.

14 At this point, we would be pleased to  
15 address any further questions that you may have.

16 VICE CHAIRMAN SUNSERI: Any additional  
17 questions or comments?

18 MEMBER BLEY: Yes, I have one. This is  
19 not related to this particular application, but from  
20 the NRC staff side, and the licensee using the new  
21 GALL, and your reviews, did you find places where you  
22 think you're going to need to make changes to the  
23 subsequent licensee renewal GALL? And could you tell  
24 us about any of those?

25 MS. BRADY: Yes. Right now, we are just

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 beginning the process. We've collected a lot of  
2 ideas/opinions on changes that should be made to the  
3 GALL SLR and SRP SLR. We will be reviewing the  
4 proposed changes. At some point in the future, there  
5 will be an Interim Staff Guidance with these changes.  
6 And they'll likely incorporate -- that would be one  
7 that would be considered to be modified.

8 MEMBER BLEY: Okay. Thanks. Any idea  
9 when that timeframe will come to pass?

10 MR. ROGERS: That person is sitting behind  
11 you.

12 (Laughter.)

13 MEMBER BLEY: Maybe they would like to  
14 comment.

15 MR. OESTERLE: Thank you, Bill.

16 This is Eric Oesterle from the NRC staff.

17 So, thanks for the question, Dennis.

18 Back in March of this year, we did have  
19 our first SLR lessons learned meeting from reviews of  
20 the first three applications to date, and we did  
21 identify a number of technical issues which we thought  
22 were ripe for considerations and inclusion perhaps in  
23 an update to the SLR guidance documents, one of which  
24 happened to be an issue regarding irradiated  
25 structural steel.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So, we have compiled a list of those  
2 technical issues, and, in fact, we're having our  
3 second SLR lessons learned public meeting on December  
4 the 12th. So, we're continuing to engage with the  
5 applicants and with industry to address these  
6 technical issues that have come up.

7           MEMBER BLEY: Thanks a lot. We look  
8 forward to seeing that whenever it comes to pass.

9           VICE CHAIRMAN SUNSERI: Yes. This is kind  
10 of a crystal-ball question, but would you anticipate  
11 that those improvements would help reduce the number  
12 of RAIs coming through the process?

13          MR. OESTERLE: Yes.

14          VICE CHAIRMAN SUNSERI: Because people  
15 will know in advance what they should be providing?

16          MR. OESTERLE: Eric Oesterle from the  
17 staff.

18                 And, yes, that's one of the goals or one  
19 of the criteria for identifying some of these  
20 technical issues, if not as a new issues, but areas  
21 where clarification can be provided. One of the goals  
22 is to reduce the number of RAIs.

23                 And to address a question that you had,  
24 Member Dennis, we're looking, currently looking at  
25 whether or not we're going to do an update of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 entire document or whether or not we're going to group  
2 issues and put them out in three or four separate  
3 ISGs. But, tentatively, we're looking at the latter  
4 part of next year to start coming out with the drafts.

5 VICE CHAIRMAN SUNSERI: Okay. Any other  
6 questions?

7 (No response.)

8 So, while we're opening up the phone line  
9 for public comments, I'll turn it to the room and ask  
10 if there's any members of the public in the room that  
11 would like to make a statement or a comment. Now come  
12 to the microphone and state your name and your  
13 comment.

14 I can't see anyone.

15 MEMBER BLEY: No, nobody.

16 VICE CHAIRMAN SUNSERI: Okay. Thank you,  
17 Dennis.

18 And now, we'll go to the open public phone  
19 line for any comments. State your name and provide  
20 your comment, please.

21 (No response.)

22 All right. No comments. So, we'll close  
23 the phone line again.

24 And I just would like to extend our  
25 appreciation to the applicant and the staff for the

1 thoroughness of your review and a very good  
2 Subcommittee where we reviewed these in great detail.  
3 And now, it makes the full Committee meeting almost  
4 seem anticlimactic, which I guess is a good thing,  
5 right? So, we did all the hard work and this is the  
6 fruit of the labor here.

7 So, thank you all for your comments, and  
8 I'll turn it back to the Chairman now.

9 CHAIRMAN RICCARDELLA: Thanks.

10 We're supposed to take a break at 2:30.  
11 We have until 2:45 until the next meeting --

12 VICE CHAIRMAN SUNSERI: Yes. So, we have  
13 a letter that we could read in, you know, do the read-  
14 in on. I mean, we could fit it in the 30 minutes.

15 CHAIRMAN RICCARDELLA: Okay.

16 VICE CHAIRMAN SUNSERI: So, are you going  
17 to pull that up? Got it. All right.

18 Thank you. You are excused. Thank you.

19 We'll need you again at 2:45.

20 (Whereupon, the foregoing matter went off  
21 the record at 1:59 p.m. and went back on the record at  
22 2:45 p.m.)

23 CHAIRMAN RICCARDELLA: So, we'll reconvene  
24 the meeting.

25 And the subject is NuScale source term,

1 and the lead on this is Dave Petti.

2 MEMBER PETTI: So, we had the Subcommittee  
3 -- what? -- two weeks ago, the week in front of  
4 Thanksgiving, and discussed a lot of these issues in  
5 detail. There was only one area that came up sort of  
6 as a questionable one that I believe NuScale will talk  
7 about it in a high-level summary, and then, NRC will  
8 give a more complete, but a high-level overview,  
9 again, because most of us were in the Subcommittee  
10 meeting.

11 So, let's start with NuScale.

12 MR. MILTON: Sure. This is Mike Milton.  
13 I'm basically going to turn the slides and be here for  
14 moral support. Zack Rad, Director of Regulatory  
15 Affairs, is going to kick us off from Corvallis. And  
16 then, our team in Corvallis will lead the discussion.  
17 Okay?

18 Okay. So, I'll turn it over now to you,  
19 Corvallis. Is that correct? Please go.

20 CHAIRMAN RICCARDELLA: Corvallis, are you  
21 there?

22 MR. MILTON: I heard sound, too. It was  
23 very low.

24 Carrie, can you hear us in the room okay?  
25 Because we didn't hear anything coming from the phone

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 line at the moment.

2 MS. FOSAAEN: Yes. We just need one  
3 minute here in Corvallis, if that's all right.

4 CHAIRMAN RICCARDELLA: Okay.

5 MR. MILTON: Okay.

6 MR. RAD: Okay. Good afternoon. This is  
7 Zachary Rad, Director of Reg Affairs for NuScale  
8 Power. I just have a few opening remarks.

9 Like we discussed at the Subcommittee  
10 meeting, we only intend to provide supplemental  
11 information on a single topic during this meeting, and  
12 not repeat our comprehensive presentation. So, as we  
13 discussed in the Subcommittee meeting, one of the  
14 topics that came up late in the review of the Accident  
15 Source Term Topical Report was associated with  
16 postulated leakage from the hydrogen monitoring system  
17 coincident with a beyond design basis severe accident.  
18 We're going to provide information regarding elements  
19 on the topic that hadn't been fully addressed during  
20 the Subcommittee meeting to ensure that the record  
21 accurately reflects our position.

22 So, as I noted in the Subcommittee  
23 meeting, the reason this topic is here for discussion  
24 in this forum is because it's a specific item we were  
25 unable to reach alignment on with the staff during the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 review, and the decision has been made to move forward  
2 by --

3 (Interference on the public line.)

4 MEMBER REMPE: Excuse me for just a  
5 minute, Zack.

6 If you are on the public line,  
7 unfortunately, we can hear everything you're saying.  
8 So, could we please ask you to mute your phones and we  
9 can hear the applicant. Thank you.

10 MEMBER BLEY: Go ahead, Zack.

11 MR. RAD: All right. So, I'm just going  
12 to take a few minutes to address our position in  
13 summary. Jim Osborn, who's here with me as well, will  
14 provide some supporting details.

15 So, as I just noted, late in the review  
16 the staff raised some questions regarding the  
17 inclusion of some postulated leakage from the hydrogen  
18 monitoring system, in addition to a severe or  
19 concurrent with a severe beyond design basis accident.  
20 And that's specifically estimation of the contribution  
21 from operational leakage.

22 It's our position that NuScale has  
23 addressed this topic consistent with the applicable  
24 regulations and guidance, and specifically,  
25 NUREG-0737, and within that, the provisions addressing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 control room habitability requirements and integrity  
2 of systems outside containment likely to contain  
3 radioactive material.

4 It's important that the existent systems,  
5 such as the hydrogen monitoring system, and their  
6 potential to contain active source term, was  
7 considered at the time the guidance was developed and  
8 addressed within the guidance.

9 So, the guidance as well as the operating  
10 fleet, and all previous applicants, addressed the  
11 topic by including these systems in a program to  
12 reduce leakage as low as practical. And this is an  
13 operating program. So, I think that that's also  
14 important to note. It includes testing during  
15 refueling outages and a variety of other provisions.

16 NUREG-0737 also addresses systems with  
17 known leakage, such as ESF systems, by specifically  
18 addressing those, where applicable, and those are  
19 addressed within the provisions, specifically control  
20 room habitability requirements. It's probably also  
21 worth noting that NuScale doesn't have any such  
22 systems.

23 So, NuScale addressed the topic in the  
24 same manner at the same level of detail, or even a  
25 greater level of detail, than previous applicants.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 It's our position that there's no material difference  
2 in the NuScale design that makes existing guidance  
3 insufficient or diminishes the applicability of  
4 precedence. It's also important to note that, for  
5 NuScale, this is not a safety concern; it's not a  
6 design or a licensing basis issue for NuScale. It's  
7 just a matter of reasonable assurance; that is, that  
8 the guidance and precedent for design -- following  
9 guidance and precedence for a design with lower  
10 associated risk is sufficient for reasonable  
11 assurance.

12 So, with that, that's my summary. If  
13 there aren't any questions, I'm going to turn it over  
14 to Jim to address some supporting elements in more  
15 detail.

16 MR. MILTON: Yes, we can proceed.

17 MR. RAD: All right. Thanks.

18 MR. OSBORN: Good afternoon. This is Jim  
19 Osborn.

20 So, I want to preface the presentation and  
21 say that the purpose of the presentation is to convey  
22 the fact that NuScale has designed out a core melt  
23 scenario, and therefore, there is no design deficiency  
24 related to the hydrogen monitoring system. This was  
25 discussed in the earlier meeting a couple of weeks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 ago.

2 The first slide here talks about risk  
3 significance. So, the core damage frequency of the  
4 NuScale power module is very small. The sum of the  
5 internal events has a core damage frequency of on the  
6 order of  $3E$  to the minus 10 module critical years per  
7 year. This is a significant margin of about five  
8 orders of magnitude to the NRC's safety goal.

9 So, accidents in which hydrogen monitoring  
10 could be used, i.e., those that have an intake  
11 containment that results in core damage, are even a  
12 lower frequency, on the order of  $E$  to the minus 11.  
13 But, even with a significant increase in consequences,  
14 the overall risk still remains small, considering the  
15 frequency of these events is so small. You see the  
16 equation up there for risk.

17 And I will quote from the last bullet on  
18 the slide. It says, "In any licensing review or other  
19 regulatory decision, the staff should apply risk-  
20 informed principles when strict, prescriptive  
21 application of deterministic criteria is unnecessary  
22 to provide reasonable assurance of adequate protection  
23 of public health and safety." This quote is from the  
24 SRM for SECY-19-0036, which was entitled, "Application  
25 of the Single Failure Criteria to the NuScale's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 Inadvertent Actuation Block Valves".

2 But this directive should also be applied  
3 to other deterministic criteria like hydrogen  
4 monitoring system leakage. The core melt sequences in  
5 which hydrogen monitoring could even be utilized,  
6 i.e., there's an intact containment, can be considered  
7 negligible and, therefore, not risk-significant.  
8 Therefore, to provide reasonable assurance of adequate  
9 protection of the public health and safety, this  
10 incredible sequence would not need to be considered in  
11 a review using proper application of risk-informed  
12 principles.

13 Next slide, please.

14 The systems used for hydrogen monitoring  
15 are included in the leakage monitoring program. This  
16 program is one of the post-TMI action items that is  
17 intended to minimize the potential leakage from  
18 systems outside containment that may contain actual  
19 source term. NuScale is in compliance with this  
20 regulation. The implementation of this program  
21 ensures that these systems are essentially leak-tight  
22 and are available for use post-accident.

23 The seismic aspects of the next bullet  
24 will be addressed in a later slide. So, next slide,  
25 please.

1           But what if it's hypothesized  
2 deterministically that the hydrogen monitoring system  
3 does leak? There would be subsequent emergency  
4 response actions to isolate that leak. The  
5 particulars of this action would be the responsibility  
6 of the emergency response organization as an unplanned  
7 and unanticipated emergency action, for which there  
8 are no explicit dose acceptance criteria.

9           Recently, just two weeks ago, the NRC  
10 stated in the Brunswick SER for hardened vents that,  
11 "For plant personnel performing emergency response  
12 actions during a beyond design basis severe accident,  
13 there are no explicit dose acceptance criteria." The  
14 only purpose for the NuScale hydrogen monitoring  
15 system is for a beyond design basis severe accident.  
16 Therefore, the 5-rem limit of 10 CFR 50.34(f)(2)(vii)  
17 does not apply to the operator action of re-isolating  
18 the containment isolation valves used in hydrogen  
19 monitoring.

20           Next slide.

21           Based on the nuclear industry's low risk  
22 from severe accidents, which are even lower for the  
23 NuScale design, the NRC relaxed the regulatory  
24 requirements for hydrogen monitoring. As a severe  
25 accident monitoring system, it is not required to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 safety-related or Seismic Cat 1 because there is no  
2 design basis accident that involves the hydrogen  
3 monitoring system.

4 So, for the NRC staff to compare NuScale's  
5 non-safety-related, non-seismic, Cat 1 design of a  
6 hydrogen monitoring system to other designs that are  
7 safety-related or Seismic Cat 1, is not commensurate  
8 with a risk-informed review. It is not appropriate  
9 for the NRC to relax requirements based on the risk  
10 significance and, then, penalize a design by  
11 deterministically presuming it will leak because it is  
12 non-safety or not Seismic Cat 1.

13 This application of risk significance is  
14 evident in the guidance provided in Reg Guide 1.183  
15 related to offsite dose consequences for hydrogen  
16 purge operations for severe beyond design basis  
17 accidents. For the NRC to require NuScale to  
18 deterministically account for hydrogen monitoring  
19 system leakage runs counter to the application of its  
20 risk significance and does not reflect a risk-informed  
21 review.

22 Are there any questions?

23 MEMBER MARCH-LEUBA: Yes, this is Jose.  
24 Can you clarify something for me? The hydrogen  
25 monitoring system is non-safety grade and it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 connected to the containment evacuation system, is  
2 that correct?

3 MR. OSBORN: So, yes, the hydrogen  
4 monitoring system is made up of three different  
5 systems: the containment evacuation, the sample  
6 system, and the core flood and drain. They are  
7 connected to the containment through containment  
8 isolation --

9 PARTICIPANT: I'm on this call and I can't  
10 hear anything from the actual meeting.

11 MR. OSBORN: The containment isolation  
12 valves are safety-related.

13 MEMBER KIRCHNER: Can you wait a moment?  
14 We're having a problem.

15 PARTICIPANT: I can hear you talking now,  
16 but I can't hear the ACRS meeting apparently.

17 CHAIRMAN RICCARDELLA: No, this is the  
18 ACRS meeting room. I think what you're not hearing is  
19 the NuScale remote call-in. So, we're trying to  
20 address that right now.

21 PARTICIPANT: Oh, okay.

22 CHAIRMAN RICCARDELLA: Steve, can you hear  
23 me? Steve Schultz?

24 DR. SCHULTZ: Yes. Yes, Pete.

25 CHAIRMAN RICCARDELLA: But you couldn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 hear NuScale talking from Corvallis?

2 DR. SCHULTZ: That's correct. Whenever  
3 you go to the phone line, we can't hear. The same  
4 thing happened in the Peach Bottom meeting.

5 CHAIRMAN RICCARDELLA: Okay. We're trying  
6 to work on it.

7 Mike, are you there?

8 DR. CORRADINI: I am here.

9 CHAIRMAN RICCARDELLA: And you can hear  
10 Corvallis, too?

11 DR. CORRADINI: At this moment I can only  
12 hear you.

13 CHAIRMAN RICCARDELLA: Yes, because  
14 they're not talking right now.

15 (Laughter.)

16 But, when they were talking, you could  
17 hear?

18 DR. CORRADINI: Yes, I could, sir.

19 CHAIRMAN RICCARDELLA: Are you on the  
20 closed line or the public line?

21 DR. CORRADINI: The closed line.

22 CHAIRMAN RICCARDELLA: Okay. I think the  
23 other people who are having problems are on the public  
24 line, not the closed line.

25 MEMBER MARCH-LEUBA: Okay. So, let's try

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it again. Corvallis, this is Jose March-Leuba.

2 So, I was trying to confirm that the  
3 hydrogen monitoring system is connected to the CES,  
4 and you were describing the three systems that are  
5 interconnected.

6 MR. OSBORN: Yes, that's correct. Yes,  
7 that's correct.

8 So, to understand, the hydrogen monitoring  
9 system is portions of three systems. So, it's not in  
10 itself its own system. It's just a pathway utilizing  
11 three different systems.

12 MR. MILTON: Okay. Hang on a second, Jim.

13 So, it's a pathway utilizing three  
14 different systems, and the hydrogen monitoring system  
15 is actually a portion of three systems.

16 MEMBER MARCH-LEUBA: But all of those  
17 three systems are downstream of the containment  
18 isolation valves, which is the last safety-grade  
19 system that protects containment on a safety-grade  
20 basis, is that correct?

21 MR. OSBORN: I believe that's correct,  
22 yes.

23 MEMBER MARCH-LEUBA: All right.

24 MR. MILTON: We believe that's correct.

25 MEMBER MARCH-LEUBA: Yes. I realize that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the probabilities or the frequencies might be 10 to  
2 the minus 11, but giving the operator the temptation  
3 to open the isolation valves for the containment to  
4 measure the hydrogen because he's suspects that it's  
5 hydrogen, it's counterproductive. I mean, you should  
6 never under any circumstance open the isolation valves  
7 if you suspect that the containment is contaminated.

8 So, in my opinion, we have two options.  
9 We can just not have a hydrogen system or connect the  
10 hydrogen system that works. Because connecting the  
11 system to the CES and the third system, which I don't  
12 know what it is, which none of them are seismically-  
13 qualified, you are asking for trouble.

14 MR. OSBORN: So, I understand that they're  
15 not seismically-qualified, they're not Seismic Cat 1,  
16 they're not safety-related. That's because the NRC  
17 relaxed the regulatory requirements on this system  
18 based on its risk significance. So, NuScale did not  
19 do this on their own. They did this in response to  
20 the NRC regulations.

21 MEMBER MARCH-LEUBA: Okay. So, we will  
22 talk to the staff here in person.

23 Sorry, can you relay for the public?

24 MR. MILTON: Oh, sure. The answer is it's  
25 we understand that our system was designed because the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 NRC relaxed the requirements based on the risk  
2 significance. We understand your point, but we feel  
3 our design was justified, per the regulations.

4 MEMBER MARCH-LEUBA: Yes. In my  
5 opinion -- and I will take care of this with the staff  
6 -- the hydrogen system the way it's designed is  
7 producing more problems than it solves. Because if  
8 you ever need it, you are going to de-isolate the  
9 containment.

10 MEMBER PETTI: So, let's ask the question  
11 and the staff may know. Current PWRs, is the hydrogen  
12 monitoring system safety-grade or non-safety-grade?  
13 We can wait for the answer until staff speaks.

14 MS. FOSAAEN: Okay. I was going to say  
15 Reg Guide 1.7 provides the requirements for hydrogen  
16 monitoring systems, and our system followed Reg Guide  
17 1.7, and it does specify that it does not need to be  
18 safety-related.

19 MEMBER PETTI: Okay. Thank you for that  
20 information.

21 MR. MILTON: So, to repeat, our design,  
22 per Reg Guide 1.7, does not require the system to be  
23 safety-related, and we followed the design per the Reg  
24 Guide, to repeat that.

25 MEMBER MARCH-LEUBA: I'll follow up with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the staff when we can actually communicate.

2 MR. MILTON: I understand. Thanks.

3 MEMBER PETTI: Any more questions?

4 MEMBER REMPE: Okay. So, I have a  
5 question that stems from what was discussed at the  
6 Subcommittee meeting, that comes from the source term  
7 evaluation. And it was discussed in the open session.  
8 And I'd like to bring it up again to NuScale because  
9 I think we dismissed something I was trying to raise  
10 last meeting prematurely. Okay? So, I want to give  
11 them the opportunity to respond.

12 When you did your source term, you looked  
13 at small break LOCAs; you looked at rod ejection  
14 accidents. And as the release is coming from the  
15 vessel, you know, the depressurization occurs, I  
16 mentioned some concerns about some aerosols that might  
17 be going out into the containment that would interfere  
18 with that wonderful radar-based sensor for water level  
19 detection.

20 And NuScale came back and said, hey, we  
21 won't have degradation; we're only worried about  
22 design basis events here, and the iodine spike came  
23 from that.

24 But there is something called fuel  
25 fragmentation and dispersal that we've been talking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 about. And that occurs before you have core  
2 degradation. And so, I'd like to bring that up again,  
3 that there is the potential that there could be some  
4 aerosols released into the containment, and the ECCS  
5 is triggered when the water level gets to a certain  
6 height, and that could interfere with the triggering  
7 of the ECCS.

8 And so, I'd like to hear NuScale's  
9 response back again on that question.

10 MEMBER BROWN: Would the aerosols be any  
11 different than the normal foaming you get from the  
12 boiling in the upper area? Because that's the  
13 pressurizer. So, you've got a steam-water interface  
14 there that gives you the same issues relative to  
15 whatever detector you're worried about, which I'm  
16 aware of, as any injected or introduced aerosols would  
17 be due to something else. I mean, they've got to make  
18 the system work at this steam-water interface where  
19 all these bubbles -- and you've got to compensate for  
20 that. I mean, everybody that builds these things has  
21 to compensate for it, like 30 percent. It's not a  
22 half-a-percent error thing.

23 MEMBER REMPE: The staff has defined an  
24 ITAAC that talks about pressure conditions, radiation  
25 conditions, et cetera. There's nothing in there about

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 dispersed aerosols. And so, yes, it would be  
2 different than just a foamy thing. You could have  
3 depressurization occurring and they could be elevated.  
4 There's uncertainty on what those aerosols would be  
5 like, but it's something that the staff has raised for  
6 PWRs.

7 MEMBER BROWN: But if they're in the upper  
8 part, as opposed to part of the surface steam  
9 interface --

10 MEMBER REMPE: They don't have to be in  
11 there.

12 MEMBER BROWN: -- that would be a  
13 different issue --

14 MEMBER REMPE: Yes.

15 MEMBER BROWN: -- relative to the  
16 disturbing of the thing.

17 MEMBER REMPE: Absolutely.

18 MEMBER PETTI: Just to be clear, the fuel  
19 aerosols, this is pieces of fuel, right?

20 MEMBER REMPE: Right.

21 MEMBER PETTI: These would be fairly  
22 large.

23 MEMBER REMPE: No, not necessarily. If  
24 you looked at some of the pictures of fuel  
25 fragmentation and dispersant from the tests --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 MEMBER PETTI: When you call them  
2 "aerosol," it sounds like they're pieces of metal.

3 MEMBER REMPE: It's not pieces of metal.  
4 They're fine fragments.

5 MEMBER PETTI: Fines of -- fine micron?

6 MEMBER REMPE: I'd have to go back and  
7 look at some of the reports, but they looked pretty  
8 small. And they could be elevated just like the  
9 sediment, or whatever they talked about that they  
10 artificially --

11 MEMBER PETTI: They're really particulate  
12 dust?

13 MEMBER REMPE: It could be, yes,  
14 particulates that are elevated.

15 MEMBER PETTI: Not aerosol necessarily?

16 MEMBER REMPE: Yes. And so, again, it  
17 could be particulates.

18 So, anyway, I'm waiting for NuScale to  
19 respond back to the question again.

20 MR. MILTON: So, this is Mike. I have to  
21 repeat back the responses. So, just kind of break up  
22 a little bit and give me a moment to be able to relay  
23 the information because of the phone line issue going  
24 on.

25 Back to you guys, Jim, Carrie.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Has the connection been  
2 lost?

3 MEMBER BROWN: NuScale?

4 MR. OSBORN: Could you give us a second,  
5 please?

6 MEMBER BROWN: Oh, okay.

7 MR. MILTON: Yes, let me know. Let me  
8 know.

9 MR. OSBORN: All right. Just a moment.

10 (Pause.)

11 MEMBER REMPE: You know, they don't have  
12 to answer like right now because I'd like the staff to  
13 also weigh-in on it, and they could perhaps answer  
14 later, instead of just waiting here.

15 MR. MILTON: That's fine.

16 MEMBER REMPE: Is that okay with you?

17 CHAIRMAN RICCARDELLA: Hey, guys, can we  
18 have one meeting, please?

19 MEMBER KIRCHNER: So, Joy, for  
20 clarification, are you asking whether the particulate,  
21 whatever comes out of the core, is going to actually  
22 deposit upon the sensor and interfere with its  
23 performance, or it's dispersed in the atmosphere and  
24 it's going to impact the performance of the radar?

25 MEMBER REMPE: It's the latter. It's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 fact that radar -- and we can say it's a radar-based  
2 sensor. That's in the open now, but --

3 MEMBER KIRCHNER: Then, the issue isn't  
4 fuel aerosol particulate; it's how it performs in the  
5 fog and steam.

6 MEMBER REMPE: Right. Well, but fog with  
7 particulates.

8 MEMBER KIRCHNER: Okay, but you're looking  
9 for a hard interface and a water level, and it's not  
10 likely that -- I'm not going to answer the question  
11 for NuScale. But, based on my experience with radar  
12 systems, fog and steam is not going to impact its  
13 ability to find a hard object or an interface.

14 MEMBER REMPE: But this is not just fog  
15 and steam. It could be particulates. You've seen  
16 pictures of what happens --

17 MEMBER KIRCHNER: Yes, but it's still my  
18 understanding that --

19 MEMBER REMPE: -- with the fuel that way.  
20 It's oxidized cladding.

21 MEMBER KIRCHNER: Yes, but you're not  
22 going to have that much fuel dispersed.

23 MEMBER REMPE: We don't know that.

24 MEMBER BROWN: If you'll go look at some  
25 of the designs of radar-type detectors for this, they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 talk about a frothy steam-water interface --

2 MEMBER KIRCHNER: Right. Yes, that's more  
3 of an issue, but that's independent of having any  
4 particulate.

5 MEMBER BROWN: Put aside the particulate,  
6 okay?

7 MEMBER KIRCHNER: Yes.

8 MEMBER BROWN: That you have to have  
9 compensation for.

10 MEMBER KIRCHNER: Right.

11 MEMBER BROWN: And I think they're  
12 advertising a fairly decent accuracy for it, like 1  
13 percent or a half a percent or 2 percent. I don't  
14 remember the number. I read it at one time. So,  
15 Joy's concern about that, basically the steam-water  
16 interface, and then, the particulate thing comes in as  
17 a secondary relative to the --

18 MEMBER REMPE: But the staff has taken  
19 great pains to have ITAACs that identify the  
20 characteristics that have to be validated.

21 MEMBER BROWN: No, I understand that.

22 MR. OSBORN: So this is NuScale if you  
23 guys are ready.

24 Right. So we've taken a look. And we  
25 don't have this level of detail yet because it hasn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1       been defined yet in the EQ program, but the EQ program  
2       does require that we identify the specific environment  
3       in which the instruments are required to operate in.  
4       And there are a lot of variables here including  
5       whether or not it's a plausible scenario to have  
6       significant core melt at the time that the instrument  
7       would be required to operate and then evaluate whether  
8       or not the equipment would operate in that  
9       environment, if required.

10               So the program has to define those  
11       attributes and then determine whether or not the  
12       equipment is qualified to operate then. And that's  
13       where we are. So we don't have the answer to your  
14       specific question.

15               MEMBER REMPE: Let me be real clear. This  
16       is before you get core melt. This is something that  
17       -- that's how you deterred me a couple of weeks ago  
18       and I thought about it some more and it's like no,  
19       it's operations. Some of the cladding becomes  
20       oxidized and that's something that's been discussed in  
21       the LWRs and now we are trying to deal with what  
22       happens with a design basis accident and I'm not  
23       talking about core melt. And the staff has been very  
24       specific about what you've got to qualify that since  
25       before and I'm probing about maybe the staff did add

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 another piece to that. Okay?

2 MR. OSBORN: Right, so the fundamental  
3 tenants of my answer still apply, that the environment  
4 in which they're qualified to operate and has to be  
5 defined at that level of detail and it hasn't yet been  
6 done.

7 MEMBER REMPE: But the staff has radiation  
8 levels. They've got humidity levels. They've got a  
9 bunch of temperatures. They've got a bunch of  
10 requirements.

11 Yes, so I'll probe with the staff, but  
12 anyway, I appreciate us discussing it now. Thank you.

13 CHAIRMAN RICCARDELLA: Let me just do a  
14 check now.

15 Steve Schultz, are you hearing the full  
16 conversation now?

17 DR. SCHULTZ: Yes, we are. It seems as if  
18 it's fixed.

19 CHAIRMAN RICCARDELLA: Okay. Thank you.

20 MEMBER PETTI: Any other questions for  
21 NuScale? Okay. Thank you. Time goes fast. Thank  
22 you.

23 (Pause.)

24 MR. TESFAYE: Are you ready for us?

25 MEMBER PETTI: Yes, go ahead.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. TESFAYE: Thank you. Good afternoon,  
2 everyone. My name is Getachew Tesfaye. I am the NRC  
3 Project Manager for NuScale's topical report on  
4 accident source term and the TR as you know describes  
5 a general methodology for developing accident source  
6 terms and performance corresponding design base  
7 accidents and other required accident radiological  
8 consequence analysis to be referenced for NuScale's  
9 Small Modular Reactor and other applications are  
10 referenced in NuScale's SMR.

11 The NRC staff submitted an advanced  
12 topical report evaluation to this committee on October  
13 18 and presented its finding to the NuScale  
14 Subcommittee on November 20 of this year.

15 Today, we will present the high-level  
16 summary of the staff's findings with a focus on a  
17 couple of items we took from the subcommittee meeting.

18 Jason, here to my right, and I will be  
19 making presentation. The rest of the staff are  
20 sitting in the audience and will be ready to answer  
21 any question you have.

22 So topical report positions to NuScale and  
23 NuScale requested a profile of 15 specific positions  
24 listed in Section 1.2 of the report. And NRC staff  
25 has determined that subject to the conditions and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 limitations specified in Section 6 of the SER, the  
2 methods described in the topical report are acceptable  
3 for developing accident source terms and performing  
4 accident radiological consequence analysis to be  
5 referenced by the NuScale SMR design.

6 The staff approved positions 2 through 15  
7 requested in topical report. The staff did not make  
8 any finding of position 1 where NuScale categorizes a  
9 core melt accident as beyond design basis event. And  
10 the applicable NRC regulations do not require  
11 classification of source terms of design basis or  
12 beyond design basis to demonstrate compliance as a  
13 requirement.

14 Therefore, the staff has determined that  
15 the classification of a core melt accident as a beyond  
16 design event for the NuScale design is not material  
17 with staff's findings under this regulation.  
18 Therefore, the staff did not make a finding on  
19 position 1.

20 With that, I'll go to Jason to present one  
21 takeaway from the subcommittee meeting, that is the  
22 staff's independent analysis.

23 MR. SCHAPEROW: So one thing that the  
24 staff did as part of its evaluation of NuScale's  
25 topical report methodology was to perform an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 independent analysis. This was to evaluate NuScale's  
2 core damage event and their analysis of that and the  
3 off-site consequences resulting from that.

4 Our approach was to use MELCOR. We used  
5 MELCOR to simulate two scenarios, two core damage  
6 scenarios. One was a CVCS line break inside  
7 containment and the other was a failed open reactor  
8 vent valve. In both of these scenarios, we assumed  
9 that the ECCS failed to function properly.

10 So we used MELCOR. We calculated the  
11 fission prior release into the environment for the two  
12 scenarios and we took each of the two MELCOR results  
13 and we put them into RADTRAD to turn them into a dose.  
14 We predicted EAB, LPZ, and controlling doses and we  
15 used this independent evaluation to compare against  
16 what the applicant had come up with. And the doses  
17 were comparable and also they were below the  
18 regulatory dose criteria.

19 So this is -- again, this is one thing  
20 that we did as part of our evaluation.

21 Next slide, please?

22 So the documentation is a little bit  
23 complicated and in case the committee would like to go  
24 into a little more detail on this. So the MELCOR  
25 calculations themselves that the staff did are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 documented in the report from April of this year.  
2 It's listed at the top of slide 7.

3 We actually did calculations for three  
4 scenarios in this report. The third scenario was a  
5 bypass accident which wasn't used for the topical  
6 report review. The reason we did these three  
7 scenarios was to help the staff understand the  
8 behavior of the NuScale reactor under severe accident  
9 conditions and we also did a number of comparisons  
10 against NuScale results for severe accident  
11 simulations.

12 The second report listed here is -- we  
13 took the MELCOR output from the two scenarios that  
14 were in containment, had in containment releases, not  
15 to bypass accident, and again, we turned those into  
16 doses using standard -- using our RADTRAD model. So  
17 the second report documents in further detail the  
18 MELCOR results, MELCOR releases to the environment,  
19 release two scenarios, and it also explains how the  
20 releases were used in RADTRAD to calculate doses.

21 MEMBER PETTI: Just to be clear, you only  
22 took two of them for the dose stage.

23 MR. SCHAPEROW: That's correct. The third  
24 one was a bypass accident. We didn't take that  
25 through the dose stage.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           MEMBER REMPE: So during our subcommittee  
2 meeting, there was some confusion, but I was looking  
3 at the correct report and although ACRS had looked at  
4 it previously, but looked for a different reason to  
5 support the PRA. And if I look at that report from  
6 MELCOR, there are a lot of postulated reasons on why  
7 there were differences in the result, whether it was  
8 nodalization, where you assume the break was.

9           Do you have any -- now that you've had  
10 since I think it was April when it was issued and you  
11 had more time to think about it, do you have any  
12 strong feelings on why there was so many differences?  
13 Because I think the actual doses were a factor of 2 to  
14 3 off. They were low, like by this earlier latter  
15 stage that you probably applied, but there were some  
16 significant differences in the report.

17           MR. SCHAPEROW: Yes, so I've thought about  
18 -- so there's no -- because it's an integrated  
19 calculation, there's not really -- it's very  
20 difficult, it's very, very difficult to tease out  
21 exactly what factors are dominating, driving the  
22 differences.

23           There's a couple, in my mind, there's a  
24 couple of obvious differences. If we could explore  
25 just a little bit. One was the assumption of five

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 percent of the iodine was vapor that NuScale had made.  
2 Another one dealt with a containment leak rate and the  
3 NRC was calculating higher leak rates. So this is  
4 some of -- maybe the bigger differences. There were  
5 some differences between the NuScale calculations and  
6 the staff calculations.

7 MEMBER REMPE: And even the code was  
8 different is what I had heard in the past, that you  
9 had different versions of MELCOR --

10 MR. SCHAPEROW: Yes --

11 MEMBER REMPE: -- being made.

12 MR. SCHAPEROW: So our comparison of our  
13 MELCOR severe accident simulation against NuScale  
14 severe accident simulation in the first document you  
15 see on the slide, there were some differences, but  
16 standing back the staff -- we don't feel the  
17 differences were significant enough to affect these  
18 kinds of calculations.

19 MEMBER PETTI: But in terms of the leak  
20 rate, as I recall, NuScale just assumed a leak rate.  
21 They didn't let the pressure determine the leak rate.  
22 You guys used the actual pressure of the --

23 MR. SCHAPEROW: So NuScale had a technical  
24 specification leak rate that they used in their  
25 analysis. We did -- I think it was done classically

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 for many, many years which is to take the tech spec  
2 leak rate and convert that into a hole size, a very,  
3 very small hole, but convert that into a hole size and  
4 then use that for the MELCOR simulation.

5 MEMBER PETTI: If the pressure goes  
6 higher, then you get greater leak.

7 MR. SCHAPEROW: That's correct. And also,  
8 if the materials -- if the gases in the containment  
9 are different, you're going to get a different leak.

10 So NuScale's tech spec leak rate was based  
11 on pressurizing the containment to err at a thousand  
12 pounds. So we did that with MELCOR. We pressurized  
13 NuScale's containment to a thousand pounds and we set  
14 the hole size so that we got the 2 percent per day  
15 leak rate, I'm sorry, .2 percent per day leak rate.  
16 And then -- but that was it. We set the leak rate and  
17 then we ran our MELCOR severe accident simulations.  
18 And we ended up getting time variant leak rates,  
19 exactly.

20 Actually, at one point the leak rate went  
21 the other way, actually started going into the NuScale  
22 containment because in a NuScale accident before you  
23 start the heat up and generate hydrogen, you've got a  
24 vacuum in there. So you actually -- actually, at one  
25 point you draw a vacuum just before you get to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 core damage stages.

2 MEMBER PETTI: For the benefit of the  
3 other members, it was not presented at the  
4 subcommittee, but in the report, NuScale compared  
5 STARNAUA the aerosol code they used in the containment  
6 against MAEROS which is the subroutine inside MELCOR.  
7 And they were on top of each other. So I think the  
8 aerosol physics is the same in the two codes and it  
9 has something to do with bounding conditions and  
10 initial conditions in terms of the differences.

11 MR. SCHAPEROW: In my mind, two of the big  
12 differences again was in one case NuScale had -- I  
13 would characterize that as a conservative approach for  
14 the amount of iodine vapor that's going to be sitting  
15 in containment hour after hour after hour. But on the  
16 other hand, we also were calculating a time dependent  
17 leak rate which in some cases went above the .2  
18 percent per day per leak rate that NuScale had  
19 assumed.

20 So again, the calculations were different.  
21 We did an independent calculation and to the best of  
22 our ability to predict what would be leaving the  
23 containment and we said fed that into RADTRAD.

24 MEMBER REMPE: I have one question that  
25 I'd love to ask you just now and get it over with and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 not close the meeting, but there's been a sentence in  
2 this report that I tried to ask at the subcommittee  
3 meeting, but we were in an open and I was told it was  
4 the wrong version.

5 I would like to close it because it  
6 doesn't make sense and it may be a typo. But I am  
7 curious on what the sentence is and I'm afraid to say  
8 it aloud in the open session, so let's -- if we can  
9 have a brief closed session, if you don't mind.

10 MEMBER PETTI: If it's only on the staff's  
11 confirmatory, that can't be in the open session?

12 MEMBER REMPE: Well, there's some numbers  
13 in it. I sure would love to, but I'm afraid I'll get  
14 in trouble, so I don't know what to do.

15 MR. SCHAPEROW: Are you referring to the  
16 second report here?

17 MEMBER REMPE: No, the very first report,  
18 there were some hours that are cited and I don't know,  
19 the document is marked proprietary, so I don't know.  
20 I have been curious about it for the last month or so  
21 and I'd like to have my curiosity satisfied.

22 MR. SCHAPEROW: There is a public version  
23 of the first document. I don't know if you --

24 MEMBER REMPE: I did not have that. I was  
25 only given the proprietary one. I could try and read

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 it without the numbers, but I don't think it will make  
2 much sense to you, so if you don't mind, just close  
3 and ask you the question. Thank you. Go ahead.

4 MR. TESFAYE: Any additional questions to  
5 Jason?

6 MEMBER BLEY: Joy, were you saving your  
7 question about --

8 MEMBER REMPE: I think I have to until we  
9 close the --

10 MEMBER BLEY: No, I mean the hydrogen one  
11 you were asking --

12 MEMBER REMPE: Oh, you mean about the  
13 aerosols and the seal crack mutation one?

14 MEMBER BLEY: Yes, and I was a little  
15 surprised NuScale said what they did. It sounds like  
16 they're saying you have to give the environmental  
17 conditions under which it has to work, but it would  
18 seem to me they should have set that up and should  
19 have addressed the issue you raised about particulates  
20 out there.

21 In any case, you heard the discussion. Is  
22 there anything you guys can say about that issue?  
23 Either the issue itself or whether that might --  
24 somehow you're setting the environmental conditions  
25 under which the detector has to work.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1                   MEMBER REMPE: There's a later slide that  
2 I was going to ask that part on and I don't know if  
3 Jason is the right person or not.

4                   MR. SCHAPEROW: I have not been involved  
5 at all.

6                   MEMBER REMPE: Slide 8 is a good place to  
7 ask it.

8                   MR. TESFAYE: So I'm going to go over some  
9 of the high level conclusions we made in terms of all  
10 of the chapters that were impacted by the accident  
11 source term in the topical report.

12                   One of the things the environmental  
13 qualifications the staff finds acceptable to use  
14 iodine spike source term methodology and the  
15 environment has qualification dose methodology  
16 described in Appendix B of the topical report for  
17 calculating one of that qualification, the doses  
18 inside containment and under the bioshield.

19                   We also give a detailed discussion of the  
20 equipment survivability when core damage was not  
21 assessed for EQ. Certain equipment associated with  
22 the containment integrity and combustible gas  
23 monitoring is designed to function to withstand core  
24 damage events. Qualitative assessment testing and all  
25 additional analysis may need to be performed to ensure

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 equipment survivability. And this evaluation is  
2 performed in Chapter 19 of the SER.

3 MEMBER REMPE: So here's where I was going  
4 to ask, the discussion about my concerns about fuel  
5 fragmentation and dispersal. I know this was not the  
6 primary focus, the radar base sensor wasn't the  
7 primary focus of this chapter. But do you have any  
8 thoughts about maybe that somebody needs to add  
9 something to that list of environmental conditions for  
10 this --

11 MR. TESFAYE: I don't know if we have the  
12 right people here in the audience.

13 MEMBER REMPE: I kind of expected what  
14 happened.

15 MS. GRADY: This is Anne-Marie Grady with  
16 NRR. And aerosols and fuel fragments are not  
17 specified under the conditions of equipment  
18 survivability neither in SECY 90-016 or 93-087.  
19 NuScale didn't provide that information and we didn't  
20 ask a question about it.

21 MEMBER REMPE: So again, you understand my  
22 concern and I'm sure that the guidance didn't think  
23 about this because it's a different design. The  
24 guidance wasn't written for it. So I just think it's  
25 another -- we've raised issues about this since or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 before in our letters and it's another thing that came  
2 to light during this discussion.

3 MR. TESHAYE: Thank you. The other  
4 related topic that we discussed in the subcommittee  
5 was the post-accident sampling exemption request and  
6 it's related to the topical report.

7 The regulation requires that applicants  
8 provide the capability to promptly obtain normalized  
9 post-accident samples from the reactor coolant system  
10 and containment atmosphere.

11 Since equivalent information to that  
12 provided by the sampling is provided by other means  
13 such as radiation monitors, under the bioshield, core  
14 exit thermal couplers, and hydrogen and oxy monitors.

15 The staff determined that a post-accident  
16 sampling need not be required. Therefore, the staff  
17 approved the exemption request for post-accident  
18 sampling for the NuScale design.

19 MEMBER MARCH-LEUBA: Wait, let's clarify.

20 MR. TESHAYE: Okay.

21 MEMBER MARCH-LEUBA: First, why do you say  
22 need not be required? Do you mean it's not required?

23 MR. TESHAYE: Yes, that's probably it.  
24 It's not required. We have other means to gather the  
25 same information as we could get from that --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER MARCH-LEUBA: Did NuScale ask for  
2 an exception not to have a hydrogen system?

3 MR. TESHAYE: No, they did not. In fact,  
4 they used the hydrogen monitoring to justify this  
5 exemption request.

6 MEMBER MARCH-LEUBA: This goes back to  
7 what I was trying to explain before. If you connect  
8 your hydrogen monitoring system downstream from the  
9 safety isolation valves of the CES, in order to  
10 operate the hydrogen system, you need to open up the  
11 containment.

12 MR. TESHAYE: Yes.

13 MEMBER MARCH-LEUBA: To a whole bunch of  
14 non-safety related components. If the equipment -- I  
15 mean in operating plans you have a hydrogen monitoring  
16 system which is non-safety related, but is connected  
17 to the safety-related containment. I mean what the  
18 design levels as defined is equivalent to opening of  
19 the containment to the turbine building and then  
20 measuring the hydrogen inside the building which would  
21 be completely crazy.

22 By connecting the hydrogen monitoring  
23 system to a CES and whatever the second component is,  
24 you are telling the operator, if you suspect there is  
25 a severe accident, the isolated containment and send

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 all that contamination to these three non-safety  
2 related systems.

3 If we don't think a hydrogen monitoring  
4 system is needed, they should not have one. The  
5 operator should not be tempted to open the  
6 containment.

7 MR. TESHAYE: Okay. I'll defer that to my  
8 colleague, Anne-Marie.

9 MS. GRADY: This is Anne-Marie Grady again  
10 from NRR.

11 The means of hydrogen and oxygen post-  
12 accident monitoring is established by a closed loop.  
13 Containment atmospheric sample is taken by opening the  
14 CIV in the containment evacuation system, sending it  
15 past the two-line monitor for both hydrogen and oxygen  
16 back through the containment flooding and drain system  
17 back to the containment. So unless it leaks, it's not  
18 released to any other environment. It's a closed  
19 loop.

20 Severe accident mitigation is the reason  
21 why we needed to have hydrogen and oxygen monitoring  
22 and for severe accident mitigation, none of this has  
23 to be safety related.

24 MEMBER MARCH-LEUBA: The hydrogen loop,  
25 hydrogen monitoring loop doesn't need to be safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 related.

2 MS. GRADY: Does not.

3 MEMBER MARCH-LEUBA: But you're connecting  
4 it to the containment operation system which is a two-  
5 inch -- or four-inch pipe with a valve, with a pump  
6 that goes all the way outside to the support building  
7 and comes back and all of it is non-safety qualified.

8 I think that by opening the isolation  
9 valves to the containment into that CES system, you  
10 are creating more problems than you're solving.

11 MS. GRADY: So you're concerned that  
12 they're leaving the system by some other means.

13 MEMBER MARCH-LEUBA: The only reason you  
14 can have a severe accident if you have a really bad  
15 day.

16 MS. GRADY: Yes, sir.

17 MEMBER MARCH-LEUBA: And most of these are  
18 seismic and that CES is going to be broken. I mean  
19 you're worried about leaking from the high-level  
20 leakage just a one-eighth inch line which is probably  
21 -- and you have this four-inch line with a big pump  
22 with seals. You are venting -- the containment  
23 bounding becomes the CES bounding.

24 MS. GRADY: Because it's not safety  
25 related, required to be safety related and in fact, it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 was not safety related. We don't have to postulate a  
2 further accident.

3 MEMBER MARCH-LEUBA: In operating the  
4 reactor the rule was written for, you connect the  
5 high-level system to a safety-related containment, so  
6 you're only ever creating hydrogen through your  
7 hydrogen monitoring system.

8 In the design proposal of NuScale, you are  
9 -- the isolated containment surrounding the CES which  
10 is a lot of a system with pumps, seals, vents and  
11 you're flooding that with all of the contamination  
12 from the containment in order to sample hydrogen.  
13 You're making the problem worse. I really don't know.

14 MS. GRADY: I don't follow that scenario  
15 as to how it makes --

16 MEMBER MARCH-LEUBA: CES has a valve, has  
17 a vacuum pump.

18 MS. GRADY: Right.

19 MEMBER MARCH-LEUBA: And seals with  
20 components when it reaches, safety goes up.

21 MS. GRADY: The CES --

22 MEMBER MARCH-LEUBA: You are dumping all  
23 the containment environment, the containment  
24 atmosphere with all those aerosols and iodine, you're  
25 putting it on your vacuum pump which is up there on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the operating floor in order to measure hydrogen.

2 MS. GRADY: When we un-isolate the CES  
3 portion of that closed loop, the CES system isn't  
4 operating.

5 MEMBER MARCH-LEUBA: But it's open.

6 MS. GRADY: Once we open the containment  
7 isolation valve it is, yes.

8 MEMBER MARCH-LEUBA: Yes, so you're  
9 dumping all of the containment environment --

10 MS. GRADY: It's flowing through a closed  
11 loop flow path.

12 MEMBER MARCH-LEUBA: No, into all of it,  
13 it's in vacuum. It will fill it up with iodine and  
14 astringent.

15 MS. GRADY: The containment atmosphere  
16 will be in that closed loop, I agree.

17 MEMBER MARCH-LEUBA: Not the closed loop,  
18 the CES.

19 MS. GRADY: I don't think the CES system  
20 is open to any --

21 MEMBER MARCH-LEUBA: You just opened it.

22 MS. GRADY: -- any open path from the CES  
23 portion of the line we're using. I don't believe it  
24 is. I'll double check on that.

25 MS. BRADFORD: This is Anna Bradford from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 the staff. Is this a question that really should be  
2 directed to NuScale and the design in terms of why  
3 it's designed this way?

4 MEMBER MARCH-LEUBA: I think if we have  
5 reached the conclusion that the hydrogen system is not  
6 needed --

7 MS. BRADFORD: We have not reached that,  
8 no.

9 MR. STUTZCAGE: This is Ed Stutzcage.  
10 I'll try to clarify it for the NRC.

11 So the exemption that NuScale has is an  
12 exemption from physically taking grab samples, taking  
13 them to a lab to analyze it. And as part of their  
14 exemption to not need to take grab samples, they  
15 credited the hydrogen and oxygen monitors, so the  
16 monitors, you know --

17 MEMBER MARCH-LEUBA: It's a different  
18 exemption.

19 MR. STUTZCAGE: It's a different  
20 exemption. The exemption is just physically grabbing  
21 the material and analyzing it in a lab. They still  
22 have the requirement to monitor, have the monitor --  
23 had it monitored.

24 MEMBER MARCH-LEUBA: But do you understand  
25 what I'm saying that in order to operate the hydrogen

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 sampling system, you need to open up the containment  
2 isolation valve and then the containment radiation  
3 aggregate into a CES system which is a vacuum pump,  
4 it's a HEPA filter. It's a tower. You're putting all  
5 the junk, the containment, in the containment, you're  
6 sampling and you're putting it on the floor of your --  
7 that is not reasonable.

8 MR. STUTZCAGE: Right, and NuScale hasn't  
9 requested an exemption from the 5044 hydrogen and  
10 oxygen monitoring requirement and that's where our  
11 concerns in radiologic rates protection comes from  
12 where you're doing this, you're operating the system  
13 and they haven't demonstrated an ability to re-isolate  
14 the system and they haven't analyzed leakage --

15 MEMBER MARCH-LEUBA: They can re-isolate  
16 the isolation valves to take a sample, but all the  
17 iodine and the strontium and it's already in the pump  
18 and the HEPA filter.

19 MR. STUTZCAGE: Right. To us, they never  
20 provided us any assurance that they could re-isolate  
21 the system.

22 MEMBER MARCH-LEUBA: You have the valves in  
23 there.

24 MR. STUTZCAGE: Go ahead, Ron.

25 MR. LAVERA: So the way the system works

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 is that they can open some of the valves from the  
2 control room. They may have to go out to the skids  
3 which are located in the 100-foot, 126-foot elevation  
4 and manually open some of the other valves.

5 When they go to isolate the system, it's  
6 the same thing. They can isolate some of them from  
7 the control room, one pair of them, but not the other  
8 pair. So they have to physically go out to the skids  
9 and push the buttons.

10 Where the staff has some concern is that  
11 the amount of leakage that you use to get from the  
12 system to cause a problem for people trying to access  
13 those valves is not the pipes falling off. The  
14 analysis that the staff did was using .3 CFM -- I  
15 think it was -- I'm going off of memory here so it's  
16 close to 30 rem to the control room operator. So it  
17 was a significant dose.

18 So that led us to believe that there would  
19 be issues for personnel trying to access this area  
20 even under the exposure -- elevated exposure  
21 authorization.

22 MEMBER MARCH-LEUBA: My claim is whatever  
23 leak rate you assume from operating this closed loop  
24 hydrogen monitoring system, multiply times a hundred  
25 because all of the leakage from the CES system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. LAVERA: We were counting on the  
2 activity in containment from the core damage event  
3 going out into all these three systems and the total  
4 leakage from all these three systems being .3 CFM. So  
5 that's how we did our analysis of the --

6 MEMBER MARCH-LEUBA: -- so we're assuming  
7 this is a normal system --

8 MR. LAVERA: We were looking at that.

9 MEMBER MARCH-LEUBA: -- is still intact.

10 MR. LAVERA: So now the -- yes, and we  
11 agree with you that there's going to be seals and  
12 stuff, valves, interfacing valves that are going to  
13 leak, so we understand this. So we don't agree with  
14 the characterization that you would have to have a  
15 pipe break causing those problems.

16 We believe that if you do have a leak from  
17 the system that you may not even be able to isolate  
18 the system under the plan's special exposure provision  
19 to Part 20, never mind the 5 rem limits of Part 20.  
20 We believe that if you do have a leak from the system  
21 from leakage rates on the order of .3 CFM that you do  
22 present a challenge to the public health and safety.  
23 And this also impacts the LPZ zone is what we call it.  
24 And then it also impacts the control room operator  
25 dose.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1           So in part of our review that started on  
2 this question back on March of 2018, we were asking  
3 NuScale to tell us, hey, what is the maximum and  
4 allowable leakage rate that you could tolerate from  
5 this system and not challenge the dose to the control  
6 room and the offsite? Can you isolate the system by  
7 doing this manual actuation? Can you safely send  
8 somebody in to the area? What's the maximum dose that  
9 you can get from that?

10           We have not been able to get an allowable  
11 leakage value from NuScale. They don't have the  
12 ability to isolate this from the control room without  
13 sending somebody out to the field. So this is the  
14 reason the staff has concerns about this.

15           MEMBER MARCH-LEUBA: We were also told  
16 that to open those valves, the containment has to be  
17 below 200 psi in order to bypass.

18           MR. LAVERA: And they have to go out to  
19 the skid to do it. Now you wouldn't have a vacuum.  
20 After a couple of days, you will not have a vacuum in  
21 containment. You will be at 60 pounds, I think, just  
22 from the normal stuff going on. And over the course  
23 of the accident, it can go up to 160 pounds.

24           MEMBER MARCH-LEUBA: And all those 160  
25 pounds of dirt are going to move into the CES system

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 the moment you open those valves.

2 MR. LAVERA: So my understanding is and  
3 Anne-Marie, you're welcome to correct me if I  
4 misspeak. The people responsible for containment  
5 integrity in the hydrogen monitoring have determined  
6 that hydrogen monitoring is required.

7 NuScale has put in for an exemption  
8 request from that. So from a radiation protection  
9 perspective which leads us how do you know a valve  
10 leak will result in having this activity in this  
11 system. That's weighted against leakage criteria that  
12 represent a potential challenge to the control room  
13 operator and members of the public and anybody that  
14 would have to go in there and manually shut the  
15 system. So if it's the only way you have to go in  
16 there and shut the system, if you do determine that  
17 you have enough leakage that's causing problems to the  
18 control room or offsite dose, send somebody out there  
19 to push a button.

20 MEMBER MARCH-LEUBA: I made my point. The  
21 last time I will interrupt. Either the hydrogen  
22 system is required or it is not, but if it is  
23 required, how we need from a non-safety grade large  
24 system full of valves, seals, pumps, HEPA filters,  
25 connected to the exhaust power, all non-safety grade.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 And that's my opinion.

2 Is it required, is it not required? If it  
3 is required, collect it like the operating plants do  
4 to the containment.

5 MS. GRADY: Dr. March-Leuba, it is  
6 required. It is part of NuScale's design and we've  
7 accepted it.

8 MEMBER MARCH-LEUBA: But the argument I'm  
9 making is if it is required, the design is defective.

10 MS. GRADY: The guidance --

11 MEMBER MARCH-LEUBA: They're making the --

12 CHAIRMAN RICCARDELLA: Excuse me just a  
13 second. Everyone needs to speak up louder because  
14 Corvallis can't hear what we're saying. Okay? Get  
15 closer to the mic and speak up.

16 MEMBER MARCH-LEUBA: Okay, this is  
17 equivalent to an operating plant, so it wants to  
18 sample the high-level in containment and you still are  
19 sampling the containment, they put the sample in the  
20 turbine building. And to sample the hydrogen, they  
21 open up the valves so the containment was in the  
22 turbine building and then they measure the hydrogen in  
23 the turbine building. I mean you would consider that  
24 ludicrous, right?

25 MS. GRADY: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   MEMBER MARCH-LEUBA:    But this is what  
2 we're doing here. We are opening up to the CES system  
3 which is a non-safety grade, vacuum pumps, HEPA  
4 filters, connected to the tower, which may or may not  
5 have isolated and you dump all your dirt into there  
6 and then you sample the CES. It's the same thing as  
7 dumping it in the turbine building. It's crazy.

8                   MEMBER DIMITRIJEVIC: Well, Jose, we can  
9 address this also as a part of PRA because it's a  
10 matter of containment isolation during the accident,  
11 and if this actually means guaranteed containment  
12 bypass. With some accidents, that shouldn't be the  
13 case. So we should really -- I mean I made the note  
14 for myself to look into this because it seems like you  
15 will have an accident and you're going to bypass  
16 containment which is against the plan and the  
17 additional containment probability failure is less  
18 than one because it definitely in seismic cases is  
19 going to be point something. So the thing is that we  
20 have to look what does that mean from the containment  
21 condition of failure probability the safety plan.

22                   MEMBER REMPE:    So Jose, you keep bringing  
23 this up to the staff and what can they do? If  
24 somebody comes in to a design, what regulatory hook  
25 could they use?



1                   MEMBER MARCH-LEUBA: They can tell them  
2 that this is not good enough.

3                   MEMBER REMPE: What regulation are they  
4 breaking is where I'm kind of going? I know you tried  
5 to get the NuScale folks to do something about it and  
6 they didn't want to, so what do you do with the  
7 regulator?

8                   MEMBER MARCH-LEUBA: The thing is the  
9 operator is more than 5 rem, you push a button, so  
10 therefore this design doesn't work. That's what I'm  
11 getting at.

12                   MS. BRADFORD: This is Anna Bradford from  
13 the NRC. I think what you're saying is you think it's  
14 not a good idea for those systems to all be connected.  
15 That's what I'm hearing you say, right?

16                   NuScale came in with this design. We  
17 evaluate it. They were able to meet our regulations  
18 except for where they requested exemptions and it was  
19 fine. Like you said, it's not our job to say you  
20 know, we don't think this is the best design. It  
21 would be better if we designed it this way and I don't  
22 know if that's even true, but that's really not our  
23 responsibility.

24                   MEMBER REMPE: It's why they've got this  
25 carve out which may be difficult to meet, but they've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 got a carve out. I mean I get what you're saying.  
2 It's kind of like I don't what I'd do if I was in  
3 staff's position.

4 MEMBER MARCH-LEUBA: What I would do is  
5 have them give me a probability of failure of the CES  
6 system in a severe accident event. The CES system --

7 MEMBER DIMITRIJEVIC: I mean they will not  
8 meet safety goal if this is an inability to fail for  
9 an accident, definitely. So that's why they would  
10 call that.

11 MEMBER BLEY: Well, it's also not so much  
12 what can the staff do about it. We advise the  
13 Commission. If we really think this is a problem and  
14 the regulations don't cover it, then it's up to us to  
15 raise it to the Commission and say for this new kind  
16 of design it ought to be there. I'm not saying I'm of  
17 that opinion, but that is a way for us to proceed.

18 MEMBER KIRCHNER: Can I recap where we  
19 might be? And that is the applicant has asked for an  
20 exemption from post-accident sampling. Is your  
21 granting that because they can provide equivalent  
22 information by sampling by other means? So one is  
23 radiation monitored under the bioshield. That will  
24 tell you something. Core exit thermocouples. And  
25 then hydrogen and oxygen monitors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   Now specifically then this system would be  
2 necessary --

3                   MR. TESFAYE: Absolutely --

4                   MEMBER KIRCHNER: -- to support your  
5 exemption.

6                   MR. TESFAYE: Absolutely.

7                   MEMBER KIRCHNER: And then the issue is  
8 what dose would be at risk for the operators to  
9 operate the system and then to isolate it?

10                  MR. TESFAYE: Yes, to open the  
11 containment, I think we have evaluated that.

12                  MEMBER KIRCHNER: Notwithstanding the .3  
13 CFM leak rate and the containment evacuation system,  
14 what's the dose just in the pipe from the piping when  
15 it's filled with all of the containment atmosphere?  
16 Do you have a ballpark number for that?

17                  MR. STUTZCAGE: I don't think we have  
18 that. We only reviewed the dose to un-isolate the  
19 system and --

20                  MEMBER KIRCHNER: Yes, I think that's what  
21 was presented by Anne-Marie and the staff. You  
22 proposed a leak rate and then there's a dose  
23 associated with that. If the system doesn't leak,  
24 what is the dose? There will be dose.

25                  MR. LAVERA: There will be dose, so it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 won't be -- first of all, NuScale's proposal is if the  
2 system doesn't leak you don't change anything, you  
3 just let it go, and we're okay with that. There's no  
4 need to go out there and re-isolate the system.

5           If you have a leak, it's most likely that  
6 the airborne cloud around the area is going to be the  
7 major dose driver. We didn't do that because NuScale  
8 didn't specify a maximum allowable leakage rate, so we  
9 didn't do the dose calculation for that specific area  
10 and there's other issues that were keeping us from  
11 trying to do that calculation.

12           We were able to do the calculation for the  
13 control room dose and the LPZ and those calculations  
14 led us to believe that it could be a significant  
15 problem for public health and safety.

16           MEMBER KIRCHNER: Well, I think Jose has  
17 eloquently stated the design concerns that we have,  
18 that you open up -- you bypass containment, open up a  
19 large, I believe that line is four inches to  
20 penetration. And that is a concern from the design  
21 standpoint. Although we're not here to re-design the  
22 system. We stated that in our subcommittee meeting.

23           MEMBER BLEY: We must have written a  
24 letter on the SER with open items on Chapter 9. Did  
25 we raise this back then? Is it in our letter?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MEMBER MARCH-LEUBA: Probably not.

2 MEMBER KIRCHNER: I don't know that that  
3 detail was available then. It may have been and we  
4 just didn't cover it.

5 DR. CORRADINI: Can I ask a question? I  
6 want to make sure that the two line requirements are  
7 both short-term monitoring and long-term monitoring or  
8 just short term?

9 MS. GRADY: Continuous, long-term.

10 DR. CORRADINI: And so long term is  
11 defined within 30 days. So short term is of no  
12 consequence to the staff. It's the long-term  
13 monitoring that's --

14 MS. GRADY: For this particular change,  
15 Dr. Corradini, the hydrogen and oxygen monitoring has  
16 to be established by 72 hours. Before then, the  
17 containment integrity is not challenged, even if there  
18 is combustion in the containment.

19 Long term, we looked at and NuScale looked  
20 at up to 60 days and there's a potential challenge  
21 again due to the fact that there's radiolysis around  
22 45 to 54 days, but that's long term.

23 DR. CORRADINI: Okay, just so -- let me  
24 repeat. I want to make sure I'm clear about the  
25 regulatory requirement. The regulatory requirement is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 they must establish hydrogen monitoring before 72  
2 hours.

3 MS. GRADY: They must establish it and  
4 they have shown us that they don't need to do it  
5 before 72. Seventy-two is not in the regulation.

6 DR. CORRADINI: Okay, excuse me. I'm  
7 sorry. Thank you. Thank you for clarifying my point.

8 And then once established, then according  
9 to regulation, it must be maintained continuously  
10 after that --

11 MS. GRADY: Yes.

12 DR. CORRADINI: Or intermittently?

13 MS. GRADY: No, continuously after that.  
14 Practically speaking, it could be intermittent if that  
15 were an operationable decision, but the regulation is  
16 continuous.

17 DR. CORRADINI: Okay. Thank you.

18 MS. GRADY: You're welcome.

19 DR. CORRADINI: Thank you, Anne-Marie.

20 MEMBER PETTI: So my question is the  
21 source term is where at 72 hours in these  
22 calculations? These calculations of source term is  
23 weighed out. All the aerosols have settled. The  
24 steam is condensed. So what source term did you use  
25 in your analysis? Because your big peak, I'm with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you, but I think there's a timing offset here that  
2 might be important.

3 MR. SCHAPEROW: So just to maybe throw out  
4 a fact idea, so NuScale's assumptions for their source  
5 term topical is that 5 percent remains airborne  
6 forever, at least for 30 days.

7 So that might be the source of -- I can't  
8 speak for Michelle Hart. Unfortunately, she's not  
9 here today. There is an assumption, a conservative  
10 assumption in NuScale's topical report in the area of  
11 iodine vapor.

12 MEMBER REMPE: And Dennis, because it may  
13 come up later this week with respect to the letter on  
14 Chapter 9, one of our conclusions was there were  
15 potentially risk-significant items in NuScale's  
16 design that are not yet fully developed. So these  
17 items, requirements to be included in the DCA to  
18 ensure that the licensee's plant will perform as  
19 credited.

20 So we didn't call out this particular  
21 item, but we acknowledged that we were uncertain about  
22 a lot of aspects in the plant design.

23 MEMBER BLEY: And there's a lot of parts  
24 to Chapter 9.

25 MR. TESFAYE: Okay. Thank you.

1 DR. CORRADINI: There's silence again. May  
2 I get another clarification point just to be clear?

3 So it's NuScale's contention that they  
4 don't -- that their design will meet the requirement  
5 if they can be exempt from long-term monitoring? I  
6 want to make sure I understand what the exemption is  
7 that is being requested. I'm sorry that I'm going  
8 over old ground.

9 MEMBER PETTI: No, I think to be clear  
10 there's an exemption from physical sampling. They  
11 actually need the hydrogen and oxygen monitoring to  
12 support the exemption. Have I got it?

13 MS. GRADY: That's my understanding of it.

14 DR. CORRADINI: And then NuScale has gone  
15 further to say that they can go in an un-isolate and  
16 re-isolate if necessary with operator action. Am I  
17 understanding that correctly?

18 MR. STUTZCAGE: This is Ed Stutzcage at  
19 the NRC. They provided information to show that they  
20 can un-isolate the system. They have not provided  
21 information to the NRC to demonstrate that they can  
22 re-isolate the system.

23 They have indicated that that's something  
24 that will be handled as part of their emergency  
25 action, if necessary. They didn't say -- respond,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 they don't have to provide that information to the  
2 staff at this time.

3 DR. CORRADINI: Okay, thank you. Thank  
4 you for the clarification, I appreciate it.

5 MR. TESFAYE: Okay. Thank you. I think  
6 we have discussed this, this slide --

7 PARTICIPANT: Just a little.

8 MR. TESFAYE: -- the last 15, 20 minutes,  
9 so I'm not going to go over that. So I will jump  
10 straight to what the subcommittee requested us to  
11 present at this meeting, which is the proposed  
12 recommendation to the rulemaking.

13 I am not going to read this. This is out  
14 of the Chapter 12 SER. I am just going to highlight  
15 the areas where we are going to focus. Specifically,  
16 10 CFR Part 52, Appendix 2, which is not there yet,  
17 that will be the NuScale SMR appendix.

18 Under issue resolution we will state the  
19 design and evaluation of leakage from combustible gas  
20 monitoring loop is not considered but it was in the  
21 meaning of 52.63 which is with respect to the finality  
22 of the standard design.

23 And then in Section 14, Additional  
24 Requirements, it will be stated a COL applicant is  
25 responsible for providing sufficient design

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 information demonstrating that the requirements of 10  
2 CFR 50.34(f)(2)(xxv)(8) are met with respect to  
3 potential radiation release under accident conditions  
4 from systems used for post-accident hydrogen and  
5 oxygen monitoring.

6 So this is what we are recommending, and,  
7 again, I note this is not the proposed rule language.  
8 This is what is in the SER. The rule language has not  
9 yet been developed yet.

10 So as an example on the next slide I give  
11 you two carve outs, as we call, carve outs of  
12 recommendation. This is from the design specification  
13 rule for ESBWR design an applicant for COL include as  
14 part of its application.

15 One of them is for the hurricane loads in  
16 excess of total tornado loads and hurricane- generated  
17 missile loads, so on the structures this was not part  
18 of -- It was in the design specification a scope, but  
19 it was not done so they carved out or they included  
20 this in the rulemaking.

21 And the other one is similar to what we  
22 are doing here, that's the spent fuel pool level  
23 instrumentation was not fully developed in the design  
24 specification rule.

25 Another way to handle this is to include

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 this kind of information in 2-1 Chapter 4 under  
2 interface requirements with an ITAC and that would  
3 have an easier way to go but the applicant chose not  
4 to include this language in the Tier 1 interface  
5 requirement.

6 So the staff is kind of forced to do this  
7 rule carve out in the design specification rulemaking.  
8 So this is, again, the takeaway from the subcommittee  
9 meeting.

10 There was other items that was requested  
11 of us. Chapter 12 which had all this recommended  
12 rulemaking language, we gave you the draft of that and  
13 when we issued the final there was some change to the  
14 draft and we have provided the compare and contrast  
15 between the draft and what the final one.

16 The major difference is the ventilation  
17 system fire dampers, which is the second item here.  
18 Obviously we didn't have enough information. The  
19 ventilation dampers were not closing on high radiation  
20 monitor.

21 The staff looked at the risk and they said  
22 the primer is to operator or equivalence of  
23 operability involves core damage event with a failure  
24 of the ventilation's exhaust fans as well as an open  
25 bay exhaust damper, so all these three things have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 happen.

2 And before we issue the final SER for  
3 Chapter 12 we made a finding on this although the  
4 design did need something in order to be fully  
5 responsive to the staff's questions.

6 It wasn't, but the staff took the risk  
7 approach and whatever to make a finding on this. So  
8 we have two rule carve outs, one is the penetration  
9 shielding design, which is the first bullet, and we  
10 have discussed that at subcommittee, and the other one  
11 is the leakage issue that we discussed earlier.

12 MEMBER BLEY: And up on Slide 11 where you  
13 started this rulemaking discussion the rule would  
14 state that the COL applicant is responsible for --

15 MR. TESFAYE: Providing the information --

16 MEMBER BLEY: -- providing the information.

17 (Simultaneous speaking.)

18 MR. TESFAYE: -- information, and making  
19 sure the regulations are met in terms of those.

20 MEMBER BLEY: Okay.

21 MR. TESFAYE: Or, you know, design a means  
22 to re-isolate the containment. So if you don't have  
23 any questions on this, I think we've discussed this at  
24 length, we'll go to the conclusion.

25 Staff found acceptable the methods for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 developing accident source terms and performing  
2 accident radiological consequence analysis to be  
3 referenced by NuScale SMR design.

4 All phase three SER open items related to  
5 the accident source term methodology have been closed  
6 except those involving penetration shielding and the  
7 leakage from hydrogen/oxygen monitoring system.

8 They are not considered resolved and must  
9 be addressed by the COL applicant. And that's all we  
10 have.

11 MEMBER KIRCHNER: May I go to the first  
12 one then. When you push of, pardon my phraseology,  
13 the responsibility for the radiation shield wall  
14 design to the COL, I'm trying to think through the  
15 implications of that.

16 The applicant has a nominal design for the  
17 shield blocks and so on. If it turns out, and I'll  
18 just do this rhetorically, that twice as much  
19 shielding is needed to meet whatever the dose criteria  
20 are that has implications that ripple through the  
21 design, simple things like the building, the main, the  
22 reactor building crane operations, et cetera, and  
23 potential dose during refueling operations, et cetera.

24 I am wondering what the ramifications are  
25 of making that a COL applicant responsibility. Can

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 you talk through that?

2 MR. LAVERA: So this is part of the  
3 reason that we went down this path is we wanted to  
4 make sure that this got designed appropriately.

5 We recognized that the potential  
6 interactions of the shielding that they would have to  
7 install, it's equivalent to five feet of concrete over  
8 what appears to us to be a fairly large area, so we,  
9 too, are concerned about that.

10 We tried to work with NuScale to determine  
11 several ways of addressing it within the scope of the  
12 application without having physical design information  
13 there.

14 The only way we could reach a safety  
15 finding on this was to do a carve out, so that's why  
16 we went down that path.

17 MEMBER BLEY: Well I said this at the  
18 subcommittee meeting, but putting this off on the COL  
19 -- Well, I'm not NuScale, but if I were this would  
20 make it a lot harder to deal with potential customers  
21 when they look at this and say, hey, I got to make  
22 this work after I commit to this design. It just  
23 seems a bad place to leave things.

24 MEMBER KIRCHNER: Yes. I am thinking  
25 through the ramifications, because, pardon the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 digression, but if I remember right the initial  
2 lifting mechanism for moving the modules was to kind  
3 of strap on to two solid anchors, take it up.

4 Then I believe that changed so that the  
5 upper frame then connected to the module and became  
6 the lifting point and the interactions of that design,  
7 which may be in FLEX, I'm not sure where that design  
8 came out, and the shielding are, there is important  
9 ramifications there as they change that in terms of,  
10 as you labeled this, large penetrations in the shield  
11 wall and others.

12 So have you looked at that at the latest  
13 iterations on that upper lifting design and the  
14 ramifications for radiation protection?

15 MR. LAVERA: Okay, so, yes, we have been  
16 looking at that shield block on the top of the module  
17 bay. This shielding is not anywhere near that. It  
18 won't interact with that particular issue, particular  
19 thing.

20 MEMBER KIRCHNER: Right.

21 MR. LAVERA: So I understand where you are  
22 coming from, but there is absolutely no interaction  
23 between those two.

24 There are other interactions, potential  
25 interactions for equipment, locations, weight,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 structural loading, structural analysis for components  
2 in structures outside of the module bay wall on the  
3 100-foot and out.

4 So it's not the module shield that's on  
5 top that you lift with a crane and move it around.

6 MEMBER KIRCHNER: So it's more the  
7 penetrations into the reactor building?

8 MR. TESFAYE: Yes.

9 MR. LAVERA: So, yes, that's a closer  
10 approximation to it.

11 MEMBER KIRCHNER: Okay.

12 MR. LAVERA: It's between the power module  
13 bay and the rest of the reactor building.

14 MEMBER KIRCHNER: Thank you.

15 MEMBER PETTI: Any other questions?

16 MEMBER REMPE: Well I wanted to --

17 MEMBER PETTI: I know that though. Do we  
18 ask for public comment around?

19 PARTICIPANT: Yes.

20 PARTICIPANT: Yes, we do, and we have some  
21 --

22 (Simultaneous speaking.)

23 MS. FOSAAEN: This is NuScale Corvallis if  
24 I could just make a quick statement with regard to the  
25 shielding. I just want to clarify that the shielding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



1 that we have not provided is just the shielding around  
2 piping penetrations in the ventilation.

3 The rest of the information and what we  
4 have provided is consistent with the level of  
5 information provided by previous applicants.

6 So, you know, we're talking about what  
7 material goes around the piping equivalent and we did  
8 provide a COL item that said the shielding that would  
9 be provided in those penetrations around the piping  
10 would be equivalent to the dose rate maps that were  
11 provided as part of the DCD.

12 So we had provided, in fact, with that COL  
13 item more than previous applications.

14 MR. LAVERA: So this is Ron Lavera. You  
15 know, I have been involved in the previous reviews and  
16 when you're talking about having a small gap around a  
17 pipe or a small pipe, yes, the NuScale application is  
18 consistent with that.

19 We are looking at penetration for main  
20 steam, main feedwater lines, these are big  
21 penetrations.

22 The ventilation ducts, which are feet in  
23 size, and you're not talking about a little bit of  
24 shielding, you're talking five feet of concrete  
25 shielding that they are crediting both for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 occupational, EQ, and beyond design basis equipment  
2 survivability considerations.

3 So in our -- The way we look at things  
4 that is not an inconsequential something that you  
5 should be able to just squirt a little goop in there  
6 and move on your way.

7 MEMBER KIRCHNER: Yes. Yes, but they are  
8 the concretes tight fit around one pipe probably.

9 MR. LAVERA: And if you were to try to do  
10 shadow shielding it would be a significant way to  
11 interfere with the equipment that is there. Like I  
12 said you have main steam lines and other things there,  
13 so we have concerns about physically being able to fit  
14 the equipment in there, the shielding in there when  
15 the other equipment is present.

16 MEMBER PETTI: Okay. Let's try to take  
17 public comment. Anybody in the room?

18 (No response.)

19 MEMBER PETTI: Seeing no one, anybody on  
20 the public line want to make a comment?

21 (No response.)

22 MEMBER PETTI: Okay. Then we'll adjourn  
23 this part of the meeting and go into closed session.

24 (Whereupon, the above-entitled matter went  
25 off the record at 4:10 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701



**NuScale Design Certification Application  
Accident Source Term Methodology  
Topical Report and Related Topics**

**Presentation to the ACRS Full Committee**

December 4, 2019

# Staff Review Team

## ➤ Technical Staff

- ◆ Michelle Hart, NRR
- ◆ Jason White, NRR
- ◆ Jason Schaperow, NRR
- ◆ Tony Gardner, NRR
- ◆ Ed Stutzcage, NRR
- ◆ Ron LaVera, NRR
- ◆ Shawn Campbell, RES

- ◆ Hossein Esmaili, RES
- ◆ Anne-Marie Grady, NRR
- ◆ Boyce Travis , NRR
- ◆ Ryan Nolan, NRR
- ◆ Zach Gran, NRR
- ◆ Amanda Marshall, NSIR

## ➤ Project Managers

- ◆ Getachew Tesfaye – Chapter PM
- ◆ Greg Cranston – Lead PM

# Contents

- NuScale SMR Accident Source Term Methodology
  
- Staff Independent Analysis
  
- Accident Source Term Related Major Topics
  - Environmental Qualification and Equipment Survivability
  - Post Accident Sampling (PAS) Exemption
  - Hydrogen and Oxygen Monitoring Radiological Review

# NuScale SMR Accident Source Term Methodology

- In Topical Report TR-0915-17565, Revision 3, NuScale requested approval of 15 specific positions listed in Section 1.2 of the report.
- The NRC staff has determined that, subject to the conditions and limitations specified in Section 6.0 of this SER, the methods described in the topical report are acceptable for developing accident source terms and performing accident radiological consequence analyses to be referenced by the NuScale SMR design.

# NuScale SMR Accident Source Term Methodology

- The staff approves Positions 2 through 15 requested in the topical report.
- The staff does not make a finding on Position 1 where NuScale categorizes a core melt accident as a beyond-design-basis event. The applicable NRC regulations do not require classification of source terms as “design basis” or “beyond design basis” to demonstrate compliance with the requirements. Therefore, the staff has determined that the classification of a core melt accident as a beyond-design-basis event for the NuScale design is not material to the staff’s findings under these regulations. Therefore, the staff does not make a finding on Position 1.

# Staff Independent Analysis

- Objective: Evaluate NuScale's methodology for core-damage-event offsite radiological consequence assessment
- Approach:
  - Use MELCOR to predict releases to the environment for 2 scenarios
  - Input MELCOR-predicted releases to the environment into RADTRAD to predict EAB, LPZ, and control room doses
- Conclusion: Staff's predicted doses were comparable to applicant's predicted doses and were below regulatory dose criteria



# Staff independent analysis - reports

- “Independent MELCOR Confirmatory Analysis of NuScale Small Modular Reactor,” RES/FSCB 2019-01, April 2019 (ML19205A016)
  - Documents staff’s MELCOR calculations for 3 scenarios (LEC-06T, LCC-05T, LCU-03T)
  - Helps understand behavior of NuScale under severe accident conditions
  - Compares the staff’s severe accident predictions with NuScale’s
  
- “Independent Confirmatory Analysis for NuScale Offsite Radiological Consequence Assessment,” RES/FSCB 2019-03, August 2019 (ML19240A046)
  - Documents the fission product releases to the environment from the staff’s MELCOR calculations for LEC-06T, LCC-05T
  - Explains how the releases were input into the staff’s RADTRAD analysis

# Accident Source Term Related Topics

## Environmental Qualification and Equipment Survivability

- The staff finds it acceptable to use the iodine spike source term methodology and the environmental qualification dose methodology described in Appendix B of the topical report for calculating environmental qualification (EQ) doses inside containment and under the bioshield.
- While core damage was not assessed for EQ, certain equipment associated with containment integrity and combustible gas monitoring is designed to function to withstand core damage events. Qualitative assessments, testing, and/or additional analyses may need to be performed to assure equipment survivability. This evaluation is performed in Chapter 19 of the SER.

# Accident Source Term Related Topics

## Post Accident Sampling (PAS) Exemption

- 10 CFR 50.34(f)(2)(viii) requires that applicants provide the capability to promptly obtain and analyze post-accident samples from the reactor coolant system and containment atmosphere.
- Since equivalent information to that provided by sampling is provided by other means, such as radiation monitors under the bio-shield, core exit thermocouples, and hydrogen and oxygen monitors, the staff determined that post-accident sampling need not be required. Therefore, the staff approves the exemption from post-accident sampling for the NuScale design.

# Accident Source Term Related Topics

## Hydrogen and Oxygen Monitoring Radiological Review

- Post-accident hydrogen and oxygen monitoring can be safely established.
- NuScale did not specify an acceptable amount of leakage and did not assess the leakage from the Hydrogen and Oxygen monitoring systems in the main control room or offsite dose assessment.
- Staff calculations using the limited amount of available information indicates the potential for leakage from these system to be a significant contributor to offsite and MCR dose limits and could potentially result in exceeding dose limits.
- The applicant has not demonstrated a capability to re-isolate the systems, so it is unclear if unacceptable leakage can be mitigated.

# Accident Source Term Related Topics

## Hydrogen and Oxygen Monitoring Radiological Review – Recommended wording for Rule making:

- Therefore, the NRC staff recommends that the Commission include language in the proposed rule stating that the NRC is not making a finding on the design of components to minimize and control leakage from systems outside containment. This includes potential leakage from these systems that could impact the offsite dose analyses, the dose analyses for the MCR, and if necessary, the ability to safely re-isolate these systems after monitoring has been initiated. Specifically, 10 CFR Part 52, Appendix G for the DC for the NuScale SMR, Section VI, “Issue Resolution,” will state that the design and evaluation of the leakage from the combustible gas monitoring loop is not considered resolved within the meaning of § 52.63(a)(5) and Section IV, “Additional Requirements and Restrictions,” will state that the COL applicant is responsible for providing sufficient design information demonstrating that the requirements of 10 CFR 50.34(f)(2)(xxviii) are met with respect to potential radiation releases under accident conditions from the systems used for post-accident hydrogen and oxygen monitoring. The COL applicant is to provide assurance that post-accident leakage from these systems does not result in the total MCR dose exceeding the dose criteria (i.e. 5 rem) for the surrogate event with significant core damage and/or include design features in accordance with 10 CFR 50.34(f)(2)(xxvi) and 10 CFR 50.34(f)(2)(xxviii) to provide assurance that the dose criteria are not exceeded. The COL applicant will also provide information to verify, as appropriate, that post-accident leakage from these systems does not result in the total dose for the surrogate event with significant core damage exceeding the offsite dose criteria, as required by 10 CFR 52.47(a)(2)(iv). In addition, if manual actuation is required to re-isolate the system in order to contain potential leakage, the COL applicant will demonstrate that this can be done safely and within the requirements of 10 CFR 50.34(f)(2)(vii).

# Accident Source Term Related Topics

## Examples of Rule Language from Previously Certified Design:

### ➤ Appendix E to Part 52—Design Certification Rule for the ESBWR Design

An applicant for a COL ... Include, as part of its application:

IV(g). Information demonstrating that hurricane loads on those structures, systems, and components described in Section 3.3.2 of the generic DCD are either bounded by the total tornado loads analyzed in Section 3.3.2 of the generic DCD or will meet applicable NRC requirements with consideration of hurricane loads in excess of the total tornado loads; and hurricane-generated missile loads on those structures, systems, and components described in Section 3.5.2 of the generic DCD are either bounded by tornado-generated missile loads analyzed in Section 3.5.1.4 of the generic DCD or will meet applicable NRC requirements with consideration of hurricane-generated missile loads in excess of the tornado-generated missile loads.

IV(h). Information demonstrating that the spent fuel pool level instrumentation is designed to allow the connection of an independent power source, and that the instrumentation will maintain its design accuracy following a power interruption or change in power source without requiring recalibration.

# Accident Source Term Related Topics

## Other related areas where NRC is not making a finding on design finality:

### ➤ Large Penetrations in the Radiation Shield Wall:

The penetrations and penetrations shielding design were not finalized at the design certification stage. NuScale has stated that it would be completed in a future phase of the design, that will be the responsibility of the COL applicant. Therefore the staff recommends that the Commission include language in the proposed rule stating that the NRC is not making a finding on the adequacy of the necessary shielding.

### ➤ Ventilation System Fire Damper:

NuScale application neither describes the instruments and controls for closing the dampers on a signal other than smoke or fire (e.g., high radiation) nor states that the operators will perform a manual action to shut the fire dampers following an accident. However, using a risk informed approach the staff is not recommending a rule language to include a means to close the dampers on high radiation. The primary risk to operators or equipment survivability involves a core damage event with a failure of the RBVS exhaust fans as well as an open NPM bay exhaust damper. The NRC staff concludes that there is a low risk of these events occurring concurrently.

## **Conclusion**

- Staff found acceptable the methods for developing accident source terms and performing accident radiological consequence analyses to be referenced by the NuScale SMR design.
- All Phase 2 SER open items related to accident source term methodology have been closed except those involving the penetration shielding and the leakage from the Hydrogen and Oxygen monitoring systems that are not considered resolved and must be addressed by the COL applicant.



# Abbreviations

CDE	core damage event	rem	Roentgen equivalent man
CDST	core damage source term	RG	regulatory guide
COL	combined operating license	RVV	reactor vent valve
CRHS	control room habitability system	SECY	Commission paper
CRVS	normal control room HVAC system	SGTF	steam generator tube failure
CVCS	chemical and volume control system	SMR	small modular reactor
DBST	design basis source term	SSCs	structures, systems and components
DCA	design certification application	TEDE	total effective dose equivalent
DF	decontamination factor	TR	topical report
EQ	environmental qualification		
FHA	fuel handling accident		
HVAC	heating ventilation and air conditioning		
LWR	light water reactor		
MHA	maximum hypothetical accident		
MSLB	main steam line break		
pH <sub>T</sub>	temperature dependent pH		
PWR	pressurized water reactor		
REA	rod ejection accident		

December 3, 2019

Docket No. PROJ0769

U.S. Nuclear Regulatory Commission  
ATTN: Document Control Desk  
One White Flint North  
11555 Rockville Pike  
Rockville, MD 20852-2738

**SUBJECT:** NuScale Power, LLC Submittal of Presentation Materials Titled “ACRS Full Committee Presentation: Accident Source Term Phase 5 Implementation,” PM-1219-68131, Revision 0

The purpose of this submittal is to provide presentation materials to the NRC for use during the upcoming Advisory Committee on Reactor Safeguards (ACRS) NuScale Full Committee Meeting on December 4, 2019. The materials support NuScale’s presentation of Topical Report, “Accident Source Term Phase 5 Implementation.”

The enclosure to this letter is the presentation titled “ACRS Full Committee Presentation: Accident Source Term Phase 5 Implementation,” PM-1219-68131, Revision 0.

This letter makes no regulatory commitments and no revisions to any existing regulatory commitments.

If you have any questions, please contact Carrie Fosaaen at 541-452-4126 or at [cfosaaen@nuscalepower.com](mailto:cfosaaen@nuscalepower.com).

Sincerely,



Zackary W. Rad  
Director, Regulatory Affairs  
NuScale Power, LLC

Distribution: Robert Taylor, NRC, OWFN-8H12  
Michael Snodderly, NRC, OWFN-8H12  
Samuel Lee, NRC, OWFN-8H12  
Gregory Cranston, NRC, OWFN-8H12  
Getachew Tesfaye, NRC, OWFN-8H12  
Michael Dudek, NRC, OWFN-8H12

Enclosure: “ACRS Full Committee Presentation: Accident Source Term Phase 5 Implementation,” PM-1219-68131, Revision 0


**Enclosure:**

“ACRS Full Committee Presentation: Accident Source Term Methodology Phase 5 Implementation,”  
PM-1219-68131, Revision 0

NuScale Nonproprietary

# ACRS Full Committee Presentation

## Accident Source Term Phase 5 Implementation



December 4, 2019

PM-1219-68131  
Revision: 0

Copyright 2019 by NuScale Power, LLC.



Template #: 0000-21727-F01 R5

# Risk Significance

---

- Because of the very low frequency of core damage events, the sequences in which the hydrogen monitoring system could be in operation are negligible
  - Risk = Frequency x Consequence
- Sequences that contribute to the core damage frequency for an operating module with intact containment are on the order of  $<3E-11$ /mcy (Table 19.1-18, FSAR)
- If leakage were to increase the dose (consequence) by a factor of two, there would NOT be an appreciable change to risk. Even if the dose increased by an order of magnitude, the risk would still be insignificant
- “In any licensing review or other regulatory decision, the staff should apply risk-informed principles when strict, prescriptive application of deterministic criteria ... is unnecessary to provide for reasonable assurance of adequate protection of public health and safety.” SRM for SECY-19-0036, July 2, 2019.

# Hydrogen Monitoring System Leakage

---

- The hydrogen monitoring system is included in the Leakage Monitoring Program, required by post-TMI action item III.D.1.1
- Therefore the only way there would be an increase in leakage during a severe accident is if it induced a concurrent pipe break in the monitoring system
  - The most probable initiating event that could induce a concurrent pipe break in the monitoring systems is a very large seismic event, which is assumed to result in a containment bypass, and hydrogen monitoring is therefore irrelevant.

# Hydrogen Monitoring System Leakage

---

- What if – the hydrogen monitoring system leaks excessively? The operators have the ability to isolate the leak.
  - Because this is an unplanned and unanticipated emergency response action, there are no explicit regulatory dose acceptance criteria.
  - In the Brunswick SER for Hardened Vents, dated 11/21/2019, the NRC states, “there are no explicit regulatory dose acceptance criteria for personnel performing emergency response actions during a beyond-design-basis severe accident.”
  - Therefore, the 5 rem limit of 10 CFR 50.34(f)(2)(vii) does not apply to emergency response actions during a beyond design basis event.

# Hydrogen Monitoring System Leakage

---

- The hydrogen monitoring system is only used for severe accidents and can therefore be classified as non-safety related.
  - Regarding 10 CFR 50.44, 68 FR 54123 “Combustible Gas Control in Containment” states, “The final rule ... relaxes the requirements for hydrogen and oxygen monitoring equipment to make them commensurate with their risk significance.”
- It is not appropriate to relax the requirements based on risk significance, and then penalize the design by presuming it will leak because it is non-safety related.
- Per RG 1.183, offsite dose consequence evaluations are not required for containment venting/purging, if only used for severe accidents.



# Acronyms

---

FR	Federal Register
Mcyr	module critical year
SER	Safety Evaluation Report
SRM	Staff Requirements Memo
TMI	Three Mile Island

**Portland Office**

6650 SW Redwood Lane,  
Suite 210  
Portland, OR 97224  
971.371.1592

**Corvallis Office**

1100 NE Circle Blvd., Suite 200  
Corvallis, OR 97330  
541.360.0500

**Rockville Office**

11333 Woodglen Ave., Suite 205  
Rockville, MD 20852  
301.770.0472

**Charlotte Office**

2815 Coliseum Centre Drive,  
Suite 230  
Charlotte, NC 28217  
980.349.4804

**Richland Office**

1933 Jadwin Ave., Suite 130  
Richland, WA 99354  
541.360.0500

**Arlington Office**

2300 Clarendon Blvd., Suite 1110  
Arlington, VA 22201

**London Office**

1<sup>st</sup> Floor Portland House  
Bressenden Place  
London SW1E 5BH  
United Kingdom  
+44 (0) 2079 321700

<http://www.nuscalepower.com>

 [Twitter: @NuScale\\_Power](https://twitter.com/NuScale_Power)





**Advisory Committee on Reactor Safeguards  
Peach Bottom Atomic Power Station Units 2 and 3  
Subsequent License Renewal  
December 4, 2019**

Bennett Brady, Senior Project Manager  
Division of New and Renewed Licenses (DNRL)  
Office of Nuclear Reactor Regulation

# Presentation Outline

- **Overview of Safety Review of Peach Bottom SLRA**
- **SER Section 2, Scoping and Screening Review**
- **SER Section 3, Aging Management Review**
- **SER Section 4, Time-Limited Aging Analyses**
- **Closure of Confirmatory Item**
- **SLRA Review Conclusion**
- **Region I Initial License Renewal Inspection and Plant Material Conditions and Conclusion**
- **Summary Conclusion**

# Overview of Safety Review of Peach Bottom SLRA

Unit	Initial License	Initial License Renewal Application	Renewed License	Expiration Date	Subsequent License Renewal Application
2	10/25/1973	07/02/2001	05/07/2003	08/08/2033	07/10/2018
3	07/02/1974	07/02/2001	05/07/2003	07/02/2034	07/10/2018

- Application Submitted – July 10, 2018
- Acceptance Determination – September 6, 2018
- Safety Evaluation Report with Confirmatory Item – October 7, 2019
- Safety Evaluation Report – November 19, 2019

# SLRA Audits and Inspections

	Dates	Location
Operating Experience Audit	September 17-27, 2018	Rockville, MD
In-office Audit	November 13, 2018 - April 29, 2019	Rockville, MD

# SER Overview

- **SER with Confirmatory Item Issued October 7, 2019**
  - Confirmatory Item 3.0.3.2.3-1 on BWR Vessel Internals
- **Safety Evaluation Report issued November 19, 2019**
  - Confirmatory Item 3.0.3.2.3-1 closed
- **Requests for Additional Information (RAIs)**
  - 48 RAIs issued, 4 of which were follow-up RAIs

# **SER Section 2**

## **Structures and Components Subject to Aging Management Review (AMR)**

- Section 2.1 Scoping and Screening Methodology
- Section 2.2 Plant Level Scoping Results
- Sections 2.3, 2.4, and 2.5 Scoping and Screening Results



# **SER Section 3**

## **Aging Management Review (AMR)**

- Section 3.0 Use of the Generic Aging Lessons Learned Report
- Section 3.1 Reactor Vessel, Internals, and Reactor Coolant System
- Section 3.2 Engineered Safety Features
- Section 3.3 Auxiliary Systems
- Section 3.4 Steam and Power Conversion Systems
- Section 3.5 Containment, Structures, and Component Supports
- Section 3.6 Electrical and Instrumentation and Control Commodities

# SER Section 3

## 3.0.3 - Aging Management Programs (AMPs)

### SLRA - Original Disposition of AMPs

- 11 new GALL programs
  - 8 consistent
  - 3 consistent with exceptions
- 35 existing GALL programs
  - 8 consistent
  - 27 consistent with enhancements/exceptions
- 1 plant specific with enhancement

### SER - Final Disposition of AMPs

- 11 new GALL programs
  - 8 consistent
  - 3 consistent with exceptions
- 35 existing GALL programs
  - 8 consistent
  - 27 consistent with enhancements/exceptions
- 1 plant specific with enhancement

# SER Section 4

## Time-Limited Aging Analyses (TLAAs)

- 4.1 Identification of TLAAs
- 4.2 Reactor Vessel and Internals Neutron Embrittlement Analyses
- 4.3 Metal Fatigue Analyses
- 4.4 Environmental Qualification of Electric Equipment
- 4.5 Concrete Containment Tendon Prestress Analysis
- 4.6 Primary Containment Fatigue Analysis
- 4.7 Other Plant-Specific TLAAs

## **Closure of Confirmatory Item**

### **3.0.3.2.3-1 BWR Vessel Internals**

Issue SLRA, AMP B.2.1.7 “BWR Vessel Internals” proposed and enhancement to either:

- install core plate wedges or
- submit for NRC approval an inspection plan for the core plate rim hold-down bolts to mitigate stress corrosion cracking.

Resolution Applicant revised the AMP B.2.1.7 enhancement to be in accordance with BWRVIP-25, Revision 1 to:

- install wedges or
- inspect core plate rim hold-down bolts, or
- demonstrate instead via analysis that the installation of wedges and inspections of the core plate rim hold-down bolts are not required.

# SLRA Review Conclusion

On the basis of its review of the SLRA and the resolution of the confirmatory item, the staff determined that the requirements of 10 CFR 54.29(a) have been met for the subsequent license renewal of Peach Bottom Atomic Power Station Units 2 and 3.

# Region I Initial License Renewal Inspections

- Five to ten years following the entry into the period of extended operation the Region conducts one additional license renewal team inspection—IP 71003 Phase 4.
- The team examines a sample of AMPs to verify the effects of aging were being managed effectively to ensure structures, systems, and components in the scope of these programs maintained the ability to perform their intended functions.

# Region I AMP Inspections

The Peach Bottom IP 71003 Phase 4 initial license renewal inspection was performed in November 2018 on both Units 2 and 3.

- Flow Accelerated Corrosion Program (existing)
- Maintenance Rule Structural Monitoring Program (existing)
- Ventilation System Inspection and Testing Activities (enhanced)
- Outdoor, Buried and Submerged Component Inspection Activities (enhanced)
- Fire Protection Activities (enhanced)
- In-accessible Medium Voltage Cables not subject to 10 CFR 50.49 Environmental Qualification Requirements (New)

# Inspection of Plant Material Condition

- Reactor Oversight Process performance indicators and findings indicate plant material condition meets regulatory requirements.
- Resident Inspector routine plant walkdowns support this conclusion.
- Resident and Region based inspectors continue to inspect and assess the licensee performance to manage the effects of aging through the baseline inspection program.



# NRC Inspection Results

The inspectors found the licensee's aging management programs were being effectively implemented in accordance with the facility's renewed license. The NRC will continue to monitor AMPs using the baseline Reactor Oversight Process.

# Summary Conclusion

- The staff has completed its presentation and conclusions on the safety review of the Peach Bottom SLRA and the Region I conclusions on inspections and plant material conditions.
- Additional questions

# **Peach Bottom Atomic Power Station, Units 2 and 3 Subsequent License Renewal Application**



**ACRS Full Committee Presentation  
December 4, 2019**

# Introductions

---

- Mike Gallagher      VP, License Renewal
- Anna Krause      PB Sr. Mgr. Design Engineering
- Paul Weyhmuller      LR Technical Manager
- Julian Laverde      PB Mechanical Design Manager
- Dave Distel      LR Licensing Engineer

# Agenda

---

- Introductions Mike Gallagher
- Station Description and Overview Anna Krause
- GALL Consistency and Commitments Paul Weyhmuller
- Confirmatory Item Julian Laverde
- Technical Topics Julian Laverde
- Closing Remarks Mike Gallagher

# Peach Bottom Station



# Peach Bottom Current Performance

---

- Plant operates on 24 month refueling cycle
- Plant Capacity Factor:
  - 2018 94.2%
  - 2019 96.2% (as of 10/31)
- Regulatory Status
  - ROP Action Matrix Column 1  
(Licensee Response/Baseline Inspection)
  - All ROP Indicators are Green

# Station Overview

<b>Peach Bottom</b>	<b>Unit 2</b>	<b>Unit 3</b>
Full Power License - 3293 MW <sub>t</sub>	10/25/1973	7/02/1974
5% Power Uprate to 3458 MW <sub>t</sub>	1994	1995
Independent Spent Fuel Storage Installation (ISFSI)	2000	
First License Renewal Approval	2003	2003
15% EPU to 3951 MW <sub>t</sub>	2014	2014
1.66% MUR to 4016 MW <sub>t</sub>	2017	2017
Current License Expiration	8/08/2033	7/02/2034



# Significant Plant Modifications

<b>Peach Bottom</b>	<b>Unit 2</b>	<b>Unit 3</b>
Main Condenser Upgrades (titanium tubes)	1991	1991
Hydrogen Water Chemistry	1997	1997
Noble Metal Chemical Addition	1998	1999
Main Power Transformers	2010	2009
RPV Core Spray Piping Upgrade	Not Required	2013
Torus Recoat	2012	2013
RHR Cross-tie Modification (EPU)	2014	2015
Steam Dryer Replacement (EPU)	2014	2015
Turbine/Generator Set Upgrade (EPU)	2014	2015
Digital Control Systems (EHC and Feedwater)	2018	2017
Fuel Pool Cooling Heat Exchangers	2017	2017
ISFSI Pad Expansion	2020	

# GALL-SLR Consistency and Commitments

---



# SLR Application Development

---

- Scoping and Screening
  - ✓ Updated for plant modifications
  - ✓ Updated to NEI 17-01 guidance
- Aging Management Reviews
  - ✓ PB FLR was pre-GALL, additional aging effects required assessment based on NUREG-2191 GALL-SLR
- Aging Management Programs (AMPs)
  - ✓ Total of 47 AMPs per GALL-SLR guidance
- Time-Limited Aging Analyses (TLAAs)
  - ✓ Existing TLAAs re-assessed
  - ✓ New TLAAs for SLR due to component repair/replacement
    - ✓ Jet Pump repair components for Loss of Preload
    - ✓ Replacement Steam Dryer Stress Report and Fatigue Evaluations
    - ✓ Replacement Core Plate Plugs for Stress Relaxation Analysis
    - ✓ U/3 Core Spray Replacement Piping for Fatigue and Loss of Preload
  - ✓ Total of 35 TLAA analyses per GALL-SLR guidance

# GALL Consistency

- Submittal based on GALL-SLR
- High AMR consistency (98.6% Notes A thru E)
- 50 License Renewal Commitments
  - ✓ 47 Aging Management Programs
  - ✓ 3 Additional Commitments
    - ✓ OPEX Review, EPU OPEX Review, FERC Inspection of Conowingo Dam
  - ✓ UFSAR Supplement (Appendix A of the SLRA)
  - ✓ Managed by Exelon Commitment Tracking program based on NEI 99-04, “Guidelines for Managing NRC Commitment Changes”

		AMPs Consistent with GALL	AMPs Consistent with Enhancement	AMPs with Exception without Enhancement	AMPs with Exception and Enhancement	Plant Specific AMPs
<b>Existing</b>	<b>36</b>	8	19	2	6	1
<b>New</b>	<b>11</b>	8	0	3	0	0
<b>Total AMPs</b>	<b>47</b>					

# FLR Aging Management Effectiveness Reviews

---

- Program effectiveness reviews included:
  - ✓ Detailed review of inspection schedules, results, and data
  - ✓ Review of relevant operating experience within the Corrective Action Program
- All first LR Programs were effectively implemented
- Summary of each review is found in Element 10, “Operating Experience” of each AMP and in the SLRA in Appendix B
- In November 2018, the NRC staff conducted a 71003 Phase 4 inspection at PBAPS, to assess aging management program effectiveness, and identified no issues

# Confirmatory Item

---

- **Confirmatory Item**
  - CI 3.0.3.2.3-1: BWR Vessel Internals Program
    - NRC Staff review of Enhancement 1 identified that additional information was required for core plate rim holddown bolts
    - A revision to Enhancement 1 was made to include the guidance of BWRVIP-25, Revision 1
    - Response to this Confirmatory Item was submitted to the NRC Staff in a supplement October 9, 2019
    - Closed by NRC Staff in the Updated SER dated November 19, 2019

# Technical Topics

---

**RPV Embrittlement**

**IASCC of Reactor Vessel Internals**

**Peach Bottom will manage aging consistent with recommendations in GALL-SLR**

**Concrete and Containment Degradation**

**Electrical Cable EQ and Condition Assessment**

# **Peach Bottom Atomic Power Station, Units 2 and 3 Subsequent License Renewal Application**



**ACRS Full Committee Presentation  
December 4, 2019**




**Peach Bottom Atomic Power Station,  
Units 2 and 3  
Subsequent License Renewal Application**

**ACRS Full Committee Presentation  
December 4, 2019  
Back-up Slides**



# Peach Bottom Station Location



# GALL Consistency - AMP Exceptions

Program	Exception	Justification
Water Chemistry	Using this AMP to manage Auxiliary Boiler water chemistry.	Scope addition, while not part of BWRVIP-190, standards exist for monitoring water parameter (ISBN-0-7918-1204-9).
Bolting Integrity	Using this AMP to manage submerged mechanical bolting on intake structure traveling screens.	Scope addition, while this AMP is used to manage closure bolting for pressure retaining components, inspection requirements will be adequate to manage loss of preload.
Closed Treated Water	NUREG-2191 recommends EPRI document "Closed Cooling Water Chemistry Guideline" Rev. 1. Peach Bottom uses Rev.2 of this guideline.	Revised guideline incorporates latest industry OPEX. No changes to monitoring criteria.
Reactor Head Closure Stud Bolting	NUREG-2191 requires the use of material with ultimate tensile strength of less than 170 ksi for in-service studs. Both units have studs installed with studs over 170 ksi.	Test reports show some test values over limit. Studs are inspected for cracking.
	NUREG-2191 requires the use of material with yield strength of less than 150 ksi for replacement studs. Replacement stud has test results over 150 ksi.	Test reports show some test values over limit. Stud was inspected for cracking and will be re-inspected if utilized.
BWR Vessel Internals	Steam Dryer will not be inspected per BWRVIP-139-A	BWRVIP-139-A is for GE designed steam dryer assemblies. PB has installed Westinghouse steam dryers and has submitted an inspection plan to the NRC.

# GALL Consistency - AMP Exceptions

Program	Exception	Justification
Fire Water System	NUREG-2191 requires foam system discharge test annually to confirm spray patterns. When not possible, visual inspection of nozzles and air testing is performed.	Single nozzle which sprays across down the inside of the tank. Nozzle has a vapor seal. One time visual inspection to assure proper orientation as it is within the fuel tank.
Internal Coatings	NUREG-2191 requires an internal inspection of portions of concrete lined pipe. Opportunistic inspections will be performed.	Fire header piping is buried. Various periodic flow tests will assure coating has not degraded impacting performance. 2014 inspections found concrete lining in good condition. When made available, visual inspection will be performed.
	NUREG-2191 requires coating found not meeting acceptance criteria are repaired, replaced, or removed. HPCI lube oil reservoir coating will not be repaired.	NMAC's Terry Turbine User's Group provides recommendations that degraded coatings not be replaced. Only remove portions that show poor adhesion.
ASME Section XI-IWE	NUREG-2191 requires pressure retaining components subject to cyclic loading that have no fatigue analysis are inspected for cracking. Peach Bottom will only inspect high temperature mechanical penetrations.	Peach Bottom, had it been constructed to a later code, would have met requirements of ASME Code for fatigue waivers for low temperature penetrations. High temperature penetration accessible surfaces will be inspected for cracking.
	Program will manage flow blockage due to fouling for the Core Spray System, High Pressure Coolant Injection System, Reactor Core Isolation Cooling System, and Residual Heat Removal System pump suction strainers.	No existing GALL line items exist for the management of flow blockage due to fouling for these components and as a result the IWE Program was selected because the station Containment ISI program plan and procedures will perform the required aging management actions.

# GALL Consistency - AMP Exceptions

Program	Exception	Justification
E3A - Medium Voltage Cables	<p>NUREG-2191 recommends, inspections for water accumulation and manhole condition annually. Additionally, inspections for water accumulation are also to be performed after event driven occurrences, such as heavy rain.</p> <p>Manholes with level monitoring and alarms that result in consistent, subsequent pump out of accumulated water prior to wetting or submergence of cables will be inspected at least once every five years with additional inspections following event driven occurrences, such as heavy rain, rapid thawing of ice and snow, or flooding, when level monitoring indicates water is accumulating.</p>	<p>Level monitoring instrumentation, with alarms monitored by Operations Personnel, provide for detection of water level on an on-going basis. Corrective actions are taken when an alarm is received which includes manual pumping of the manhole as needed. In cases where it can be determined that cables have not been subjected to significant moisture, manhole inspections will be performed on a five-year frequency when structural inspections are performed.</p> <p>Following event driven occurrences, inspections and subsequent pump outs, as needed, will be performed when level instrumentation has detected increasing water levels.</p>
E3B - I&C Cables		
E3C - Low Voltage Cables		

# RPV Embrittlement

	SLRA Sections Addressing GALL-SLR Recommendations
Reactor pressure vessel neutron embrittlement at high fluence	3.1.2.2.3 Loss of Fracture Toughness Due to Neutron Irradiation Embrittlement 3.1.2.2.13 Loss of Fracture Toughness due to Neutron Irradiation or Thermal Aging Embrittlement 4.2 Reactor Vessel and Internals Neutron Embrittlement Analyses A.2.1.20 Reactor Vessel Material Surveillance A.3.1.2 Neutron Fluence Monitoring

- Fluence projections through SPEO (70 EFPY) were performed for neutron embrittlement analyses
- Analysis for USE, ART, Axial/Circ Weld Failure Probability, and Reflood Thermal Shock for beltline materials have been satisfactorily evaluated using the 70 EFPY fluence projections
- PBAPS will manage fluence projections consistent with GALL-SLR AMP X.M2, Neutron Fluence Monitoring Program
- PBAPS will manage embrittlement consistent with GALL-SLR AMP XI.M31, Reactor Vessel Material Surveillance Program.
  - ✓ One capsule will be withdrawn from each unit during SPEO at 60-62 EFPY

# IASCC of Reactor Vessel Internals (RVI)

	<b>SLRA Sections Addressing GALL-SLR Recommendations</b>
<b>IASCC of reactor internals and primary system components</b>	3.1.2.2.12 Cracking Due to Irradiation-Assisted Stress Corrosion Cracking 4.2.1.2 Reactor Vessel Internals Neutron Fluence Analyses 4.2.14 First License Renewal Application Core Shroud IASCC and Embrittlement Analysis A.2.1.7 BWR Vessel Internals A.3.1.2 Neutron Fluence Monitoring

- IASCC is addressed in accordance with BWRVIP guidelines through:
  - ✓ periodic inspection using techniques capable of detecting cracking due to SCC
  - ✓ flaw tolerance guidance that considers the effect of neutron fluence on material properties and SCC growth rates.
- BWRVIP guidelines are adequate for use to determine the proper re-inspection interval and are not time dependent, rather are based on neutron fluence values.
- PBAPS Rx vessel internals have been assessed using governing BWRVIP inspection guidelines and existing program requirements were found acceptable
- PBAPS will manage RVI components and welds that are susceptible to IASCC consistent with GALL-SLR AMP XI.M9

# Concrete and Containment Degradation

	SLRA Sections Addressing GALL-SLR Recommendations
Concrete and containment degradation	3.5.2.2.1 Pressurized Water Reactor and Boiling Water Reactor Containments 3.5.2.2.2 Safety-Related and Other Structures and Component Supports 4.6 Primary Containment Fatigue Analyses A.2.1.30 ASME Section XI, Subsection IWE A.2.1.32 10 CFR Part 50, Appendix J A.2.1.34 Structures Monitoring A.2.1.35 Inspection of Water-Control Structures Associated with Nuclear Power Plants

- Concrete overall is in good condition
  - ✓ No effects of ASR have been identified for PBAPS concrete structures
  - ✓ PBAPS will manage concrete structures consistent with GALL-SLR AMPs XI.S6, “Structures Monitoring” and XI.S7, “Inspection of Water-Control Structures Associated with Nuclear Power Plants”
- The Peach Bottom Mark I steel containments are in good condition
  - ✓ The Sand Pocket Region has been observed to be free of water leakage, each refueling outage
  - ✓ Reactor Vessel Shield Wall gamma and neutron irradiation remains within conservative radiation exposure levels, through SPEO, consistent with GALL-SLR
  - ✓ PBAPS will manage each containment consistent with GALL-SLR AMPs XI.S1, “ASME Section XI, Subsection IWE” and XI.S4, “10CFR 50, Appendix J”



# Electrical Cable EQ and Condition Assessment

	SLRA Sections Addressing GALL-SLR Recommendations
Electrical cable qualification and condition assessment	3.6.2.2.1/4.4.1 Environmental Qualification of Electric Equipment A.2.1.37 through 41 Cable and Connection Insulation Programs A.3.1.3 Environmental Qualification of Electric Equipment

- Environmental Qualification of Electrical Equipment
  - ✓ EQ cable analyses have been updated for 80 years of operation
  - ✓ EQ cables have been evaluated to have a qualified life > 80 years
  - ✓ Cable analysis and EQ program are consistent with GALL-SLR
- Electrical cable condition assessment
  - ✓ Added new or enhanced programs to be consistent with GALL-SLR
    - E1 Accessible Non-EQ Cables and Connections (enhanced)
    - E2 Non-EQ Instrument Cables and Connections (enhanced)
    - E3A for Medium Voltage Cables (enhanced)
    - E3B for Instrument & Control Cables (new)
    - E3C for Low Voltage Cables (new)