

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Open Session

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Thursday, December 5, 2019

Work Order No.: NRC-0726

Pages 1-16

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

669TH MEETING

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

THURSDAY

DECEMBER 5, 2019

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Advisory Committee met at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2D30, 11545 Rockville Pike, at 10:45 a.m., Peter
Riccardella, Chairman, presiding.

COMMITTEE MEMBERS:

- PETER RICCARDELLA, Chairman
- MATTHEW W. SUNSERI, Vice Chairman
- JOY L. REMPE, Member-at-Large
- RONALD G. BALLINGER, Member
- DENNIS BLEY, Member
- CHARLES H. BROWN, JR. Member
- VESNA B. DIMITRIJEVIC, Member

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WALTER L. KIRCHNER, Member

JOSE MARCH-LEUBA, Member

DAVID A. PETTI, Member

DESIGNATED FEDERAL OFFICIAL:

WEIDONG WANG

P R O C E E D I N G S

10:47 a.m.

CHAIRMAN RICCARDELLA: Okay, so the meeting will come to order. We are going to discuss the GE/GNF control rod drop accident methodology, and the initial part of the meeting is open.

MEMBER MARCH-LEUBA: Yes. We will start off with a few minutes of open, then we will close because most of the information is proprietary. So now is --

CHAIRMAN RICCARDELLA: Okay. I'll turn the meeting over to Jose March-Leuba, who is chairman of the appropriate subcommittee.

MEMBER MARCH-LEUBA: It's called thermal hydraulics.

CHAIRMAN RICCARDELLA: Thermal hydraulics.

MEMBER MARCH-LEUBA: Okay. So we're going to have some introductory remarks by NFC.

MR. OTTO: Okay. Good morning, ladies and gentlemen of the Committee. We're just grateful for the opportunity to present the staff's review of the Global Nuclear Fuel Topical Report. Sitting beside me here is Scott Krepel; he'll be providing the staff's review. We look forward to finishing up today in the full committee.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We can have the subcommittee on Tuesday,
2 and we look forward to receiving your letter at the
3 end of your review. So thank you, and we also
4 appreciate working with GE/GNF during the review in
5 closing out all the technical issues associated with
6 this review. So thank you.

7 MEMBER MARCH-LEUBA: So in the interest of
8 time and the GNF/GE, I made the same joke on the
9 subcommittee. Please tell us who you are, and who you
10 work for. Go ahead.

11 MR. HALAC: Hello, my name is Ken Halac.
12 I'm the licensee for fuel licensing for Global Nuclear
13 Fuels, GE Hitachi, and I'm here with Scott Pfeffer,
14 who is our technical lead in the area of control rod
15 drop, among other things at PDH.

16 MR. PFEFFER: Okay, and I'm Scott Pfeffer.
17 As Ken said, I'm the technical leader for the
18 radiological side of the stability and radiological
19 team at GE/GNF. Prior to that I was senior engineer
20 on the stability side of our team as well for a number
21 of years.

22 So without further ado, we'll get into it.
23 So we'll start with an overview of the licensing
24 topical report; just really briefly talk about the
25 drivers, and then the approach we took. And then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we'll go over very briefly the remaining milestones we
2 got and, obviously, the meetings today and Tuesday,
3 the final licensee and the issuance of the approved
4 LTR. Next slide.

5 Also, the drivers for our development of
6 the LTR here, we're to align with the latest
7 reactivity-initiated accident fuel damage guidelines
8 and more thoroughly evaluate possible CRDA scenarios.
9 So the staff has recently released new guidance, and
10 we wanted to bring you all up to date on that.

11 Improve plan operations: so, allow for
12 more flexibility during startup, which is a critical
13 time for plant operation, and then prevent inadvertent
14 subcriticality events which have been met with LaSalle
15 --

16 MEMBER MARCH-LEUBA: I know we discussed
17 the possibilities. Can you tell us what the
18 subcriticality event is?

19 MR. PFEFFER: Right, yes. So for this
20 event during startup, because of the current
21 requirements in banking at BWRs, the top bank position
22 is at four, dash four, and that doesn't have a lot of
23 worth with a lot of new fuel designs. So during the
24 startup the plant is trying to pull those blades;
25 they've got to pull all the blades to four before they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 can pull any blades further in Groups 3 and 4. When
2 they do that, there's not a lot of worth there.
3 They're just continuing to heat up at that point, and
4 they can actually drop back subcritical if they reach
5 criticality --

6 MEMBER MARCH-LEUBA: So this is --

7 MR. PFEFFER: -- prior to that.

8 MEMBER MARCH-LEUBA: -- going to put in a
9 control role, generally so many (unintelligible) shut
10 you down. Is that correct?

11 MR. PFEFFER: Correct, yes. So they can't
12 get enough reactivity from those --

13 MEMBER MARCH-LEUBA: And it is probably
14 periodic, you'd have pulses, right?

15 MR. PFEFFER: Just very little, because
16 you're just not adding enough reactivity from those
17 pulls to four. So the idea of the new LTR is that
18 we'll be able to provide banks which are more
19 impactful and actually more applicable to the new fuel
20 designs as well, to allow those plants to move
21 appropriately through their startups as well as
22 protect against control rod dropbacks (phonetic).

23 And the last item, there's a dose
24 improvement I just want to demonstrate the goal and
25 the requirement of the LTR to demonstrate zero fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rod failures, and so we'll demonstrate that for CRDA
2 and potentially allow some dose consequence
3 improvements in plants as well.

4 Again, the approach that we took was to
5 utilize previously approved methods, so PANAC or
6 PANACEA is our core simulator. PRIME is thermal
7 mechanical methodology, and TRACG is our BWR system
8 code.

9 When implementing NRC guidance related to
10 specifically hydrogen-efficient gas release models,
11 and then the pellet cladding mechanical interaction
12 and high temperature cladding failure enthalpy
13 thresholds. The PCMI version was originally in
14 Appendix B of Section 4.2. Both of those are now in
15 Draft Guide 1327, which is the draft guidance on
16 reactivity-initiated accidents.

17 And so all these base guidances are listed
18 below. The memoranda is initially on the hydrogen
19 uptake and reactivity initiated accidents 4.2 Appendix
20 B, and then most recently Draft Guide 1327, which has
21 been in development for the past number of years.

22 So documentation status: We had a
23 subcommittee meeting on Tuesday. We were actually
24 here for the full committee today. We expect then,
25 pending this review, final IC in January 2020, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 then we'll issue the approved version of the LTR at
2 that point in February 2020.

3 And along with that, we'll issue an update
4 to GESTAR-II in 2020, and so the CRDA LTR was
5 submitted with the modifications to GESTAR-II included
6 as part of that package, and so with the approval of
7 the LTR, those modifications to GESTAR will also be
8 approved.

9 Quick background on GESTAR: It's the
10 General Electric Standard Application for Reactive
11 fuel, and it's their process and methodology for
12 plants they have referenced in their tech specs, and
13 as long as they follow the methodologies and
14 requirements that are part of GESTAR, they can
15 implement, for example, the next fuel product line
16 according to those requirements and guidelines in
17 GESTAR-II without additional review and approval by
18 the staff.

19 MEMBER MARCH-LEUBA: Does the GESTAR cover
20 mixed cores? You could take over a plant from
21 Framatome?

22 MR. PFEFFER: So I would say a number of
23 the methodologies specifically have requirements on
24 mixed cores that are part of GESTAR-II.

25 And that's all I have for the open

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 session. Are there any other questions?

2 MEMBER MARCH-LEUBA: We'll now have an
3 open session from the staff, and we'll go into closed
4 session later. Remember, we are still in open
5 session.

6 MR. KREPEL: Okay. So we only have a
7 short time, so I'll get started here. My name is
8 Scott Krepel. I will keep this brief. My background
9 is that I graduated from Purdue almost 20 years ago,
10 and then I spent about 10 years working in the
11 industry at TVA.

12 I worked at Elite Analyst for fuel
13 engineering, and then I came to NRC where I've been
14 working ever since for the last 19 years as a safety
15 analyst. I've worked with the research office and
16 with NRR. Now I'm here to discuss GNF and the CRDA
17 application methodology. Next slide, please.

18 So just a short background for everybody:

19 The GE methodology is based on old guidance from
20 about, I think, the '80s.

21 Hold on one second for the interpreter.

22 It was two 80-calorie per gram, and that
23 was limiting from the old guidance. But more recently
24 the research has shown us that NSRR and other
25 facilities who have done simulations, they did rod

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ejection simulations, and that demonstrated the limits
2 were not very conservative.

3 And so with the more recent guidance in
4 place, we have the SRP 4.2, Appendix B, and so that
5 was able to give us a more current guidance for DG
6 1327, which has just been closed for public comment.
7 That will be coming to you soon for review. So the
8 new method that was proposed by GNR does fit the new
9 guidance, DG 1327, much better. Next slide, please.

10 So their method uses their current
11 approved code which you can see listed behind me. As
12 they had different aspects of their analysis, and all
13 of those codes have already been approved and verified
14 by NRC and all significant phenomena.

15 There's been some additional verification
16 that has been done and looked at for the impact of
17 cold conditions for CRDA activities. Okay, next
18 slide, please.

19 So the GNF did not conduct a formal PIRT,
20 which you might be familiar with, but that's basically
21 where they figure out which phenomena are involved in
22 the accident or the incident, and then they assign a
23 ranking of high, medium, or low importance. And so
24 it's this nice, pretty table that we're able to show
25 you. But GNF did not conduct that PIRT.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But what they did do is, they identified
2 the phenomena, and they created a report that was a
3 comparison, and so it's another PIRT that's available,
4 and so the NRC as able to review that.

5 And that phenomena was identified by GNF,
6 and it was very consistent with other information that
7 we receive, and it did address the uncertainties that
8 we were looking for. So it was a different approach,
9 but they were able to look using bounding values for
10 parameters as well as demonstrating minimal
11 sensitivity and then creating methodology for
12 conservatism.

13 And there were a few uncertainties that
14 were covered with conservatism, and I will be covering
15 those later in the closed session. Next slide,
16 please.

17 So in summary, I won't repeat everything
18 to you, but everything has been listed in the safety
19 evaluation. There are two important requirements:
20 first, they needed to analyze the CRD events; they
21 also had to look at the radiological release.

22 And so there are some additional
23 requirements as well, such as cooling ability, but GNF
24 and their methodology is actually based and
25 demonstrated that there are no fuel incidents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we can assume from moving forward, that
2 they meet all the requirements, because there are no
3 radiological release and no loss of cooling.

4 The fuel fair probability evaluation is
5 most useful because the criteria is very similar to
6 the NRC guidance for SRP as well as DG 1327. So with
7 either guidance, they are in compliance, and it is
8 applicable for the licensee to do their analysis.
9 Next slide.

10 So as mentioned briefly, GESTAR-II is a
11 little bit unique. It's unique to GNF and their
12 approach because their licensee is able to implement
13 this methodology without getting further approval by
14 the NRC. They also provide information as needed to
15 support their changing of that fuel, and they will
16 provide clarification as needed about how that
17 methodology or how the information will be updated in
18 the future. That will be discussed a little bit more
19 in depth in the closed session. And that closes my
20 open session of this presentation.

21 MEMBER MARCH-LEUBA: Thank you very much.
22 Can we get --

23 MR. KREPEL: Just a second.

24 MEMBER MARCH-LEUBA: Okay. Can we have
25 any open questions, please?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER REMPE: Yes. Just to make sure,
2 because we're on the record, it's full committee, and
3 it's hardly worth mentioning, but it is worth
4 mentioning. You did agree in our subcommittee that
5 you would correct a statement regarding Draft Guide
6 1327 in the SE before it's issued, correct? Thank
7 you.

8 MR. KREPEL: Yes, that is correct. That
9 is one comment that we are planning to make sure that
10 we correct on the safety evaluation, absolutely.

11 MEMBER REMPE: Okay, thank you.

12 MR. OTTO: And I know we address it in the
13 final safety evaluation, which we're going to complete
14 after this meeting.

15 MEMBER KIRCHNER: Jose, I have two
16 comments. The first, thank you. We will schedule a
17 meeting on DG 1327 at some period. Now, as Scott
18 pointed out, they've closed the public second round of
19 public comments. But my real comment here is, I'm a
20 little puzzled by the erratic blanket statement that
21 GNF satisfies the requirement ensuring that no fuel
22 failures occur as a result of a CRDA. Isn't that
23 dependent on the actual plant application, not the
24 methodology?

25 MEMBER MARCH-LEUBA: Did you want to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 answer it?

2 MEMBER KIRCHNER: We'd prefer.

3 MR. KREPEL: I can answer, yes. Their
4 methodology is specifically intended to allow the
5 licensee to analyze specific plants and then confirm
6 that there are no fuel failures happening at that
7 plant.

8 MEMBER KIRCHNER: I understand that, but
9 which plant? I just don't know -- am I missing
10 something? Is this tied to a specific plant?

11 MEMBER MARCH-LEUBA: Let me -- no, it's
12 not. The methodology is going to determine the bank
13 withdrawal procedures that will be allowable. So if
14 you drop a rod you will not fail any fuel. So if you
15 drop a rod and fail fuel, the bank position is not
16 allowed, and you have to iterate and get a new one.
17 So at the end of the day, for every plant where this
18 is implemented, they will have zero fuel failures by
19 choosing the proper bank positions.

20 MR. KREPEL: Correct.

21 MEMBER KIRCHNER: Correct, I agree. It's
22 just that the methodology doesn't ensure that. It has
23 to be applied to a specific plant and fuel loading,
24 and then you do the analysis. The methodology is
25 being qualified and accepted as a means to make that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 determination.

2 MEMBER MARCH-LEUBA: The methodology
3 requires an interruptive procedure and the use of this
4 further (phonetic) criteria.

5 MEMBER KIRCHNER: Okay.

6 MEMBER MARCH-LEUBA: So the methodology,
7 as we said before, has nothing to do with codes,
8 nothing to do with hydraulics. It's only how you
9 iterate to get it done.

10 MEMBER KIRCHNER: Okay. All right. I
11 missed that subtlety.

12 MEMBER MARCH-LEUBA: How you iterate, by
13 the way, is proprietary, so when we have the letter,
14 we will have to recap.

15 Okay. Can you hit the gavel for a moment?
16 I want us to go into a short recess while we set up
17 the closed session, okay? Are there any public
18 comments from the room?

19 MR. BROWN: Thomas, we need to open the
20 public line.

21 MEMBER MARCH-LEUBA: We don't need one
22 together.

23 Are there any members of the public on the
24 phone line? If you would like to make a comment,
25 please identify yourself and make a comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. HECK: This is Charles Heck of GNF.
2 I'm just commenting so that you know whether or not
3 you can hear somebody.

4 MEMBER MARCH-LEUBA: Thank you. We
5 confirm that the phone line is open, and nobody else
6 wants to make a comment, so at this time we will close
7 the open session.

8 MR. BROWN: Okay. We're going to drop the
9 public line now. GE, we're going to keep the GE line.
10 If you happen to get dropped, please call back into
11 that line, and we will call back in as well.

12 MEMBER MARCH-LEUBA: And GE, can you look
13 around the room and make sure everybody here belongs?
14 I see on this side are all staff members anyway. On
15 that side it's all you.

16 (Whereupon, the above-entitled matter
17 went off the record at 11:06 a.m.)

18
19
20
21
22
23
24
25



Global Nuclear Fuel

Control Rod Drop Accident (CRDA) Application Methodology

NEDE-33885P Review

December 5th, 2019

Contents for Open Portion

Licensing Review

- Licensing Topical Report (LTR) Development Overview
 - Drivers
 - Approach
- Remaining Milestones
 - ACRS Meetings
 - Final Safety Evaluation (SE)
 - Issuance of Approved LTR and GESTAR-II Revisions

LTR Development

Drivers

- Align with latest reactivity-initiated accident fuel damage guidelines
 - More thoroughly evaluate possible CRDA scenarios
- Improve plant operations
 - Allow for more flexibility during reactor startup
 - Prevent inadvertent subcriticality events
- Dose Improvements
 - Demonstrate zero fuel rod failures result from a CRDA

LTR Development (continued)

Approach

- Utilize previously approved methods
 - PANAC, PRIME, and TRACG
- Implement NRC guidance
 - Hydrogen and Fission Gas Release (FGR) models
 - Pellet Cladding Mechanical Interaction (PCMI) and High Temperature Cladding Failure (HTCF) thresholds
- Sources for NRC guidance
 - NRC Memoranda ML14188C423 (Reactivity-Initiated Accident Acceptance Criteria) and ML15133A306 (Hydrogen Uptake)
 - NUREG-0800, Sections 4.2, including Appendix B, and 15.4.9
 - DG-1327 (Control Rod Ejection and CRDA)

Current Status

Documentation

- ACRS Subcommittee – December 3rd, 2019
- ACRS Full Committee – December 5th, 2019
- Final SE anticipated January 2020
- Issue approved CRDA LTR expected February 2020
- Update GESTAR-II expected February 2020

GNF

Global Nuclear Fuel



U.S. NRC

United States Nuclear Regulatory Commission

Protecting People and the Environment

NEDE-33885P

GNF CRDA Application

Methodology

ACRS – 12/5/19

Scott Krepel

Office of Nuclear Reactor Regulation, US NRC

Background

- NRC guidance for RIAs has evolved significantly in recent years
 - SRP 4.2 Appendix B
 - DG-1327
- Current GNF/GEH methods are based on BPWS
 - NEDE-33885P provides an approach better tailored to current guidance

Background

NEDE-33885P only covers an analysis procedure; all codes have previously been reviewed and approved by the NRC

- TGBLA (lattice physics)
- PANACEA (3D core physics)
- TRACG (thermal hydraulics)
- PRIME (fuel rod performance)

Additional validation performed to confirm applicability of codes to limiting CRDA events

CRDA Phenomenology

GNF did not perform a formal PIRT, however, they did identify all key phenomena in a manner consistent with other references

For each phenomenon, the uncertainties were quantified or dispositioned by:

- Using bounding values for parameters
- Demonstrating minimal sensitivity
- Crediting methodology conservatism

Acceptance Criteria

Current regulatory requirements may be summarized as follows:

- CRDA event must be analyzed
 - GNF provides guidance to assure bounding results
- Any radiological releases must comply with regulatory limits
 - GNF satisfies this requirement by ensuring that no fuel failures occur as a result of CRDA
 - Possibility of fuel failures evaluated primarily via enthalpy based acceptance criteria consistent with NRC guidance (SRP 4.2 Appendix B, DG-1327)

GESTAR & Method Applicability

- GESTAR II updates to describe relevant documentation requirements (e.g., control rod withdrawal requirements)
- Clarifications regarding how methodology can be used
- New NRC approved models and codes may be used in lieu of those described in the LTR, subject to certain limitations

Nomenclature

BPWS – Banked Position Withdrawal Sequence

CRDA – Control Rod Drop Accident

DG – Draft Guide

GEH – General Electric - Hitachi

GNF – Global Nuclear Fuel

LTR – Licensing Topical Report

NRC – Nuclear Regulatory Commission

RIA – Reactivity Initiated Accident

SRP – Standard Review Plan