T-1069 NUCLEAR REGULATORY COMMISSION In the Matter of: ADVISORY COMMITTEE ON REACTOR SAFEGUARDS SUBCOMMITTEE ON STRUCTURAL ENGINEERING DATE: March 22, 1982 PAGES: 1 -187 AT: Albuquerque, New Mexico TROT ALDERSON ____ REPORTING 400 Virginia Ave., S.W. Washington, D. C. 20024 Telephone: (202) 554-2345 8203300059 820322 PDR ACRS T~1069 PDI PDR

UNITED STATES OF AMERICA 1 NUCLEAR REGULATORY COMMISSION 2 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS 3 SUBCOMMITTEE ON STRUCTURAL ENGINEERING 4 5 - - -Gran Quivera Room 6 Amfac Hotel Albuquerque, New Mexico 7 Monday, March 22, 1982 8 The meeting of the Subcommittee on Structural 9 10 Engineering was convened at 8:30 a.m. 11 PRESENT FOR THE ACRS: C. SIESS, Chairman 12 J. EBERSOLE, Member H. ETHERINGTON, Member 13 P. SHEWMON, Member D. WARD, Member 14 15 DESIGNATED FEDERAL EMPLOYEE: J. McKinley 16 17 ACRS FELLOW: T. MC KONE 18 19 ACRS CONSULTANTS: Z. ZUDANS 20 T. PICKEL 21 22 23 24 25

ALDERSON REPORTING COMPANY, INC.

PROCEEDINGS

1

2 MR. SIESS: The meeting will come to order. 3 This is a meeting of the Advisory Committee on 4 Reactor Safeguards Subcommittee on Structural 5 Engineering.

6 I am Chester Siess, Chairman of the 7 subcommitee, and we have several other ACRS members 8 present today. I am not sure how many of them are 9 members of the subcommittee; but Mr. Etherington, Mr. 10 Shewmon, Mr. Ward, Mr. Ebersole, all members of the 11 ACRS. We have two consultants to the committee, Mr. 12 Pickel and Mr. Zudans. And the designated federal 13 employee sitting at the end of the table is Mr. 14 McKipley. And then we have one of our ACRS fellows 15 present, Mr. McKone. I think that takes care of 16 everybody.

17 The purpose of the meeting is to review the 18 NRC research program on containment capacity that is 19 being carried out at Sandia Laboratories under the 20 sponsorship of the NRC Office of Nuclear Regulatory 21 Research.

The meeting is being conducted in accordance The provisions of the Federal Advisory Committee Act and the government in the Sunshine Act. The rules for participation in the meeting have been announced as 1 part of the Federal Register notice. A transcript is 2 being kept, so the speakers will please give their names 3 when they first speak so that the Reporter can get that 4 down. And we have no microphones so just speak loudly. 5 And if the Reporter cannot hear you, he will so indicate.

6 We have received no requests for oral 7 statements from members of the public, and we have 8 received no written statements from members of the 9 public.

We have an agenda. It is labeled a tentative It schedule. It calls for the subcommittee meeting proper 2 this morning with adjournment sometime around noon, and 3 after lunch those present will visit the Sandia 4 Laboratories to look at some of the work that is going 5 on. And that visit, of course, is not a part of the 16 public subcommittee meeting.

17 We had a meeting on this matter in July of 18 1981. Members of the ACRS present at that meeting were 19 Kerr, Bender and Mark, none of whom are present today. 20 We have a new shift in, and so those making 21 presentations should keep that in mind, that everybody 22 here is no' say as familiar with the program as I am, 23 which may not be too high a level either.

24 I think Dr. Zudans was at the meeting in 25 July. Pickel was not. Is that right?

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. ZUDANS: I was at the meeting.

4

2 MR. SIESS: Very well. So we might just as 3 well sort of start from scratch. I am speaking now both 4 to Jim Costello and the people from Sandia.

5 The agenda calls for an opening statement by 6 the Chairman, and I do not think I want to say a great 7 deal now. I could try to summarize what the objective 8 of the research program is, but I think that more 9 properly should come from a representative of the Office 10 of Nuclear Regulatory Research; and I suspect the 11 objectives have been modified somewhat since my last 12 formal connection with it.

13 So unless there are some questions from 14 members of the subcommittee, I think we might start off 15 with Jim Costello.

16 Any questions?

1

17 (No response.)

18 There will be plenty of time for questions 19 later on.

Jim, do you want to open things up? I should nention that in addition to Jim Costello from the NRC staff we have Franz Schauer here, who is Chief of the Structural Engineering Branch, Office of Nuclear Regulatory Research -- I forget what division -- and Fete Williams, who is Research Coordination Branch.

MR. WILLIAMS: That is right. Standards and
 2 Research Coordination.

3 MR. COSTELLO: Good morning. My name is James 4 Costello, NRC staff.

5 I thought for purposes of continuity I would 6 put on the first slide.

7 (Slide.)

8 It is something we had seen at the meeting in 9 July, indicating that at least some things remain the 10 same.

11 Walter Von Riessemann from Sandia, who will be 12 talking to you a great deal later today, is still here. 13 I am still here. And the principal question is still 14 the same; that is, how will containment structures fail 15 and at what loads, or put another way, what is the 16 containment's capacity?

For a little bit of a background you will note that the title currently is "Containment Integrity." Initially the title was "Containment Safety Margins." I think that tells the story that will fill in the gaps.

Back in the fall of 1978 when the program in 22 structural engineering research was just beginning to 23 get organized there was a great deal of discussion and 24 interaction between the research staff and members of 25 the Office of Nuclear Reactor Regulation. Here we are

1 back in the fall of 1978, and the discussions ensued 2 with members of the staff from the Offices of Nuclear 3 Reactor Regulation and the then Office of Standards 4 Development, and ideas began to be focused on what sort 5 of structural research programs were needed.

At that time one of the topics that was 7 identified was what was then called containment safety 8 marg. Inat is, it was recognized at that time that 9 containments could sustain loadings outside the envelope 10 of the design basis, but because of the way the 11 technology had developed, there was no real consensus or 12 basis for consensus on estimating how much. And the 13 feeling was then it would be a good idea to try to get a 14 handle on the ability of containments to withstand 15 loadings beyond those for which they were designed. And 16 at that time it was felt to be, while one of the highest 17 priority issues, immediacy and urgency were not 18 perceived.

And I guess you are well aware of a long tale of research programs and budgets, a program that was thought about in the fall of '78. It really would not start until fiscal '80. And then somewhere in the spring of 1979 a little bit of immediacy and urgency was perceived, and there was an attempt to get started as

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 incident.

20

The approach that was taken virtually from the 2 3 outset, although others were explored, was grounded in 4 the observation that there are great differences from a 5 structural engineering perspective among the population 8 of containments, and that prototypical or I should say 7 scale model testing, i.e., tests of a given containment 8 type at reduced scale, in a basically experimental 9 program was out of the question. And there was also a 10 simple observation that that would probably be an 11 improper taking for the NRC as well to model somebody 12 else's containment for him.

The approach was to develop a sufficient 13 14 experimental data base to allow discriminating judgment 15 to be applied to methods used by agents of applicants, 16 or applicants or licensees to make their estimates for 17 their containments. And that is about the way we have 18 been going for about two years now.

Now, let me move on a little bit. 19 (Slide.)

About a year and a half ago or so when it came

21 22 to the question of priorities and allocation of 23 resources there was a fair bit of interaction with the 24 NRR staff and with a review panel which has been 25 constituted to provide peer review for this program.

1 The interaction goes more or less like this. 2 The questions of priorities and needs are fairly well 3 based on staff perceptions. The review of programs 4 proposed to meet those needs as far as technical 5 adequacy are reviewed by the review panel.

Members of the review panel are not here 7 today, but I thought I would give you a rundown of their a names. I think some of the names will be familiar to 9 you: Tom Ahl from Chicago Bridge and Iron -- his main to area of expertise is design of steel containments and 11 liners; Bill Baker from Southwest Research has a long 12 history in experimental mechanics; Pece Cybulskis from 13 Battelle-Columbus has been added recently to the panel 14 in response to observations both by the ACRS 15 Subcommittee and other sources that the panel had 16 previously lacked someone with a great deal of 17 conversance in accident scenarios; Asa Hadjian from 18 Bechtel has principal areas of expertise in seismic 19 design and containment analysis; Mete Sozen from the 20 University of Illinois has main areas of expertise in 21 experimental design and testing of concrete structures; 22 John Stevenson of Stevenson and Associates and Joe 23 Ucciferro of United Engineers have containment design 24 experience; Ian Wall from EPRI is on the panel to 25 participate mainly in interactions with probabilistic

> ALDERSON REPORTING COMPANY, INC. 400 V. SINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 risk analysis studies; Professor Dick White from Cornell
2 is a nationally recognized expert in experimental work
3 on structures.

9

As a result of the interaction with the staff 5 about a year and a half ago it was decided to go with 6 first priority on steel containments and deferring work 7 on concrete containments until later.

MR. ZUDANS: Could I ask you one question?
MR. COSTELLO: Sure.

10 MR. ZUDANS: In the objectives in the previous 11 slide one of the approaches would be to assess selected 12 predictable numerical methods, is that right?

13 MR. COSTELLO: That is correct.

14 MR. ZUDANS: I know Sandia has their own 15 in-house expertise on that. Which one of these review 16 panel members comes closest to expert in that field in 17 numerical methodology itself?

18 MR. COSTELLO: In numerical methodology itself 19 I do not think we have anyone who is especially strong, 20 but Ucciferro is probably the closest.

21 MR. ZUDANS: He is just a user.

22 MR. COSTELLO: That is correct. That is 23 correct.

As I say, as a result of the decision to go 25 forward with steel first and follow in with concrete,

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 this decision being dominated principally by resources, 2 a plan was worked out and reviewed by the panel whose 3 names you have just seen. Redon reiterated and is now 4 on the verge of publication. Some elements of if I am 5 sure you may have seen in very brief form in our draft, 6 our most recent draft of the long-range research plan. 7 You will hear more about it today.

8 The work proposed currently for concrete 9 containments has not had the benefit of review by this 10 peer review panel as yet. So to the extent that we do 11 talk about initial thoughts on how to proceed on 12 concrete containments, please bear in mind that that has 13 not been thoroughly cycled through our review process. 14 Okay.

15 (Slide.)

I guess this is my half a page prospective 17 vu-graph, where we stand today. This is where we say 18 two major areas of utilization. I think we are 19 beginning to see more in the second area in later times 20 than we saw before. I think we always recognized that 21 there were two areas but did not perhaps foresee what we 22 now see as a growth in demand for our end product.

23 Where we stand right now, in summary form, 24 with current resources is that static pressure tests --25 that is, tests up to failure under monotonic increasing

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 pressure -- will be going on in fiscal years '82 through 2 '84, and details of that will be gone into today.

3 Current thinking is that what was sometimes 4 called dynamic pressure tests we are currently 5 visualizing for '85 to '87, and these are, of course, 6 tests which will be necessary to gain some credibility 7 for responses to rapid deflagrations and other 8 accidents.

9 I intentionally changed the slide to reflect 10 my own bias. My own thinking is that when the accident 11 scenario business boils down a little bit from a 12 structural engineering viewpoint of containment, the 13 important part about the unsymmetric dynamic loads will 14 be for containment purposes. They will not be terribly 15 dynamic. And the lack of symmetry will be the 16 significant aspect, not the transient nature. And we 17 visualize looking at seismic effects out toward the end 18 of the decade.

We are a little less clear on what kinds of 20 experiments will be needed to bridge the gap from the 21 basic building blocks. My own personal feeling is that 22 if we can satisfy ourselves with the basic building 23 block, i.e., that there is a general ability in the 24 construction engineering community to predict just what 25 will happen to a given containment under a monotonic

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 decreasing --

6

2 MR. ETHERINGTON: Does that long time schedule 3 reflect a low level of funding?

4 MR. COSTELLO: Yes, sir. I guess that is a 5 short answer.

MR. ETHERINGTON: That is good enough.

7 MR. COSTELLO: To give you a little bit of 8 history on that, we started out with something, \$50,000 9 in 1979 to get the ball rolling. I have managed to, 10 collecting leftovers from 1980 and '81, managed to piece 11 together, oh, about a million and half dollars for this 12 year.

We visualize being able to corral two to two we and a half million in the out years. That is the number we are looking at. We have not been able -- management feeling back in NRC is we have grown in the program as fast as we can within the NRC budgetary constraints.

Another response to your question is we may 19 see something different in scheduling as a result of the 20 poring over of proposed severe accident plans. Some 21 comments on the proposed severe accident research plan 22 indicated that in the view of the commenters progress on 23 containments should be accelerated.

24 MR. ZUDANS: Jim, I have two questions.
25 Will someone later attempt to define what is

1 meant by capacity?

3

6

2 MR. COSTELLO: Yes.

MR. SIESS: Not later.

4 MR. ZUDANS: And the other question, a similar 5 definition for what is meant as input for risk analysis. 13

MR. COSTELLO: Let me --

7 MR. SIESS: Wait a minute, Jim. Before you 8 answer that, put your first slide back on; and I want to 9 say a few words to at least try to set the stage for 10 some of this meeting.

11 (Slide.)

The ACRS has the responsibility, as you know, 13 to review the NRC safety research program; and in our 14 review of that program we usually focus at the broad 15 level of what is being done and why it is being done, 16 and not in all cases do we get down to the level of 17 looking at how it is being done or how well it is being 18 done.

19 Now, this meeting has both objectives, I 20 think. The question of what and why is something that 21 we can in this meeting explore with the representatives 22 from NRC. Our presentations and interactions with the 23 people from Sandia will be chiefly devoted to how it is 24 being done and how well. So that is the separation that 25 I think is important. So I want to come back now to the

1 first part and spend a little bit of time on that.

2 Your principal questions, there is the word 3 "failure." This is not a new question to you. What do 4 you mean by "failure," and what does Sandia understand 5 what you mean by "failure?"

6 MR. COSTELLO: Well, I wish I could say with 7 certainty that we were a great deal further along the 8 road than we were when I talked to you in July. We 9 still have the perception that failure, containment 10 failure is related to leak rate, and that an 11 unacceptable leak rate is failure.

Now, the quantification of that is to my mind is inextricably entwined with consequence modeling. The the best we can do is to try to assure that what we are to doing will provide a suitable piece when that puzzle is to put together. And that is the reason why we have gone to the added expense of the -- you know, our feeling that leak rate is a significant failure parameter is in the fact one of the reasons we have hewed to the course of compressed gas as opposed to hydrostatic gas.

21 MR. SIESS: Well, it seems to me -- and I have 22 not heard Sandia's presentation yet; it may get changed 23 -- but from what I have heard so far, not here but 24 before, that the project objective is still very 25 strongly focused on structural capacity and structural

1 failure. It is structurally oriented. For example, 2 this is suggested by the proposed order of testing where 3 you start off with a plain shell without any openings in 4 it at all, which is the opposite end of the spectrum 5 from where leaks are going to be.

6 And I am becoming increasingly concerned that 7 we may spend several millions of dollars and get several 8 years down the road before we find out that we have been 9 trying to answer or in fact have answered the wrong 10 question.

Now, the question is not when the containment fails but when the containment begins to leak secessively, and that is the only question. The only reason that containment is there, except possible shielding and missile protection, is leakage. Its for primary purpose is leakage. It has been pointed out that it is the only engineered safety feature that is there only to protect the public and not to protect the plant. Okay.

Now, I have been thinking about this a little, 1 and I have come up with the thought that there are four 2 ways we can have excessive leakage of a containment. 3 The first is that it fails to isolate; and I think there 24 is a fair amount of evidence around that that is a high 25 probability condition. It took them 12 days at Zion to

1 get the containment tight enough to make an integrated 2 leak rate test. There was a paper published in Nuclear 3 Safety a year or so ago estimating the reliability of 4 isolation, and they came out with not very good figures 5 in terms of what people use in risk analysis.

The second possibility for leakage is the 6 7 failure of a penetration or an isolation device because 8 of the effect of pressure or temperature following an 9 accident. For example, in the NUREG/CR-2182, the Oak 10 Ridge study on the Browns Ferry blackout, after the 11 batteries failed, in about four hours, three or four 12 hours, you had a core melt, and when the core went 13 through the vessel, the temperature in the containment 14 went up, the pressure went up. And at a pressure of 15 maybe 120 psi gauge, which is, I think, well within the 16 capacity of that containment -- it was designed for 56 17 -- there was a temperature in the range of 400 to 500 18 degrees Farenheit, and the people that made that 19 analysis decided that the electrical penetration 20 assemblies, the elastomeric seals would fail and they 21 would blow out. At that point there was no pressure in 22 the containment, but the leakage was, of course, 23 excessive. The pressure dropped to zero.

24 The third possibility is that there would be a 25 failure of the penetration, or a hatch, or a door as a

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 result of deformation of the basic containment under the 2 pressure/temperature following a severe accident.

3 And the fourth possibility is there is a 4 rupture of the containment structure itself, which of 5 course leaked excessive leakage.

Now, I expect the probability of those four modes of leakage -- and they could be subdivided -- are about on the order I gave them. I think the first one is the most probable and the last one is the least probable. And I have gotten the impression, which I would be very happy to have corrected, that the emphasis in this program is on the fourth mode, structural failure of containment, and to some extent on the third which is the penetration failure resulting from soverpressure/overtemperature of the containment itself.

And we might solve that problem with a few not million dollars in a few years and find out that it is a negligible contributor to risk. Now, I do not think no that we afford to do that.

20MR. COSTELLO:May I respond a little bit?21MR. SIESS:Yes.22MR. COSTELLO:I guess you expected me to.

23 MR. SIESS: You and Pete and Franz and any of 24 you that wish to respond at this point.

25 MR. COSTELLO: Well, I guess, let me work my

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 way backwards through your observations and comments
2 which I think are most helpful.

3 From my viewpoint the emphasis is about 4 equally on your items three and four; that is, leakage 5 around penetrations caused by deformations.

6 MR. SIESS: Let me clarify now one reason I 7 put the order I did, is that as I see this program for 8 about the first three years anyway, the next three years 9 it is going to be on number four; and if three gets in 10 there, it is going to come in toward the end.

11 Am I wrong?

12 MR. COSTELLO: No. I believe you are 13 correct. But if you will allow me to continue backing 14 up, I will get back to my observation.

Our feeling is that the emphasis is on three and four about equally. The question is how do we get there, and I guess I will have to observe that the first thing in our approach bullet, the first of our approach bullets is effectively what is driving it. We have to have, at least in my perception, a belief that analytical methods suitably calibrated can indeed reliably predict what is going to happen first and where; that is, will it be around a penetration in your there there and four, or will the penetrations hold and will something happen out in the membrane area.

1 The fact that there are so many varieties of 2 containment leads us to this reliance on analytical 3 methods. And by that I do not mean strictly analytical 4 methods developed as part of this effort. There is a 5 great hope, and I think there will be realization that 6 people who are now trying to make whatever predictions 7 they can will be most pleased to avail themselves of the 8 data to improve their predictions.

9 But I think that is simply why we are going 10 the way we are going. And I think your observation that 11 you will not get two things with penetrations in them 12 until later in the sequence as outlined by Walter --

MR. SIESS: There is a lot of merit in going MR. SIESS: There is a lot of merit in going the from the simple to the complex, even if you know that to the complex is really what you want to know. But going the from the simple to the complex in this deliberate to the complex in this deliberate to fashion seems to me to ignore the time constraints that the are here.

I keep hearing people on the staff talking 20 about severe accident rulemaking which is now out, but 21 severe accident program, talking about a time scale that 22 I think is quite a bit shorter than this program is 23 going to require.

24 Now, I can visualize other approaches. I can 25 visualize one where I start off with the most

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 complicated thing I can think of, and the best analysis
2 I can think of, and the best tests I can make and see
3 how good it is, and then find out where it does not work
4 and then take those questions and try to answer them.
5 That builds up from the simple to the complex.

Now, experimental people, that will work for them. It has worked in the past. To some extent it is a gamble. You may end up writing it so complex that you have to go back and start over at the beginning again. On the other hand, sometimes you are able to skip two or three steps and get to an answer, or you might hit it lucky and find out that it works the first time, in which case you are home free.

I do not know how inclined Research is to 15 gamble, but it seems to me that the desirability of 16 looking at that kind of an approach is something that 17 needs to be explored with the licensing people or 18 whoever is trying to make the decision. I do not know 19 whether it is the Commission or somebody else.

20 MR. COSTELLO: I guess I can offer -- may I 21 speak?

22 MR. ZUDANS: I just wanted to add to Chet's 23 comment, if I may. I think this is a very interesting 24 breakdown in these four items.

25 Chet, if I am not wrong, item number one, they

1 could not really do anything.

MR. SIESS: No. And I notice in the long-range research plan they dismiss that. They say failure to isolate is something we take care of by guality assurance and in service inspection; and they do not have the slightest idea of how good their isolation reliability is, but it is dismissed. That, I admit, has nothing to do with this program.

9 MR. ZUDANS: The second point that you brought 10 out I think is extremely interesting. I am wondering 11 whether this program intended to do anything like it. I 12 think that is a significant point.

13 I see Walter shaking his head. That will be 14 right?

15 MR. VON RIESEMANN: We did, but the limitation 16 on the budget --

MR. COSTELLO: Yes, I guess. May I first manswer your guestion and then go back and discuss --MR. ZUDANS: I did not really ask a guestion. O Go ahead.

21 MR. COSTELLO: Okay. I am still on the 22 question of why we are going the way we are going, and I 23 have a sense from listening to Professor Siess' 24 comments, I have a sense of deja vu.

25 On our advisory panel there was a good deal of

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 discussion along these lines. Professor Siess suggests 2 that perhaps extreme prudence on the part of the NRC 3 Research staff in wanting to keep up on the problem --4 and I guess I am principally responsible for that. 5 Maybe it is extraordinary prudence, maybe it is simply 6 cowardice, but I think we have to be realistic in our 7 experimental effort. We need a certain amount of 8 batting practice before we can convince ourselves that 9 we do have experiments in which we are measuring what we 10 want to measure and the like. The initial effort on the 11 clean shells, well, I am not so sure I even consider 12 that batting practice; more like leg stretchers maybe, 13 or warmups. They will provide something that will be 14 useful in the large deformation of code prediction for a 15 clean shell, but that is perhaps a side benefit.

The first two tests are really there to shake 17 down -- perhaps it is imprudent to publicize them as 18 tests and just treat them as something that is internal 19 housekeeping. However, I feel we are spending the 20 money. We will say what we are doing to get to items 21 one and two.

22 Yes.

23 MR. SIESS: Then we have the question of 24 time. Have you got the luxury of taking the time to do 25 that?

MR. WARD: Let me see, Jim. It seemed to me that there is maybe -- the chart you had up, the last chart you had up you said there are two -- you talk about two areas of use.

(Slide.)

5

12

6 One was judging, to permit the staff to judge 7 the credibility of capacity estimates that the licensees 8 will make. The second is to provide input to risk 9 analyses. Those are two different tasks.

10 I wonder if the breakdown of Chet's four items 11 is somehow related to these.

MR. COSTELLO: Well, I guess --

MR. WARD: And which of these purposes is 14 driving you in the near term.

MR. COSTELLO: Perhaps first I can respond to 16 your question and then Dr. Zudans' together, and I think 17 it comes down to this. As Professor Siess points out, 18 as he enumerated four areas, the isolation question is 19 clearly beyond the scope of our program. It may well be 20 historically demonstrated to be perhaps the one of 21 greatest concern.

The failure of small penetrations we have always perceived as an issue that is there. In an earlier, more grandiose scheme that extended the resources available, Dr. Von Riesemann and his colleagues proposed a much more elaborate testing
 program on environmental gualification of penetrations.

Another out we have on that is gee, that belongs in the electrical branch. Now, I will not push that too far today, but I think that is why we have always viewed one as being way beyond our scope, two as being tangential, and I think we have reason to believe that the effort on two will be picked up but perhaps some place else.

But on items three and four, even in the input to risk analysis -- I think Dr. Zudans asked what I neant by that 15 or 20 minutes ago -- it will be in a categories three and four probably; that is, when will a containment fail and where. And questions like this seem, in recent go-rounds, to be of extreme interest in for risk analysis and consequence analysis.

17 MR. SIESS: But, Jim, you are addressing this 18 as maybe appropriate from the standpoint of the 19 structural engineering section in the Mechanical 20 Engineering Structural Research branch. That is 21 legitimate to say that my mode two is not your job; it 22 is somebody else's. But it is the job of someone in 23 Research to look at this and say well, maybe mode two is 24 going to be the principal contributor to risk, and we 25 ought to put \$10 million into it, and we should not put

1 money into containment capacity, and not at the same
2 rate.

And, you see, we do not have those people A here. We do not have any people except a bunch of 5 structural people here, except Pete, and Pete may be 6 able to address this if we give him a chance, if he 7 raises his hand.

8 MR. COSTELLO: Nobody here but us Indians. 9 MR. SIESS: As far as Sandia is concerned, if 10 I were the principal investigator on this I would be 11 very reluctant to propose the gamble type of approach I 12 suggested where we start in, test something with a lot 13 of penetrations, and work backwards; and maybe it works 14 and maybe we start over.

As a researcher I would be more inclined to 16 take the step-by-step, A-B-C-D approach. But it is 17 appropriate for the sponsoring agency to make the 18 decision that if we need an answer in the three years, 19 let's take a gamble on some other approach, and it is 20 our responsibility.

21 So again we have a division of responsibility 22 here, the whole research thing, the structural part. 23 They responded to your RFP, and it is not quite that 24 cold. And these are strategy type decisions, and I 25 really do not expect to get them settled here; but I

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 want to raise it. Maybe Pete --

MR. COSTELLO: Let me make a quick response.
MR. SIESS: And then I will give Pete a chance.
MR. COSTELLO: Of the penetration turning to

5 taffy prediction from Oak Bidge, in fact, I had a couple 6 of discussions with Bill Anderson, who was Chief of the 7 Mechanical Structural Engineering branch, in the last 8 couple of weeks about where does this fit vis-a-vis what 9 we are doing. I guess I can assure you that at least at 10 a somewhat slightly elevated management level there is 11 discussion going on about what some of the things that 12 may be outside the box that are important, you know, 13 where some of these areas may be.

I guess you know much more about the structure 15 than I do, and I think we will not see -- I would 16 cheerfully submit I do not think you will see any major 17 reallocation of resources among programs lumped together 18 into severe accident plan without significant input from 19 the outside and to senior management.

20 MR. SIESS: Well, it may get it. You see, I 21 can look at it very --

22 MR. COSTELLO: They might welcome it, too, I 23 think.

24 MR. SIESS: If I were convinced that modes one 25 and two were much more likely to contribute to modes

1 three and four, and that somebody in NRC was really 2 going to look at modes one and two -- that is, failure 3 to isolate and containment failure or penetration 4 failure -- and really get going on it, then I could be a 5 lot more relaxed about modes three and four. I might be 6 a lot happier by taking it step by step and spending 7 five or six years to look at containment capacity in 8 case it comes up in the future and get that one out of 9 the way.

But if I am looking at containment leakage as But if I am looking at containment leakage as In a problem in severe accident phenomena, then I guess I have to ask NRC Research whether they are working on the most important parts. Now, whether they end up taking is money away from you is something else.

MR. COSTELLO: May I add one more -MR. SIESS: Okay.

17 MR. COSTELLO: You jogged me with one more I 18 had on my list that I did not get back to. But I seem 19 to recall discussing in July -- obviously it did not 20 take or it did not permeate the discussion today; my 21 feeling is perhaps I did it in an aside -- as to whether 22 what you have identified as modes three or four are 23 important to us.

24 If you look at it from -- suppose you 25 identified this as the weak link, what do you do aspect,

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 the valve closing, the most probable, is also the most 2 fixable, at least in principle. The leakage around 3 small penetrations due to environmental effects is also 4 perhaps a little less fixable than procedures, is 5 probably -- I may be getting on thin ice here about my 6 knowledge of high temperature materials -- but I think 7 it is probably fixable at a relatively small expense of 8 time and money if a premature failure of penetration 9 would be at half of what you would expect otherwise.

10 When we get to mode three, a retrofit of a 11 large penetration, if it turned out that that 12 penetration capacity, the capacity to withstand that 13 penetration limited your overall containment capacity, 14 would be possible but a major undertaking. And when you 15 get down to the membrane failure itself, of course there 16 is no effects.

17 MR. SIESS: Yes, there is. There is one fix 18 for both modes three and four, and that is the vented 19 filter. You just do not let the pressure get up. That 20 is not an original thought with me, as you probably know. 21 MR. COSTELLO: Okay.

22 MR. SIESS: But there are ways of keeping the 23 containment vents from being overpressured, and I guess 24 putting a couple of 36-inch holes in a containment for 25 piping may not be a minor Lackfit, but it is probably

1 not much worse than trying to fix up equipment hatches
2 that are going to leak.

Okay. Let's see what --

3

4 MR. WARD: Chet, could I ask one further 5 questions?

6 Let's see, you know, the containment failure 7 as you started out, containment failure is an 8 unacceptable leak rate. Somewhere that gets defined, 9 given the situation, quantitatively. I guess my 10 question, going back to Chet's four items here, is it 11 clear that one and two will give you leak rates which 12 are beyond this threshold of unacceptable. I guess it 13 is clear that four and probably three will.

14 MR. COSTELLO: Yes, sir, I think so.

15 MR. SIESS: The Oak Ridge study blew out all 16 the electrical penetrations. The pressure dropped to 17 zero instantanteously.

18 MR. WARD: Okay. I guess you have answered my 19 question. Are the leak rates for those two failures --20 they are clearly beyond the threshold of acceptability.

21 MR. COSTELLO: To my understanding of the 22 readings of WASH-1400 and the Oak Ridge study, the 23 answer is yes.

24 MR. SIESS: Has anybody ever taken -- for 25 example, there are a number of accident scenarios

1 obviously, and right now people are using the MARCH 2 code, MARCH-CORRAL or something, which I know has a lot 3 of bugs in it; but it will predict certain rates of 4 increase in pressure, right?

MR. COSTELLO: Yes.

5

6 MR. SIESS: Has anybody taken that and looked 7 at what size opening or what leak rate -- and I would 8 prefer to think as a structural engineer in terms of the 9 size of opening -- what size of opening would 10 essentially stop that pressure increase. The pressure 11 is going up 10 psi an hour. How big a hole do you have 12 to have where it does not go up any more?

13 MR. COSTELLO: I am sorry. I cannot answer 14 that question. I have a vague inkling of seeing some 15 calculations associated with holes, but I do not 16 remember the details, and perhaps --

17 MR. SHEWMON: Sandia has a comment that we18 will hear later.

MR. COSTELLO: If we can defer until then, we 20 can do that.

21 MR. SIESS: That is what Dave Ward's question 22 is essentially. I suspect if you get a six or eight 23 inch or twelve inch hole that your pressure will just 24 not go up any more; it will go down.

25 Okay. Do you went to let Pete --

MR. COSTELLO: Or I could -- if you want to
 2 talk about what I have on the last slide for a few
 3 minutes, then I could let Pete come on.

4 MR. WILLIAMS: I will be very brief. I can 5 tell you that there are essentially --

6 MR. SIESS: You will probably be back, Jim. 7 MR. WILLIAMS: I am Pete Williams from the NRC 8 staff. I can direct this to two items which are going 9 on which I think address the concerns you have raised at 10 this time.

One is that there has been a long-range plan One is that there has been a long-range plan for severe accidents. It was called NUREG-0900. And in a our NRR staff we did have the opportunity to comment on if it about a month ago, and in the comments that we for offered on containment integrity we did not address mode for one, the isolation problem.

17 I think most of us felt that that was 18 something within our own domain, and we did not foresee 19 any research that would help us in that area. However, 20 in mode two we did insert comments into our comments on 21 NUREG-0900 --

22 MR. SIESS: Wait a minute. The NUREG-0900, 23 it's the severe accident --

24 MR. WILLIAMS: Program plan.
25 MR. SIESS: Research plan, isn't it? It is

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 not the long-range research plan.

2 MR. WILLIAMS: That is right. And you may 3 have seen our comments on that.

MR. SIESS: Yes, I have.

5 MR. WILLIAMS: Okay. I cannot remember them 6 all. I know we did ask Research to give us a definition 7 of what is meant by containment failure, and I know we 8 did ask Research to consider penetration failures in 9 their research activities, and we did put an emphasis on 10 time.

We told Research in those comments that we wanted answers by fiscal '84, we want to make decisions during fiscal '84, and that the research should be planned well enough so that the research to be performed for fiscal '84 would really be complementary and for supportive of the decisions. That would be what is realled good research planning.

Our comments were reviewed by the highest of 19 Research management, and we held a meeting just last 20 week where many of our comments were discussed with 21 high-level management, and they, in particular on 22 containment -- we did not go into it deeply, but they 23 felt that our comments were well taken and that the 24 programs would be directed along that line.

25

4

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. SIESS: Pete, you said you wanted answers

1 by a certain date. Do you really have to have answers, 2 or do you want good questions by that time? It seems to 3 me that with the variety of containments, the variety of 4 penetrations, and within any single plant there is a 5 variety of penetrations, and go to another plant, they 8 are different.

7 MR. WILLIAMS: I think we want both. The 8 answer that we want, though, is to make a decision on 9 additional engineered safeguards, whether or not vented 10 filter containment should be a device to be backfitted 11 to existing plants. We would like to make a decision on 12 that in the next two years.

13 MR. SIESS: I do not see how you can get 14 answers that quickly, because if the penetrations are a 15 weak spot, the only way you are going to get answers is 16 to ask every applicant to tell you how good his 17 penetrations are. There is no way the NRC Research, 18 Licensing or their contractors are going to be able to 19 answer the question as to what is the pressure and 20 temperature capability of every possible penetration 21 over six inches in diameter or over three inches in 22 diameter. And if you are going to be able to know 23 whether those penetrations can withstand a severe 24 accident, you are going to have to have a set of 25 questions to ask the licensees, and for him to go out

1 and get the answers now.

MR. WILLIAMS: You are going to have to know what the environmental conditions are going to be that these penetrations will see. I do not think we have anything now that is less than just an estimate. We hope, though, in the next two years to have a better restimate of what the temperature, pressure, humidity and that sort of thing will be in containments.

9 One more thing I would like to say. As you 10 know, we introduced a new concept of accident 11 management. We do not know where this is going to take 12 us. NRR has endorsed quite strongly the proposal to 13 consider that as an important addition to both accident 14 prevention strategies and accident mitigation 15 strategies; and this may lead us into --

16 MR. SIESS: How does containment leakage enter 17 into a strategy of accident management? That is your 18 last engineered barrier to radioactivity reaching the 19 environment. After it gets out of containment all you 20 have left is evacuation, sheltering and potassium iodide.

21 MR. WILLIAMS: Well, you hope, I believe, to 22 keep melted fuel, if it does melt, within the reactor 23 vessel.

24 MR. SIESS: That is prevention, yes.
25 MR. WILLIAMS: Okay. Now I think we are into

.

1

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 semantics. You might say that TMI-2 was a managed --2 accident management took over after the initial event, 3 and it was sufficiently managed to keep the core from 4 degrading further.

5 MR. SIESS: Well, sure, everybody wants to 6 keep the accident from progressing that far, but that 7 does not mean the NRC is going to let somebody stop at 8 that point. We are not going to take containments out. 9 We are not going to tolerate a leaky containment. What 10 TMI taught us, if it taught us anything, that the 11 containment worked.

12 MR. SHEWMON: But for scenarios which do not 13 lead to containment problems until you have done nothing 14 for 40 days, they may now change the scenarios, where 15 before that is what they ended up with.

16 MR. WILLIAMS: You might say penetration 17 design is still dependent on the scenario development. 18 We have not reached the end of the road of what 19 scenarios will be considered.

20 MR. SIESS: That is, you might consider some 21 scenarios so incredible that they do not have to be 22 designed for.

23 MR. WILLIAMS: That may be the result in two 24 years. I think that is why there is --

25 MR. SIESS: Like a double-ended pipe break.
MR. WILLIAMS: That is right.

1

2 MP. SIESS: If we are going to continue to 3 postulate a double-ended pipe break, I do not see how we 4 are not going to postulate radioactivity in the 5 containment.

6 MR. WILLIAMS: Oh, I am sure we will continue 7 to postulate some radioactivity in containment. I think 8 it is the temperature and pressure that the containment 9 will see is what is unknown.

10 MR. SIESS: Okay. I get your point. You 11 think you might be able to decide that the temperature 12 and pressure level gets so high that you have to worry 13 much about modes three and four.

MR. WILLIAMS: In the sense that we would require containment venting, a vented filter system. That is one of the decisions that people are saying that we want to make in the next two years. And that is, as far as I know, that is an agreed upon strategy, at least y at the level of the Office of Research and the Office of Nuclear Reactor Regulation.

21 MR. SIESS: I really cannot build up a 22 scenario, I guess. If I did research on penetrations 23 and found that there was some penetrations used, 24 probably electrical, that could not withstand 300 25 degrees Farenheit in combination say with 15 percent

1 over design pressure -- they have been tested to 15
2 percent over design pressure but not at 300 degrees
3 Farenheit, right?

If I found they could not do that, do you think there is some way I can not worry about those? I am on mode two.

7 MR. WILLIAMS: Let me go on to -- I wanted to 8 say I had two areas to report. The second area is we 9 are developing a containment user request, an NRR user 10 request, and included in that request I think will be a 11 discussion of our needs in terms of research on 12 containment penetrations and supporting research and 13 scenario development to determine the environment the 14 penetrations will see.

MR. SIESS: Well, I am still convinced that NRR does not know what questions to ask yet from the If licensees, and I do not see the research here dealing with modes one and two, and I still think they are probably more important than modes three and four.

20 MR. WILLIAMS: All I can say is that we do 21 recognize the problem. One of the reasons for our 22 participation in this committee's meeting today is to 23 develop background to develop our user need.

24 MR. ETHERINGTON: Does the program as outlined 25 place emphasis on what happens to the containment or

1 equally on what the consequences are?

2 MR. WILLIAMS: You are speaking of the severe 3 accident research plan?

MR. ETHERINGTON: Yes. No. This program.
MR. WILLIAMS: Jim Costello's program.
MR. SIESS: Yes.
MR. ETHERINGTON: Yes.

8 MR. WILLIAMS: I will have to ask Jim to 9 answer that.

10 MR. ETHERINGTON: Okay.

11 MR. EBERSOLE: May I ask another question? 12 There was another elaborate program going on which is 13 called environmental qualification of safety equipment 14 inside containment. That would include electrical 15 penetrations, I believe.

16 MR. WILLIAMS: It should.

17 MR. EBERSOLE: I believe that is oriented 18 toward defining the qualifications of such equipment at 19 fixed or identified levels of exposure to temperature 20 and pressure, and it does not include any establishment 21 of margins.

Are you interfaced with that program to 23 understand what conservatisms may or may not be in it? 24 MR. WILLIAMS: We are working to interface on 25 that. We recognize some lack of coordination in that

1 area, but we will pursue that in this containment user --

2 MR. EBERSOLE: If I recall, it will be 1989. 3 It will be 1989 before NRC finally verifies that they 4 have got qualified equipment.

5 MR. WILLIAMS: I hope it is not.

6 MR. EBERSOLE. That is what the program 7 calendar is now, way out there, too far in the future.

8 MR. SIESS: But the present environmental 9 qualification program is mostly for DBE's, design basis 10 events, or design basis accidents, but not for severe 11 accidents.

12 MR. EBERSOLE: Right.

MR. SIESS: Steam line break, double-ended14 LOCA.

MR. WILLIAMS: And the reason for this is we not really fixed on what the scenarios should be. You might even say it looks like we will have to come up with DBE types of accident. Maybe that is what we will ultimately come up with is another step, another fallback on some form of more severe design basis accidents.

22 As you may know, there is a program under way 23 at several labs called SASA, severe accident sequence 24 analysis. I think this is a very healthy program to get 25 a handle on this. It is not a probabilistic risk

1 assessment, but it is an analysis that uses event trees 2 and allows for operator intervention. I think that we 3 have a lot to look forward to from these analyses.

MR. SIESS: Any other questions for Pete?
(No response.)
MR. ZUDANS: I have one for Jim.
MR. SIESS: Jim, you have one more slide.
MR. SHEWMON: Then do we hear from Sandia?

9

10

11

MR. COSTELLO: Yes, I have one more slide. MR. SIESS: Zenons has a question for you. MR. ZUDANS: I just want to make sure that my

12 understanding is correct, because all of a sudden I 13 begin to feel comfortable with this program, which was 14 not the case ten minutes ago.

15 If we now analyze the situation in terms of 16 Chet's defined four items, item one, failure to isolate, 17 certainly is out of the scope of this program. It can 18 be handled from the basis of whatever experience can be 19 collected.

The failure of penetrations or isolation the failure of penetrations or isolation the environment that might occur in a severe accident does not have to be done in this scale. Experiments can be done on a small device which is the really not a structural problem, so therefore it makes sense not to have it in this program. So therefore, the

1 remaining two items that are being addressed indeed fill 2 in the gap that is there.

3 MR. COSTELLO: I guess I feel pleased that you 4 are assured about what we are doing.

MR. ZUDANS: I am not assured, no.

5

6 MR. COSTELLO: My problem is I am unable from 7 my perspective to reassure Professor Siess or members of 8 the subcommittee about progress on modes one or two. I 9 have the feeling that something is going on, but I do 10 not know it for a fact. It is beyond my expertise and 11 competence.

12 MR. SIESS: One and two are clearly outside 13 the scope of your section. I am not sure they are 14 outside the scope of the containment structure 15 engineering problem. And it bothers me because I am not 16 sure that anybody knows whose scope they are in. I 17 think they are in --

18 MR. ZUDANS: I want to add one more thing 19 which was mentioned by someone here already. Testing of 20 the penetrations in the environment that is created by a 21 design basis accident is definitely not the whole 22 story. Somehow you have to establish what margin they 23 are or else you have no conclusions to make from these 24 tests with respect to how these devices will behave in a 25 severe accident environment.

1 Is there anything done in that direction to 2 define the margins, to go as high as they can before 3 they fail?

MR. COSTELLO: Do you mean in the --4 MR. ZUDANS: In the penetration areas. 5 MR. COSTELLO: Pressure/temperature, I have to 6 7 say that is beyond my understanding. I do not know. MR. ZUDANS: If you do not do that, you cannot 8 9 do anything with severe accidents at all. MR. COSTELLO: Again, I cannot speak 10 11 authoritatively to that. I understand the concern. I 12 can say that it is also a concern to Dr. Anderson to 13 make sure that things do not fall in the crack and that 14 nothing flops over on his side of the line. MR. ZUDANS: Okay. Thank you. 15 MR. SIESS: Now, you are going to talk about 16 17 what other people are doing, right? MR. COSTELLO: Yes. Do you want my 18 19 observations on the IDCOR? MR. SIESS: This slide, you are going to talk 20 21 about what other programs are relating to what you are 22 doing.

MR. COSTELLO: On the next slide I will.
MR. SIESS: Before you start, let me make a
couple of comments. In the draft I saw of the

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 55-2345

1 long-range research plan I thought that what the 2 structural engineering group had done in terms of 3 relating their work to programs being done by others --4 DOE, industry, and other countries -- was probably one 5 of the best jobs in that plan. Congratulations.

6 Second, when you address this, to the extent 7 you can indicate whether any of these other people are 8 thinking about any of these other modes we talked about.

9 MR. COSTELLO: Okay. I will do that.

10 MR. SIESS: Or whether you have been 11 interfacing only on the structural point.

12 MR. COSTELLO: No. I have done a little bit 13 more than that. Again, I would like to wrap up this 14 slide, because this is the one I thought had the 15 substance of today's presentation.

In response to Dave Ward's question about the 17 two areas I thought I should note that, because I guess 18 if we perceived only one or the other as the are of 19 utilization, I think we would have the program 20 configured a little differently.

We are trying to do something which will be useful for both and not get into the worst elements of a compromise. As far as the current schedule, hat is what we see. As Pete Williams and others have suggested, we may want -- it may be wise to speed up the

1 schedule, and it may be that the next time we talk to 2 you there may have been taken a management decision to 3 do something along those lines.

(Slide.)

5 And my final summary is of ongoing activities, 6 some done by myself, some done mainly by Walter Von 7 Riesemann, and some by us in concert. We have attempted 8 to get the benefit of the predictions made of 9 containment capacity for individual containments made 10 for different utilities and reported as part of the 11 IDCOR lask 10.

My own observation from seeing the 13 presentations but not yet seeing the written reports is 14 that what people are doing is generally what you would 15 expect as a responsible structural engineering attempt 16 at a first cut; that is, people are, generally speaking, 17 taking the models they used for containment design, 18 putting on some sort of bi-linear patch, and attempting 19 to follow radial displacement versus pressure, and then 20 generally come to a point where deflections are 21 beginning to grow according to the model they are using, 22 and then say gee, I am more or less without confidence 23 in the modeling beyond this point. Up to this point I 24 feel pretty good. Therefore, since you asked me to make 25 this prediction of what the containment could take

1 beyond design basis, something which no one had thought 2 about doing before, and allow me the whole of six weeks 3 for it, I think this is as far as I can honestly go.

But I can say that the number I give you is one in which I feel confident is a lower bound. Then come certain caveats about penetrations and a different bunch of people within the A&E firms or utilities from those who reported the structural calculations are yaguely guoted as saying not to worry about the penetrations, except with the single exception of UA from Oak Ridge.

And the IDCOR program I believe is And the IDCOR program I believe is Not progressing. As to whether a second calculational cut will be taken as part of the IDCOR effort I just do not to know.

16 MR. ZUDANS: Could you spell out IDCOR, what 17 it means?

18 MR. COSTELLO: Industry degraded core 19 rulemaking response or something. It is an activity 20 sponsored by utilities and a little bit by some of the 21 major A&E's. I think the total package is about \$10 22 million to be spent over two years.

MR. ZUDANS: Who is doing the work?
 MR. COSTELLO: The principal contractor and
 manager is the firm in Knoxville, Tony Buell's firm,

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 Technology for Energy Corporation. And there are a 2 number of subcontractors working around.

3 MR. SIESS: They are looking at the whole4 degraded core situation.

5 MR. COSTELLO: That is correct. But one of 6 the tasks was the so-called Task 10 on containments.

7 The DOE effort is related, as I have cited 8 here, is related to their response to the public law 9 which requires that DOE respond by this summer about 10 their plans to develop a program to enhance the safety 11 of light-water reactors. It is a funny animal, since 12 there is a great deal of planning going on but nothing 13 in the '83 DOE budget to sustain.

14 The logic is that should something worthwhile 15 be developed that Congress will see fit to increment the 16 funds. No comment. But as part of this study effort, 17 there is a draft report in circulation right now which 18 tends to look at a wide range of questions, structural 19 capacity only being one of them. And among items that 20 were cited as priority A in that list are questions 21 about leak rate, amount of filtration through concrete 22 and consequence-related questions. The DOE approach is 23 heavily consequence related.

24 MR. SIESS: Jim, there is an activity which 25 may be more a source of questions than of answers, but a

1 lot of people now are making analyses of containment 2 capacity or containment leakage, the Zion PRA. Other 3 people are going to be doing PRA's, Indian Point and so 4 forth. Zion is under peer review.

5 Are you or Sandia or somebody following all of 6 these things that are being done to see what kind of 7 issues they raise, either in the original or in the peer 8 review?

MR. COSTELLO: The answer is yes.

9

10 MR. SIESS: I thought that the Argonne peer 11 review of Zion had some very interesting points on the 12 containment question, leakage. It raised a few oddball 13 questions that I had not thought of, and I am not sure 14 all are important; but these are the kinds of things you 15 are looking at.

16 MR. COSTELLO: Yes, sir. That is correct. 17 And finally, the interaction with foreign 18 programs, we have three things listed. One is past 19 history. The first one is the test done at the 20 University of Alberta on a model of a Gentilly 21 containment, and that effort we hope will be of some use 22 to us in the planning and carrying out of concrete 23 containment experiments.

24 MR. SIESS: Who was doing that?
25 MR. COSTELLO: It is done by MacGregor,

1 Simons, Dave Murray. In fact, they have just about 2 wrapped it up.

3 The second one is something current. It is 4 our understanding that there will be undertaken a test 5 of a prestressed model similar to a SNUPPS containment, 6 but from our context similar to a SNUPPS containment, 7 from the British containment a model of their 8 containment for their proposed PWR.

9 This effort is thought perhaps to take place 10 in the next year or so. We hope to gain the benefit 11 from that. We have current interaction trying to get 12 scheduling and coordination.

MR. SIESS: Now, are they thinking leakage?
 MR. COSTELLO: I think not.

15 MR. SIESS: And the Canadian test?

MR. COSTELLO: Leakage. And we still have on MR. COSTELLO: Leakage. And we still have on the agenda when we get around to thinking about what kinds of seismic issues are relevant and of significance for containments, we will have our eye on some sort of cooperation with the Japanese on the large shoke table. No agreement has yet been reached, and we are still hopeful. We still have time.

And I trust I have given you enough of or perhaps more than you really wanted of the background and status of where we are. I guess I will next turn

1 the proceedings over to Dr. Walter Von Riesemann from 2 Sandia Laboratories who is the overall program manager 3 for Sandia and who will coordinate Sandia's presentation.

I think for purposes of efficiency I might, 5 since as questions begin to flow they may be better 6 answered by some other person from Sandia, so I might 7 just identify them as they sit over here on the Sandia 8 side of the house.

9 Dr. Von Riesemann I think you all know. Wayne 10 Sebrell, also from Sandia, concentrates a lot on the 11 budget and management end of the program. Dr. Tom 12 Blejwas does a great deal of the analytical work. Next 13 to him is Dan Horschel, who also works mainly on the 14 analysis effort. Al Dennis, on the end of the aisle, is 15 responsible for overall planning of the -- planning and 16 scheduling of the effort. And Dr. Ron Woodfin, in the 17 back, is pretty much in charge of the experimental 18 effort.

19 So if you would like to start now with Dr. Von 20 Riesemann.

21 MR. SIESS: Franz, did you have anything you 22 would like to put in at this stage of the game?

23 MR. SCHAUER: No, I do not, sir. I think I 24 would say I think the comments that you indicated are 25 right on. The emphasis seems to be, on this particular

1 program, is on structural capacity; and we have wrestled 2 with the leakage question at a very low level of 3 research effort for many, many years.

I think that we do need to put some time into 5 at least some limited testing to assure that our 6 indications on increased pressure do develop the margins 7 that we are going to get on this test.

MR. SIESS: Thank you.

9 I think this has set the stage for the Sandia 10 presentation. It is pretty clear, I believe, that it is 11 directed at modes three and four of the four modes I 12 listed. We will decide from the discussion how it 13 relates to three and four, and I think for some of this 14 other discussion we need to get to the attention of some 15 other people in Research, and we will see that they get 16 the minutes and maybe see that they get a copy of the 17 transcript. And I suspect that we will have some 18 comments on the long-range research plan that may relate 19 to this to get some focus on this, because it is too 20 compartmentalized.

21 Okay, Walt.

22 (Slide.)

8

23 MR. VON RIESEMANN: My name is Walter Von 24 Riesemanu.

25 I feel that before I begin the formal

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 presentation, Dr. Siess, there have been a lot of 2 questions raised, and I have a few comments in regard to 3 some of them.

On one, the corsequence of a leakage will depend upon the timing, he mode and the location within the containment structure, i.e., a failure late in the raccident might be less severe than one early in the accident.

9 Now, this program does not try to attempt to 10 determine what time the accident or failure will occur, 11 but it is of importance. Also, we realize the problem 12 with isolating the containment. We have unofficial 13 reports that tests on containments before the 14 regualification -- in other words, to see what the leak 15 rate is -- the leak rate is on the order of 10 percent 16 of the volume per day in contradiction or correspondence 17 to the .1 percent volume per day which is the standard 18 for most plants.

19 MR. EBERSOLE: Would you clarify something for 20 me? You made a comment, leak later on, the evolution 21 might be less consequential. There used to be a design 22 called the bridge containment which deliberately leaked 23 in the first stages when there was virtually no 24 radioactive fission products present but you could get 25 rid of the mechanical load. Subsequently, as I recall,

ALDERSON REPORTING COMPANY, INC.

1 the consequence was less because you had less 2 differential for leakage.

3 MR. VON RIESEMANN: You are reducing the 4 hazard, so to speak, there by the pressure. The other 5 thing, though, is if you do not do that, if there is 6 plate out of the inventory that occurs, the timing is 7 important again.

8 MR. EBERSOLE: There is a front and back end 9 to this.

10 MR. VON RIESEMANN: Right. It is very much 11 scenario dependent and site dependent and containment 12 dependent. In fact, the GE Mark III, which is a 13 freestanding steel containment, the GE people are 14 hypothesizing that if failure does occur, it will be 15 after the material goes through the suppression pool, 16 and the torispherical dome might fail, and only be a 17 small failure and hence not of much consequence.

18 That is one of the questions that this program 19 can answer. The other thing is in dynamic loading.

20 MR. SHEWMON: It seems to me you have 21 postulated a scenario I did not hear.

25

22 MR. YON RIESEMANN: Will the torispherical 23 dome leak only a small bit or will it be a catastrophic 24 failure? They are hypothesizing a small hole.

MR. WARD: To go back to your first statement,

1 what you said about typical leak rate, is 10 percent a
2 day --

3 MR. VON RIESEMANN: I do not want to say 4 typical. I said it was unofficially reported on a 5 containment that some tests were done before 6 regualification.

7 MR. WARD: On a containment?

8 MR. VON RIESEMANN: On a containment design. 9 There is a lot of discussion on leak rate, obviously, 10 and since the last meeting in July we have talked to 11 people at Battelle-Columbus, for example -- Rich 12 Denning, Pete Cybulskis, Ian Wall -- just what do you 13 need to know in doing a probabilistic study.

14 If you look at WASH-1400, in many cases if the 15 leak rate was less than 100 percent of the volume per 16 day, it did not mean any difference on the consequence. 17 And 100 percent per day is a fairly large hole. Is it 18 four inch? It is a fairly large size hole anyhow.

19 MR. SIESS: You mean under 100 percent per 20 day, from 1 to 100 you had the same consequences?

21 MR. VON RIESEMANN: Right.

22 MR. SIESS: But you did not know --

23 MR. VON RIESEMANN: Did not overpressurize to 24 cause catastrophic failure.

25 MR. SIESS: How high did you get the pressure

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 on the containment with 100 percent per day leak rate?

2 MR. VON RIESEMANN: It depends on how fast the 3 loading is increasing, obviously.

4 MR. SIESS: There are lots of scenarios. Did 5 anybody look at them? Zero, 50 percent -- you cannot 6 build up the pressure any faster than that to take it 7 all the way to capacity. In other words, it leaks 8 faster than the pressure can build up.

9 MR. VON RIESEMANN: I am jumping way ahead, 10 but this June -- and Wayne Sebrell will talk about this 11 -- we are putting on a workshop in Washington on 12 containment integrity. One of the topics in fact is 13 looking at leak rate, the entire question, measurement 14 of it and what is important.

15 MR. SIESS: I am looking forward to it.

16 MR. VON RIESEMANN: So I might add that -- you 17 asked the question -- the Canadian tests were 18 essentially structural tests. They are on line. They 19 have, what is it, neoprine mylar inside. They had a lot 20 of trouble, in fact, doing the experiment containing 21 pressure. They were hydrostatic. They had no 22 penetrations. And the leak rate determinations were 23 done separately on specimens of concrete.

The U.K. test, the proposed test, is also structural, and I am not sure whether they are going to

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 include penetration or not It is too early to tell.

MR. SIESS: Pneumatic or hydraulic?
MR. VON RIESEMANN: They will be hydraulic
4 also.

5 MR. SIESS: I do not think you can get a 6 catastrophic failure of a containment with that load.

7 MR. VON RIESEMANN: They got a section out of 8 the Canadian containment but not catastrophic in the 9 sense that -- yes, that is one of the problems we are 10 facing in our program using pneumatic pressurization for 11 safety concerns. And you will see why we are going out 12 to where we are going this afternoon.

13 The other thing was on electrical 14 penetrations. There is contradictory information on 15 that. I think Yankee Rowe did an analysis -- and Wayne 16 will talk about that later -- that their penetrations 17 were all right for certain conditions. But I have also 18 talked to Bill Farmer in the electrical engineering 19 branch of Research, and we at Sandia have the 20 qualification testing evaluation program of the 21 components, and they are going to do some testing on 22 electrical penetrations, at least some preliminary 23 testing under pressure, as this question always does 24 come about.

MR. SHEWMON: Pressure and temperature?

25

1 MR. VON RIESEMANN: Pressure and moderate 2 temperature.

MR. SIESS: The Browns Ferry failure was
 4 attributed entirely to temperature.

5 MR. VON PIESEMANN: One of the problems we are 6 having is one of the test apparatus is set up for a LOCA 7 condition, and so the temperature is up to 340, 8 somewhere in that Farenheit, and maybe not high enough.

9 The other problem people should also address 10 is aging effects on these materials.

Finally, the question of penetrations, Finally we looked at a parallel effort in the program where we would do, if you will, "structural activities" and doing separate effects tests on penetrations, but to budget restrictions they were delayed. And so we do not have that in our program.

17 With that I would like to begin the18 presentation.

19 (Slide.)

20 What I would like to cover this morning is a 21 brief overview by myself of the program; then the 22 program planning activity from a management viewpoint of 23 looking at resources and time by Al Dennis; and then the 24 question was raised last time, gee, why don't we use 25 some existing facilities -- Al Dennis will address that

1 -- and also the fabrication and design of containment 2 models. Then Tom Blejwas and Dan Horschel will talk 3 about the analyses that have been done, and Ron Woodfin 4 will talk about the experimental program. And lastly, 5 Wayne Sebrell will talk about the program schedule and 6 related activities, including some of the IPCOR 7 activities, the foreign activities, and the workshop.

8 And I was very optimistic and had lunch at 9 11:30. I think we can ignore that point right now. 10 Next vu-graph, please.

11 (Slide.)

I think we really covered this to a large sextent already, but why are we interested at all in containment strength; and we have already discussed the season it is needed in risk studies. If you look at the filtered vented containment system for accident mitigation, you need to know the containment strength in sorder to design that event. You also need to know the strength in fact if that equipment is necessary.

20 One of the problems with the filtered ventr 21 containment is of course dynamic loading: will it be 22 able to vent quickly enough. And as was previously 23 mentioned, the knowledge is also important for the 24 severe accident mitigation strategies, what should be 25 done next in the accident, what is the strength of the

1 containment, and then finally for planning emergency
2 preparedness.

3 MR. SIESS: Walt, I think we mentioned at the 4 July meeting last year that some of the designs that 5 some of the people are talking about, filtered vented 6 containment, all they felt they needed to know was 7 essentially a fairly reliable lower bound of containment 8 capacity; that they were not about to design their 9 vents, you know, for the load that would rupture the 10 containment. They just wanted to vent before there was 11 any chance that the containment would go. And 12 establishing a reasonably reliable lower bound is a lot 13 simpler than trying to find out when and how it actually 14 fails. They are almost two separate problems.

15 MR. VON RIESEMANN: But for the risk studies 16 you want to know your distribution of failure.

MR. SIESS: But the distribution of that lower18 bound would be pretty narrow.

19 MR. VON RIESEMANN: For the design of the 20 events, yes.

21 MR. SIESS: The distribution of the 100 22 percent a day leak rate or 1000 percent a day leak rate, 23 that is going to scatter anyway. They are two different 24 questions. There are going to be two different ways of 25 getting answers for them.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. VON RIESEMANN: One you are coming from
 2 one direction, one from the other almost.

3 MR. SIESS: That is right. Now, if you are 4 not doing anything about it and the pressure is sitting 5 there increasing and you want to know what to do about 6 people, then you really are going to be looking at your 7 uncertainty bounds, not at the level.

8 MR. VON RIESEMANN: Right, yes.

9 MR. SIESS: And I am not so sure that the 10 bottom end of that is not going to be about the same 11 place no matter how you come out, the actual level.

12 (Slide.)

13 MR. VON RIESEMANN: Again, this is a 14 restatement of the program objectives. We are looking 15 at only light-water reactor containments. We are 16 looking under severe accident conditions and severe 17 environments, and I will describe those in a minute.

18 We are also going to assess selected 19 predictive numerical methods, and Tom Blejwas will 20 discuss that in guite a bit of detail.

21 (Slide.)

The containments we are going to look at and 23 the loadings are picturized on this vu-graph. We are 24 obviously going to look at static pressure. We are not 25 too concerned where that really comes from. That is not

1 the big problem here.

2 The way to simulate that, we can either use 3 hydrostatic or pneumatic loading. In the early tests we 4 are going to use pneumatic loading.

5 Dynamic pressure, that comes about largely 6 from the hydrogen concerns. Whether in fact there will 7 be hydrogen detonations is a question yet to be 8 answered. They would cause spatially varying loads and 9 loads that are unsymmetric, and unfortunately, most 10 likely an infinite number of varieties where you would 11 have to rely heavily then on analysis capability.

Also, in the case of dynamic pressure some of 13 your isolation valves might not even isolate within that 14 time span, and you might get the loading right on the 15 structure, so you might even have a failure potentially 16 before the isolation valve, even if it was open.

17 Lateral loadings, we are thinking primarily 18 here of earthquakes. On the right hand side we have 19 shown the containment types. What is missing is a BWR-I 20 and BWR type II containments within the context of this 21 program. There is just too many out there.

Of the steel we are looking at primarily what a we call a freestanding, some people call a hybrid, and then obviously reinforced concrete and a prestressed concrete.

(Slide.)

1

4

2 The approach that is being used is a combined 3 --

MR. SIESS: The prestressed --

5 MR. VON RIESEMANN: We get into a semantics 6 problem here.

7 MR. SIESS: Some of the hybrid has a steel 8 bottom.

9 MR. VON RIESEMANN: The pure steel, if you 10 will, we are not looking at, or we might look at for 11 another reason. There are a lot of questions, too, by 12 the way, about the base mat, the strength of that. In 13 fact, the more we present this program to the various 14 groups, the more questions that seem to be raised on 15 uncertainties within the design.

We are using a combined approach here where we to scale model experiments and also, of course, analysis. The analyses are used both before the seperiments, and then the results are used to benchmark the codes. And the end product we see is this actual that base that can be used either for our numerical efforts or someone else's. We will have analytical methods that we have assessed. And then finally we hope to have a reliable method for assessing the capabilities of these containments.

(Slide.)

1

MR. SIESS: Let me get one point clear. Your
3 experiments, your model tests are intended to be used
4 with the analyses, to validate the analyses, right?
5 MR. VON RIESEMANN: Yes.
6 MR. SIESS: You will analyze the model itself?
7 MR. VON RIESEMANN: Originally we were looking
8 at -9 MR. SIESS: I just wanted to be sure.

MR. VON RIESEMANN: Let me -- that will be manual methods in three vu-graphs, but also we were originally looking at replica modeling, but that is too sexpensive, so we are going to prototypical models, and we are going to, in essence, use the results to evaluate to the codes.

A background study was performed, and I went r7 into great detail on this last time. I will just go r8 over it very briefly this time.

We looked at the types of containments that 20 are out there, and we were amazed at the different 21 varieties even at a given site. Indian Point 2 and 3 22 are different. The stiffening is different. The 23 penetrations are different. There is no such thing as a 24 given type containment.

25 We also looked at the requirements in the

1 ASME/ACI code, and obviously they are for design and not 2 for calculating failure, but there are some differences 3 between the two also.

We looked at the previous tests, and very few 5 have done. Ones that I mentioned in Canada. There has 6 been one in Poland and a few in Japan, but none on the 7 steel containments that we could find.

8 MR. SIESS: What about tests on steel vessels 9 rather than nuclear power plants?

10 MR. VON RIESEMANN: Yes. There have been 11 quite a few to failure, but in some of those the ratio 12 of the radius of thickness was quite different, and the 13 materia's are different. But we have looked at some.

14 MR. SIESS: These are more like tanks.

MR. VON RIESEMANN: Real pressure vessels, if MR. VON RIESEMANN: Real pressure vessels, if You will, than the containment buildings. We have a tradius of thickness on the order of 500, which is a fairly thin structure. If you are thinking something 19 150 feet in uiameter, minimum plate thickness one-half o inch, that is fairly thin.

21 MR. ZUDANS: Are these aerospace vessels much 22 thinner than containment?

MR. VON RIESEMANN: They are -MR. ZUDANS: They are also tested?
MR. VON RIESEMANN: They have some there, yes.

ALDERSON REPORTING COMPANY, INC.

MR. ZUDANS: But you have not looked at them?
 MR. VON RIESEMANN: But they do not use
 3 normally these materials that we are using in
 4 containment.

5 MR. BLEJWAS: These structures are quite often6 different.

7 MR. VON RIESEMANN: I think the basic 8 structure is often different, too, the construction.

9 MR. ZUDANS: Yes.

MR. WON RIESEMANN: We also looked at what is mequired to do scale modeling, particularly in the problems with doing dynamic testing because the arthquake that can -- well, you have to worry about what earthquake are you going to model and what technique io you have to put on the load, and that he implies then the load simulation; static test, again not much problem; dynamic, we might even have to use hydrogen gas or HE. We are not sure which technique we ywill use.

20 MR. SIESS: If you are using the test simply 21 to validate an analysis, it does not have to be an exact 22 simulation.

23 MR. VON RIESEMANN: No, as long as your time 24 history is not so different that you are introducing a 25 new behavior in your model. You do not have the need of

1 a one-to-one correspondence at all, likewise obviously 2 an earthquake analysis.

3 MR. SIESS: In order to get the same mode of
4 failure.

MR. VON RIESEMANN: Right.

6 With that background study we also used the 7 input from the advisory group, and with that we came up 8 with a program plan. At the end of the meeting today 9 you will get a preliminary copy of that.

10 We went through, as you can imagine, several 11 iterations on that one.

12 Dr. Shewmon.

5

23

13 MR. SHEWMON: On the seismic, the seismic is 14 the superimposition of some static in the seismic load, 15 and you end up with some sort of a space or where --

16 MR. VON RIESEMANN: On the seismic loading the 17 Japanese, for example, are just putting on a time 18 history onto the containment without any internal 19 pressurization loads in one test. In another test they 20 are going to put on internal pressurization loads and 21 the earthquake, and they will measure leak rate before 22 and after the test, obviously not during the test.

Did I answer your question?

24 MR. SHEWMON: Yes. That is something else 25 that this group gets into often.

MR. VON RIESEMANN: The combination of loads, 2 LOCA plus SSE?

3 MR. SHEWMON: We have a new one, a pressure 4 vessel a week after a LOCA which undergoes an 5 earthquake. I wondered if that is where you are going? MR. VON RIESEMANN: That is one of the places 6 7 where we can go. We are not going to do that in our 8 program because it gets too complicated. MR. SHEWMON: Good. 9 MR. VON RIESEMANN: You know, if you do one 10 11 thing, you can later on do that final analysis. The advisory group, the next one I think nas 12 13 already been shown to you. I will not go over that 14 again. (Slide.) 15 MR. SIESS: What is Tom Ahl's background? 16

17 MR. VON RIESEMANN: He is in charge of the 18 nuclear group there doing the analysis or design for 19 containments. I also have Rich Denning on the chart. 20 As you might know, Rich and Pete worked very closely at 21 Battelle-Columbus.

The evolution of the current program plan, we and a first version which of course was preceded by many preliminary versions.

25 (Slide.)

ALDERSON REPORTING COMPANY, INC.

1 And then there should be many dots in between, 2 and we finally have a version now, and we had to change 3 some of the activities because of time restraints and 4 budget limitations. We were first considering using 5 replica models to check the scaling among other things. 6 Also, we were going to conduct parallel activities, but 7 in the final version that we have now we are going to 8 look at protypical models, and this will be discussed in 9 detail later. And we are delaying to some extent the 10 dynamic and seismic activities, and we are also hoping 11 heavily to count on work that is being done in other 12 countries, to interact with them, and of course interact 13 with the DOE if they have a program, and IDCOR.

14 MR. SIESS: What did you mean by replica 15 models?

16 MR. VON RIESEMANN: Where you use your laws of 17 scaling, if you will, okay.

18 MR. SIESS: All right.

MR. VON RIESEMANN: And they become, as you 20 know, expensive.

21 MR. SIESS: Prototypical means it looks like 22 it but you just analyze what you have.

23 MR. VON RIESEMANN: You can take certain, if 24 you will, liberties. It looks very similar, okay, but 25 maybe the thickness has changed. For example, it is not

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 pure scaling on thickness for ease in fabrication.

2 MR. PICKEL: In the large diameter thickness 3 ratio category, localized fabrication construction 4 problems may play a fairly major role. Have those been 5 considered in your modeling and program planning?

6 MR. VON RIESEMANN: Okay. In the 7 consideration, if you will, of buckling where initial 8 imperfections would say play a strong role, we are 9 dealing primarily with internal pressurization which 10 will not have that large an effect -- initial 11 imperfections will not have that large an effect on it.

We are looking at building -- and this will be we are looking at building -- and this will be discussed later -- a tenth scale, for example, steel wodel, picking a tenth scale to pick up actual for construction practices. So we are considering it, and the advisory group strongly recommended that we consider to this.

18 MR. ZUDANS: The other models are what scale?
19 MR. VON RIESEMANN: Thirty-second.
20 MR. ZUDANS: This works out to be a fabricated

21 shell or machined?

22 MR. VON RIESEMANN: Machined. Rolled and 23 welded, not hollowed out, if you will, from a piece of 24 material. The overall program plan is to look at the 25 loadings, and this sequence again, the static, dynamic

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 and earthquake; and we have switched the containments on 2 the earthquake loading simply because we feel there is 3 more that has to be known on the reinforced concrete 4 than the hybrid steel, more questions.

5 We picked the hybrid steel because of their 6 low pressure, lower requirements on design on some of 7 them. The ice condensers in some of the Mark IIIs are 8 design pressures of the order of 10 to 15 psi gauge 9 where the large dry, the prestressed concrete is on the 10 order of 60 psi gauge.

11 It is obviously not clear until the hydrogen 12 program really settles down whether in fact there would 13 be detonation loads from hydrogen.

14 (Slide.)

But even if there is not, there might be some 16 guasi-dynamic loads that might be asymmetric that we 17 might have to consider.

18 MR. ETHERINGTON: I missed the significance of 19 hybrid.

20 MR. VON RIESEMANN: Excuse me. This again is 21 a steel containment on top with a concrete base mat. 22 The ice condenser is typical of this.

23 MR. SIESS. Jim Costello in his schedule used 24 category static pressure, unsymmetric pressure and 25 seismic effects. Is your dynamic the same as

1 unsymmetric?

2 MR. VON RIESEMANN: Dynamic is the same as 3 unsymmetric because a lot of the dynamic loading will in 4 fact be unsymmetric. It will be almost, you know, 5 impossible to get a hydrogen detonation that produces a 6 nice symmetric load.

7 MR. SIESS: That is scheduled under his 8 schedule for FY 85-87. Just a suggestion. I think we 9 could almost defer much discussion on anything but 10 static at this meeting.

11 MR. VON RIESEMANN: That is what we are 12 planning on doing. That is where the emphasis on the 13 program has in fact been, except, Professor Siess, some 14 of the planning to look ahead. You know, if we want to 15 decide to do seismic tomorrow, you just do not do it 16 that quickly. We are trying to see what the Japanese 17 are doing, for example.

18 MR. ZUDANS: One question, Walter, on this 19 dynamic internal overpressurization which would result 20 in nonsymmetrical loading. Do you plan to collect the 21 data on precise surface pressure history over the entire 22 structure so that you can certainly relate the analysis, 23 the results of your tests?

24 MR. VON RIESEMANN: You have to know what 25 loading you had on the structure. Otherwise it is just

1 a go/no go test. So we do plan on doing that.

2 MR. SIESS: That is why I want to limit it to 3 static, because I think we could devote two days to the 4 dynamic unsymmetrical and seismic.

5 MR. VON RIESEMANN: Yes. But, Professor 6 Siess, that is where it is interesting.

7 MR. ZUDANS: That is where it is interesting, 8 because as far as I am concerned, static testing is not 9 interesting.

MR. EBERSOLE: Are the seismic loads assumed in to coincide with classical LOCA loads?

MR. VON RIESEMANN: No. As far as I know at13 this point we are going to decouple that.

14 MR. EBERSOLE: Decouple it.

15 MR. VON RIESEMANN: Again, it depends on 16 funds, complexity and where at that point in time we re 17 going. There is also some studies -- perhaps the NRC 18 people can answer this, if they are the right group here 19 -- but studies being done by Lawrence Livermore Labs on 20 load combinations and potentially the fact that they may 21 be decoupled.

22 MR. SIESS: Gentlemen, I am going to ask you 23 to limit this discussion to the static internal 24 overpressurization which is the next three years of this 25 program at this meeting, and I think we will have plenty
1 to talk about on that. You will have another meeting to 2 talk about the other two phases of it if and when we get 3 to them.

(Slide.)

4

5 MR. VON RIESEMANN: Now, if we look -- this 6 will be discussed again later, but the timing scale for 7 the program. And this is for only static loadings, 8 looking only at the steel models. Again, I use the term 9 steel and hybrid steel and freestanding interchangeably.

Looking at 1/32 steel scale models, 1/10, and then also looking at reinforced concrete. I guess I have to take back a word I just said. There is some dynamic pressure loading work, lateral loading. It is if just the feasibility of doing it and what should be done but not building models, because there might be a long lead time necessary for those items.

17 (Slide.)

Now, the steel models that we are looking at, 19 these are 1/32 size. They do not model any particular 20 containment. We are doing to be doing two tests, and 21 you will see at least the beginnings of the fabrication 22 of these models this afternoon. We have a hemispherical 23 dome, cylindrical shell, and then we add the horizontal 24 stiffeners, and then we add the penetrations and 25 stiffeners to that.

1 MR. SIESS: What is the streak down the left 2 side?

3 MR. VON RIESEMANN: That is the artist's 4 rendering of showing it is a cylinder. Hopefully it is 5 not imperfection.

6 MR. SIESS: I thought maybe that was after the 7 test.

8 MR. VON RIESEMANN: After the test there will 9 be pieces all over the canyon.

10 We had a lot of discussion with the advisory 11 group on what type of head should we put on, and either 12 we go hemispherical or the torispherical ellipsoidal --13 they use both -- and the questions then come about, you 14 know, the cost again.

MR. SIESS: All the steel ones do not have the 16 hemispherical one on top?

MR. VON RIESEMANN: No, no. Life is not very 18 simple at all.

MR. SIESS: If you can analyze one, you can 20 analyze the other.

21 MR. VON RIESEMANN: I guess what Professor 22 Zudans is getting at is the problem with the 23 torispherical is the buckling in the knuckle. Under 24 some loadings they might buckle, well, at a given load, 25 and the behavior beyond that buckling load is not known.

Now, buckling to me is not necessarily
 2 failure, and people have done experiments, and the ASME
 3 have been surprised at the buckling requirements.

4 MR. SIESS: But you do not have any 5 penetrations up in the head, or not very many, do you?

6 MR. VON RIESEMANN: There are penetrations, 7 but we are not putting any in there. To my knowledge 8 not too many.

9 MR. ZUDANS: How about the three-foot hole? 10 MR. VON RIESEMANN: That is something new. 11 There are some 500 penetrations in the shell of all 12 different types.

13 (Slide.)

The program status as of now, I mentioned the 15 1/32 size steel molds are being fabricated. You will 16 see where we are doing the experiments this afternoon. 17 The analyses are well under way -- you will hear about 18 that in a few moments -- and we hope to begin testing 19 the steel models in the third quarter of this calendar 20 year.

21 (Slide.)

And, in summary, what we hope to accomplish and, in summary, what we hope to accomplish with this program is using the experiments and analysis at to come up with a reliable capability for predicting the the capacity of light-water reactor containments.

Dr. Shewmon.

1

5

25

2 MR. SHEWMON: You are going to fabricate a 3 1/32 scale, 360 or whatever you want to do for 3-D 4 models, is that right?

MR. VON RIESEMANN: Yes, sir.

6 MR. SHEWMON: What was the argument for doing 7 that instead of a one-fourth scale, 60 degree segment or 8 something which would go with something that had 9 penetrations and welds, and where I would guess or I 10 think from what I have heard most people would guess the 11 failures you might encompass.

MR. VON RIESEMANN: One of the problems is the not boundary conditions, and Dr. Blejwas later on will show a some of the analyses done on that. Unfortunately, the Is large effect that we have, it seems, around the for circumference on a penetration we also felt that getting those boundary conditions on it can be done. It would have just as expensive as building the full model.

19 MR. SHEWMON: When you say boundary conditions 20 are you talking about the computer analysis or actually 21 building?

22 MR. VON RIESEMANN: Building. Building, sir. 23 In that case it is easier to do it in a computer than it 24 is to do it. Sometimes the reverse is true.

MR. SHEWMON: Yes.

1 MR. SIESS: Go ahead. I have a general 2 question I suspect that may come up later, but it is 3 philosophical. It is my understanding that you are 4 going to test replica models of these 1/32 scale steel 5 vessels, is that right?

6 MR. VON RIESEMANN: Well, let's call them 7 prototypical.

8 MR. SIESS: I mean you are going to test two. 9 MR. VON RIESEMANN: Yes. Two. Two without --10 MR. SIESS: You are going to test a pair of 11 each.

MR. VON RIESEMANN: A pair of each.
MR. SIESS: Why?

14MR. VON RIESEMANN: Well, would you feel15 confident that one test would give you the result?

16 MR. SIESS: Absolutely. I have an analysis I 17 instrumented taking advantage of symmetry so that no bad 18 reading cannot be checked against another reading in. 19 analysis. What do you do if you get different answers 20 on the two? Then you have to go to a third. That is 21 two out of three logic.

I have never heard good arguments for 23 duplicate specimens on any basis. If you do not have an 24 analysis you expect to test the specimen and scale it up 25 to a prototype. Two is not enough. It may be if they

1 are the same, but I have never seen an instance where I 2 had an analysis and was trying to validate it that I 3 could not do it with a single test with enough 4 instrumentation taking advantage of symmetry. And you 5 have symmetry. You have radial symmetry on the first 6 two models. On the third one you can at least get 7 symmetry about a diameter if you wanted ... And if 8 something really terrible went wrong, poor fabrication 9 or something of that sort, then you could always test 10 another one.

11 MR. VON RIESEMANN: We have the option of not 12 performing two tests if we see downstream things are 13 going very well.

MR. SIESS: If you start out with the idea of two and you do one kind of instrumentation, if you are le planning to use only one you would take more advantage for symmetry; that is, you essentially make two specimens he in terms of instrumentation, not three or four.

19 What has your experience been in this, or 20 other people's?

21 MR. VON RIESEMANN: On taking more than one 22 model?

23 MR. SIESS: Yes.

24 MR. VON RIESEMANN: We normally -- well, for 25 example, let me think about the testing we did on 77

1 turbine missiles impacting the concrete panels of a
2 containment building. We did a test with a given
3 missile at a given velocity, and then we took another
4 panel and we changed the velocity.

5 MR. SIESS: That is not the identical test. 6 MR. VON RIESEMANN: I know. We did make those 7 changes, but these were backed up by scale model teting 8 at SRI to show that things were all right, plus the fact 9 that the loading conditions were not much different from 10 one test to the next. You could perceive there were 11 large differences.

MR. SIESS: I started with the first specimen, a simple shell, a hemispherical dome. An analysis on that, you know, does not have any great big open guestions in it that I have to validate experimentally.

MR. VON RIESEMANN: It does, sir, if you go 17 way beyond --

18 MR. ZUDANS: The biggest problem, from what is 19 published in the literature, arises from lack of precise 20 knowledge of boundary conditions in these large 21 deformation tests. Therefore, you do not know how to 22 set up the computer run. In your case you will pay 23 extreme attention to precisely defining and in fact 24 precisely measuring your boundary conditions. So 25 therefore, your analytical model, except for material

1 property prediction, should give very good results. If 2 it does not, then it is more of a failure of techniques 3 used for analysis.

4 I tend to agree with Chet that really unless 5 you have fabrication defects, you find in the process of 6 testing you do not need a second model.

7 MR. SIESS: Then you are almost approaching
 8 statistical -- two is not very many.

9 MR. ZUDANS: There is no statistical basis for10 this at all, not with two pieces.

11 MR. SIESS: You see, it is a deterministic 12 type of test, a deterministic type of analysis. And 13 once I go beyond one specimen I do not know where to 14 stop.

15 MR. ZUDANS: Well --

16 MR. SIESS: I have been through this years ago 17 in other fields and decided that one properly 18 instrumented is petter than two.

19 MR. VON RIESEMANN: Than two properly 20 instrumented?

21 MR. SIESS: I cannot see any gain beyond the 22 one. And we never had an indication where we needed 23 another one. I was just wondering if you had some 24 experience where with a single test there were so many 25 guestions that came up that you had to go out and make

1 another one, and if so, how much time do you save by 2 fabricating that one rather than planning in advance?

3 MR. ZUDANS: I would see a need for more than 4 one in cases where you have great asymmetries and where 5 your attempt is to produce ultimate capacity in terms of 6 some specific mode ... failure. For example, you 7 reinforce your penetrations in one prototypical model, 8 and you run the test and it did not fail around the 9 penetration but failed in the main shell. So you have 10 no information with respect to capability of that 11 penetration because you cannot rerun that test.

Now, I can see that you would want to make another model with different sizing of the penetrations and find out that mode of failure to have some finformation on that, but not for two identical models.

16 MR. VON RIESEMANN: But the literature is full 17 of experimental results, for example, on pressure 18 vessels with holes in them where the results are quite 19 different from one test to the next on identical, 20 supposedly identical --

21 MR. SIESS: Now, if that is true, then I 22 cannot stop with two.

23 MA. VON RIESEMANN: Unless suppose the two 24 agree?

MR. SIESS: That does not prove a thing.

25

ALDERSON REPORTING COMPANY, INC.

MR. VON RIESEMANN: Where do you stop then?
 MR. SIESS: That is my problem.

MR. VON RIESEMANN: Don't you have --

3

4 MR. SIESS: If it is random variations, if 5 they are really there, you have to have a lot of 6 specimens.

7 MR. ZUDANS: I do not know that --8 MR. SIESS: Two identical specimens that give 9 identical answers would suggest that they are not random 10 variations, but not with a very high confidence level 11 depending on the probability. You see, it is always 12 possible to make a second test, but as Zenons was 13 talking about, I can visualize dividing the thing up 14 into guarters and putting two penetrations in of one 15 strength and two penetrations of another. That gives me 16 some redundancy right there.

17 The other procedure would be to just divide it 18 in half, put strong penetrations on one side and weak on 19 the other, but that would not give you any checking, you 20 see. But with radial symmetry you can do a lot of 21 things, and you can always go to another specimen. But 22 the idea of starting out with pairs --

23 MR. WOODFIN: You asked whether we had some 24 bad experience. My name is Ron Woodfin, Sandia. I can 25 tell you the turbine missile concrete impact experiments

1 for EPRI, and under EPRI's direction we had only four 2 tests, each of which was considerably different. And 3 the bottom line is we got no answers at all out of that 4 because it raised more questions than it answered 5 because they tested at the wrong conditions.

6 MR. SIESS: But four is not enough. 7 MR. WOODFIN: Okay. These are four separate 8 experiments trying to look at four different sorts of 9 things. Each one raised enough questions that we only 10 have hints that we know any more about the program, the 11 process than we did at the beginning.

MR. SIESS: You see, that is a very good argument for testing more than one specimen but not for testing companion specimens on a straight schedule. That is an argument for testing one.

Now, if you get some interesting answers and now have things you cannot explain, you think about now now hat can I do about it on the next one to answer that.

19 MR. WOODFIN: The problem that came about --20 at any case, that is true, what you are saying, but in 21 this particular case we had originally suggested three 22 of each one so that we would have a very minimal 23 statistical base. In this case that was cut back 24 strictly through economic considerations. However, we 25 do believe that it is necessary to show that you can

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

82

1 repeat and do the same thing twice. And I guess I 2 basically do not agree with your assessment that one is 3 enough.

4 MR. SIESS: What is necessary is to show that 5 you analysis will reasonably predict what happens, and 6 if it does it on one I have a certain level of 7 confidence for something as simple, say, as that first 8 shell --

9 MR. SHEWMON: Before Ron leaves I would be 10 interested in those tests, whether there was a variation 11 in the orientation of the projectile that was doing 12 this, or was the projectile spinning? Did you just have 13 it on a slab? Did you hit it? All of them were on the 14 same --

MR. WOODFIN: We did two orientations, and by ne a cursory examination of the data it appeared that the piercing orientation caused more severe back face adamage. However, in a closer look at the data it seems how indicate that maybe the reverse is true, that the o actual back face kinematics were more severe in the case of the blunt orientation.

This is something that we now only have a hint and the source we do not know if there is a random process there or not since we only did one. If we would even the source the two experiments that we did exactly as

1 we had done them before then we would have an idea as to 2 how much was deterministic and how much was random, and 3 we do not know that now. And I am submitting that we 4 can get the same in this program if we only did one.

5 MR. SHEWMON: You did concrete, is that right?
6 MR. WOODFIN: That is correct.

7 MR. SHEWMON: Everyone knows you should build 8 out of steel anyway.

9 (Laughter.)

10 MR. SIESS: Walt, assuming you have six 11 specimens, A-1 and A-2, B-1 and 2, and C-1 and 2, what 12 is your order of testing?

MR. VON RIESEMANN: Doing the clean vessel 14 first without anything on it.

15 MR. SIESS: Both clean vessels.

16 MR. VON RIESEMANN: Right.

17 MR. SIESS: Again, I would -- I am thinking 18 about time and money, and I do not think we have all 19 that much time, although maybe we do, on this structural 20 integrity failure. Penetrations become the big deal, 21 and I am not quite sure how much money we are going to 22 have over the next four or five years the way things are 23 going. And I would be inclined to say I would test A-1 24 and B-1 and C-1 and then I would decide whether I wanted 25 four more Cs or wanted to go over and do that second

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

84

1 clean one. That is just a suggestion worth thinking 2 about.

3 Going to two I can see some logic, but I 4 cannot see the logic of stopping at two.

5 MR. WARD: May I ask a question, Walt? Do you 6 expect your model to be very directly predictive of the 7 failures? I got the impression from something you said 8 earlier that you are really expecting to normalize the 9 model.

10 MR. VON RIESEMANN: I guess I am missing what 11 you mean by "model." The computer model?

12 MR. WARD: The computer model. Do you expect 13 your analytical model to be very directly predictive of 14 failure of your experimental model?

15 MR. VON RIESEMANN: I will let Blejwas answer 16 that later, but I think on the steel, yes, we do feel 17 that. Reinforced concrete, prestressed we would have 18 less confidence at this point in time.

19 Dr. Zudans had a --

20 MR. ZUDANS: I just wanted to bring back this 21 question of single vessel testing. If you do the first 22 clean model, which is really rolled and welded so it is 23 fabricated, I assume the hemispherical head is a pretty 24 accurate piece.

25 MR. VON RIESEMANN: Yes.

ALDERSON REPORTING COMPANY, INC.

MR. ZUDANS: And then you would tune up your analytical model to this first test within linear range which you can repeat hundreds of times until you reach the point that the analysis agrees exactly with your test. You know, you have adjusted your materials properties properly, and then when you do go with a test beyond the linear range it is impossible to produce two identical models. They will behave differently. The local strain distributions will not be the same. They will very ever so little. But it affects the range during the two clean shells I am wondering whether you will be able to make any more judgment than you do on one. I am wondering. I think Chet's recommendation is an interesting one. 86

15 MR. SIESS: It is not a recommendation. It is 16 a question.

MR. ZUDANS: Well, that is all right. 17 MR. SIESS: Have you finished your part? 18 MR. VON RIESEMANN: Yes. 19 MR. SIESS: I want to take a short break. 20 Oh, Harold has a guestion. 21 MR. ETHERINGTON: For failure of the same 22 23 pressure is there any feature of the containment that 24 would not be modeled linearly? MR. VON RIESEMANN: I am afraid I do not 25

ALDERSON REPORTING COMPANY, INC.

1 follow you.

2 MR. ETHERINGTON: The thickness is 1/32. That 3 is fine. The reinforcing ring spacing is also linear. 4 Is that true all over?

5 MR. VON RIESEMANN: No. We do not have a 6 perfect replica model, sir, of the hole size. For one 7 thing, we did not try to model a given containment.

8 MR. ETHERINGTON: No. I know that. But is 9 there any region where it would not be linear?

10 MR. VON RIESEMANN: Only where fabrication 11 difficulties come about.

MR. ETHERINGTON: Yes. I was talking about13 from a stress point of view.

MR. VON RIESEMANN: We are trying to keep from 15 a stress viewpoint the scaling --

16 MR. ETHERINGTON: From the stress point of 17 view it should be scale in every respect, is that right?

18 MR. VON RIESEMANN: That is right. In the 19 static dynamic those are the problems.

20 MR. ETHERINGTON: Yes, I understand.

21 MR. VON RIESEMANN: I would like to ask one 22 guestion before we take a break.

23 Due to lack of time, if it is all right with 24 you, we might skip the survey of existing facilities if 25 the membership agrees that it is not appropriate to try

ALDERSON REPORTING COMPANY, INC.

1 to test an existing containment.

2 MR. SIESS: I think that is worthwhile. What 3 I was going to ask you --

4 MR. SHEWMON: You mean worthwhile to skip. 5 MR. SIESS: Yes. You have allowed three hours 6 from the time we leave here until the time we get back 7 for the tour. Would there be any problem if we ran over 8 this morning some and maybe went until 1:00, if 9 necessary, for the meeting and then started the tour at 10 2:00 and got back here at 5:00? Would this present you 11 with any problems?

12 MR. VON RIESEMANN: There is no problem. 13 MR. SIESS: In that case I think we will try 14 to just go straight through this morning and get 15 everything in we can and go to lunch and then go out 16 there.

17 MR. VON RIESEMANN: Okay.

18 MR. SIESS: Okay. The committee will be 19 working until 5:00 today for which they should feel 20 fortunate. Is anybody leaving early on a plane?

21 (No response.)

I know a lot of them are staying over for a 23 meeting tomorrow. Okay.

24 MR. VON RIESEMANN: There is also a question 25 about cameras, binoculars, tape recorders, et cetera.

ALDERSON REPORTING COMPANY, INC.

1 They will not be allowed on the trip. MR. SIESS: Cannot take a camera? 2 MR. VON RIESEMANN: No, sir. 3 MR. SIESS: Hardly worth going. Last time we 4 5 went out there, to save all the clearance hullabaloo we 6 just had a guard go with us. MR. VON RIESEMANN: You all have clearances 7 8 now, I believe. 9 MR. SIESS: We decided we would just go as 10 visitors. They sent a guard along, and it worked out 11 fine. Okay. We will take about ten minutes. 12 (Recess.) 13 14 MR. SIESS: You may proceed. MR. DENNIS: Good morning. I am Al Dennis of 15 16 Sandia Laboratories. (Slide.) 17 And the first topic I am going to discuss with 18 19 you is our program planning. On this the planning is 20 limited to the small scale model tests under static 21 pressure. 22 (Slide.) Sandia uses a program called PPARS for program 23 24 planning. This was developed by NASA, and it allows 25 input from all people.

89

(Slide.)

1

It allows input from all the participants in the program on how long it will take them in calendar time and in what resources they will require as far as money, man-hours and facilities to accomplish their tasks.

7 We combine all this information, and the 8 planning output gives us a calendar scheduling of each 9 event. It identifies our critical paths so that we can 10 take appropriate action to make sure that the proper 11 materials are on hand at the right point in time and get 12 schedules; and it gives us a cumulative summary of 13 resources versus time.

14 (Slide.)

15 So we can check our financial needs on the 13 program and also our manpower needs on the program.

17 (Slide.)

18 Some examples of where we have used this. 19 With small scale models we have used it to develop a 20 network for the shops, and I have included that at the 21 end of your handout there. It is a three-page network 22 that shows all of the work that our shops will be doing 23 in the fabrication of the six small scale models. A 24 similar task has been done for the theoretical analysis 25 so that we can coordinate analysis with the other

1 working programs; we can feed in material properties to 2 the analysis people at the proper points in time. We 3 have worked it in with the experimental portion of the 4 program to make available models for the experimental 5 people at the times they need them and to coordinate 6 their needs. And then we prepared an overview network 7 which looks at the total small scale model testing and 8 lays out times and costs on that. It is a basic 9 activity, but it does put everything in their proper 10 place and allows good scheduling and good budgeting on 11 the program.

12 Are there any questions on this particular 13 phase of it?

14 (No response.)

15 Then we can pass on to the containment models.16 (Slide.)

17 The next topic on Walt's schedule was our 18 survey of existing facilities, and I will have the 19 handouts on this given to you; but we till not go into 20 that topic now to save time.

21 MR. SIESS: I just glanced through the 22 handout, and I think it would be quite informative for 23 us to read it, but I agree that we can save the time. I 24 just leave the thought with you, I had a professor once, 25 talking about making tests on full scale structures, he

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

91

1 said tests on actual structures never answer questions;
2 they just ask them. I think we have asked enough
3 questions here already, I guess.

(Laughter.)

4

5 MR. DENNIS: In our search of full scale 6 programs we did not feel we found any that would fill 7 the program. Either they were unavailable to us or they 8 would have required a long NRC program for license 9 modification.

10 Let's go on to the small scale models.11 (Slide.)

12 Within the modeling program here we will be 13 talking about the small scale steel models, the large 14 scale steel model, and a brief discussion of the 15 concrete models. Much of this has already been gone 16 over by speakers before me, so we will pass through it 17 quickly.

I call your attention on this that what we are 19 looking for is to establish credibility in the 20 post-yield range on structures, credibility of our 21 prediction methods.

22 (Slide.)

Our hypothesis is that we can get sufficient of information from a limited number of tests, and this hypothesis, like others, will only be borne out by our

1 testing program. If we get good correlation we will 2 feel that we have -- the hypothesis was justified. If 3 not then we will have to recommend that we do into a 4 more extensive program somewhat similar to the initial 5 recommendation for this program.

(Slide.)

R

7 There was some talk about what a small 8 prototypical structure is, and we have defined a small 9 prototypical structure to be one that has the same 10 characteristics as the prototype, utilizes similar 11 materials but is not a direct replica of the prototype. 12 For similitude relationships to apply we need to go to 13 replica scaling on these, and that turns out to be an 14 extremely expensive proposition.

15 MR. ZUDANS: If your objectives are as you 16 stated, why do you have to go 1/32? Why not 1/320?

17 MR. SIESS: Fabrication.

18 MR. DENNIS: I guess we go into a little bit 19 of history on this one. Initially we were looking at 20 replica scale models about this. We had a contract with 21 Southwest Research who has a good bit of experience in 22 this area to look into the replica scaling of 23 containment models. They went through the failure modes 24 study on the models and determined what components we 25 could and what components we could not get failure modes

1 on at different scales. The 1/32 scale turned out to be 2 the smallest scale where we could replicate a number of 3 failure modes. In order to keep that failure mode 4 replication we kept the 1/32 scale on the models.

5 MR. ZUDANS: Yes, but if you are talking about 6 multiple or distinctly different failure modes, then you 7 cannot really do that on a two on one model. Each model 8 can carry only a single failure mode because it is going 9 to fail in some single way.

10 MR. DENNIS: Yes.

11 MR. ZUDANS: So which specific mode do you 12 have in mind when you make the pick of 1/32 scale? 13 Certainly not the overall shell failure. That you could 14 do without a test.

MR. DENNIS: What we did, we were looking at a ne particular reactor containment at the time, and our 1/32 prototypical model now maintains many of the essential features of this containment building. We have le eliminated some of the areas that we felt we could eliminate safely and bring down costs, but have kept the reas such as the size of the spacing of the ring stiffeners, the relative thickness to diameter ratios on the major penetrations, and that is similar to this particular containment building.

25 MR. SIESS: It seems to me that your

1 requirement for your prototypical model is that it 2 represents an adequate challenge to the analysis. You 3 are using it to evaluate the analysis. MR. DENNIS: Yes, sir. 4 MR. SIESS: So that is really what you have to 5 6 compare it against, much more than the prototype. MR. DENNIS: Yes, sir. 7 MR. SIESS: It does not follow at all that the 8 9 smaller the model, the easier it is to make it and test 10 it, or the cheaper it is either. MR. DENNIS: No. This gives us a rather --11 12 the 1/32 size gives us a rather convenient size test. MR. SIESS: How big is it actually? 13 MR. DENNIS: Well --14 MR. SIESS: Are you coming to it? That is all 15 16 right. I will wait. MR. DENNIS: All right. 17 MR. WARD: Bigger than a breadbox? 18 MR. DENNIS: It is about 4 1/2 feet in 19 20 diameter and about 5 feet high. It is large enough for 21 a man to get on in the inside and apply instrumentation. MR. ZUDANS: I guess that last statement is 22 23 really a better reason than anything else for having it 24 that size, so you can really apply your instruments 25 properly, gauges properly; because if you have to reach

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

95

1 and it cannot reach, it is difficult, and the cost of 2 fabrication is not that much greater.

3 MR. DENNIS: No. Even on this size we are 4 manpower intensive, not material intensive on these 5 things, and as we go smaller the manpower requirements 6 actually go up for the precision machining.

MR. ZUDANS: Okay. Enough.

7

8 MR. DENNIS: Let's go to the next one.
9 (Slide.)

We established three guidelines for the models in and the experiments. First, economy, and that has been if a driving thing for us. The second is reproducibility is of results, and we have just gotten into a discussion on if that. We felt that with two models if we got similar is data, we could accept that as reproducible; if the data if was not similar then we would have to go to a third or if fourth model. And that has always been a contingency in is our plans, and we wanted to have one experiment ig performed in a R-4el that was large enough to replicate on some of the typical construction techniques.

For the steel models this means to get into 22 some of the actual welding processes that are used on 23 the large steel model on a large containment. On the 24 1/32 model our welding process is not similar to that 25 that is used on the large model. It is under far more

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

96

1 control. It has to be for these thin sheets.

We also wanted to be able to use multiple 3 panels within the wall of the containment where now we 4 are using a single sheet that has one weld seam on it. 5 We want multiple weld seams. 97

4

(Slide.)

6

7 I think this is the results of our study with 8 Southwest. We found that for steel the minimum size we 9 could go to was a thirty-second, and for conventional 10 construction techniques a tenth; for reinforced concrete 11 that should read 1/16 for the smallest size we would 12 need and 1/10 for the conventional construction.

13 MR. SIESS: It seems to me you were looking to14 see how small you could make them. Is that right?

15 MR. DENNIS: Well, we equated smallness with 16 economy at one point in time, but it turned out not to 17 be the case.

18 MR. SIESS: The better rule is when you are 19 testing models you make them as large as you can 20 accommodate and afford.

21 MR. DENNIS: That is where we have wound up.
22 (Slide.)

23 This shows the test matrix for the steel 24 containment models. The first three groups in the 1/32 25 I like to view as our experiments. The final one at the

0

1 1/10 scale I like to view as a demonstration test, that
2 we will have developed confidence in our ability to
3 predict what is going to happen, and then with the final
4 model we will show those predictions and also the
5 effects of conventional construction techniques.

(Slide.)

6

13

7 Now, this is a look at the three models. You 8 have seen this before in several forms. The interior 9 diameter on the model is approximately 44 inches, and 10 the height is about 66 inches, so it is a nice size 11 structure. It is going to be big enough to get into to 12 do a good instrumentation job and to work with well.

(Slide.)

This is a conceptual sketch of the seventh 15 model. We do not have it designed yet. You will notice 16 that one of the large changes in it is going to an 17 ellipsoidal head on the base. That was primarily an 18 economy on this one to avoid having to build a concrete 19 or other steel system to mount it.

20 MR. SIESS: That is the way some of them are 21 built.

22 MR. DENNIS: Yes. This is actually quite 23 close to the Praire Island-Kiwaneh-St. Lucie type of 24 designs.

25 MR. ZUDANS: It has the concrete insert.

ALDERSON REPORTING COMPANY, INC.

MR. DENNIS: Right.

1

2

MR. ZUDANS: You will do that, too.

3 MR. DENNIS: We can. We have not scided 4 yet. We were looking to put a manway in the base for 5 interior access on it. If we put a replica in the sense 6 of size and equipment hatch in there, it winds up to be 7 about 25 inches in diameter and rather far off what 8 would be our floor, so it is inconvenient for being out 9 of the model to do instrumentation on it.

10 MR. SIESS: Now, the hatch closure will be 11 simulated as well as the reinforcement around the 12 opening?

13 MR. DENNIS: On the 1/10 scale we plan to have 14 an opening hatch on that one, so we will have it 15 gasketed and sealed, and we will use one similar 16 probably to one of the plants I just mentioned that uses 17 this overall design characteristic.

18 We are looking at building this vessel in 19 accordance with the ASME code and to at least have it 20 where we could get an N-stamp on it if we wanted to.

21 (Slide.)

Here is our matrix we are currently looking at a for reinforced concrete designs. At this point in time we do not have any conceptual design on it, but rather but rather swe just laid them out. And as you can see, once again

1 it starts simple and goes to the complex.

2 MR. SIESS: The seismic seal you refer to 3 would be the in plate steel or the --

4 MR. DENNIS: The 45 degree steel that they put 5 around the lower half of most of the containments.

6 MR. SIESS: What about the through-wall bars 7 that are in almost all the plants?

8 MR. DENNIS: We would plan to put shear steel 9 in these, yes.

10 MR. PICKEL: What is the thickness of the 11 shells on those?

MR. DENNIS: Well, on a full scale plant you is run them about 150 to 160 feet in diameter with walls if that run a nominal four to four and a half feet thick. 5 On a tenth scale we would probably have to go to a if thicker wall in order to keep our construction economy rwithin reason. So we have not settled on either the wall yet or the placement of the steel. That is the in next task coding up is to look at a design for these omodels.

21 MR. PICKEL: So the diameter-thickness ratio 22 may have to be altered here.

23 MR. DENNIS: Yes. I would expect it would. 24 Also on the tenth scale steel, I did not mention that, 25 but the wall thickness to diameter ratio will have to be

1 altered on that, and that is in order to allow us to 2 take advantage of commercially available heads and plate.

3 MR. ZUDANS: I would have expected on that one 4 you would have picked a scale where you can maintain 5 that ratio with the thicknesses that you can find in 6 fabricated plate. That issue is more critical than 7 anything else.

8 MR. DENNIS: Originally we did, and we were 9 going to build a scale model of that using 3/16, SA 5/16 10 steel. Three-sixteenths is the only commercially 11 available. It turned out that under those conditions we 12 would have had to pay for tooling for the dome and the 13 base. Tooling costs on those are excessive, and so we 14 went to the thinnest we can buy sections that are 15 commercially available for a hemispherical dome or an 16 ellipsoidal base. Either one is 3/8 inches. That's why 17 we went to --

18	MR.	ZUDANS:	How much thicker is it?
19	MR.	SIESS:	A ratio of 8 to 10.
20	MR.	ZUDANS:	Eight to 10.
21	MR.	DENNIS	Initially we are dealing

21 MR. DENNIS: Initially we are dealing in about 22 an 800, R/T of 800. We will be down to an R/T of 600 or 23 something like that.

24 MR. ZUDANS: One more question that pertains 25 to this steel and the phases of your tests and analysis

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

101

1 that will go beyond your linear range.

MR. DENNIS: Yes.

2

MR. ZUDANS: Do you plan to instrument
4 adequately to measure the deformed shape continuously,
5 the entire measured shape all around the circumference
6 and up and down?
7 MR. DENNIS: Yes, we do. And Ron Woodfin will
8 go into detail on that.
9 MR. ZUDANS: Good. I will ask the question
10 then.
11 MR. SIESS: We are going to have a separate

12 presentation on instrumentation measurements.

13 MR. DENNIS: Yes. Yes, sir.

14MR. WARD: What sort of yield or failure15 pressures are you expecting over this range of models?

16 MR. DENNIS: We are expecting -- Tom, catch me 17 if I am wrong here -- but I think it is 150 to 200 psi 18 for the steel model, and the yield was -- what was that?

19 MR. BLEJWAS: It depends on if you mean 20 membrane modeling.

21 MR. DENNIS: Maybe we had best defer that 22 until Tom gets up.

23 Okay. If there are no further questions --24 wait, we have one more vu-graph.

25 (Slide.)

And this once again is our current scheduling on the activities. We expect the experimental program in steel in FY 83. We expect the analysis methods and evaluation to be finished in FY 84. We expect the concrete testing to begin in very late '83 and to be finished up in '84, and the analysis in '85.

7 We are looking to obtain information from the 8 tests to be run in the United Kingdom on prestressed 9 concrete to do that portion of our program. Once again, 10 that was a financial consideration that we eliminated 11 that portion of the program and will rely on others for 12 it.

MR. WARD: Was the Canadian test, the Gentilly, was that prestressed concrete?

MR. DENNIS: That was prestressed concrete.
 MR. WARD: It apparently leaked a lot.

17 MR. DENNIS: I would say that the test history 18 they use --

19 MR. SIESS: The Canadians did not have a steel 20 liner.

21 MR. DENNIS: No.

MR. SIESS: But the U.K. did use a steel liner. MR. VON RIESEMANN: It is not clear on the 4 U.K. whether they will use steel or copper on the liner. MR. SIESS: The Canadians do not use any

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

103

1 liner. They use epoxy coating.

2 MR. DENNIS: In the test they used a vinyl 3 liner, and they experienced some liner difficulties in 4 that test, so they went through several loading cycles 5 before they got a liner that took them to failure.

MR. ZUDANS: Without a liner --

7 MR. DENNIS: And then the Canadians are great 8 proponents of a leak before break concept on their 9 containments.

10 MR. WARD: And that was water?

1: MR. DENNIS: They used water as a pressurizer 12 fluid, and they did compare it with an analytical 13 method. BOZAR-V was the code they used, and they got 14 good results between the code and their model after they 15 had changed the material models.

16 (Slide.)

6

MR. BLEJWAS: I am Tom Blejwas, and this is NR. BLEJWAS: I am Tom Blejwas, and this is No Horschel from Sandia, and I am going to talk about the analysis that we have been conducting and plan to conduct for these containment models. I would first like to put the analysis into the context of the overall program, so on your first vu-graph, the second vu-graph rather --

24 (Slide.)

25 -- I wor d like to reiterate that part of our

1 objective is to try to qualify methods of evaluating 2 ultimate capacity. So the way we see our task, we will 3 first proceed in designing and building the experimental 4 models which you have just heard discussed. Next, while 5 this is going on we are doing pretest analysis, so that 6 by the time we actually conduct the experiments we will 7 have predictions that we feel are the best predictions 8 we can make at that time. Then we will conduct the 9 experiments, compare our res.its, and at that time 10 refine our analysis.

11 After we have refined the analysis to a point 12 we feel it is reasonable, then we will present our 13 comparisons for others to view and to make a 14 determination as to the quality or qualification of the 15 analytical procedures.

16

17

25

ALDERSON REPORTING COMPANY, INC.

(Slide.)

1

9

Now you have heard we are looking at three different types of contanment models: steel, reinforced concrete and prestressed in three different loadings. Most of what I am going to discuss now will primarily be the analysis of steel containments to static internal pressurization, but I will also touch briefly on the analysis of the concrete containment models.

(Slide.)

10 Currently, we are in the process of conducting 11 analysis of the steel containments in two dimensions 12 primarily, and we have a smaller task to do some 13 three-dimensional analysis, particularly of 14 penetrations. Those are -- the 2D analysis is primarily 15 what I am going to present today. However, we are also 16 in the process of starting on some concrete analysis 17 doing things selecting codes and looking at what is 18 available around the country for analyzing concrete 19 containments.

In the regard, we are having a lot of 1 interaction with Los Alamos. They are already doing a 22 lot of reinforced concrete analysis. Also, we do have 3 to do some side calculations for the support structures 4 to be sure when we conduct our test it is the model that 5 ruptures and not the support structures, so that we have

1 a good test.

2

(Slide.)

3 Okay, we looked at what was available in the 4 way of computer codes when we started doing analysis 5 about a year and a half ago. We did a survey and these 6 are features that I selected as being desirable for a 7 code for use on the analysis of the steel containments, 8 both for static and dynamic pressurization.

9 I will not go through all of these, but I 10 think everybody has their own favorite little features 11 that they like to see in the code, and I think most 12 people would agree that these are somewhat desirable.

13 (Slide.)

I did want to emphasize, though, that there is no feature there that we thought was particularly no important for our task, and that is number four, looking not a code that has large displacement and finite strain no plasticity capabilities, since we do expect to go well no past the linear range.

20 (Slide.)

21 Of the codes that we looked at, this is a 22 small sampling. We looked at a lot of different codes, 23 most of them very briefly, because there are so many 24 that you cannot spend a lot of time and use a lot of 25 assistance from people who have already used some of the
1 codes.

Basically, we came up with three potential codes that did not have any important features missing; 4 at least in the documentation it did not appear that 5 they were missing. These were ADINA, ANSYS and MARC. 6 Since then, I am more led to believe that ANSYS does not 7 have actual large stream capabilities but more medium 8 type of strains in the analytical capabilities.

9 Since we did this search, there is another 10 code that has come on the scene. That is the one on the 11 bottom, ABAQUS, and that has recently had non-linear 12 material properties and non-linear geometry added to its 13 capabilities, and we think this may be a very good code 14 for the future.

15 Of these codes, ADINA is used a lot at 16 Sandia. It is also used at Los Alamos. ANSYS is used 17 by Lowell Greiman at ames for his analysis of steel 18 containments. MARC was not being used by anybody that 19 we know of that was trying to analyze steel 20 containments, and we did some experiments using it.

21 So of the three codes, we selected MARC partly 22 because of the experience we had with it and partly 23 because it also satisfied our objectives.

24 (Slide.)

25 Now, our analytical effort is somewhat

1 paralleling the experimental effort in that we see 2 different cases of analysis that are similar to the 3 three types of models we are going to be conducting 4 experiments on. So that we are starting out with just a 5 clean shell analysis, and this will help us to predict 6 the response of the first two tests.

7 We are also going to analyze or have analyzed 8 ring-stiffened shells and these will help us with the 9 second two tests. And we are also looking at ways of 10 analyzing the penetrations, and that is perhaps the most 11 difficult part of the analytical effort.

I would like to mention that we did all of our analysis that I am going to present using the MARC code, that we used all of their large displacement finite strain options in the analysis, and these are analysis of the models and you will see pressures put up there for yield or ultimate capacity. These are for our models, and I do not think you can infer from these what the capacity of an actual containment is.

20 (Slide.)

Okay. As I mentioned, we start off with a clean shell. This is actually the deformed shape at yield, but with a magnification factor of one so that you cannot really see the displacements on the plot. Thi analysis was done using shell elements, high quarter

1 shell elements for all areas except near the base where
2 we switched to using solid-ring elements to try to get a
3 better definition of the three-dimensional stress data
4 at the base. I will talk about that three-dimensional
5 stress data a little bit further later on.

6 The yield pressure is 64 pounds per square 7 inch gauge and that did occur at the base. That was the 8 first area that would yield, as you might guess.

9 MR. SIESS: What conditions do you assume at 10 the base? Are you going to get into that?

MR. BLEJWAS: The third viewgraph will have a
12 sketch to show boundary conditions.

Okay, if we amplify the yield condition, we 14 see a deformed shape that agrees fairly well with the 15 type of deformed shape you would expect if you did a 16 linear elastic analysis.

17 (Slide.)

In fact, if this were the aim of our program, 19 this is nothing special. A lot of people could do this 20 quite easily and conveniently. However, I do want to 21 emphasize that for this linear elastic analysis, the 22 areas of concern are near the base where you see a great 23 deal of bending going on and the areas near the juncture 24 of the cylinder and the shell, the hemispherical dome 25 where also there is a great deal of bending. Now, as we

1 increase pressure, the plastic flow occurs and, as you
2 might expect, you do get a smoothing out of the shape.
3 (Slide.)

And now, most of the bending or all of the bending that occurs is concentrated right at the base. And if you look at an output of what the stresses are throughout the shell, you find that bending is not significant throughout the entire shell. This was at 179 pounds per square inch. We would expect a membrane ultimate condition to occur within 5 to 10 psi higher than this level. I did not have a plot of that particular condition.

Okay now, the area I want to emphasize or discuss further is in the lower lefthand corner. I have scircled the area and I will show you the boundary conditions that we selected. These were selected to be ronservative because our model does not end right at its base; it continues down into a ring.

19 (Slide.)

And rather than -- and also, let me just step 1 up here for a moment. This area right here (indicating) 2 I modeled this as being a straight edge or sharp 3 corner. In our models, it is actually rounded so that 4 some of the stress concentration there will not be as 5 severe as in the actual models.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

111

Now, what we are looking at here are stress contours of mises stress, and this is at the very base. We get what we probably would have guessed in advance, that the area of highest stress is in this lower righthand corner in the inside of the model where we have a combination of both bending and tension due to the upward forces on the model.

8 MR. SIESS: What stiffness and deformation do 9 you assume for the base? Does the concrete expand? 10 MR. BLEJWAS: Now we have assumed here rigid 11 conditions. Okay now, figuring that that would be a 12 lower bound --

13 MR. SIESS: Your model would have rigid 14 conditions?

MR. BLEJWAS: Well, this area in the model, MR. BLEJWAS: Well, this area in the model, the wall continues down into the model and right here we that have a very heavy ring (indicating). Okay, it is not not perfectly rigid but by comparison with the model it is prigid. And it is curved here (indicating).

Now, we could have analyzed that condition, 21 although it would have been very difficult, farticularly 22 with the non-linear boundary conditions going around the 23 curved corner. And we felt that if we could analyze --24 MR. SIESS: I am not really concerned that

25 much with how you are modeling the steel shell, how you

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345 112

1 are modeling that concrete base that it is attached to.
2 MR. BLEJWAS: I missed the point of your
3 question.

MR. SIESS: Do you assume it is rigid?
MR. BLEJWAS: Yes.

6 MR. SIESS: And you are analyzing your model 7 then. It will be attached to a rigid base.

MR. BLEJWAS: That is correct.

A

9 MR. SIESS: Now, to apply this to the 10 structure, you would have to make some assumptions 11 differently about that concrete basemat.

MR. BLEJWAS: That is correct. We have not, main our experimental models, tried to replicate the concrete base. But we have tried to make it rigid, and se believe that the concrete base in an actual containment would be close enough to being rigid that our experiments are valid.

MR. ZUDANS: This is a steel model, right?
MR. BLEJWAS: This is steel, that is correct.
MR. ZUDANS: And do I conclude correctly that
You use the four elements through the thickness?

22 MR. BLEJWAS: I use four elements through the 23 thickness with four integration points in each element. 24 They are high order elements.

25 MR. ZUDANS: Yes, I know the elements. Okay.

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 The other question is it is good for exercise, but you 2 know, those where you have those support dots indicated, 3 it assumes infinite rigidity of support which is not the 4 reality, and the deformations will go much deeper into 5 your material. And I assume that in a real analysis you 6 will consider what is going beyond that point or not.

7 MR. BLEJWAS: Okay, the basis for doing this 8 analysis was that the conditions you just described are 9 less severe.

10 MR. ZUDANS: It does not matter. They are 11 more realistic because you do not have in actual 12 containment any such stiff ring around. You will keep 13 this point you have in the corner where it is.

14 MR. BLEJWAS: That is correct.

15 MR. SIESS: If it fails at the base, they will 16 go back and do some more analysis.

17 MR. BLEJWAS: In other words, I am trying to 18 analyze my model. I can conclude from what I have done 19 that the model is not going to fail at the base; that it 20 is going to fail in the membrane region on the side of 21 the model. So if I do additional analysis, all that is 22 going to provide me is differences in strains and 23 stresses that may be helpful for comparisons but I may 24 not need them if I am trying to predict ultimate 25 capacity. 1 MR. ZUDANS: Let us say that it may be the 2 case that your highest strains are not at the base. 3 That is what you found from this analysis.

4 MR. BLEJWAS: Actually what I found is they 5 are about the same as in the membrane region, and since 6 my boundary conditions are so conservative, I expect 7 that what is going to happen is that it is going to fail 8 in the membrance region on the side.

9 MR. SIESS: Let me suggest something.
10 MR. BLEJWAS: Yes.

11 MR. SIESS: To go back to that mode three, 12 which was penetrations induced or affected by the 13 behavior of the containment itself, what you really are 14 going to be interested in there is not necessarily 15 stresses in that shell, but deformations in the shell. 16 It is things that do not affect where the stresses 17 peak. It may or may not have some effect on overall 18 larger deformations.

19 MR. BLEJWAS: Yes.

20 MR. SIESS: You keep that in mind, don't you?
21 MR. BLEJWAS: Yes.

22 (Slide.)

23 Okay. From this analysis, we go to the 24 analysis of a ring-stiffened shell, and the first 25 viewgraph shows the deformed shape at yield, but with a

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 very high magnification factor on displacements you will 2 notice that the factor is 106, so that again, you would 3 not be able to see the deformations if it were not 4 magnified. The model here was constructed using all 5 shell elements for economy. We have not included the 6 solid elements at the base partly because we did not see 7 any difference in the ultimate behavior or the 8 non-linear behavior in the gross sense when we switch 9 from all shell elements to shell and solid elements.

10 This was the additional factor that we were 11 trying to --

MR. ZUDANS: They do have that assumption -MR. BLEJWAS: Right. That was the reason we
went to the solid elements in the previous example.

15 MR. ZUDANS: Yes, you are right.

16 MR. BLEJWAS: We performed this analysis at 17 yield and on the next viewgraph you see what it would 18 look like if we did not magnify the deformed shape.

19 (Slide.)

Again, this looks just like our model. Now, 21 as we increase pressure again, the pattern of variation 22 between the ring stiffeners is not obvious. As you get 23 to much higher stress levels, again, there is a general 24 smoothing of the shell. Something that we at first did 25 not believe or doubted the correctness of was that the

1 rings yield shortly after the walls of the shell yield, 2 and that you get a general plastic flow outward, and 3 there are not a great deal of variations in deformation 4 through the panel.

(Slide.)

5

6 MR. SIESS: No vertical stiffeners on your 7 model?

8 MR. BLEJWAS: That is correct, not in the 9 ring-stiffened model. We do include a few small 10 vertical stiffeners when we get to the penetrations.

MR. ZUDANS: What kind of a strength hardening 12 did you have on that material?

13 MR. BLEJWAS: Okay. We had an ultimate 14 capacity or ultimate stress of the material of 85,000 15 and a yield of about 55,000, and the ultimate condition 16 occurred at about 15% strain.

17 (Slide.)

Here is a viewgraph that shows our 19 approximation. We based this on some data we have from 20 the lab on A 5/16 steel. We are going to, in the 21 future, update our analysis to replicate the material 22 properties of the material that is actually in the 23 models.

24 We thought that our material was going to be 25 very close to A 5/16; we now see there are differences,

1 and we are going to go back and redo our analysis.

2 RR. ZUDANS: So for the range you achieved in 3 this analysis, it is essentially -- how far did you go 4 with strain?

5 MR. BLEJWAS: We went all the way out to 15%. 6 In fact, some of it goes further than that, where the 7 15% did not occur. In an area that would cause a 8 rupture -- in other words, we would not have a runaway 9 condition -- we continued the analysis further.

10 MR. ZUDANS: Okay.

11 (Slide.)

25

MR. BLEJWAS: Okay. Now what we also did was, MR. BLEJWAS: Okay. Now what we also did was, since we had modeled our ring-stiffened shell with all shell elements, we went back and took a section of that shell element and assumed that we had evenly-spaced for rings on an infinite shell. Then we can take some -ty take advantage of some symmetry and if you look at the stight side of that, the last line indicates a region you that we can then take out, apply appropriate boundary conditions to and analyze in more detail. And so, we have locked at this region with three different types of measures and our results are all very similar and show about the same kind of thing that we saw with all the shell elements.

Primarily, what we were interested in was

1 whether or not the stress concentration that occurs in 2 the plastic range at the juncture of the ring and the 3 shell wall, whether or not that would be significant as 4 we got into the plastic range, and indeed, it is not in 5 any of our analysis.

(Slide.)

6

7 Now we know that we have in our model 8 penetrations in the side of the cylinder. In fact, our 9 model has three different penetrations; the fifth and 10 sixth tests have three different penetrations, an 11 equipment hatch and two personnel lock models. Doing an 12 analysis of these precisely would a three-dimensional 13 analysis so we have done what a lot of people in the 14 industry have done when they analyze penetrations. We 15 said well, we think there is some similarity between the 16 way a penetration behaves in a cylinder to the way a 17 penetration would behave in a sphere.

And so, if we analyzed the penetration in the 19 sphere, we can take advantage of axial symmetry and do a 20 two-dimensional analysis. So we have done -- what I am 21 going to show you is some models for two-dimensional 22 analysis.

23 (Slide.)

We are also doing three-dimensional analysis, 25 but of course, that is slower and more expensive.

MR. SIESS: It seems to me there is a basic error in doing that because in a sphere, a circular penetration remains circular.

MR. BLEJWAS: Yes.

4

MR. SIESS: And in a cylinder, it will not -MR. BLEJWAS: That is right.

7 MR. SIESS: And if I am worrying about seals 8 on an equipment hatch, it seems to me the shape of that 9 hole is going to be a big factor.

MR. BLEJWAS: I agree with you. I think there
11 is --

12 MR. SIESS: Now, the manway is usually just a 13 cylinder set into that wall. The doors are set into the 14 cylinder, right?

15 MR. BLEJWAS: That is correct.

16 MR. SIESS: The equipment hatch, you know, 17 which is an awfully big thing, would have a different 18 shape in a cylinder than in a sphere.

19 MR. BLEJWAS: That is correct, and that is the 20 reason we are not doing just one or the other; we are 21 doing both.

22 MR. ZUDANS: One more question. The 23 ring-stiffened shell analysis was done by using the MARK 24 shell elements.

25 MR. BLEJWAS: That is correct.

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-234.

1 MR. ZUDANS: When you did this picture, you 2 came to the conclusion it would be appropriate to -- it 3 is a simplistic, simpleminded analysis, a back of the 4 envelope -- that is good enough.

5 MR. BLEJWAS: As near as we can tell, that is 6 correct.

MR. ZUDANS: Good confirmation.

7

10

25

8 MR. BLEJWAS: That is a good point. I wanted 9 to make that one, myself, but we are doing --

MR. ZUDANS: I am sorry I stole it.

11 MR. BLEJWAS: We are doing a lot of fancy 12 analysis, but we are not losing sight of the fact that 13 we may be able to encourage people to do very simplistic 14 things when we are finished.

15 MR. SIESS: Inelasticity is a great thing.

16 MR. BLEJWAS: Okay now. The question was 17 raised before of taking out a part of the side of a 18 containment vessel and putting penetrations in that and 19 just testing just part of the wall, like a 1/6 segment 20 or something like that. Unfortunately, I did not bring 21 it with me, but we have done a quite a bit of analysis 22 where we have taken out a part of the wall and done an 23 analysis on that, choosing appropriate boundary 24 conditions.

At least I thought they were appropriate. And

1 what we found is that you needed to take a real lot of 2 the shell in order to smear out the deformation 3 effects. What we think we got when we did that was that 4 the distortions were concentrated in the penetration 5 because, as the shell wanted to grow outward, the 6 penetration was the hard point. And so it forced that 7 penetration to distort more than we think it really 8 would have.

9 So what we have now done in our analysis is 10 something like you see here. There is an axisymmetry 11 there. If you look in the upper righthand corner, that 12 is the penetration we are really interested in. The 13 rest of it is a shell with just a few shell elements, 14 like on the order of 7 or 8 shell elements, all the way 15 around until we get close to the penetration. Then we 16 use smaller shell elements, and in some of our models we 17 even use solid ring elements, but we have found that 18 that is not necessary.

At least from preliminary results of this 20 analysis, we believe that our hypothesis was correct 21 that these results are significantly different than when 22 we just chose a segment, and that is part of the reason 23 that I hesitate, when somebody suggests just taking a 24 segment out of the shell and testing penetrations with 25 just that segment. You have to be very careful when you

1 get into the ultimate range, because you are talking 2 about the material yielding and growing greatly. And if 3 you somehow inhibit this growing, you are going to 4 change the actual characteristics of what is going on.

5 So, I think that is a worthwhile result from 6 what we did with our analysis.

7 MR. SHEWMON: Are the welds in these butt 8 welds or did they lay something over the joint when they 9 get in field erection?

10 MR. BLEJWAS: All these are actually being 11 built in. It is more like a shop condition, not 12 actually in the field.

13 MR. SHEWMON: So the real structures are 14 straight butt welds, is that right?

15 MR. VON RIESEMANN: That is correct.

16 MR. EBERSOLE: The penetrations you get, are 17 they fixed with respect to space in a differential 18 fashion? Do they move outward?

19 MR. BLEJWAS: They move outward.

20 MR. EBERSOLE: What about the big 28-inch pipe 21 penetrations? They do not move as freely, do they?

22 MR. BLEJWAS: That is correct. That is 23 something that in these early models, we are not 24 including.

25 MR. EBERSOLE: Oh?

1 MR. BLEJWAS: And that may be a very good 2 topic for a tangent to this program or a separate 3 program, because I think that is a very important area.

(Slide.)

5 In addition to -- the previous slide showed a 6 personnel lock. This is a three-dimensional look at 7 what our model looks like for an equipment hatch, and I 8 just wanted to show you this to just give you an idea of 9 the geometry of the equipment hatch.

10 We have a concave dish that closes off the 11 penetration, and we will show you another figure that 12 shows it from a side view, or simplistically, --

MR. ZUDANS: Why didn't you do this in a 14 cylinder with those elements?

MR. BLEJWAS: I was afraid that, -- again, we did not do that analysis -- that was just a pictorial rendition of what we were doing. We realized it would be hard to visualize this, so we tried to come up with a way of visualizing it.

20 MR. SIESS: Did you model the connection 21 between the hatch cover and the hatch boundary, or did 22 you just assume it was rigid, a fixed connection?

23 MR. BLEJWAS: We did it the way it is in our 24 model, which is a welded joint, so we assumed a fixed 25 connection.

MR. SIESS: The actual structure, it is bolted? MR. BLEJWAS: Yes.

3 MR. ZUDANS: I think that this would be the 4 most significant piece of information if you could 5 provide for that sealed surface and allow it 6 differential deformation, both in the analysis and the 7 test, because this would answer the question whether or 8 not this will fail to seal the containment before you 9 reach the ultimate capacity. Whatever you want to call 10 the ultimate capacity.

1

2

11 h... SIESS: In your 1/10 steel model, will you 12 model that hatch any differently than you do in your 13 32nd?

14 MR. BLEJWAS: Yes. I was just going to say 15 that we have not done that analysis. We are a long way 16 off from doing the tenth scale model.

MR. ZUDANS: They could do it in here, too. I ng feel that in here, it is the same thing. In your 1/32 ng model you should not weld this thing; you should put it 20 on so it can lift off if deformation of the boundary 21 takes place.

MR. BLEJWAS: I think we are getting into an area that I cannot answer. The fabrication difficulties were the reason we decided not to do that. This is a fairly small and thin piece of struture that we are

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

125

1 trying to bolt on.

2

MR. HORSCHEL It is --

3 MR. BLEJWAS: It is only 23 mils thick, so we 4 are actually looking at this particular structure in 5 great detail because we are concerned that the cover 6 will buckle. And if you look at classical solutions for 7 buckling pressure, it is in the range where it could 8 conceivably buckle.

9 MR. ZUDANS: Your conclusions on buckling will 10 not be transportable to real structures because the 11 boundary conditions are completely different.

12 MR. BLEJWAS: That is correct, and what we are 13 trying to do is decide whether or not this cover needs 14 to be redesigned so that our model does not fail 15 prematurely in that mode.

16 MR. ZUDANS: Yours will not fail, whereas the 17 real one is free to slide upward.

18 MR. BLEJWAS: That is right.

MR. ZUDANS: Therefore, it is not as -- it is simply supported. Yours is built in the structure.

21 MR. BLEJWAS: According to the work I looked 22 at, some experiments reported in the Japanese handbook 23 of structural stability, it turns out thick in this 24 region for the particular parameters we have chosen 25 here. The fixed-in conditions are very, very similar. 126

1 In fact, they show the curves crossing, so that the 2 simply-supported has a higher buckling pressure than the 3 fixed. I cannot explain that, but that is what their 4 handbook shows.

5 I agree with you that we should try to 6 represent the boundary conditions as accurately as 7 possible. However, what I have been trying to do to 8 this point is to do an analysis of our model. The 1/10 9 scale model will include the features you are discussing.

MR. ZUDANS: Oh, it will.

10

11 MR. BLEJWAS: There will be a bolted 12 connection there and we will try to model that to make 13 predictions of whether or not it will lift off and 14 potentially leak when it does lift off.

MR. ZUDANS: My feeling is that is what it 16 will be, hopefully.

MR. BLEJWAS: There is a strong possibility.
(Slide.)

In summary, let me put up what our best guess 20 at this time is what will happen with our models. I 21 would like to emphasize that we will actually try to 22 document our predictions before we do any tests to leave 23 ourselves open for a lot of criticism afterward. But in 24 the clean shell where we get the kind of failure that we 25 expect to occur near mid-height, we will get a

1 meridianal tear. That is our expectation.

2 We do expect that to occur at a pressure that 3 may be significantly higher than what you would 4 calculate for first yield. We are talking about first 5 yield occurring in our analytical calculations at a 6 pressure of like 65 psi. Ultimate conditions somewhere 7 around 180 or 185 membrane yield occur somewhere around 8 120 pounds per square inch. But still, the ultimate 9 condition I think is significantly higher than the yield 10 condition.

MR. ZUDANS: But your material curve tells you
12 -- the curve that you use for materials has exactly --

MR. BLEJWAS: That is right, there are some the other things that enter in -- the geometric is non-linearities help you so you get a higher pressure level than you would predict from the back of the revelope, because the structure changes from being a scylinder to being more like a sphere, and so hence, you get an take pressure in two directions rather than primarily supporting it in the circumferential direction, so you do get an extra 15 to 20 pounds per square inch that way.

23 MR. SIESS: When you move to the actual 24 structures, somebody is going to have to worry about 25 when it touches that shield building.

MR. BLEJWAS: That is correct.

2 MR. SIESS: It is only six feet out there. 3 Most of them.

MR. BLEJWAS: That is right.

1

4

5 MR. EBERSOLE: Will you expect it to tear to a 6 very large extent in being catastrophic or just relieve 7 itself?

8 MR. BLEJWAS: I expect it to be catastrophic. 9 There is no mechanism, using pneumatic testing, for the 10 pressure to be relieved very quickly, so we expect when 11 it ruptures we will get many pieces -- maybe not many 12 pieces, but you will see a big gaping hole. You will 13 get a big gaping hole out of it. We do not expect just 14 a simple tear.

We will have some heat-treated areas or heated no areas near the welds that probably will precipitate the no begin there.

18 MR. SCHAUER: Aren't there a lot of pipe runs 19 that are anchored off at the shield building?

20 MR. BLEJWAS: Yes.

21 MR. SCHAUER: Then they will form very hard 22 hot spots which will prevent this particular vessel from 23 growing more than a few inches.

24 MR. BLEJWAS: I do not think you can say a few 25 inches. I expect it can grow guite a bit more than that.

MR. SCHAUER: I am looking at a containment and I am looking at the shield building in back of it. I am looking at a pipe that goes through the shield building, through the containment, and is anchored off at the shield building. And the difference there is maybe an order of -- between the shield building and the 7 containment door -- of a couple of feet.

MR. VON RIESEMANN: Five feet.

8

9

MR. SIESS: Five to seven feet.

10 MR. SCHAUER: Five to seven feet. Now I have 11 this hard spot that is going to be created as this 12 containment expands.

13 MR. SIESS: You have some point loads on the14 outside.

15 MR. BLEJWAS: That is correct.

16 MR. SIESS: Lots of point loads.

17 MR. BLEJWAS: Lots of point loads, but I also 18 think -- thinking of that as a totally hard spot I do 19 not think is accurate. The piping I have see goes out 20 and typically bends, and then goes out through the 21 shield wall.

22 MR. SCHAUER: I see.

23 MR. BLEJWAS: So you can conceivably get 24 bending in the piping. I think that is an interactive 25 situation that is beyond what we have looked at at this

1 point.

8

2 MR. SIESS: There are some straight runs 3 through the shield wall because I know they have 4 collection pipes around them at some points.

5 MR. SCHAUER: Before you get too excited about 6 all this strain being actually available to you, you 7 have to consider these point loads.

MR. ZUDANS: That is correct.

9 MR. BLEJWAS: Yes, I agree. But also, that 10 strain is what is going to help you with these hard 11 points. The fact that the material will be able to 12 strain and go plastic and distort significantly before 13 you get a rupture will help you in analyzing these hard 14 points.

MR. ZUDANS: Of course, you have to keep in mind right now you are analyzing your model, and you are to testing your analysis against the model. The thing you na need to keep in mind is that when you start to analyze na real structures, there may be features that have to be built into the model that have not been to sted in your nodel, and I think that is what you have to be careful about.

MR. BLEJWAS: Yes.
MR. SIESS: That you are testing the analysis
under certain conditions. There will be others for

1 which it is not tested. Now, you may have that 2 confidence.

3 MR. EBERSOLE: One of the features is simply 4 the secondary containment, is it not? If this 5 catastrophically blows, won't the secondary containment 6 tend to at least partially confine it in the beginning?

7 MR. BLEJWAS: If it actually blows with the 8 kind of rupture we expect from the models, I doubt it 9 will do anything except spread debris around the 10 countryside. It is designed for very low pressure 11 levels, from what I have heard. I mean, there is no --

MR. EBERSOLE: No pressure capability in
 13 secondary containment.

14 MR. BLEJWAS: Not a significant one. 15 MR. SIESS: It has three psi at least, but 16 what it is designed for and what it is good for are not 17 necessarily the same thing. I do not think anybody 18 looked at what they are good for. They are not good for 19 160 psi or what it would be reduced to with the 20 additional volume.

21 MR. EBERSOLE: They are missile sources to the 22 nearby unit.

23 MR. BLEJWAS: Perhaps.

24 MR. ZUDANS: One more question. If you 25 perceive the way you describe which is very interesting

1 and good, what you will come up is "ultimate load 2 capability of containment", probably much higher than 3 those that create non-isolation of the containment 4 during this loading process. What the net result will 5 be is that you do not have to worry about containment 6 ultimate capability; you have to worry about hard 7 spots. Those will be the ones that will fail first and 8 open the path to the outside.

9 MR. BLEJWAS: But it might give us more 10 confidence in trying to analyze the hard points.

11 MR. ZUDANS: I do not know how that confidence 12 comes about. I do not see that. Where do you get that 13 confidence? You may have to design supports for those 14 penetrations different, knowing that they will be the 15 first ones to fail because they cannot accommodate six 16 or even deformations. The shied shell may well deform 17 in a clean section.

18 MR. BLEJWAS: Yes, that is true.

19 MR. ZUDANS: So what you really will find out 20 is that what you do is good and whatnot, but not 21 necessarily really in the ultimate end. It gives you 22 some good reasons how to design better elsewhere.

23 MR. BLEJWAS: Yes. It may be that -- maybe to 24 paraphrase what you are saying, that the ultimate 25 condition we will be looking at is of academic important

1 primarily.

2

MR. ZUDANS: Right.

3 MR. BLEJWAS: Okay, let me just quickly finish 4 up with these viewgraphs. The ring-stiffened shells we 5 expect a failure that is similar with the clean shell 6 except that we expect it at a slightly higher pressure, 7 and we do expect the rings to go plastic as we have 8 predicted and other people have predicted in analyses.

9 For the penetrations, we are still in the 10 process of doing analyses, and I would not want to make 11 a prediction there until we have looked at some 3D 12 analyses, and we do not have those completed yet.

13 MR. ZUDANS: I guess the rings go plastic 14 because the cylindrical pieces the way they are arranged 15 become double curvature shells, and then all of a sudden 16 they create higher load carrying capability. And the 17 full rings do not have that kind of a feature; they end 18 up going the same way.

19 MR. BLEJWAS: Yes.

MR. ZUDANS: I think it is a good conclusion.
 MR. BLEJWAS: Yes.

22 (Slide.)

Finally, as I mentioned, we do plan on 24 continuing with the analysis, doing a 3D analysis of the 25 penetrations in the steel models. We are going to

1 update our material properties as soon as we have good 2 information on the materials in the models. That has 3 been slow in coming, and we are going to eventually, 4 after our tests are finished and we have some idea of 5 how good our analyses were, try to use other codes to do 6 the same kind of analysis and see if there are 7 difficulties with those codes.

8 Also, we are at the beginning doing analysis 9 of concrete containments, as I mentioned, and sometime 10 in the next fiscal year we plan on doing dynamic 11 analyses.

12 MR. ZUDANS: Are you going to do axisymmetric 13 dynamic analysis?

MR. BLEJWAS: Initially, that is all we are for going to do. What we would like to do is just do a for simple scoping study to see what type of pressures we real in an axisymmetric model before we have serious for problems. This is just sort of back of the envelope for type analyses to give us a ballpark figure for what kind of pressure we need to be looking at and what type of post-wit impulses we need before we have serious problems.

MR. ZUDANS: What kind of pressurized time?
MR. SIESS: I said dynamics is out of the
scope of this meeting.

MR. ZUDANS: Oh.

1

2 MR. SIESS: Two years from now we will talk 3 about that.

4 MR. ETHERINGTON: I would like to know whether 5 the containment heads are usually torospherical or 6 semi-eliptical.

7 MR. BLEJWAS: Well, Mr. Dennis has surveyed 8 that.

9 MR. ETHERINGTON: And the pros and cons; that 10 is.

MR. DENNIS: On steel containments, to date no torospherical heads have been built at the top. Prairie Island, some of those have a torospherical head at the bottom. The heads are all hemispherical at the top of the steel containments. GE proposes on a number of their MARK III containments using steel to use torospherical heads. However, the first plant that is coming along in that family is Allens Creek and they have recently switched from a torospherical head to a hemispherical head. Pre-stressed concrete, the shallow and the steel common.

22 MR. ETHERINGTON: Is torospherical better or 23 just easier to make?

24 MR. DENNIS: It is easier to make.
25 MR. ETHERINGTON: To design -- from the

ALDERSON REPORTING COMPANY, INC, 4C0 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345 136

1 designer's point of view there is no problem, but if you
2 get beyond the yield point, don't you have more of a
3 problem with the torospherical? You have a sharper
4 radius.

5 MR. DENNIS: The primary problem I think that 6 occurs with torospherical is, as you get up in pressure, 7 it has a tendency to buckle.

8 MR. ETHERINGTON: Yes, that is the point, that 9 is the point.

10 MR. DENNIS: It offers some advantages in 11 interior layout of the containment building.

12 MR. ETHERINGTON: If you design it for the 13 kind of conditions we are talking about for ultimate 14 capacity, would you be inclined to use the 15 semi-eliptical instead?

MR. DENNIS: No, I would use a hemispherical 17 head.

18 MR. ETHERINGTON: You would keep it 19 hemispherical, yes, that is best of all, of course. All 20 right.

21 MR. ZUDANS: May I remark? For ultimate 22 capacity, it makes no difference; it becomes spherical 23 anyway.

24 MR. ETHERINGTON: Not quite; it will try to.
25 MR. ZUDANS: I think they are both MARK III's;

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 one in Spain, one in Taiwan, are torospherical, right?

MR. DENNIS: I am not familiar with that.
MR. SIESS: They are all hemispherical now.
MR. DENNIS: They are all hemispherical now.
MR. SIESS: On top.

6 MR. ETHERINGTON: Is it your intention at any 7 time to make design recommendation?

8 MR. VON RIESEMANN: I think the NRC could 9 answer that question. Are we going to make any design 10 recommendations? Is that our intent?

MR. COSTELLO: The research program directly, 12 sir? No. I do not -- it is hard even to conceive of 13 design recommendations issuing directly from a research 14 program.

15 MR. SIESS: I think if designers of new plants 16 are told that they have to be able to have the 17 capability to withstand 150 psi or something like that, 18 they will make their own decisions.

MR. ETHERINGTON: The code will probably pick 20 it up, too.

21 (Slide.)

22 MR. WOOFIN: I am Ron Woodfin, also from 23 Sandia. My discussion today is going to be relative to 24 the experimental program for the small-scale steel 25 models. The experimental program for the large-scale

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 steel model and the reinforced concrete models has not 2 yet been fully developed to the point that it is really 3 something we can discuss yet.

As we go through it, what I would like to do 5 is take a fairly broad brush approach because I did not 6 anticipate that any of you gentlemen were interested in 7 the extreme details of instrumentation, but I would be 8 glad to answer any questions of that nature if you want 9 to ask them.

MR. SIESS: We are not supposed to be, but it is hard to keep us off the subject.

12 [Laughter.]

13 MR. WOODFIN: One thing I would like to remind 14 you of is that the instrumentation and the procedures 15 for this set of experiments is directed toward our 16 objective, which is to validate the existing analytical 17 techniques, and so we have directed our procedures and 18 our measurements toward that end, rather than, say, 19 documenting the dynamics of the failure mode as it 20 occurs or something of that nature.

21 (Slide.)

We have, as a reminder, the three basic 23 experiments, each of which has two tests associated with 24 it. This was what was discussed earlier. Now I will 25 mention later in our loading procedures the possibility

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

139

1 of a slight variation from that position, but I will 2 refer to tests one and two, three and four, five and 3 six, and this is where they come from.

(Slide.)

5 The technique which we use will be, because of 6 safety considerations, remote and outdoors and this 7 afternoon we will take you to the place where we are 8 going to do that and I will show you on a map a little 9 later where that is going to be so you will have some 10 idea of where you are going and what is involved. I 11 will also give some diagrams of the site and whatnot.

We have opted to use a computer-controlled 13 technique for pressure control and for data 14 acquisition. There are several reasons that will come 15 out during the presentation to show you why that is the 16 case. It will be interactive in the sense that the load 17 steps will depend upon measured data, so that the 18 engineer in charge of conducting the experiment can vary 19 the load steps to get them finer in the regions where 20 more interesting events are occurring, such as around 21 yield, and we reach a plateau where we think we are 22 getting close to runaway. Then we can reduce the size 23 of the load steps and change the procedures in that 24 manner.

25

(Slide.)

1 The loading will be pneumatic, using bottled 2 dry nitrogen. That saves us several problems by using 3 the bottled gas and the dry gas so that when we do look 4 at the state of the gas contained within the volume, we 5 do not have to concern ourselves with vapor pressures 6 and such things as that.

7 We also do not involve the equipment problems 8 associated with moisture and oil that come from 9 compressors and those sorts of things. The pneumatic, 10 of course, gives is some more realistic failure 11 conditions, but forces us into certain procedures 12 required to maintain safety. Consequently, it is going 13 to cost a certain amount of money in addition to do it 14 that way.

We have chosen to use a guasistatic loading the technique which involves a series of step-wise transformed a series of step-wise transformed a series, so we would increase the pressure during a the relatively short period of time, on the order of 15 to 19 20 seconds, let the deformation stabilize for the period 20 of time required for gathering the data, and then 21 proceed onto another increase. In general, we will 22 proceed in a monotonic manner so that once we go past 23 yield, we would not back off again.

However, this is one of the possible 25 variations for having the second model, a second test

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

141

1 available in each experiment. If we have satisfactory 2 replication of the first test, during the second one up 3 to a point well in excess of yield and into the strain 4 hardening region, we can then decide to do a 5 non-monotonic loading for the last part of that -- for 6 the last part of that loading procedure. That is, we 7 can reduce the loading, the pressure, by a certain 8 amount and then reload to see what effect might be 9 introduced and whether the computations can, in fact, 10 follow that type of loading path.

But, of course, that requires that we have convinced ourselves that we have been able to replicate the previous results, at least up to that point.

14 MR. ZUDANS: I do not quite understand your 15 reason for not cycling on all of the models.

16 MR. WOODFIN: Well, our original decision for 17 not cycling was that we would take the easiest 18 analytical problem first. Now, if we are convinced that 19 we can do a good job of that, we may then introduce a 20 loading program which is cyclic on all of them. 21 However, the scenarios that we looked at did not seem to 22 have much cycling in them, and it appeared we would not 23 be too far off on this by going to monotonic loading in 24 the first place.

However, that is a complication we will

25

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345 142

1 introduce if we find that we are capable of doing a good 2 job with the cyclic condition.

3 MR. SHEWMON: Zenons, what would you get 4 beside fatigue effects?

5 MR. ZUDANS: Not fatigue effects. I am 6 looking for, when you unload, it should go linearly back 7 to a certain point. Where you reload again, if things 8 behave properly and you have good material stabilization 9 you would get back to the same point linearly before you 10 stopped. But if some other change takes place, you may 11 not do that. This is what the challenge to analytical 12 tools is. Not in proportional loading. In proportional 13 loading, you can do the simplest of models.

MR. SIESS: Are you talking about cycling in 15 the elastic range?

16 MR. ZUDANS: That is right, only in the 17 elastic range. They could not do it the other way 18 around because it is only unloading they do. You load 19 it in the inelastic range; it unloads elastically; you 20 reload again back to the same and you should get to the 21 same point.

22 MR. WOODFIN: Okay.

MR. ZUDANS: Or else you should get some kind
 of -- this is where the analytical difficulties come.
 MR. WOODFIN: That is correct, and we decided
1 first of all not to put the harder problem to the code 2 until we convinced ourselves that it would handle the 3 easier one.

4 MR. SHEWMON: I realize people climb mountains 5 because they are there, but I do not quite see the 6 relevance of this to the problem.

7 MR. VON RIESEMANN: Realistic loading 8 conditions -- the loading is increasing; it does not 9 cycleup and down, even though it is tougher analytically 10 to handle it. We are not modeling any scenario. We 11 expect the pressure to go up and maybe cycle a small 12 amount but not go down to zero and then go back up again.

13 MR. ZUDANS: I did not say to zero.

MR. VON RIESEMANN: Well, even to unload half 15 of it, say.

16 MR. SHEWMON: All right.

17 MR. WOODFIN: And we will continue loading 18 until failure is achieved.

Now, there are two possibilities for failure. 20 One is that we cannot put enough gas into the model to 21 keep the pressure increasing because of some leakage. 22 The other possibility is that it fails in a way in which 23 we can actually see that there is no point in trying. 24 So the second would be what you would call 25 catastrophic. That is if it spits wide open or the top

1 comes off or it flies into a bunch of little pieces. 2 that is clearly failure. It is not quite as clear as 3 what you would call failure when you are simply unable 4 to make up the gas. But we will ensure that we are able 5 at least to present a sufficient amount of gas to have 6 100% per day leak rate.

7 MR. SIESS: You are not sure you can define 8 failure, but you will know it when you see it?

9 MR. WOODFIN: I think that is probably a good 10 way to say it.

11 (Laughter.)

12 MR. ETHERINGTON: Is the use of bottled 13 nitrogen going to give you enough of a temperature 14 difference to be a nuisance?

15 MR. WOODFIN: We are going to do these tests 16 at constant temperature. We will heat it as it goes in 17 and we will have a heater in the model so that what we 18 will do is take the Weather Service predicted high for 19 the day on which we do the test, add about 10 or 15 20 degrees to that, depending on time of year and wind we 21 expect, and set the temperature at the beginning to that 22 level and keep it that way throughout the experiment.

23 MR. ETHERINGTON: It will be at about 24 atmospheric temperature, then.

25 MR. WOODFIN: A little bit warmer than the day

1 in question, at atmosphere temperature.

2 MR. ETHERINGTON: You will have to heat it, 3 will you?

4 MR. WOODFIN: Yes. Just to avoid the 5 possibility of having it cool something. It is much 6 more complicated to cool something than heat it.

7 MR. PICKEL: If your guess is wrong and you do 8 get a nice, long tear where you may leak as fast as you 9 are feeding in rather than a catstrophic type failure, 10 will you monitor your --

MR. WOODFIN: I will get to that in some 12 detail in just a minute.

13 (Slide.)

14 We have a data system designed primarily to 15 take structural data strains and displacement and I will 16 go into those in some measure of detail in a moment. 17 Also, we will take auxiliary data just toward what you 18 are asking for pressure and temperature, to be able to 19 establish the state of the gas within the containment at 20 a given time.

Beyond that, I will show you how we go about 22 getting an inference of leak rate. Now, to do this we 23 will use two instrumentation trailers; one for signal 24 conditioning and one for command and control functions. 25 The signal conditioning trailer will not be manned and

1 the command trailer will be, and they will be separated 2 by a distance of about a half a kilometer.

(Slide.)

3

The structural data strains will be the 5 primary information in the elastic and low plastic 6 regime, compared to the analytical results, but we will 7 measure strains up to 20 percent. Now, in order to be 8 able to do that, you will recognize that that is a 9 rather formidable task to reliably measure strains at 10 that sort of level, so we have done some preliminary 11 work to qualify both our application techniques and 12 adhesives and coatings to be used in these gauges. We 13 will show you some of those results as you take the tour 14 this afternoon.

We have done some tensile specimens using 16 realistic gauges and coatings. We have not done the 17 coatings yet. We are in the process of doing that now, 18 but we will show you results for that.

MR. SHEWMON: Are you at all interested in where it yields first, or just where it yields last? That is where it breaks.

22 MR. WOODFIN: It is always a problem to try to 23 put a transducer where it yields first because almost 24 invariably, that will be in a very minute area, and in 25 this case that is no exception. Since he is expecting

1 to get yields around the base first, what I plan to do 2 is to put a gradient strip of ten gauges at a point on 3 the base, so that we can have some hope of catching at 4 least within the gauge spacing in that gradient strip, 5 that first yield. So we will look at that.

6 We will also look in detail at the belt line 7 and the spring line.

MR. SHEWMON: Spring line?

8

9 MR. WOODFIN: Spring line is our term for the 10 attachment between the cylinder and the dome. We got 11 that from UCEI, didn't we?

MR. ZUDANS: Same thickness for dome and - MR. WOODFIN: That is correct.

14 MR. ZUDANS: That is not represented in the 15 real system, that is not real. They do not use the same 16 thickness in the dome.

17 MR. WOODFIN: I will let Al speak to that. 18 That is a pretty complicated question. Unless you just 19 want me to generalize on it. But what it amounts to --20 it is pretty hard to make one at this kind of scale with 21 that variation in thickness.

MR. ZUDANS: You do it because of matching thicknesses. If you reduce the thickness you do not have that distance because the half-thickness shell of deforms the cylinder at that point.

1 MR. DENNIS: There are a couple of things to 2 consider at this point. One of them is that most of the 3 shells I have looked at, they do not go to 4 half-thickness on the dome.

5 MR. ZUDANS: That is right, they do not. 6 MR. DENNIS: They typically just drop maybe 7 80% of the thickness of the shell in that area. The 8 other thing is, quite often there is a good bit of 9 construction around the inside of the upper end of the 10 dome such as a crane girder or something l'ke that, that 11 would lend additional stiffness to the shell.

12 We are not including that in our models, and 13 that came after -- the decision came after several 14 conversations with our advisory committee on the benefit 15 of including or not including that. If you look at the 16 ability to replicate test data and get benchmarks by 17 computer methods or analytical methods and get benchmark 18 data, I think having the same thickness of the dome and 19 the cylinder is a reasonable thing.

If you look at it from a fabrication 21 standpoint, we are working with a point of 047 steel, so 22 you have a 47 mil thick wall. And trying to do it to a 23 30 mil wall there gets into problems of construction.

24 MR. WOODFIN: The displacements will be our 25 primary indicator of structural performance in the large

1 plastic regime, if you like -- something as the strains 2 get larger and as the deformations get larger. So we 3 are going to use three different techniques to assess 4 displacements.

5 The CDS technique -- I will explain what these 6 revisions mean on the next slide. It is an optical 7 device. The LVDT technique is a direct measurement, and 8 the photographic technique, of course, is an optical 9 device.

10 (Slide.)

11 The first thing I will do is talk about strain12 gauges.

MR. SIESS: Why don't you skip that?
MR. WOODFIN: No one is interested in these
things?

MR. SIESS: Too many might be.

17 (Laughter.)

18 MR. WOODFIN: All right.

19 (Slide.)

16

The CDS stands for coordinate determination The CDS stands for coordinate determination system. This is basically a surveying type system which is computer controlled with high resolution used, in many cases, for setting tooling, say, for fabrication of ships and airplanes and such things as that. Two operators focus the light on the same spot and the

1 system calculates the coordinates of that point.

Now, we have taken that system, modified it slightly or are working to modify it slightly, so we can use a three-light system so we can look all the way faround the model and then we will take various points. But this is manually-gathered data, so we will not do that at every pressure loading step. We will do it only, say, every third step or something of that natura because it takes a while. And I will explain that again in a moment.

The LVDT is a standard displacement-measuring to device. These will be spring-loaded ones mounted on the the inside and, of course, the photographic involves to basically a steel camera system.

MR. SIESS: What does an LVDT cost you?
MR. WOODFIN: Around \$450.

17 MR. SIESS: How many do you expect to use in 18 the tests?

19MR. WOODFIN:I -- probably one.Maybe none.20MR. SIESS:I notice you had quite a small21 number.I was wondering whether you would find a --22MR. WOODFIN:The reason for the small number,23 we originally planned to have something on the order of

24 60 or 70 of them, but when we began to look at the 25 cost-benefits of using this new CDS system instead of

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 LVDT's, it turns out even though the capital expense of 2 the CDS system was considerable, the time involved in 3 mounting and aligning the LVDT's for each of the 4 experiments when you go through the whole series of 13 5 that we have planned, was on the order of twice as much 6 as using the coordinate determination system.

7 MR. SIESS: So you will depend on the CDS for 8 most of your deformation data?

9 MR. WOODFIN: There is a transition period. 10 If you look on the next slide here, I think you will see 11 what that transition is.

12 (Slide.)

13 The CDS resolution you see is somewhat 14 limited, so it will not be of great value to us at the 15 very low strains. Say less than one shell thickness. 16 However, the LVDT resolution is infinite. Now, on the 17 other end of the scale when we get to the large concrete 18 and large steel model, the biggest LVDT's you can buy 19 have a six-inch throw, and that is not enough.

20 MR. SIESS: Six-inch what?

21 MR. WOODFIN: Six-inch maximum displacement. 22 Throw, I said. So that is not enough.

23 So what we are doing, we would have to get 24 some sort of metric device or something like that. The 25 LVDT's which we are using to measure six inches are

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 about almost three feet long by the time you put the 2 spring-loading capability in them and that sort of 3 thing. And that is required because you either have to 4 have them on a pivot and use two to measure the 5 displacement of one point, or you measure the motion of 6 the shell itself, rather than the material, the motion 7 of the material point.

8 MR. SIESS: These displacements you are 9 measuring are chiefly going to be radial displacements?

10 MR. WOODFIN: In the case of the LVDT's they 11 will be radial displacements because the LVDT will be 12 mounted on a radius and will be in contact with the 13 shell at that radius. So that is why I say it is the 14 motion of the shell.

The CDS, however, actually tracks the motion 16 of a point. You mark a point on the body and track the 17 motion of that, so that will be wherever that point 18 wants to go.

19 MR. SIESS: You could use it actually to 20 integrate strains.

MR. WJODFIN: Yes. As a matter of fact, I intend to integrate all these, not for strains but for calculation of volume because if you go to the inference of leak rate, it is necessary to know that the volume to be a surement.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. SIESS: What kind of deformation measurements would you be making around the penetration areas?

4 MR. WOODFIN: Okay. When we get to those, we 5 will arrange our photographic setup so that we get a 6 silhouette of it so that we will have what would be a 7 cut through the plane that includes the deformation. We 8 will also measure both tangential and radial 9 deformations with LVDT's. Those deformations perhaps in 10 the tangential direction may not be very large, so we 11 can use a different type of LVDT which does not have to 12 be three feet long to do that.

And then we will also put some of the CDS that targets around that area where we cannot get to it with to anything else. So I have adopted a philosophy both of the redundancy in kind as well as the peculiar features of the three types of displacement measurements.

18 To try to optimize the amount of data that I 19 am able to get from each region I have considered 20 originally using a brittle lacquer technique or 21 photo-elastic coating, but we cannot get up close to 22 these things to exarine them.

23 MR. ETHERINGTON: But you could pick up the 24 regions where it yielded after --

25 MR. WOODFIN: It will all be yielded. A

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 brittle lacquer is so sensitive that there would not be 2 a millimeter, a square millimeter, that was not 3 cracked. It would not tell you anything apparently when 4 you got through, and the difficulty of trying to 5 remotely examine a britte lacquer, say, through a 6 television system or photographic system, is very, very 7 formidable because the angle by which you view it and 8 the angle of which you eliminated is critical to being 9 able to see those cracks.

10 So, --

17

MR. ZUDANS: Two other things occur in my not mind. Of interest would be to know how much the not circumference grows as a total -- I could imagine -- now 14 I am designing, so please bear with me. I run a rope 15 around it, a thin line, coil it; as it grows, it will 16 just coil off and you can measure that very accurately.

The other thing is you could draw lines on it.

MR. WOODFIN: Yes, we will have some of those 19 things used in the photographic -- which will be visible 20 in the photographs. The photographic thing, 21 unfortunately, is delayed. You do not get that right 22 away. And we looked into the possibility of using some 23 sort of television type data, but the resolution is not 24 satisfactory to do you any good. So you are caught 25 between waiting for data of sufficient resolution to be

1 useful or having it immediately and only having a 2 general picture of what is going on.

3 So we have decided to go for the high 4 resolution data and wait on it, because we have two 5 types of data which will be available to us during the 6 experiment. Okay.

(Slide.)

7

8 This shows a little bit about placement of 9 data -- placement of transducers in order to gain the 10 data. We will use 70 to 150-strain gauges, depending on 11 the complexity of the model. We will start off on 12 meridians and parallels. We will then check our 13 symmetry in each case, so we -- and then we will look at 14 details such as I described earler using the gradient 15 strips, and in each case these will be rosettes, so that 16 we can check to determine whether the principal strains 17 are in the directions that we expect them to be and that 18 sort of thing.

19 The LVDT's will be principally along the 20 meridians and details with only one of two horizontal 21 planes verified for symmetry. The CDS targets, we can 22 use more of them. We will get both meridians and 23 details and we will have at least three meridians 24 measured, in which case we will automatically have a 25 symmetry check. And then we will measure only one

1 merdian with the photographic system, but that will be a 2 continuous silhouette and not something that we have to 3 infer from a series of point measurements, as the others 4 are.

(Slide.)

5

6 Actually, I guess I should ask do you have any 7 further questions about those sorts of measurements. I 8 am now talking about auxiliary data.

9 We will have three independent pressure 10 transducers, actually independent in the sense that they 11 are of different manufacture and a different style. Two 12 of them at least will be strain-gauge transducers. The 13 other one is coming with the pressure control system and 14 that is out for bid and I am not sure exactly what it 15 will be until that comes back in.

16 They will act as confirmation, both for 17 confirmation of the control system and necessary data 18 for inference of leaks. I will explain in a minute why 19 I hesitate to use the term "measurement of leaks." We 20 will have temperature measurements with thermocouples at 21 each strain gauge so that we can make the appropriate 22 compensation to strain gauges. Then we will also use 23 some strain gauges -- or I beg your pardon -- some 24 thermocouples to measure the temperature of the air or 25 of the gas inside. We will also use resistance

1 temperature detectors.

Now, the primary reason I have used the resistant temperature detectors is because there seems to be considerable interest in using them for the temperature-measuring devices in the normal ANSI standard which is being proposed for measurement of leak rate. And so that if you do an integrated leak rate test on containment, you: typical test nowadays is using resistance temperature detectors as post-thermocouples for the temperature in that test, and so I am using both.

11 The correction of strain gauges is a primary 12 purpose for the thermocouples attached to the shell. We 13 will confirm that the temperature control system is 14 operating correctly and then we will have data for leak 15 inference.

16 (Slide.)

17 MR. ETHERINGTON: A leak would hav to be 18 rather large before you could infer that there was a 19 leak, wouldn't it?

20 MR. WOODFIN: Yes. I will get into that in 21 detail in just a minute.

Now I say I put "measurements" in quotation amarks because you can really only -- unless you know where the leak is and you can get it to run through a flow meter, and I do not expect our leaks to be that

1 cooperative -- we can only infer them from measurements 2 of state variables.

3 MR. SIESS: Put a little Zenon in there. 4 MR. WOUDFIN: On the next slide you will see 5 that we have several techniques for trying to determine 6 where they are. There are no -- in the small-scale 7 steel models, as we already discussed, there are no 8 modeled leak paths. However, it is possible that we 9 might find some leak path in the process of proceeding 10 to failure. If we find a crack that does not run in the 11 way that we expect it to, then we would, in fact, have a 12 leak occurring and we will attempt to detect those sort 13 of things, and I will go through how we are doing it.

But primarily in the small models, this is a 15 way of developing techniques so that when we get to the 16 larger models where we are modeling leak paths in the 17 concrete and the large-scale steel models, we will have 18 confidence in our ability to handle this sort of 19 measurement and computation, and it is rather involved.

20 So the first thing we are trying to do is 21 learn to detect and locate the leaks.

22 (Slide.)

I have five techniques. If you have another 24 suggestion perhaps I can throw that in there. Also for 25 trying to detect and localize the leaks, we will use an

1 ultrasonic detector which is a device that is marketed 2 for finding leaks in pipes and pressurized conduit and 3 such things as that, which operates in the 40 kilohertz 4 region. That is down to the normal audible range. We 5 will use acoustic emissions transducers placed on the 6 model and on the fixturing to try to -- and we have been 7 assured by the gentleman who is an expert in acoustic 8 emissions that he can tell whether the leak is in the 9 fixture or the model that way, so are going to pursue 10 that. Yes?

11 MR. SHEWMON: I take it you will have several 12 acoustic emission transducers fixed around the unit. 13 Where will your ultrasonic transducer be, or what is 14 this?

15 MR. WOODFIN: Okay. That basically is a 16 little microphone, a sniffer is the common term that is 17 used for them. It is the sort of thing that your 18 telephone repairman uses, your lineman uses, when he 19 goes out and looks for where is this pressurized line 20 leaking. And he points it up at the high line and --

21 MR. SHEWMON: You would expect somebody to be 22 walking around?

23 MR. WOODFIN: I will show you in a minute. 24 There will be a fellow out there who has access to 25 that. We will really just put that on one side. Now,

1 if it looks like that is going to be the technique that 2 is going to work, then I will get a couple more.

3 But I would say the first cut at it with these 4 first couple of models I am going to see which one of 5 these will work. Maybe none of them, but I am trying 6 everything I can think of. So we will also look at the 7 pressure system duty cycle, the inflow -- we will have 8 an inflow indicator that will tell us if gas is coming 9 in when it is not commanded to do so. And we will look 10 at our gas consumption as opposed to the predicted gas 11 consumption.

12. MR. SHEWMON: What in the system does these 13 cycle means?

MR. WOODFIN: This will be an on/off control system. I will show you a schematic in the a moment. What I am looking at is if I am putting pressure into the model when I should be stabilized, this will give me an indication that it is getting -- that there is gas getting out somewhere.

20 MR. ZUDANS: It may also not indicate that. 21 You may reach some kind of an equilibrium condition 22 where the vessel grows and you need more fluid to 23 maintain the same pressure.

24 MR. WOODFIN: That is correct, and I will be 25 checking that because I will have a dynamic output.

1 That is one of the reasons for having a realtime display 2 of the information. Each time I go to a pressure step I 3 will generate a time history which shows, as a function 4 of time, the pressure against the commanded pressure, 5 and selected strains and displacement.

6 And if those things keep growing after the 7 pressure has stabilized, then I know that I am on the 8 threshold of a runaway condition, in which case I have a 9 contingency in the computer program. I hit one switch 10 and it goes into an automatic mode for collecting as 11 much data as possible in a short-cycle time.

12 MR. ZUDANS: You may get to a situation 13 whereby you put in pressure, you stop your gas inflow 14 and you observe the instruments and the history, and the 15 pressure may start falling.

16 MR. WOODFIN: No. No, the pressure -- if the 17 pressure starts falling, that is a malfunction in my 18 pressure control.

MR. ZUDANS: Or it is a leak, a small leak.
MR. WOODFIN: No, it would have to be a large
leak because my pressure control will sense that and not
let the pressure fall.

23 MR. ZUDANS: That is relative. It is 24 sensitive to --

25 MR. WOODFIN: It is a tenth of a psi.

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. SIESS: If you are at, say, 125 psi in 2 your tests and you have an indication of a leak, have 3 you considered stopping the test, taking it down to zero 4 or five psi and going out and looking at it?

5 MR. WOODFIN: Yes. My first question is where 6 is the leak, and if I can convince myself that the leak 7 is, in fact, in the model, then we will have to make the 8 decision as to whether that is more beneficial or 9 whether we should continue monotonic loading. That is a 10 dynamic decision that has to be made during the test.

If, however, I can detect a leak and convince 12 myself it is in fixturing which has many more leak paths 13 available to it than the model, then I will continue 14 on. So that is the reason I have the detection and 15 localization problem.

16

17

24

25

ALDERSON REPORTING COMPANY, INC.

MR. ZUDANS: Supposing you reach the failure mode you describe as a leak and it does not grow, as you mentioned before. You have several choices, either to finish your test -- that is the end of it -- or you depressurize it, reweld it and continue until you reach the ultimate load.

7 MR. WOODFIN: There is another possibility 8 which I expect we would take. That is, we stop and 9 measure that leak by inference -- that is, what we will 10 do is we will put the pressure control system into a 11 locked-valve condition for a period of eight to 12 hours 12 or perhaps longer, because that sort of period is 13 required in order to make that kind of measurement. I 14 have this data later in the viewgraphs here. And then 15 we would make the state variable measurements necessary 16 to infer the leak during that period of time.

Now, let me go on to the next one and I will is show you what we have been asked to provide.

19 (Slide.)

We have been asked to provide a curve that 21 looks like this thing here (indicating). Now, NRC does 22 not have enough money to pay for that, is what it 23 amounts to, because this would take weeks to generate 24 this sort of thing for any one experiment, because each 25 datapoint requires a minimum of six to eight hours

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 measurement in order to find the sorts of leaks 2 necessary and bring them up out of the noise. MR. PICKEL: What is the units on that? 3 MR. SIESS: I am sorry, I do not understand. 4 MR. WOODFIN: This is leak rate -- this should 5 6 have been marked out. I did not want you to have any 7 numbers on that at all. Ignore the numbers, that should 8 have been marked out completely. This is a conceptual 9 -- this is pressure, this is leak rate. MR. SIESS: I do not understand the pressure. 10 11 You said I should ignore these numbers --MR. WOODFIN: Ignore the numbers on both axes. 12 MR. SIESS: This is the change in leak rate as 13 14 you increase the pressure? MR. WOODFIN: Yes. 15 MR. SIESS: Okay. 16 MR. WOODFIN: This is a sort of function that 17 18 the risk analysis people would like to have. Now, what I am saying is for our small-scale 19 20 steel models, I expect a step function like this 21 (indicating), that we will come to a catastrophic point 22 and then it will break and you have an undefinable leak 23 rate, or an infinite leak rate. However, I may be able to get a couple of 24

25 points on that curve with considerable error bands for

1 these small models. But that is probably the best we 2 can hope for on the small models.

Now, as we go to the larger models, where we have longer test time available to us, we get more points on this curve and can begin to generate something of that nature.

7 MR. SIESS: But you are not going to get a 8 curve like that unless you have an opening of some kind 9 from the beginning.

10 MR. WOODFIN: That is correct, that is 11 correct. It will start off -- it will come up from zero 12 somewhere, and this shows some non-zero opening here. 13 But it also shows -- you can view this as not zero 14 pressure. This is just designed to show conceptually 15 the sort of thing that was requested.

16 MR. SIESS: What you expect to get on the 17 small model is a perfect job and we get that square line 18 over there.

19 MR. WOODFIN: However, it may be if we have 20 flaws in the model then I can say that it is somewhere 21 inbetween these things, that if I can merely detect a 22 leak prior to failure, prior to catastrophic failure and 23 say for sure it is in the model, that there is an 24 indication that it was not that step function. And that 25 tells me that I need to concentrate more on the later

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 ones in trying to determine what that function might
2 look like.

MR. EBERSOLE: You said you were going to dry 4 this thing with the heater, going to keep it warm? 5 MR. WOODFIN: Keep it at constant temperature, 6 yes.

7 MR. EBERSOLE: You are going to override the 8 solar input?

9 MR. WOODFIN: We are going to shade it. That 10 was one of the reasons, because in this area that is 11 significant, and it would also make significant 12 axisymmetries in the problem, so we decided to build a 13 little patio cover over the thing. Now, that is a 14 secondary function. It will contain in it some chain 15 mail so if this thing fails, -- as the safety people 16 say, the worst case might be -- and you have a crack 17 running around at the base and it takes off like a 18 mortar shell, we hope it will not shoot down any 19 airplanes.

20 (Laughter.)

21 MR. ETHERINGTON: Is your gas supply going to 22 be large enough so you can override any sizeable split 23 that does not cause a complete rupture?

24 MR. WOODFIN: We have sized the gas supply so 25 we can handle at least a 100% per day leak rate.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. ETHERINGTON: That is rather a small 2 split, isn't it?

3 MR. WOODFIN: Yes, it is. I think I can 4 handle probably 1000% percent per day.

5 MR. ETHERINGTON: If you get a small split, 6 that is the end of your test run.

7 MR. WOODFIN: Yes, if you get one of 8 significant size.

(Slide.)

9

Okay. This next curve shows you some of the Okay. This next curve shows you some of the problems associated with measuring or trying to infer leak rates. This particular one is just concerned with uncertainties in volume, but you can have the same kind of nomograph generated for uncertainties; uncertainties in pressure, temperature measurements or anything else you want. And suppose I demand that I know to within a react that is a percent per day the leak rate, or that i leak rate of a tenth of a percent per day with y an error of only 1% in the leak rate. Or, that I have only 1% uncertainty in the volume. Then my error in the leak rate is 1000%.

If, in fact, I am willing to settle for 3 something more modest, a more modest goal and say I can 4 detect a 10% per day leak rate with a tenth of a percent 5 increase uncertainty in the volume -- this is a tenth of

1 a percent here (indicating) -- then I can achieve 1% 2 accuracy in my statement of the leak rate. So this 3 tells me how well I have to know the volume in order to 4 be able to make a certain statement, a statement of leak 5 rate, with a given accuracy. And as I say, I use this 6 volume uncertainty as an example, but I can do the same 7 sort of graph for knowledge of the pressure, knowledge 8 of the temperature.

9

(Slide.)

You asked about the size of holes. This you 11 may find to be a useful little thing. It involves a 12 pretty simple assumption; namely, that the flow is a 13 choked flow condition. That is, that the flow comes to 14 sonic condition at a hole, and it assumes a clean 15 circular hole. So you know it is only a very rough 16 estimate as to what size clean circular hole would be 17 required to give you this sort of performance, and it 18 also does not include friction in the channels.

19 So if we are talking about -- as in the case 20 of the large containments -- a four-inch thick steel 21 plate with a one-tenth inch diameter hole in it, this is 22 not going to be an accurate statement but this will give 23 you an idea of the kind of size of hole.

24 MR. SIESS: How big a steel plate?
25 MR. WOODFIN: One and a half inches, but it

1 still was a tenth of an inch hole that has friction in 2 the channel which is not included in this statement.

3 MR. SIESS: Concrete when it is quarter-inch 4 plate.

MR. WOODFIN: Yes.

5

6

7

MR. SIESS: Plus some concrete.

MR. WOODFIN: Yes. So here we have --

8 MR. SIESS: Can you explain the 100 degrees, 9 600 degrees on the left?

MR. WOODFIN: That is total temperature, and it that shows the size of the holes are very --

12 MR. SIESS: I do not understand. I have 100 13 degrees with arrows pointing to a line, 600 degrees the 14 same line.

15 MR. WOODFIN: On this side, each one of these 16 bands is representative of 100 F condition; on this 17 side of the band it is representative of a 600 F 18 condition. So it shows the hole size is a very weak 19 function of pressure because pressure is included in the 20 statement of total temperature.

21 MR. SIESS: So if I have a two million cubic 22 foot containment, one-tenth of a percent per day leak 23 rate corresponds to a tenth of an inch diameter hole. 24 MR. WOODFIN: Yes.

25 MR. SIESS: Ain't very big, is it?

ALDERSON REPORTING COMPANY, INC,

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. WOODFIN: No.

2 MR. SIESS: And 100% per day would be about 3 three inches.

4 MR. WARD: This is at what sort of pressure? 5 MR. WOODFIN: This is at any pressure which 6 you can generate which will give you total stagnation 7 temperature between 100 and 600°F, which corresponds 8 to any of the realistic pressures that you might 9 encounter.

10 (Slide.)

1

One of the problems -- this just illustrates one of the problems associated with trying to infer leak a rates, and this is why it takes the six to eight hours of measurements I was talking about because you have a scertain amount of noise and measurement uncertainty, and eyou have to wait for that leak rate to grow to produce renough leaks, so it grows up out of the noise. That is basically what happens. And so, the minimum time required is when the leak pokes its head up out of the noise.

21 (Slide.)

Our pressure system will look like this, 23 conceptually. I have guessed who would get the bid, so 24 that model 3500 program pressure generator may not 25 actually be that, it may be somebody else's, but it

1 looked like of the people who came in with bids, they 2 are the most likely to get it. That is the Schwien.

3 We have the two trailers, we have the signal 4 conditioning trailer shown in the big block and the 5 command trailers shown in the little one. There is a 6 fiber optic link which gives commands from the computer 7 to the pressure controller, the nitrogen bottles then 8 through the associated safety piping and such things as 9 that go out, supply the gas and the pressure controller 10 then anticipates so that we get a very small overshoot. 11 I think I spec'ed that at something on the order of 12 one-hundredth of a psi overshoot.

13 So, it has a control function which does 14 anticipate and gives you the stepwise pressure that you 15 order.

16 (Slide.)

17 MR. ZUDANS: How is the vessel supported? 18 MR. WOODFIN: I did not indicate that in this 19 particular case. There is a heavy structure made of 20 ASME boiler components which formed at the base for the 21 model and the bottom pressure seal. I can show you some 22 of those components when we go through the tour. I did 23 not present them here.

Now, the site arrangement looks like this. If 25 you will notice the distances, this is on the order of

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 100 feet (indicating). Now, each of these, the Autolite 2 station is a manned station and the fellow pokes his 3 theodolites up through a hole in the pressure barrier. 4 You can see the model and tape data when it is ordered. 5 There will be no one in this trailer; this is all just 6 equipment.

7 The command function would be down here. Thi 8 is the fiber optics data link; this is on the order of 9 300 yards, and there there is a safety observer up on 10 the hill who can see everything, and I will point out 11 these things when we get out to the site as to where 12 everything is going to be located. But that is the 13 general arrangement.

14 (Slide.)

Now, in order to ensure safety we have to here is the red zone where you have to take some special procedures to make sure that wou are not introducing any gas into the model anytime hat anybody is inside that zone, and basically you only let people go in there when you have to do some repair or something of that nature, and even then you do not go you next to the model unless you depressurize.

23 Okay. In this blue zone, people will be 24 manning stations in there and they can have controlled 25 entrance and egress, but not during a pressure loading

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 step, or until the model has stabilized after a pressure 2 loading step.

3 The green zone is a free access zone, and if 4 any of you want to come out and watch, well we will give 5 you a place in the green zone from which to observe.

6 MR. ETHERINGTON: How far will this thing 7 travel under the worst kind of rupture that you envisage?

8 MR. WOODFIN: We have a good-sized argument 9 with the safety people about that.

MR. ETHERINGTON: Half a mile at least, won't 11 it?

MR. WOODFIN: If everything worked perfectly, MR. WOODFIN: If everything worked perfectly, is in order to make a projectile of it, perhaps that is the tacase. Let me show you this. This is a map of Sernalillo County. We are currently right here, we are at the airport or near the airport. When we take the to use will go down here under the base -- this is the sandia technical area near where our offices and our laboratory are. Then we will drive up behind Mosano base, which is this mountain that is all fenced in, to the test site right on the edge of the national forest just before you get into the national forest. That is where our test site will be, so we are in a considerably remote location. And that, of course, adds to the perfection.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

That concludes what I had prepared to say. I
 would be glad to answer any further questions.

3 MR. EBERSOLE: Do you have -- I am trying to 4 remember. Do you have to completely depressurize before 5 you approach it, or just down a certain percent from 6 where you were?

7 MR. WOODFIN: It depends on which zone you are 8 going to and how far into the zone. If you only need to 9 get into the single conditioning trailer, we can enter 10 that from the opposite end. That is shielded, so then 11 we only have to stop introducing pressure.

MR. EBERSOLE: Oh?

12

13 MR. WOODFIN: And hold it at that level with 14 locked valves, which means basically, you go to the 15 condition that you would go to for measuring the leak 16 function, which is a stable condition where the pressure 17 controller cannot introduce anymore in.

In the other case, that is a procedural matter 19 of you need to go into the blue zone, to make sure that 20 you do not introduce any pressure while someone is going 21 or coming to one of the barriers, and that whoever is in 22 the barrier has his head down. But as far as going up 23 next to the model, we would then depressurize, not 24 completely but we would depressurize a degree so that we 25 are well below, say, 10% below the current level.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 Something of that nature.

2 MR. EBERSOLE: Step it down 10% from where you 3 were?

4 NR. WOODFIN: Something on that order. It 5 depends on what region the stress strain curve were in. 6 If we were really close to that runaway area, I would 7 step it down further than if I were in an area where I 8 had some strength hardening to go to.

9 MR. ZUDANS: And would you make all the 10 measurements for this stepdown?

MR. WOODFIN: Yes, we will take data.
MR. ZUDANS: That would be unloading
13 essentially?

MR. WOODFIN: I do not anticipate doing that,
15 but I am prepared to take data if I have to do it.
MR. ZUDANS: Good, good.

MR. SIESS: Thank you. Where are we now, Walt?
MR. VON RIESEMANN: Just a few more final
Wrap-ups.

20 MR. ZUDANS: What is the time duration of one 21 test like this here?

22 MR. WOODFIN: I am trying to make this so that 23 I can get a test with no leak measurements in one day, 24 dawn to dusk.

25 MR. ZUDANS: With the same shift of people?

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. WOODFIN: With the same shift of people. 2 However, if we have to make leak measurements, that will 3 carry it over a day at least for every datapoint that we 4 are looking for.

5 (Slide.)

8

6 MR. SEBRELL: My name is Wayne Sebrell, Sandia 7 Labs, and I am part of the program overhead.

(Laughter.)

9 I mainly wanted to touch on some of the other 10 activities because as you have seen from the analysis 11 and the fabrication of the test models and the test 12 site, there is a lot of preparation going on, but there 13 is also some peripheral activities that I just wanted to 14 touch base with so that you are aware of them.

15 Primarily, these are in the technical 16 information and interchanges.

17 (Slide.)

18 We have had some interaction with the advisory 19 group. We interact with them not on a set basis but 20 whenever we need to get some -- part of the program 21 reviewed we meet with them. We also have a variety of 22 visitors coming in. We have a workshop that I will 23 discuss and also I will touch base on some of the Sandia 24 programs which I think will answer some of the questions 25 you had earlier, and also on some related programs.

(Slide.)

2 On the next viewgraph, the advisory groups 3 meets periodically, and what we have done since the last 4 meeting with the ACRS is to add somewhat with a systems 5 background.

(Slide.)

1

6

7 And the next viewgraph is a partial list of 8 some of the people who have visited us, and also that we 9 have interchanged information with. Lowell Greiman from 10 Iowa University, the General Electric people came in and 11 presented a degraded core study which was equivalent to 12 the severe accident sequence analysis. George Howard, 13 Jack Burns, John Stevenson and Bill Baker, and we also 14 had visitors from other countries.

We had Dr. Lemar Wolf from the FDR project. We had four Japanese who were in from the structural dynamic committee; Professor Helmut Karwat from Munich, and two people from the United Kingdom. And just last Priday we had the siting survey mission, which consisted of a group of 15 Japanese.

21 (Slide.)

One of the other activities were are involved an primarily is in looking at the structural part of the program. It is just a very small part or maybe a small part of what is considered containment integrity, and to 1 get a broader feeling for this, a broader scope of it, 2 we are in the process of setting up a workshop which is 3 June 7, 8 and 9, and the information is on the yellow 4 sheet that is being handed out.

5 But primarily, it is to provide a broader 6 description of concerns of containment integrity, beyond 7 just the ultimate capacity of the building itself, and 8 to improve our understanding of potential sources and 9 location of leak paths, and providing means of 10 interchange of ideas. We do not profess to know all the 11 ideas that are involved in containment integrity, but we 12 hope that we get a very good representation of people 13 there.

14 The major topics, as you can see, is that we 15 have the actual failure pressure of containment 16 buildings.

17 (Slide.)

It is to look at current programs, both in 19 terms of analysis and experiments, operational concerns 20 which deals with the leak rate, leak integrity, load 21 characterization which involves both seismic internal 22 pressurization and also, hydrogen loading. The other 23 related programs that would feed into it -- and I will 24 touch on those in just a minute.

(Slide.)

25

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
1 On the next viewgraph, the Sandia programs 2 that are related that we have some interchange in, and 3 the first one is the hydrogen program in which the 4 hydrogen people are trying to assess what the hydrogen 5 problem is and what the magnitude of it is.

6 We are also interfacing with the Sandia study 7 that is being funded by the risk part of the house at 8 NRC on the SASA studies, and I can go into more detail 9 if you would like to know more about that program, but 10 right now, it is more in a feasibility study or proposed 11 study part of the program. And also, we are interfacing 12 with the PRA studies.

13 All our programs are being monitored by a 14 Sandia QA/QC activity which is the quality assurance and 15 quality control, and it influences the program. You 16 have seen the part that Al Dennis touched on, which was 17 the program management. That is part of the quality 18 assurance to make sure we have some method of recording 19 what is happening, to make sure we follow the steps and 20 make sure that hopefully, nothing falls through the 21 cracks at least on the fabrication, the testing and the 22 analysis part of the program, which we are primarily 23 deling with.

24 (Slide.)

25

On the next viewgraph are some other related

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 programs or meetings, workshops that we have 2 encountered, and one is the ASME subcommittee on 3 containments; that is, the steel portion. There is 4 another one on reinforced concrete. We have the DOE 5 containment program and we have the ninth light water 6 research information meeting, which is a week-long 7 interchange of all the different areas of research that 8 are going on in the NRC, and probably many of you attend 9 that meeting.

10 Ron Woodfin attended the integrated leak rate 11 testing workshop out at San Diego and they touched on 12 all the various aspects of how do you measure leak rate 13 and the accuracy of it, so there is a lot of concerns on 14 that. We have been talking to the people at Los Alamos 15 on their structures program, and they are doing a very 16 good job in my opinion on the parts of the structures 17 that they are addressing.

18 We have had some discussions with EPRI and 19 just recently -- and I think Jim Costello touched on 20 that briefly -- on the IDCOR containment structural 21 capability workshop.

22 (Slide.)

23 On the next viewgraph, the next three 24 viewgraphs, is some of the highlights of the IDCOR 25 containment structural capability committee, and their

> ALDERSON TING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 objective is trying to find the failure conditions, 2 modes, loadings and the probability of the containment 3 building itself.

4 MR. SIESS: Failure meaning?

5 MR. SEBRELL: Maybe the next couple of 6 viewgraphs will show that, but one of the things --

7 MR. SIESS: I would just like to know if 8 somebody has defined failure. I keep seeing the word. 9 Is there a single accepted definition of failure that 10 all people are using when they talk about this?

MR. SHEWMON: Loss of integrity came up 12 earlier.

MR. WARD: Unacceptable leak rate.
MR. SEBRELL: Unacceptable leak rate.
MR. SIESS: We all have our definitions. I
fust wondered if --

17 MR. ZUDANS: I do not think that can be 18 resolved.

19 (Slide.)

20 MR. SEBRELL: When I looked at some of the 21 things that have gone on in some of the analyses, I have 22 tried to look for a definition of failure and my only 23 conclusion was that there was not any real clear 24 definition of a failure.

25 MR. SIESS: Is there any possible definition

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 of interest except an unacceptable leak rate, leaving
2 unacceptable to be defined by somebody else.

3 MR. SEBRELL: That is really one of our 4 primary objectives of having the workshop -- is to 5 address that subject and talk it over and see if we can 6 come into a closer agreement on what it is.

7 MR. SIESS: I have had the feeling -- and some 8 of the earlier discussion touched on it -- that this 9 approach -- in your experience, looking at all of these 10 different groups, is anybody looking at the whole 11 picture?

12 MR. SEBRELL: The severe accident sequence 13 analysis?

14 MR. SIESS: No, I am talking about containment 15 leakage, the relation between containment leakage, what 16 goes on inside the containment and the probabilities 17 that are involved.

18 MR. SEBRELL: I have not seen that myself. Of 19 course, I have only been on the program about four or 20 five months, so I am relatively new.

The highlights of the IDCOR workshop -- let me 22 just go over those briefly -- is that they were trying 23 to use a generic approach for the analysis of the 24 ultimate capacity of containment buildings. They looked 25 at a large variety of containment buildings, like 9 in

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 all. The majority assumed yield stress as failure. In 2 other words, they just really took what they had already 3 analyzed on a design basis, which is in the elastic 4 range, and you could extrapolate up to a yield point. 5 And there was actually some reluctance to go beyond the 6 yield point in trying to determine exactly what failure 7 is.

8 Most of the people who are doing the analysis 9 look to the penetrations, equipment hatches, personnel 10 locks, piping penetrations, liner interactions, base mat 11 and cylinder junctions. And out of those 9 containment 12 buildings, there is only I think one or two that showed 13 that the penetrations were the weak spot, and the two 14 that they had were just very simple fixes to make them 15 stronger. And so, the conclusion was that these types 16 of penetrations were, for the particular accident 17 scenarios, at least as strong as the ultimate capacity 18 of the building or beyond.

Electrical penetrations were addressed. One 20 particular reactor building they actually did some 21 testing of the electrical penetrations. They tested 22 them up to 100 psi, and I think it is 325 F and this 23 was beyond what they figured the worst accident would 24 be, the IQCOR results.

On the ultimate capacity of the containment

25

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345 184

1 buildings, the whole thing is divided into 24 tasks and 2 this is only one task out of the 24, and this is task 3 10, and it inputs into this last item down here, which 4 is the thermal hydraulic containment response in looking 5 at the probabilities and consequences of the accidents. 6

(Slide.)

On the next viewgraph my observation -- let us 7 8 skip that one.

(Slide.)

9

The IDCOR workshop, there were some remaining 10 11 questions. There was no clear definition of a failure. 12 There was a good feeling that many of the containment 13 buildings could at least get to the yield of the 14 structure, and then as you get beyond yield, there was 15 some question about whether the building would displace 16 too much or you would have too much strain or there 17 would be some other type of interaction. And so, that 18 was not completely defined.

Also, there seems to be the IDCOR people 19 20 believe that there is not any need to consider dynamic 21 pressures. They are not looking at hydrogen detonation; 22 they are looking at rapid burn, but in the response 23 times of the containment buildings these are essentally 24 a quasi-static load. So they are only addressing the 25 ultimate capacity from a limited standpoint. They are

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 not considering variations in material properties.

But my own feeling is that if a containment building is going to be in existence for 30 or 40 years, that you would expect to see some differences in the material properties than when you originally started. There is very little experimental evidence that went the their study. They are using primarily analytical stuff.

9 However, Professor Murray from the Canadian 10 experiments presented his information which was very, 11 very well received. The Canadian experiments -- again, 12 I would like to remind you -- did not have the 13 penetrations. It was a pre-stressed containment 14 building, one-fourteenth sale model. And there were a 15 lot of discussions on penetrations, electrical 16 penetrations.

17 The individuals who were working on that 18 particular area did not feel there was -- you could 19 address penetrations in a generic sense. In other 20 words, there were so many penetrations, a very large 21 variety of them, that you just could not come out and 22 say all penetrations are going to be okay.

I think I will skip the next. Let us see, on the background study I will just touch on the schedule. You have seen that before.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

(Slide.)

1

And let us see. Our schedule shows -- this is kind of like where we are going and where we are right now. We are just finishing up the background study. It has actually been finished for a period. So I would like to stop at this particular point.

MR. SIESS: Thank you very much.
MR. VON RIESEMANN: Dr. Siess, that ends our
9 formal remarks.

10 MR. SIESS: Thank you, Walt. You have done an 11 excellent job. I know you condensed some things, we 12 appreciate it. The meeting will be adjourned shortly 13 and we will go to lunch. And I assume we will all go 14 together, so as soon as we can get back, -- are you 15 going to be staying here with us until we leave?

16 MR. VON RIESEMANN: Yes, most of us will be. 17 MR. SIESS: I think 2:00 o'clock may be a 18 little bit optimistic, but let us see if we can try to 19 gather in the lobby at somewhere around 2:15.

20 (Whereupon, at 1:08 p.m. the meeting was 21 recessed for lunch, to reconvene at 2:15 p.m. the same 22 day.)

- 23
- 24

25

ALDERSON REPORTING COMPANY, INC.

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS/Subcommittee on Structural Engineering

Date of Proceeding: March 22, 1982

Docket Number:

Place of Proceeding: Albuquerque, New Mexico

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

David S. Parker

Official Reporter (Typed)

(SIGNATURE OF REPORTER)

STRUCTURAL SAFETY MARGINS FOR CONTAINMENTS

L'A

SANDIA NATIONAL LABORATORIES Albuquerque, NM

WALT VON RIESEMANN TOM BLEJWAS AL DENNIS DAN HORSCHEL WAYNE SEBRELL RON WOODFIN

PRESENTATION TO ACRS SUBCOMMITTEE Albuquerque, NM MARCH 22. 1982

OUTLINE OF PRESENTATION

.....

PROGRAM	WALT VON RIESEMANN
PROGRAM PLANNING	AL DENNIS
SURVEY OF EXISTING FACILITIES	AL DENNIS
CONTAINMENT MODELS	
ANALYSES TOP	BLEJWAS, DAN HORSCHEL
EXPERIMENTAL PROGRAM	RON WOODFIN
PROGRAM SCHEDULE	WAYNE SEBRELL
RELATED ACTIVITIES	
LUNCH	11.30 TO 1.00
TOUR OF FACILITIES	1.00 TO 3.30
RETURN TO AMPAC	4:00

KNOWING THE STRUCTURAL BEHAVIOUR OF THE CONTAINMENT BEYOND ITS DESIGN REQUIREMENTS AND KNOWLEDGE OF FAILURE MODES IS REQUIRED FOR.

.RISK STUDIES

·DESIGN OF ACCIDENT MITIGATION EQUIPMENT

SEVERE ACCIDENT MITIGATION STRATEGIES

·EMERGENCY PREPAREDNESS PLANNING

NUREG-0772

TECHNICAL BASES FOR ESTIMATING FISSION PRODUCT BEHAVIOUR DURING LWR ACCIDENTS

PAGE III

"ONE OF THE LARGEST UNCERTAINTIES ASSOCIATED WITH PREDICTING THE AMOUNT OF RADIONUCLIDES RELEASED ... RESULTS FROM LIMITATIONS IN THE ABILITY TO PREDICT THE TIMING, MODE, AND LOCATION OF CONTAINMENT FAILURE."

OBJECTIVES

•GENERATE THE DATA BASE NEEDED TO ASSESS METHODS FOR PREDICTING ULTIMATE LOAD CAPACITY AND FAILURE MODES OF LWR CONTAINMENTS UNDER ACCIDENT CONDITIONS AND SEVERE ENVIRONMENTS

•ASSESS SELECTED PREDICTIVE NUMERICAL METHODS'



•



APPROACH

•EXPERIMENTAL PROGRAM (UTILIZING STRUCTURAL MODELS) SUPPORTED BY A STRONG ANALYTICAL EFFORT

END PRODUCTS

•BENCH MARK DATA BASE •ASSESSED ANALYTICAL METHODS •RELIABLE METHOD FOR ASSESSING THE CAPABILITIES AT LIMIT STATES SIGNIFICANT TO PUBLIC HEALTH AND SAFETY

BACKGROUND STUDY

TYPES OF CONTAINMENTS

CODE (ASME/ACI) REQUIREMENTS

PREVIOUS TESTS

ANALYSIS METHODS

SCALE MODELING (SIMILITUDE)

LOAD SIMULATION STATIC DYNAMIC SEISMIC



ADVISORY GROUP

TOM AHL - CHICAGO BRIDGE AND IRON BILL BAKER - SOUTHWEST RESEARCH INSTITUTE RICH DENNING - BATELLE COLUMBUS LABS ASA HADJIAN - BECHTEL GEORGE HOWARD - ANCO METE SOZEN - UNIVERSITY OF ILLINDIS JOHN STEVENSON - JOHN STEVENSON AND ASSOCIATES JOE UCCIFERRO - UNITED ENGINEERS IAN WALL - EPRI DICK WHITE - CORNELL UNIVERSITY





EVOLUTION OF CURRENT PROGRAM PLAN

FIRST VERSION

·REPLICA MODELS

.CONDUCT PARALLEL ACTIVITIES



FINAL VERSION

. PROTOTYPICAL MODELS

·DELAY DYNAMIC AND SEISMIC ACTIVITIES

OVERALL PROGRAM PLAN

STATIC INTERNAL OVERPRESSURIZATION

HYBRID STEEL REINFORCED CONCRETE PRESTRESSED CONCRETE

DYNAMIC INTERNAL OVERPRESSURIZATION

SAME SEQUENCE

EARTHQUAKE LOADING

REINFORCED CONCRETE PRESTRESSED CONCRETE HYBRID STEEL







9



PROGRAM STATUS

- *1/32 SIZE HYBRID STEEL MODELS ARE BEING FABRICATED
- EXPERIMENTAL FACILITY IS IN PREPARATION
- · ANALYSES ARE UNDER WAY
- TESTING TO BEGIN IN THIRD QUARTER OF CY '82



STRUCTURAL SAFETY MARGINS OF CONTAINMENTS PROGRAM WILL PROVIDE, THROUGH A COMBINED EXPERIMENTAL AND ANALYTICAL EFFORT, A RELIABLE CAPABILITY TO EVALUATE PREDICTIONS OF THE ULTIMATE CAPACITY OF LWR CONTAINMENTS WHEN SUBJECTED TO STATIC AND DYNAMIC INTERNAL OVERPRESSURIZA-TION LOADS AND TO EARTHQUAKE LOADINGS

CONTAINMENT INTEGRITY

3/22

LAY

CONTRACTOR: SANDIA NATIONAL LABORATORY

PRINCIPAL INVESTIGATOR: WALTER VON RIESEMANN

NRC PROGRAM MANAGER: JAMES F. COSTELLO

PRINCIPAL QUESTIONS: WHAT ARE THE FAILURE MODES AND ASSOCIATED LOAD LEVELS FOR CONTAINMENT STRUCTURES?

APPROACH:

- THE GENERATION OF THE DATA BASE NEEDED TO ASSESS METHODS FOR PREDICTING THE BEHAVIOR OF LWR CONTAINMENTS UNDER ACCIDENT AND SEVERE ENVIRONMENTS BEYOND CURRENT DESIGN REQUIREMENTS
- THE ASSESSMENT OF SELECTED PREDICTIVE NUMERICAL METHODS
- THE IMPROVEMENT OF PREDICTIVE NUMERICAL METHODS AS NECESSARY

REVIEW PANEL MEMBERS

TOM AHL - CHICAGO BRIDGE & IRON BILL BAKER - SOUTHWEST RESEARCH INSTITUTE PETE CYBULSKIS - BATTELLE (COLUMBUS) ASA HADJIAN - BECHTEL (LOS ANGELES) GEORGE HOWARD - ANCO ENGINEERS METE SOZEN - UNIVERSITY OF ILLINOIS JOHN STEVENSON - STEVENSON AND ASSOCIATES JOE UCCIFERRO - UNITED ENGINEERS IAN WALL - EPRI DICK WHITE - CORNELL UNIVERSITY

CONTAINMENT INTEGRITY

AREAS OF UTILIZATION

- JUDGING CREDIBILITY OF CAPACITY ESTIMATES MADE ON BEHALF OF LICENSEES AND APPLICANTS
- INPUT FOR RISK ANALYSES PERFORMED AS PART OF THE SEVERE ACCIDENT RESEARCH PLAN

CURRENT SCHEDULE

- STATIC PRESSURE FY 82-84
- UNSYMMETRIC PRESSURE FY 85-87
- SEISMIC EFFECTS FY 88-90

CONTAINMENT INTEGRITY

INTERACTION WITH U.S. PROGRAMS

- IDCOR STATE-OF-THE-ART PREDICTIONS OF CAPACITY
- DOF. LEAK RATE AND FILTRATION QUESTIONS RELATED TO "FAILURE"

INTERACTION WITH FOREIGN PROGRAMS

- CANADA GENTILLY CONTAINMENT DATA
- UK POSSIBLE SNUPPS TEST
- JAPAN LARGE SHAKE TABLE

PROGRAM PLANNING

AL DENNIS



LAYIN

PRESENTED TO ACRS SUBCOMMITTEE ALBUQUERQUE, NM MARCH 22, 1982







SANDIA LABORATORIES

USES THE

PROJECT PLANNING AND ANALYSIS REPORTING SYSTEM

(PPARS)

DEVELOPED BY NASA







PLANNING INPUT

- ·EACH INDIVIDUAL TASK IS IDENTIFIED
- THE CALENDAR TIME REQUIRED FOR ACCOMPLISHMENT OF EACH TASK IS DETERMINED
- THE RESOURCE REQUIREMENTS FOR EACH TASK ARE ESTABLISHED (MANPOWER, MONEY, FACILITIES, ETC.)







PLANNING OUTPUT

- ·CALENDAR SCHEDULING OF EACH EVENT
- · IDENTIFICATION OF THE CRITICAL PATH
- CUMULATIVE SUMMARIES OF RESOURCES VS. TIME

EXAMPLES - SMALL SCALE MODELS

SHOP NETWORK

THEORETICAL ANALYSIS NETWORK

TYPICAL EXPERIMENT NETWORK

OVER-VIEW NETWORK












SURVEY OF EXISTING Facilities

REACTOR CONTAINMENTS

AND

CONTAINMENT LIKE STRUCTURES

AL DENNIS



PRESENTED TO ACRS SUBCOMMITTEE ALBUQUERQUE, NM MARCH 22, 1982







REACTOR CONTAINMENTS

(POWER AND RESEARCH REACTORS)

NOT IN USE

DECOMMISSIONED

MOTHBALLED

ENTOMBED



NOT IN USE



CP-5 REACTOR, ARGONNE UTREX REACTOR, LOS ALAMOS PLUTONIUM RECYCLE TEST REACTOR, HANFORD

EXPERIMENTAL GAS COOLED REACTOR PLACED FACILITY, OAK RIDGE SERVICE







DECOMMISSIONED

EXPERIMENTAL BOILING WATER REACTOR, ARGONNE

MOTHBALLED

CAROLINAS-VIRGINIA TUBE, PARR, SC
GE EVESR, ALAMEDA, CA
FERMI 1, LAGOONA BEACH, MI
PATHFINDER, SIOUX FALLS, SD
PEACH BOTTOM, PEACH BOTTOM, PA
PI,UM BROOK, SANDUSKY, OH
SAXTON, SAXTON, PA
SEFOR, STRICKLER, AR
VALLECITOS BOILING WATER REACTOR, PLEASANTON, CA
WESTINGHOUSE TEST REACTOR, WALTZ MILL, PA







ENTOMBED

BONUS, RICON, PUERTO RICO

HALLAM, HALLAM, NE

PIQUA, PIQUA, OH





ALL EXISTING REACTOR FACILITIES HAVE BEEN REJECTED FOR ONE OR MORE OF THE FOLLOWING REASONS.



THE REACTOR FACILITY IS UNAVAILABLE FOR DESTRUCTIVE TESTING. IT IS CURRENTLY BEING UTILIZED AS OFFICE AND/OR LABORATORY SPACE.



SANDIA LABORATORIES MUST OBTAIN A







•



CONTAINMENT LIKE STRUCTURES

BUILDINGS DOMES, AND IGLOOS

SURPLUS FESSURE VESSELS AND TANKS

BUILDINCS, DOMES, AND ICLOOS

CANDIDATE STRUCTURES WERE LOCATED AT

HANFORD, WA NEVADA TEST SITE

WHITE SANDS, NM

NONE OF THESE STRUCTURES WAS DESIGNED FOR INTERNAL PRESSURE LOADING , NOR ARE THEY PRESSURE TIGHT.



•

SURPLUS PRESSURE VESSELS

NO SUITABLE UNITS HAVE BEEN LOCATED



SUMMARY

USE OF EXISTING STRUCTURES DOES NOT APPEAR TO BE ADVANTAGEOUS. BOTH DOLLAR COSTS AND TIME REQUIREMENTS APPEAR TO BE EXCESSIVE WHEN COMPARED TO USE OF MODELS.



CONTAINMENT MODELS

AL DENNIS



Ayin

PRESENTED TO ACRS SUBCOMMITTEE ALBUQUERQUE, NM MARCH 22, 1982







OBJECTIVE

THE GOAL OF THIS PROGRAM IS TO ESTABLISH THE CREDIBILITY OF POST-YIELD STRUCTURAL PREDICTIONS OBTAINED THROUGH THE USE OF AVAILABLE NUMERICAL METHODS.

HYPOTHESIS

٠

.*

DATA. SUFFICIENT TO ESTABLISH THE CREDIBILITY OF AVAILABLE NUMERICAL METHODS IN THE POST-YIELD RANGE, CAN BE OBTAINED FROM A LIMITED NUMBER OF EXPERIMENTS PERFORMED ON SMALL PROTO-TYPICAL STRUCTURES.

•

SMALL PROTOTYPICAL STRUCTURE

A SMALL PROTOTYPICAL STRUCTURE IS A STRUCTURE WHICH HAS THE SAME STRUCTURAL CHARACTERISTICS AS THE PROTOTYPE AND WHICH UTILIZES SIMILAR MATERIALS TO THOSE USED IN THE PROTOTYPE. BUT WHOSE STRUCTURAL BEHAVIOUR IS NOT DIRECTLY RELATED TO THE PROTOTYPE BY SIMILITUDE RELATIONSHIPS.

•

GUIDELINES FOR EXPERIMENTAL PLANNING

EXPERIMENTS SHALL BE PERFORMED ON THE MOST ECONOMICAL SMALL PROTOTYPICAL STRUCTURES COMPATIBLE WITH THE PROGRAM OBJECTIVES

ALL EXPERIMENTAL RESULTS UTILIZED FOR EVALUATION OF AVAILABLE NUMERICAL METHODS SHALL BE SHOWN TO BE REPRODUCIBLE.

AT LEAST ONE EXPERIMENT FOR EACH CONSTRUCTION TYPE SHALL BE PERFORMED USING A PROTOTYPICAL STRUCTURE THAT UTILIZES CONVENTIONAL CONSTRUCTION PRACTICES.

SELECTION OF SIZE OF PROTOTYPICAL STRUCTURE

SIZE SELECTION WAS BASED UPON A STUDY PREPARED BY SOUTHWEST RESEARCH INSTITUTE UNDER CONTRACT TO SANDIA NATIONAL LABORATORIES.

CONTAINMENT	MINIMUM SIZE FOR NEEDED DATA	MINIMUM SIZE FOR Conventional construction	
STEEL	1/32	1/10	
REINFORCES	1/18	1/10	
CONCRETE			

STEEL CONTAINMENT MODELS

EXPERIMENT	SIZE	DESCRIPTION
8C-1	1/32	· CLEAN SHELL EXPERIMENT • SERVER AS THE "CONTROL"
80-2		PROVIDES DATA FOR BASIC 2-D POST-YIELD METHOD EVALUATION
8C-3 8C-4	1/32	 RING STIFFENED SHELL PROVIDES ADDITIONAL POST- YIELD METHOD EVALUATION DATA
C-5	1/32	• STRUCTURAL EFFECTS DATA • RINS STIFFENED SHELL WITH
•c-•		PRIMARY PENETRATIONS PROVIDES DATA FOR 3-D POST- YIELD METHOD EVALUATION
SC-7	1/10	• RING STIFFENED SHELL WITH PENETRATIONS • UTILIZES CONVENTIONAL
		CONSTRUCTION METHODS





REINFORCED CONCRETE STEEL LINED CONTAINMENT MODELS

EXPERIMENT	SIZE	DESCRIPTION
RCC-1	1/10	.NO SEISMIC STEEL
		.NO PENETRATIONS
RCC-2		. THESE EXPERIMENTS WILL
		SERVE AS THE "CONTROL"
		AND WILL PROVIDE DATA
		FOR BASIC 2-D POST-YIELD
		METHOD EVALUATION
RCC-3	1/10	·SEISMIC STEEL
		.NO PENETRATIONS
RCC-4		. THESE EXPERIMENTS WILL
		PROVIDE ADDITIONAL 2-D
		DATA AND STRUCTURAL
		EFFECTS DATA
RCC-5	1/10	·SEISMIC STEEL
		PRIMARY PENETRATIONS
RCC-6		.THESE EXPERIMENTS WILL
		PROVIDE DATA FOR 3-D
		METHOD EVALUATION



CONTAINMENT CONSTRUCTION TYPE

COMPLETION OF	STEEL	REINFORCED	PRESTRESSED CONCRFTE *
EXPERIMENTAL PROGRAM	FY83	FY84	FY83
EVALUATION OF NUMERICAL	FY84	FY85	FY84
METHODS			

* CONTINGENT UPON OBTAINING DATA FROM CANADA AND THE UNITED KINGDOM

SAFETY MARGINS OF CONTAINMENTS

.

LAYIN



ANALYSIS OF CONTAINMENT MODELS

TOM BLEJWAS DAN HORSCHEL

OBJECTIVE:

QUALIFY METHODS OF EVALUATING ULTIMATE CAPACITY

PROCEDURE:

1.	DESIGN AND BUILD
	EXPERIMENTAL MODELS
2.	ANALYIZE MODELS (PRE-TEST)
3.	CONDUCT EXPERIMENTS
4.	CONPARE RESULTS
5.	REFINE ANALYSES
6.	PRESENT COMPARISONS



CONTAINMENT TYPES:

STEEL REINFORCED CONCRETE PRESTRESSED CONCRETE

LOADINGS:

STATIC INTERNAL PRESSURIZATION DYNAMIC INTERNAL PRESSURIZATION SEISMIC



CURRENT ANALYTICAL EFFORTS

STEEL CONTAINMENTS - 2D STEEL CONTAINMENTS - 3D

CONCRETE CONTAINMENTS

SUPPORT STRUCTURES

DESIRABLE CODE FEATURES

- 1. ELASTO-PLASTIC MATERIAL
- 2. STATIC AND DYNAMIC LOADINGS
- 3. SURFACE AND POINT LOADS
- 4. LARGE DISPLACEMENT. LARGE STRAIN PLASTICITY
- 5. AXISYMMETRIC AND 3D SHELL AND SOLID ELEMENTS
- 6. FULLY OPERATIONAL ON CDC
- 7. AUTOMATIC WESH GENERATION
- 8. GRAPHICAL OUTPUT
- 9. EXTENSIVE DIAGNOSTICS AND DOCUMENTATION



POSSIBLE CODES

ADINA	
ANSYS	
CEASENT	FRENCH CODE, NOT ON CDC
CNATS	ONLY AXISYMMETRIC
	NO DIAGNOSTICS
	STATIC LOADING ONLY
HONDO	NO POINT LOADS
	ONLY AXISYMMETRIC ELEMENTS
	MINIMAL DIAGNOSTICS
MARC	
NISA	NO DOCUMENTATION OF THEORY
PAN-NL	NO DOCUMENTATION OF THEORY
	NO SAMPLE PROBLEMS
	FRENCH CODE
UNIKA	NO SURFACE LOADS
	NOT ON CDC
	GERMAN CODE
ABAQUS	



STEEL CONTAINMENTS

CLEAN SHELL

٠

RING STIFFENED SHELL

PENETRATIONS





YIELD PRESSURE = 64 PSIG MAG. FACTOR = 160






CLEAN SHELL

PRESSURE = 179 PSIG MAG. FACTOR = 1



CLEAN SHELL

DEFORMED SHAPE AND MISES STRESS CONTOURS AT BASE CONNECTION

RING STIFFENED SHELL

DEFORMED SHAPE AT FIRST YIELD P = 105 PSIG MAG. FACTOR = 106



RING STIFFENED SHELL

DEFORMED SHAPE AT FIRST YIELD P = 105 PSIG MAG. FACTOR = 1

Ð

RING STIFFENED SHELL

DEFORMED SHAPE AT 199 PSIG MAG. FACTOR = 1







PENETRATIONS IN CYLINDER AND SPHERE





EQUIPMENT HATCH WITH TOROSPHERICAL CAP

A



EQUIPMENT HATCH WITH TOROSPHERICAL CAP



WHAT WILL HAPPEN?

CLEAN SHELL

NERIDIONAL TEAR AT MID-HEIGHT PROBABLY NEAR WELD PRESSURE SIGNIFICANTLY HIGHER THAN FIRST-YIELD

RING STIFFENED SHELL SINILAR FAILURE AT SLICHTLY

HIGHER PRESSURE THAN CLEAN SHELL RINGS WILL GO PLASTIC

RING STIFFENED SHELL WITH PENETRATIONS TO BE DETERMINED

CONTINUING/PLANNED EFFORTS

3-D ANALYSIS OF PENETRATIONS UPDATE OF MATERIAL PROPERTIES ANALYSIS WITH OTHER CODES ANALYSIS OF CONCRETE CONTAINMENTS DYNAMIC ANALYSIS







RING REINFORCED SHELL WITH PENETRATIONS

SC 3 & 4

SC 182

RING REINFORCED











TECHNIQUES

·REMOTE

· OUTDOOR

· COMPUTER CONTROLLED

· PRESSURE CONTROL

. DATA ACQUISITION

· INTERACTIVE

*LOAD STEPS DEPEND ON MEASURED DATA

LOADING

· PNEUMATIC

. BOTTLED N2

· QUASISTATIC

.STEPWISE INCREASES

· MONOTONIC

. POSSIBLE VARIATIONS

. FAILURE



DATA SYSTEM

.STRUCTURAL DATA

· STRAINS

. DISPLACEMENTS

· AUXILIARY DATA

· PRESSURE

. TEMPERATURE

.TWO TRAILERS

.SIGNAL CONDITIONING

. COMMAND





STRUCTURAL DATA

· STRAINS

- PRIMARY IN ELASTIC AND LOW PLASTIC REGIME
- .UP TO 20%
- · PRELIMINARY WORK TO GUALIFY TECHNIQUE

· DISPLACEMENTS

- .PRIMARY IN PLASTIC REGIME
- . THREE METHODS
 - ·CDS (OPTICAL)
 - ·LVDT (DIRECT)
 - · PHOTOGRAPHIC

STRAIN GAGES

· GAGES

· ANNEALED CONSTANTAN

. UP TO 20%

. ROSETTES AND GRADIENT STRIPS

· ADHESIVES

. QUALIFIED

. TESTS FOR TECHNIQUE

· CORRECTIONS

.NON-LINEAR WHEATSTONE BRIDGE

. TEMPERATURE

· CROSSAXIS SENSITIVITY

·LEADVIRE RESISTANCE







DISPLACEMENTS

·CDS

COORDINATE DETERMINATION

SYSTEM

·LVDT

LINEAR VARIABLE DIFFERENTIAL

TRANSFORMER

· PHOTOGRAPHIC

· CD8

. THEODOLITES

- . MOTION OF POINT
- RESOLUTION ≤ 0.05 IN
- *# 15 MIN / DATA SET

·LVDT'S

· CONTACT

. MOTION OF SHELL

·RESOLUTION ≤ 10⁻⁶ IN

.RESOLUTION \$ 0.03 IN

· PHOTOCRAPHIC

.SILHOUETTE OF DEFORMED SHELL

. DATA DELAYED

· # 1 MIN / DATA SET



TRANSDUCER UTILIZATION

STRAIN CAGES

- 70 TO 150 GAGES
- .MERIDIANS AND PARALLELS
- .SYMMETRY CHECK

·LYDT'S

- ·10 TO 25
- .MERIDIANS AND DETAILS
- .SYMMETRY CHECK

. CDS TARGETS

- · 30 TO 60
- . MERIDIANS AND DETAILS

· PHOTOGRAPHIC

- . ONE MERIDIAN
- . CONTINUOUS SILHQUETTE



AUXILIARY DATA

· PRESSURE

- . THREE INDEPENDENT TRANSDUCERS
- .CONFIRMATION OF CONTROL SYSTEM
- ·LEAK INFERENCE

· TEMPERATURE

- . THERMOCOUPLES
- ·RESISTANCE TEMPERATURE DETECTORS
- .CORRECTION OF STRAIN GAGES
- . CONFIRMATION OF CONTROL SYSTEM

·LEAK INFERENCE



LEAK "MEASUREMENTS"

· INFERRED FROM STATE VARIABLES

•NO MODELED LEAK PATHS IN SMALL STEEL MODELS

· DEVELOPING TECHNIQUES

.DETECT AND LOCATE



·ULTRASONIC

· ACOUSTIC EMISSIONS

. PRESSURE SYSTEM DUTY CYCLE

· IN-FLOW INDICATOR

. GAS CONSUNPTION

LEAK-PRESSURE FUNCTION



P



-





-1

PRESSURE SYSTEM







-

•





Si Kurt

MARCH 22. 1982

W. A. SEDRELL



.OTHER ACTIVITIES

. PROGRAM SCHEDULE



- . ADVISORY GROUP
- .VISITORS/TRIPS
- . WORKSHOP
- . SANDIA PROGRAMS
- . RELATED PROGRAMS


•

ADVISORY GROUP

.MEET PERIODICALLY

ADDED SYSTEMS BACKGROUND PEOPLE

TO GROUP

(PARTIAL LIST)

USA

LOWELL GREIMAN, IOWA UNIVERSITY GENERAL ELECTRIC-DEGRADED CORE STUDIES GEORGE HOWARD, ANCO ENGINEERS JACK BURNS, NRC JOHN D. STEVENSON, STRUCTURAL MECH. ASS W. E. BAKER, SOUTHWEST RESEARCH INST. HOWARD LEVINE, WEIDLINGER ASSOC. EPRI BCL

OTHER COUNTRIES

DR. LEMAR WOLF, FDR PROJECT, GERMANY PROF ANDO (AND 4 JAPANESE), STRUCTURAL DYNAMIC COMMITTEE PROF. HELMUT KARWAT, MUNICH, GERMANY R.CROWDER, UK A.CHALMERS, UK JAPANESE (GROUP OF 15)-SITING SURVEY



WORKSHOP

- PROVIDE A BROADER SCOPE TO CONCERNS IN CONTAINMENT INTEGRITY
- IMPROVE UNDERSTANDING TO POTENTIAL SOURCES AND LOCATION OF LEAK PATHS

• PROVIDE A MEANS FOR INTERCHANGE OF IDEAS







MAJOR TOPICS

- I) ACTUAL FAILURE PRESSURE OF CONTAINMENT BUILDINGS
- II) CURRENT PROGRAMS • ANALYSIS • EXPERIMENTS
- III) OPERATIONAL CONCERNS
 - IV) LOAD CHARACTERIZATION
 - V) RELATED PROGRAMS/ACTIVITIES



- . HYDROGEN PROGRAM
- .SASA STUDIES
- •PRA STUDIES

ALL PROGRAMS ARE MONITORED BY A SANDIA GA/GC ACTIVITY

RELATED PROGRAMS/MEETINGS/WORKSHOPS

- •ASME SUBCOMMITTEE ON CONTAINMENTS (STEEL)
- DOE CONTAINMENT PROGRAM
- •9TH LWR RESEARCH INFORMATION MEETING
- INTEGRATED LEAK RATE TESTING WORKSHOP
- •LANL-STRUCTURES PROGRAM
- EPRI
- IDCOR CONTAINMENT STRUCTURAL CAPABLILITY WORKSHOP





IDCOR CONTAINMENT STRUCTURAL CAPABILITY COMMITTEE

.FAILURE CONDITIONS

.FAILURE MODES

. FAILURE LOADING

. FAILURE PROBABILITY

HIGHLIGHTS-IDCOR WORKSHOP

(2/24-25, 1982)

. GENERIC APPROACH

 LARGE VARIETY OF CONTAINMENT BUILDINGS
MAJORITY ASSUMED YIELD STRESS AS FAILURE
MOST LOOKED AT EQUIPMENT HATCHES PERSONNEL LOCKS PIPING PENETRATION LINER INTERACTIONS BASE HAT'CYLINDER JUNCTION
ELECTRICAL PENETRATIONS ADDRESSED SOME ACTUALLY TESTED
RESULTS VITAL TO REALISTIC ANALYSES OF CONTAINMENT RESPONSE



REMAINING QUESTIONS?

- •NO CLEAR DEFINITION OF FAILURE
- SHOULD DYNAMIC PRESSURES BE CONSIDERED

MATERIAL PROPERTIES

•LITTLE EXPERIMENTAL EVIDENCE FOR ULTIMATE CAPACITY PRESSURES FOR CONTAINMENTS

• UNABLE TO ADDRESS PENETRATIONS GENERICALLY





STRUCTURAL MARGINS OF CONTAINMENTS PROGRAM WILL PROVIDE

THROUGH A COMBINED EXPERIMENTAL AND ANALYTICAL EFFORT A RELIABLE CAPABILITY

> TO EVALUATE PREDICTIONS OF ULTIMATE CAPACITY OF LWR CONTAINMENTS FOR

• STATIC PRESSURES • DYNAMIC PRESSURES • LATERAL LOADINGS