


NUCLEAR REGULATORY COMMISSION

ATOMIC SAFETY AND LICENSING BOARD



In the Matter of:

UNITED STATES DEPARTMENT OF ENERGY :  
PROJECT MANAGEMENT CORPORATION :  
TENNESSEE VALLEY AUTHORITY : DOCKET NO. 50-537  
(CLINCH RIVER BREEDER REACTOR) :

DATE: April 6, 1982 PAGES: 235 - 472

AT: Bethesda, Maryland

TRO1  
3  
0/1

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1 UNITED STATES OF AMERICA  
 2 NUCLEAR REGULATORY COMMISSION

3 - - - - - x

4 In the Matter of:

5 UNITED STATES DEPARTMENT OF ENERGY

PROJECT MANAGEMENT CORPORATION

6 TENNESSEE VALLEY AUTHORITY

7 (CLINCH RIVER BREEDER REACTOR)

8 - - - - - x

Docket No.  
50-537

9 4350 East West Highway  
 10 5th Floor  
 Bethesda, Maryland

11 Tuesday, April 6, 1982

12 The prehearing conference in the above-entitled  
 13 matter convened, pursuant to notice, at 9:00 a.m.

14 BEFORE:

15 MARSHALL E. MILLER, Chairman  
 GUSTAVE A. LINENBERGER  
 16 Atomic Safety and Licensing Board

17 On behalf of Department of Energy:

18 LEON SILVERSTROM, ESQ.  
 Assistant General Counsel, DOE  
 19 Forrestal Building  
 Washington, D.C. 20585

20 On behalf of Project Management Corporation:

21 GEORGE EDGAR, ESQ.  
 Morgan, Lewis & Bockius  
 22 1800 M Street, N.W.  
 23 Washington, D.C. 20036

24

25

## 1 APPEARANCES (Continued):

2 On behalf of Tennessee Valley Authority:

3 WALTER LaROCHE, Esq.  
4 EDWARD VIGLUICCI, Esq.  
5 400 West Summit Hill  
6 Knoxville, Tennessee 37902

7 On behalf of the State of Tennessee:

8 MS. LEE BRECKENRIDGE, Esq.  
9 Assistant Attorney General  
10 450 James Robertson Parkway  
11 Nashville, Tennessee 37219

12 On behalf of the NRC staff:

13 DANIEL T. SWANSON, Esq.  
14 BRADLEY JONES, Esq.  
15 STUART TREBY, Esq.,  
16 Assistant Chief Hearing Counsel  
17 U.S. Nuclear Regulatory Commission  
18 Washington, D.C. 20555

19 On behalf of Intervenors, NRDC and Sierra Club:

20 ELLYN WEISS, Esq.  
21 Harmon & Weiss  
22 1725 I Street, N.W. #506  
23 Washington, D.C. 20006

24 ELDON GREENBERG, Esq.  
25 Tuttle & Taylor  
1901 L Street, N.W.  
Washington, D.C. 20036

BARBARA FINAMORE, Esq.  
Staff Attorney, NRDC  
1725 I Street, N.W.  
Washington, D.C. 20006

\* \* \*

## 1 P R O C E E D I N G S

2 (9:00 a.m.)

3 JUDGE MILLER: All right. We will come to  
4 order, please.

5 MR. SWANSON: Off the record.

6 (A discussion was held off the record.)

7 JUDGE MILLER: We will come to order, ladies  
8 and gentlemen. Since, apparently, you have come to no  
9 conclusions on whatever it was you were discussing, you  
10 can resume it at recess or lunch hour.

11 I think we had left off now with the  
12 conclusion of former 14, which is now renumbered 8 and  
13 that will be in the form in which it was admitted in  
14 1977 -- '76, I am sorry.

15           We now go on to former 16, which will be  
16 renumbered as 9, dealing with the presence of liquid  
17 radioactive effluents and the like. The Applicant I  
18 think has the most broad-ranging objections, so you may  
19 proceed on that, if you will, Mr. Edgar.

20 MR. EDGAR: Our position here is that there is  
21 no good cause for admission of this Contention. It is a  
22 late-filed Contention. The real issue here is whether  
23 there is new information relating to this Contention.

24 Our position is set forth at pages 18 through  
25 21 of our March 19 filing. Essentially, our position

1 starts with NRDC's statement that new information is  
2 available in the Environmental Impact Report of the  
3 Tennessee Synfuels Association.

4           The fact is that the Applicant's environmental  
5 report as of 1976 and before provided a full discussion  
6 of radioactivity in the Clinch River sediments. Indeed,  
7 the references cited in the environmental report are the  
8 same references relied upon in the Tennessee Synfuels  
9 Association report.

10           Further, NRDC made reference to an apparent  
11 discrepancy in the sampling techniques or intervals  
12 which were employed first in the Tennessee Synfuels  
13 report and, secondly, in the environmental report.  
14 There is no discrepancy. Indeed, the environmental  
15 report contains a finer grid for sampling than the  
16 Tennessee Synfuels Association.

17           Now if you look at pages 15 through 16 of  
18 NRDC's filing, they recognize that indeed this question  
19 of sampling intervals just does not hold much water.  
20 Instead, they now come to a new basis, if you will. If  
21 you look at page 16 they say that one of the documents  
22 discovered during NRDC's research is ORNL 37-21, Status  
23 Report Number 5, on the Clinch River study, which was  
24 not cited in the ER.

25           Now one ought to examine what that status

1 report is. The fact is that Status Report Number 5 was  
2 one of six status reports which culminated in the  
3 "comprehensive report of the Clinch River Study, ORNL  
4 40-35, April 1967," which happens to be reference 12 to  
5 the ER. Thus, status report number 5 is nothing more  
6 than the predecessor report to the comprehensive report.

7           The fact here is simple. There is no new  
8 information and indeed there is no change in that  
9 information since the very early stages of the  
10 environmental report. Thus, we can only conclude that  
11 there is no new information available to justify  
12 admission of this Contention.

13           JUDGE MILLER: Very well. I think the Staff  
14 takes a similar position, does it not, in part?

15           MR. SWANSON: That is correct. We believe  
16 that the primary concern here is the lack of good cause  
17 and I wondered, now that we are embarking on new  
18 Contentions, if it might be appropriate to just briefly  
19 go over our general comments on what we think are the  
20 parameters for deciding whether or not a new Contention  
21 should be admitted.

22           JUDGE MILLER: Yes, we have no objection. We  
23 have read it, but I think it might be helpful if you  
24 would summarize both for the record and for the other  
25 parties present here.

1 MR. SWANSON: Shall we go first?

2 JUDGE MILLER: You may proceed.

3 MR. SWANSON: As we indicated in our response,  
4 the appropriate regulation in determining whether or not  
5 a late-filed Contention should be admitted at this time  
6 is 10 CFR 2.714(a). That regulation sets forth five  
7 factors which must be considered in determining whether  
8 or not the late-filed Contentions should be admitted.

9 The first factor, good cause, if any, for  
10 failure to file on time. The second factor is  
11 availability of other means whereby petitioner's  
12 interests will be protected. The third factor is the  
13 extent to which petitioner's participation may  
14 reasonably be expected to assist in developing a sound  
15 record.

16 The fourth is the extent to which petitioner's  
17 interest will be represented by existing parties. And  
18 the last factor is the extent to which petitioner's  
19 participation will broaden the issues or delay the  
20 proceeding.

21 JUDGE MILLER: We might just note in passing  
22 that originally there were four factors and the good  
23 cause under West Valley were something that the Board  
24 and parties were required to look at with a provision a  
25 year and a half or two years ago, and now brings in good

1 cause as one of the factors, in case anybody has read  
2 some of the older cases.

3           MR. SWANSON: That is correct. As the Staff  
4 notes in its pleading and response at page 4, in  
5 circumstances where no good cause excuse is tendered for  
6 the lateness of the filing of the Contention then the  
7 Intervenor's demonstration of the other factors must be  
8 particularly strong. That proposition is set forth in  
9 ALAB 431.

10           The Staff briefly treated the second, third  
11 and fourth factors in its response. At that time it did  
12 not have available a submission from the petitioner on  
13 these factors, but we believe now, looking at the  
14 petitioner's response to our objections, that the same  
15 general arguments can be set forth, namely that the  
16 second factor -- that of the availability of other means  
17 whereby petitioner's interests will be protected -- does  
18 not or should not be weighed heavily for the admission  
19 of additional Contentions.

20           The Staff agrees that there are no other  
21 effective means for protecting their interests.  
22 However, this factor, to some extent, in that regard  
23 would weigh in favor of admission of Contentions.  
24 However, since Intervenor's could have raised these  
25 revisions or new Contentions not based on new

1 information at any time in the past up to the time that  
2 the hearings were suspended, as to those matters for  
3 which good cause has not been shown we believe this  
4 factor should not be weighed heavily in favor of  
5 admission.

6           The third factor the Board must consider is  
7 the extent to which Intervenor's participation may be  
8 reasonably expected to assist in developing a sound  
9 record. The Staff submits that NRDC's submission of  
10 their performance in past hearings does not do us any  
11 good in deciding what they are going to be able to do on  
12 these specific proposed new Contentions.

13           Unless we have a showing which is useful to  
14 the Board in determining how they can assist in  
15 developing the record in these areas, that this factor  
16 should not be given weight towards admitting these  
17 late-filed Contentions either.

18           The fourth factor, the extent to which  
19 Intervenor's interest will be represented by existing  
20 parties also should have little weight in this  
21 proceeding, in the view of the Staff. The Intervenor  
22 have been parties to this proceeding. They have been  
23 represented by able counsel and they may represent their  
24 own interests.

25           These interests are exemplified by the

1 Contentions which they already sought to have admitted  
2 and did succeed in having admitted in this proceeding.  
3 Intervenor's proposed new Contentions constitute an  
4 attempt to expand these interests substantially.

5           Their original interests should be considered  
6 in the Contentions that exemplify that interest in  
7 deciding whether or not this factor should be weighed  
8 heavily toward admitting their Contentions. Since they  
9 were already parties, had set forth the interest and had  
10 established Contentions which exemplified that interest,  
11 we believe this factor should have no weight in the  
12 balancing.

13           Rather, we think that the last factor is one  
14 which is also determinative in each case of the new  
15 Contentions for which good cause has not been shown.  
16 That factor is the extent to which a new issue will  
17 broaden the issues or delay the proceeding.

18           As the Staff indicated or indicates in  
19 response to each specific Contention, with, I think, two  
20 exceptions, of the new proposed Contentions, the Staff  
21 simply feels that good cause has not been shown and that  
22 when you look particularly at the last factor, the  
23 extent to which the addition of a Contention will  
24 broaden the issues or delay the proceeding, that factor  
25 must be weighed heavily against admitting the

1 Contentions.

2           The Staff will not repeat its quote on page 7  
3 of its pleading but merely refer the Board again to two  
4 different occasions where the Appeal Board, in ALAB 292  
5 and in ALAB 354, indicated that the delay factor is a  
6 particularly significant one where you have an  
7 inexcusably tardy petition for the submission of new  
8 issues.

9           The Staff is particularly concerned about this  
10 factor in light of what we perceive to be perhaps a  
11 lessening or a failure to consider fully the weight that  
12 should be given to the good cause factor by the Board in  
13 considering these new Contentions. We believe that  
14 merely by brushing aside good cause and looking at  
15 whether or not an issue is relevant or even significant  
16 ignores the Commission's regulations and the  
17 interpretations of those regulations by the Appeal Board  
18 and the Commission.

19           We believe that the Board must consider all  
20 five factors and that they cannot simply ignore a new  
21 Contention and ignore the good cause or lack of good  
22 cause for raising it at this time or the delay factor.

23           The Staff has considered overnight the overall  
24 effect of admitting all of the proposed new Contentions,  
25 16 through 24, and it is our belief that when you sum

1 the net effects up of increasing the workload caused by  
2 discovery and testimony and preparation and prehearing  
3 filings on these additional Contentions that it is very  
4 unlikely that the Staff would be able to meet the date  
5 that it had earlier set for its environmental and site  
6 suitability documents for this summer.

7           The Staff considers it is very important to  
8 consider on a point-by-point basis these factors and  
9 sincerely hopes that the Board will keep in mind all  
10 five factors and not just the significance or relevancy  
11 of an issue in deciding whether or not a newly-proposed  
12 Contention should be admitted.

13           Now we have very little else to add to what  
14 the Applicant stated regarding Contention 16, merely  
15 that we believe the petitioners in their response to  
16 objections did not set forth new information which we  
17 believe establishes good cause for admission of this  
18 Contention.

19           Thank you.

20           JUDGE MILLER: Let me inquire first. Is the  
21 Staff on target in the production and preparation of the  
22 documents which will have a triggering effect? As you  
23 know, the Board has set up a schedule. The Board  
24 desires very strongly that evidentiary hearing on this  
25 LWA matter commence the last week of August and that to

1 accomplish that the Staff made certain I will not say  
2 commitments set in concrete, but best efforts, at any  
3 rate, when we conferred with you at Oak Ridge.

4           Is the Staff on target with the production of  
5 those documents?

6           MR. SWANSON: Yes, it is. The Board had  
7 asked, as I recall, for a status update in, I think,  
8 early April and I think now we can report that yes we  
9 are still on target for the June 22 date for the  
10 environmental update report and July 9 for the safety  
11 issues to be considered.

12           JUDGE MILLER: We are glad to hear that and we  
13 exhort you to continue to stay on course because our  
14 schedule is dependent in certain material respects on  
15 those target dates being met.

16           MR. SWANSON: Excuse me one minute.

17           JUDGE MILLER: Is there any question about  
18 slippage or are we still on target, hopefully?

19           (Counsel for NRC Staff conferring.)

20           MR. SWANSON: The Staff informs me that I  
21 think they had factored into the July 9 date for the  
22 site suitability safety issues report the inclusion of  
23 LWA-2 factors in anticipation of the worst case in terms  
24 of scheduling, that the exemption might be granted and  
25 that the Applicants would then seek an LWA-2.

1           An LWA-2 application has not come in and we do  
2 not anticipate one at this time, so that by deleting  
3 LWA-2 safety matters from the site suitability report  
4 there is apparently an improved chance that that  
5 document may come out in late June also.

6           JUDGE MILLER: We are happy to hear that. Let  
7 me inquire now, Mr. Edgar, were you listening and do you  
8 concur with the statement that there are not anticipated  
9 LWA-2 factors?

10          MR. EDGAR: Well, not at the same scope. It  
11 is my understanding that it is still an open question in  
12 the Staff review. There may be some limited issues  
13 related to the base mat, but I do not think we are  
14 talking about anywhere near the same scope that we were  
15 talking about at the time of the prehearing conference.

16          If you recall, at that time --

17          JUDGE MILLER: Let me interrupt you just a  
18 moment. Now I want the Staff to listen to this because  
19 later on, you know, we look at transcripts and we find  
20 we passed each other in the night and this, I think, is  
21 important, that we have square, eyeball-to-eyeball  
22 commitments to the extent that we can, so please state  
23 your understanding now, Mr. Edgar, and then we will get  
24 back to Staff.

25          MR. EDGAR: Yes, right. As of the time of the

1 prehearing conference we are talking about a scope of  
2 LWA-2 issues that encompassed bringing the reactor  
3 building up to grade. At this juncture it is my  
4 understanding the discussions are still open as to  
5 including some limited issues relating to the base mat  
6 only, which is a lesser included set than that expressed  
7 by bringing the building up to grade.

8 JUDGE MILLER: Could you be a little more  
9 specific now so our record will be very clear on those  
10 matters that you consider to be still ongoing with the  
11 Staff's analysis and then we will see if the Staff  
12 agrees.

13 MR. EDGAR: Well, the best expression I can  
14 give you is that those safety issues related to the base  
15 mat placement, all right, which would be some -- well,  
16 it would be essentially those safety issues involved in  
17 the severe accidents. You would not tieing in the  
18 containment liner, so you would subtract that out.

19 You would probably have some structural or  
20 site-related criteria to that base mat. But it is  
21 essentially the severe accident issues related to the  
22 base mat. In our judgment, they are not incrementally  
23 or qualitatively different than that which one would  
24 look at in the LWA-1 context under Contentions 2, 3, and  
25 4.

1 JUDGE LINENBERGER: I would like your comment  
2 here, Mr. Edgar, with respect to quality assurance  
3 matters associated with base mat placement. You talked  
4 about accident considerations. Are there?

5 MR. EDGAR: Yes. There would be certain QA  
6 issues related to the base mat. You are not talking  
7 about the whole spectrum of QA issues if you go that way.

8 JUDGE LINENBERGER: Understood.

9 MR. EDGAR: But there would be certain issues  
10 related to or within the quality assurance program.  
11 There would be elements of that program that bear  
12 directly on base mat placement, concrete and steel.

13 JUDGE LINENBERGER: Thank you.

14 JUDGE MILLER: Now let me inquire of the  
15 Staff. You heard Mr. Edgar's explanation of the  
16 Applicant's position and belief in this matter. Let us  
17 be certain whether or not the Staff fully concurs.

18 MR. SWANSON: If in fact Mr. Edgar was saying  
19 that their contemplation is to go forward at this  
20 present time to get permission to include a base mat, to  
21 construct a base mat along with an LWA-1, the Staff  
22 position is that construction of a base mat, of course,  
23 is an LWA-2 matter and that in fact that specific  
24 construction activity has not been applied for at this  
25 time with the Staff.

1           As of this time we have an LWA-1 application  
2 in house. That is what we are reviewing and the only  
3 safety matters that are currently being reviewed for  
4 this document that will come out in late June or early  
5 July are site suitability matters, in other words,  
6 safety matters which relate to a plant of this size and  
7 type at this site.

8           At this time the Staff is not reviewing, in  
9 connection with that document, any base mat construction.

10          JUDGE MILLER: Well, then, you two are not in  
11 total agreement, are you?

12          MR. SWANSON: Apparently now.

13          JUDGE MILLER: Let's get it resolved because  
14 you are quite correct on these and other matters. Now  
15 we want to know precisely what the issues are to be in  
16 our August hearing, which we are pretty determined to  
17 hold on schedule, and insofar as we do not have  
18 agreement now on that issue we had better get that  
19 resolved presently because we do not want to jeopardize  
20 our evidentiary hearing, Mr. Edgar.

21          MR. EDGAR: I understand that. I think,  
22 though, that if the resolution is to eliminate the base  
23 mat issues, then that makes the schedule better inasmuch  
24 as the original schedule was predicated on more.

25          I recognize the need to get it resolved and we

1 will proceed promptly to do that in direct contact with  
2 the Staff.

3 JUDGE MILLER: Well, before we finish our  
4 session today, our conference with parties and counsel,  
5 we are going to want to have some pretty explicit  
6 commitments from all parties concerning the scheduling  
7 and those matters which could impact upon scheduling, of  
8 which this would be one, although I believe now you are  
9 getting close to agreement as to what we are going to do  
10 into at the evidentiary hearing.

11 But we will expect you right down the line to  
12 dictate into the record now what the issues are,  
13 harmonize them with the dates we have given you, and the  
14 scheduling. We are glad to hear that the Staff  
15 apparently has gained perhaps a little bit of time, but  
16 we want to have it explicit in our transcript before we  
17 adjourn.

18 All right, now let's see. The second matter I  
19 have to ask the Staff before we ask for response or  
20 responses from the Intervenor is you have alluded to  
21 the remaining Contentions 16 through 20-some, whatever  
22 they are, as being new Contentions or at least  
23 newly-drafted and phrased Contentions. Is that correct?

24 MR. SWANSON: Sixteen through 24, that is  
25 correct.

1 JUDGE MILLER: Twenty-four. All right. Now  
2 since this is the first of the new Contentions, you have  
3 emphasized heavily the fifth factor, the extent to which  
4 the introduction of these issues would broaden the  
5 issues or delay. We would like to know as to this  
6 particular issues and then others as we go along, but  
7 this particular Contention, formerly 16 and now  
8 renumbered 9, what are the delay factors that you  
9 attribute to this particular Contention, so far as you  
10 can.

11 (Counsel for MCS Staff conferring.)

12 MR. SWANSON: Apparently on a relative scale  
13 this Contention would be of a moderate category in terms  
14 of delay or impact on the Staff's scheduling in terms of  
15 preparation of testimony and other matters that might be  
16 brought up by this Contention. The effect will be on  
17 the Radiological Assessment Branch's ability to  
18 accommodate discovery of other Contentions in their area  
19 and the review of input from the Applicants and, of  
20 course, their preparation of Staff documents.

21 So on a relative scale, I guess moderate.

22 JUDGE MILLER: All right. NRDC, do you wish  
23 now to respond to the objections to the admission of new  
24 Contentions as a group, if you wish to address the  
25 comments of Staff, and then, with particularity, former

1 Contention 16, presently renumbered 9.

2 MS. WEISS: Yes, Mr. Chairman. Before I get  
3 into that we just want to make the point on the record,  
4 before we go too much further again -- we made it  
5 several times at the last prehearing conference -- that  
6 the schedule for this hearing is dependent upon the  
7 decision not to recirculate the final environmental  
8 statement.

9 JUDGE MILLER: We understand that.

10 MS. WEISS: And predicated upon that I have  
11 provided a general statement of how we believe the  
12 standards for Contentions ought to be interpreted and I  
13 will not repeat it all.

14 Generally, the Contentions fall into two  
15 categories. One smaller category are Contentions that  
16 relate directly to the 1977 FES, which directly  
17 challenged conclusions in the FES. It is the  
18 Applicant's and Staff's position that if we did not  
19 raise those Contentions on the February 1970 FES before  
20 this proceeding was terminated in April that the door is  
21 forever closed.

22 JUDGE MILLER: The proceeding was not  
23 terminated. It was suspended. It was a carefully  
24 worded order, if you recall. Okay.

25 MS. WEISS: Pardon me.

1 JUDGE MILLER: That is all right.

2 MS. WEISS: We think that that is an  
3 unreasonably inflexible position. It seeks to overlook  
4 completely what was happening in the winter and spring  
5 of 1977. Certainly NRDC was well aware of the impending  
6 deferral of the project and one important thing that it  
7 overlooks is that NRDC had sent out discovery on the FES  
8 within the time limits provided by the Board and had  
9 received no answers.

10 Now the party who did not provide us answers  
11 in 1977 says that we were obligated to amend our  
12 Contentions before they had even answered our  
13 interrogatories on the FES. Frankly, we think that is a  
14 preposterous position for them to take and we have  
15 provided you some cases which suggest that it is the  
16 obligation of an Intervenor, when raising Contentions on  
17 a Staff licensing document which is issued mid-stream,  
18 to particularize his contentions via discovery before  
19 having them admitted, and we think that we were clearly  
20 entitled to wait for answers before we added new  
21 Contentions on the FES.

22 JUDGE MILLER: Does that argument apply now to  
23 the Contention number 9, the consideration of liquid  
24 radioactive effluents?

25 MS. WEISS: No.

1 JUDGE MILLER: We will bear that in mind, but  
2 we wish now that you would focus and target yourself  
3 toward the present Contention 9 because there I did not  
4 recall that the situation prevailed.

5 MS. WEISS: Contention 16, which has been  
6 renumbered 9, Mr. Chairman, is a situation where events  
7 since the suspension of the proceeding prompted NRDC to  
8 look back at an issue which had not really grabbed our  
9 attention in 1975 and, in addition, there has been a  
10 change in the regulations in Part 20, a change on June  
11 6, 1979, to extend the ALARA principle to all licensed  
12 and unlicensed activities where it applied previously  
13 only to license activities and to to extend all of the  
14 limits in part 20 to licensed and unlicensed activities.

15 In any case, the publication of the 1981  
16 environmental impact report by the Tennessee Synfuels  
17 Association prompted NRDC's experts to reexamine this  
18 question and in our view the evidence that has been  
19 uncovered to date suggests that there are levels of  
20 radioactivity in the river sediment near the barging  
21 area for the CRBR.

22 JUDGE MILLER: Now you have heard and read the  
23 objections that have been raised by the Applicants and  
24 Staff to that portion of the justification of your  
25 Contention. It might be well if you addressed yourself

1 now with specificity to their replies to you.

2 MS. WEISS: Well, we have conceded that when  
3 we went back to look -- what we did, taking the TSA  
4 report, it showed measurements at one-half mile  
5 intervals. We went back to look at the ER and we saw a  
6 figure which showed the results of testing at two-mile  
7 intervals. That is figure 2.8-6.

8 And that prompted us -- the wide swings in  
9 data prompted us to look further. The Applicant is  
10 correct that figure 2.8-11 in the October 1981 amendment  
11 does show quarter-mile intervals data. We overlooked  
12 that the first time we went back. I am not even sure  
13 whether it was inserted in our version of the ER.

14 JUDGE MILLER: I do not think it was, but at  
15 any rate it turns out that the Applicants apparently  
16 were correct that the sampling were at still shorter  
17 intervals, namely one-quarter. Isn't that right, as  
18 they contend?

19 MS. WEISS: The October 1981 amendment does  
20 show sampling at quarter-mile limits. However, I point  
21 out to the Board that if you go back to consult the  
22 reference, the data has not been published.

23 JUDGE MILLER: Well, whether or not, if what  
24 alerted you was your belief that the intervals were  
25 greater than you had realized and then further scrutiny

1 indicates they are not greater in fact but they are  
2 lesser, doesn't that sort of blunt the basis for your  
3 attempt to inject this as a new issue?

4 MS. WEISS: Well, further scrutiny indicates  
5 that there were samplings at shorter intervals, but  
6 further scrutiny makes the question of whether -- what  
7 the magnitude of the levels of radioactivity are in the  
8 sediment even a stronger question.

9 It is true that the reason we looked  
10 originally may have been because we did not -- we  
11 misread a document or did not find the latest -- the  
12 latest figure, but that does not obviate the fact that  
13 when we did look we found that there seems to be a  
14 significant public health question, an ALARA question,  
15 raised by the levels of the river sediment.

16 JUDGE MILLER: Do you think serendipity set in  
17 to help the Intervenor in this instant?

18 MS. WEISS: Serendipity? I do not know. I do  
19 not think it is serendipitous if there are high  
20 radioactivity levels in the sediment.

21 JUDGE MILLER: It was not what you were  
22 looking for. You found it when you were looking for  
23 something else and it turned out not to be there.

24 MS. WEISS: Well, we were prompted to look by  
25 a difference in measurements, but when we looked we

1 found the information that we think raises a significant  
2 public health question, a significant ALARA question.

3           And if I could just respond to the claim that  
4 this would significantly broaden the issues, it is true  
5 that every new issue broadens the issues, but I think it  
6 is apparent generally that the Staff's position is  
7 inflexible with regard to any new issue, any  
8 modification. It opposes everything. It simply does  
9 not want any new issues in, irregardless of the  
10 significance of the question.

11           I think that the factor that they tend to  
12 ignore throughout all of their arguments is the need to  
13 develop a sound record on one of the most important  
14 licensing cases that has come before the NRC in many,  
15 many years.

16           Now when the Staff tells you that adding an  
17 issue may make it more difficult for them to meet an  
18 arbitrary deadline, that is because they have not  
19 assigned sufficient staff to this case. I do not know  
20 what they have to do that is more important, but their  
21 failure to assign sufficient staff to complete their  
22 review and get ready for the case should not be used to  
23 the detriment of NRDC.

24           I also think that they overlook the fact that  
25 this proceeding has been dead for five years, through no

1 fault of ours, moribund for five years. Had it been a  
2 new application in 1980 or 1981 there would be no  
3 question that we would be able to raise these issues.  
4 They are sufficiently specific and they are sufficiently  
5 pertinent and relevant, so I do not think that the  
6 Board, under these circumstances, ought to give a great  
7 deal of weight to the factor of this raising a new issue.

8 JUDGE MILLER: Well, you are raising a number  
9 of new issues and the Board has to follow the  
10 regulations, of course, which have the five factors when  
11 you have a non-timely or untimely raised issue by way of  
12 contentions.

13 Now the Board does not mechanically believe  
14 that every new issue is, per se or automatically, an  
15 untimely issue, but in order to determine whether or not  
16 it is, which I believe is the Staff's position at least  
17 so far, we have to find out what was available to the  
18 Intervenors and any other Intervenors -- there are other  
19 Intervenors not present today -- at the time these  
20 Contentions were being gone over.

21 They were the subject of considerable study by  
22 the Commission itself, as well as by the Appeal Board.  
23 These Contentions, these pleadings, which is what  
24 Contentions are, were very thoroughly gone over over a  
25 period of several years prior to the action taken to

1 suspend the proceedings in the spring of 1977.

2           There has been a great deal of discovery, as  
3 NRDC points out, and it participated in a number of it.  
4 We can tell by the fact that you filed the 23rd set of  
5 interrogatories. We know very well that 23 comes after  
6 22, for example, so we cannot just ignore those matters.

7           We are giving you flexibility by not saying  
8 that every new issue is necessarily untimely, but we  
9 certainly expect you to show why it is not untimely, and  
10 here it would appear that the Staff and the Applicants  
11 have given some pretty significant factors as to what  
12 was known to the Intervenor at the time that we were  
13 within 60 days of starting the LWA hearing in 1977.

14           Now we have heard you, but I am not myself  
15 satisfied -- I have not conferred with my fellow Board  
16 member -- that you have really persuaded us as to the  
17 objections that been here articulated by the Applicant  
18 and by the Staff, but we want to be sure that you have  
19 full opportunity so to do. We want you to know the  
20 framework in which we, as a Board, view these matters.

21

22

23

24

25

1 MS. WEISS: Would the Board permit Dr. Cochran  
2 to speak briefly to these matters?

3 JUDGE MILLER: Yes. I think before Dr.  
4 Cochran starts, Judge Linenberger has a question or  
5 observation or whatever it may be.

6 JUDGE LINENBERGER: Well basically, this is a  
7 question about the meaning, the meaning of thrust of  
8 this contention, and before Dr. Cochran starts to  
9 address further the intervenors' position here, I would  
10 like to get a couple of things clarified as to what the  
11 contention means. It may impact the decision about  
12 admissibility.

13 On page 18 of intervenors' revised statement  
14 there is a paragraph lettered (d) at the bottom of the  
15 page that I find a bit confusing. Does the paragraph  
16 (d), as intervenors propounded, allege that applicants  
17 will not meet the "as low as reasonably achievable  
18 objective" in their discharges to the river?

19 DR. COCHRAN: No, sir.

20 JUDGE LINENBERGER: Is it then -- you say the  
21 answer is no. Let me take you one more step, then. At  
22 least is it intervenors' position then that the  
23 applicants will meet the "as low as reasonably  
24 achievable criterion," but that release added to what  
25 may reside in sediments, radioactivity that may reside

1 in sediments, that added situation is what the  
2 intervenor is unhappy about?

3 DR. COCHRAN: What we are -- we have a  
4 separate contention that goes to the ALARA issue that is  
5 part of 8 with respect to the operation of the facility.

6 JUDGE LINENBERGER: You have an ALARA issue in  
7 this one, it is page the bottom of page 18.

8 DR. COCHRAN: What we are addressing here is  
9 simply that the activities associated with barging and  
10 storing up the sediment in the river and possible stream  
11 channelization, are inconsistent with the ALARA  
12 principle because the alternative of bringing the  
13 equipment in by rail would not incur these additonal  
14 risks. It would not stir up the activity.

15 JUDGE LINENBERGER: In other words, you are  
16 saying the answer to my question is yes, that your  
17 concern is that the "as low as reasonably achieveable"  
18 releases when added to activity that may reside in the  
19 sediment in the river, that the sum of those will be  
20 larger than you feel is appropriate.

21 DR. COCHRAN: I am suggesting that we set  
22 aside any routine releases from the plant for purposes  
23 of addressing part (d) of this contention. I only ask  
24 the question, are you reducing the exposures as low as  
25 reasonably achievable by conducting the construction

1 activities utilizing the barge traffic and so forth, or  
2 is there a better approach, for example, by bringing the  
3 equipment in by rail and not building a barge platform  
4 and not channeling -- dredging the river, and not  
5 stirring up the river sediment with any barge traffic.

6 JUDGE LINENBERGER: All right, sir, but don't  
7 you see the problem that exists with the way you have  
8 framed this contention? You have talked about effluents  
9 that the applicant is going to discharge. You used the  
10 word "effluents" and you say your concern is at a time  
11 during the construction phase when there will be no  
12 effluents, so you are not really concerned about  
13 effluents, despite the fact you say you are. You are  
14 really concerned about stirring up sediment during the  
15 construction phase.

16 This contention does not really, as I have  
17 read and perhaps show me where I am wrong, say that it  
18 is confined just to the construction phase. The way it  
19 is worded I see it applying during the operating phase  
20 when the applicant is releasing certain effluents. Now,  
21 are you restricting --

22 DR. COCHRAN: I understand the difficulty.  
23 Perhaps it is not worded properly. If you go back and  
24 read the preamble --

25 JUDGE LINENBERGER: Yes, I have read it.

1 DR. COCHRAN: We are talking about effluents  
2 in White Oak Creek, and those are the -- I am talking  
3 about the radioactivity in the sediment. I apologize  
4 for not stating it in a way that is perfectly clear, but  
5 these effluents are the effluents that are already there  
6 from other activities.

7 JUDGE LINENBERGER: They are not applicants'  
8 effluents that you are worried about?

9 DR. COCHRAN: The applicant is the Department  
10 of Energy. It is their effluents, they put them there.

11 JUDGE LINENBERGER: Yes, sir, but Clinch River  
12 is the facility we are dealing with. And when you use  
13 the word effluents, I have to think of it in terms of  
14 what is before us.

15 Now, I think I have heard you say -- and I  
16 would like to get agreement with you -- that in the  
17 context of this contention, you are not talking about  
18 effluents from the Clinch River operation; you are  
19 talking only about the construction phase storing up  
20 sediment, is that correct?

21 DR. COCHRAN: That is correct.

22 JUDGE LINENBERGER: Okay, fine, thank you. I  
23 did not read that from the way this was worded. That is  
24 all I wanted to understand.

25 DR. COCHRAN: I would --

1 JUDGE LINENBERGER: That takes care of my  
2 problem.

3 JUDGE MILLER: I think you had asked, Dr.  
4 Cochran, to address yourself to some other aspect of our  
5 discussion.

6 DR. COCHRAN: I think we may have clarified it  
7 in this last issue. I do not wish to address the  
8 timeliness or anything, but just what I see as the  
9 problem here, that I think whether or not you admit this  
10 contention you should be looking at it in any case. If  
11 you look at the figure in the ER which is Figure 2.8-86,  
12 where the data spread is larger than the data at the  
13 initial two-mile intervals, you see these wide swings in  
14 the data.

15 The question that immediately is raised in my  
16 mind is, do you have enough sampling points along the  
17 river to know that you have not missed peaks inbetween  
18 these sampling points, and that you will also, after  
19 this plant is operating, you will be able to distinguish  
20 the activity, you know, in a monitoring sense -- the  
21 activity emitted from the Clinch River reactor, from the  
22 activity emitted previously from White Oak Creek or  
23 everytime there is some sampling the applicant or the  
24 operator of the plant, is he simply going to say no,  
25 that did not come from Clinch River, that came from

1 upstream at White Oak Creek. And therefore, we are not  
2 releasing abnormal amounts of activity.

3           So I think it is important to have a careful  
4 sampling of the river, not only with respect to the  
5 barging activities but with respect to -- because it  
6 will impact the monitoring capability during the  
7 operation of the plant.

8           Now, the thing that was perhaps most troubling  
9 to me and which is in -- was this ORNL 37.21 report that  
10 Mr. Edgar mentioned. And on page 86 of that report, it  
11 is a discussion of some previous channeling activities  
12 in the White Oak Creek above the Clinch River site. And  
13 they channeled the stream, dredged it out and dumped the  
14 dredged material on two islands, Scrub Island and Jones  
15 Island. Then they went out and measured with a survey  
16 meter the activity levels on top of that dredged  
17 material, and it is four and a half rems per year.

18           That is a sizeable amount of activity, and so  
19 my concern would be is your sampling good enough so that  
20 you know when you start dredging downstream to allow  
21 these barges to come up, and dredging in the area where  
22 you are going to make the barge port, are you going to  
23 be dumping activity that is going to give you exposure  
24 levels in that range at the Clinch River site. And  
25 these impoundment ponds or wherever, and I just do not

1 think that is consistent with good health physics  
2 practices, if you can barge in the reactor vessel and  
3 the other reactor vessel and the other components -- I  
4 mean if you can rail them in rather than barge them in.  
5 And so I think you ought to be looking at that.

6           Now, they claim they have new -- these  
7 additional sampling areas, yet they have not -- I have  
8 not seen the raw data yet. There is some of them that  
9 if you look at their figure that Mr. Edgar refers to,  
10 Figure 2.8-91 in the ER, you have some datapoints that  
11 he says are greater than 100 picocuries per gram with no  
12 limit. You do not know what the upper limit would be of  
13 the activity in those samples, and the data is not  
14 published yet. So it is a kind of wait and see approach  
15 whether he is going to have an adequate sampling  
16 capability or not.

17           And furthermore, these high, high data points  
18 are in the area where the barge traffic will be. They  
19 are just upstream or just downstream from the proposed  
20 barge port.

21           JUDGE LINENBERGER: Dr. Cochran, you used the  
22 term good health physics practices. You also quoted a  
23 number of four and a half rem per year which, if my  
24 health physics background serves me right, is a dose  
25 rather than activity level. Is that four and a half rem

1 a dose that a person would get if he laid on this pile  
2 for -- slept on this pile continually for a year, or  
3 what is that dose that you quoted?

4 DR. COCHRAN: That does is the dose including  
5 natural background radiation, so it is, in effect --

6 JUDGE LINENBERGER: To whom doing what?

7 DR. COCHRAN: To a person that would --

8 JUDGE LINENBERGER: That would sit on --

9 DR. COCHRAN: That would be standing on the  
10 pile for a year.

11 JUDGE LINENBERGER: Thank you.

12 DR. COCHRAN: It is an hourly dose multiplied  
13 by 8600 and something.

14 Good health physics practices -- when I say  
15 that I mean the ALARA principle applies.

16 JUDGE MILLER: Is this ALARA to the  
17 construction or is it ALARA to the guy that stands there  
18 for a year? I guess I am thinking of contributory  
19 negligence in this sense. I will withdraw that.

20 MR. EDGAR: I really think the point is being  
21 missed here. We have basically -- if you go back to  
22 Section 2.8 of the ER, radioactive sediments in the  
23 Clinch River were not a matter that was casually  
24 mentioned. There are pages upon pages of discussion.  
25 There are tables, charts, there was extensive monitoring

1 to baseline that river as part of the pre-construction  
2 monitoring program.

3           If anyone reads the ER, they cannot come away  
4 without understanding that there was careful monitoring  
5 of the Clinch River sediments. It is almost like being  
6 hit in the face by a board. You cannot miss the fact  
7 that NRDC was put on notice on this issue. I have heard  
8 Dr. Cochran. I cannot -- I still have not heard his  
9 reasoning as to why the issue was not raised. We are  
10 talking about good cause here. If good cause is to have  
11 any meaning, it is non-existent here.

12           The report that Dr. Cochran mentions, as to  
13 which the activity and the doses became overlapping,  
14 that in fact was a predecessor report to the  
15 comprehensive report that was referenced in, and the  
16 data from which was displayed in, the ER.

17           (Board conferring.)

18           JUDGE LINENBERGER: One question to you, Mr.  
19 Edgar. I should know the answer to this but I am not  
20 sure I do. Does applicant have to get an NPDES permit?

21           MR. EDGAR: Yes.

22           JUDGE LINENBERGER: Does that permit have any  
23 provisions with respect to activity levels?

24           MR. EDGAR: No. But the NRC staff -- and you  
25 can look at the FES and the ER -- there is a requirement

1 to have a pre-construction radiological monitoring  
2 program, a construction radiological monitoring program  
3 and an operational radiological monitoring program.  
4 That picks it up definitively.

5 JUDGE LINENBERGER: Thank you.

6 (Board conferring.)

7 JUDGE MILLER: To what extent did the FES go  
8 into this matter? We have had the statement for the  
9 record by Mr. Edgar as to the environmental report, the  
10 ER. Now, what happened then when the staff brought to  
11 bear its analysis in the FES, if there was one filed?

12 (Counsel for NRC staff conferring.)

13 JUDGE MILLER: I think the Board is ready to  
14 rule on this. We will relieve you of the necessity. We  
15 presume you will have this and other matters in your  
16 mind as you continue analyses. The Board feels that as  
17 to this contention newly-numbered 9, that good cause has  
18 not been shown.

19 We have informed the intervenors that we were  
20 not going to rule mechanically that every  
21 newly-proffered contention is automatically untimely.  
22 It is not necessarily. It may be, but it is not  
23 necessarily, and we therefore have given you the  
24 opportunity here and will on the remaining newly-framed  
25 contentions, the opportunity to show good cause and the

1 other factors. But remember that good cause does, in a  
2 sense, get into factual matters.

3           It is not the rule that a pleading can just  
4 state fairly generally and leave it to the discovery  
5 process to flesh it out. We feel that the area now we  
6 are in of new contentions, that there is a requirement  
7 both under our rules and the Board in executing those  
8 rules requiring the showing of good cause, which in part  
9 is a factual matter, we just do not believe that the  
10 showing necessary to permit this contention has been  
11 shown. We will therefore deny the request.

12           It take it it is in the form actually of a  
13 motion for leave to file new contention, because in  
14 accordance with the regulations that it has been  
15 considered, and this contention will therefore be denied.

16           MS. WEISS: Can I ask the Board just a  
17 housekeeping question?

18           JUDGE MILLER: Sure.

19           MS. WEISS: This is the first one that has  
20 been renumbered and then denied. I am just wondering  
21 when we provide you with a final --

22           JUDGE MILLER: I can tell you the quick  
23 answer. Nine has now vanished. We renumber so we could  
24 consider it, so you will have the record now for appeal  
25 purposes. It may therefore refer to its prior original

1 designation that you had given it because as far as the  
2 Board is concerned, it is no longer a contention. It  
3 remains in the record, but as far as the Board is  
4 concerned there is now no contention 9.

5 MS. WEISS: So the next --

6 JUDGE MILLER: The next one which is  
7 cognizable or viable will be 9, whatever it may be  
8 originally.

9 We now come to originally numbered contention  
10 17 which gets into the matter of the demonstration,  
11 according to the intervenors, of sufficient fuel to be  
12 available for the Clinch River breeder reactor. It has  
13 been opposed by both applicants and the staff on the  
14 grounds that it goes into matters which are proscribed  
15 or removed from this Board's consideration by virtue of  
16 the commission's earlier ruling as to the scope of  
17 contentions which are permitted, which are within the  
18 jurisdiction of the Licensing Board.

19 I would say that there appears to be  
20 considerable merit to those contentions. We will  
21 therefore not ask that those arguments be repeated, but  
22 we will go directly now into asking NRDC to show us why  
23 this question of available fuel is properly before the  
24 Board in light of the commission's earlier decision.

25 MS. WEISS: Let me just quote for the Board

1 the question that was specifically deemed litigable by  
2 the commission in the earlier decision. And it is at  
3 page 92 of that decision. Quote, "The likelihood that  
4 the proposed CRBR project will meet its objectives  
5 within the LMFBR program 'a benefit in the NEPA  
6 cost-benefit analysis' is an issue relevant to this  
7 proceeding."

8           On its face, that is the contention. Neither  
9 applicants nor staff have demonstrated that sufficient  
10 fuel would be available for CRBR operation to enable the  
11 CRBR to demonstrate the objectives of the LMFBR program  
12 and remain in operation for a sufficient length of time  
13 to justify the project.

14           It seems to me beyond dispute that that is  
15 precisely the question which the commission left to be  
16 litigated by this Board. The likelihood that the  
17 project will meet its objectives, that is -- we crafted  
18 the contention so that it would fit precisely within  
19 that issue, and it seems to me clear that it does do  
20 that.

21           JUDGE MILLER: Well, you might consider the  
22 quotation as set forth on page 22, I guess, of the  
23 applicants' wherein the commission said that in  
24 deference to the basic objective of the Act is required  
25 of the commission and its components separation of

1 responsibilities so as to avoid undue interference with  
2 DOE's overall planning functions. If nothing else, the  
3 Act makes clear that we must decide the present issues  
4 so as to put the Nuclear Regulatory Commission in the  
5 position of scrutinizing afresh the judgments on  
6 long-range energy research and development issues made  
7 by the agency, to which such judgments were primarily  
8 confided.

9           It is therefore argued by the applicants and  
10 the staff that the assertion of this issue as to whether  
11 or not there would be sufficient fuel is really a  
12 programmatic or planning issue which is outside the  
13 permissible scope of this proceeding, and that the  
14 question of the availability of fuel for Clinch River or  
15 any other, I suppose, is a matter relating only to the  
16 judgments of DOE as to national defense programs,  
17 breeder reactor programs and so forth, which must be  
18 taken as a given under the commission's rule.

19           MS. WEISS: It seems to me that the only thing  
20 that is taken as a given is that that objective of the  
21 LMFBR program is the definition of benefit. And that is  
22 clearly the commission's decision, rather than need for  
23 power. The likelihood that the project will meet the  
24 objectives as set out by ERDA, DOE -- that is the  
25 given. I mean the given is that the program is a good.

1 That is the question that we are not allowed to argue.

2           The likelihood that it will meet that program  
3 is an open question. We are not raising issues about  
4 the wisdom of the LMFBR program. We are only raising a  
5 question about the likelihood that the breeder will  
6 achieve the objectives which are stated for it in that  
7 program.

8           JUDGE MILLER: You are getting programmatic  
9 now.

10           MS. WEISS: No, no. I am saying we are taking  
11 that as a given. We are taking the definition of the  
12 program as a given. We are only questioning the  
13 likelihood that the CRBR will achieve the objectives  
14 defined in the program; we are not questioning the  
15 program.

16           JUDGE MILLER: Let me get you straight. What  
17 is it you mean by the program? I think you are using it  
18 in a different sense from the programmatic objection.

19           MS. WEISS: The LMFBR program, the research  
20 and development program of which the breeder is a part.  
21 We cannot question the wisdom of that program or that it  
22 is a good program or that it is a benefit. Those are  
23 the givens that are off-bounds under the commission  
24 decision. What is clearly in bounds is the likelihood  
25 that the breeder will achieve those objectives as those

1 objectives are defined by ERDA.

2 JUDGE MILLER: Aren't those objectives  
3 research and development?

4 MS. WEISS: Absolutely. And if it cannot  
5 operate, it cannot achieve those objectives. And if it  
6 does not have fuel, it cannot operate.

7 JUDGE MILLER: How long does it have to  
8 operate or have fuel? Does it have to be for the life  
9 of the plant, as you seem to be contending?

10 MS. WEISS: No, I think that is an open  
11 question.

12 JUDGE MILLER: You contend there is no fuel  
13 available?

14 MS. WEISS: We contend there is insufficient  
15 fuel available for it to be able to demonstrate the  
16 maintainability, economic feasibility, et cetera --

17 JUDGE MILLER: Now you are getting into other  
18 matters, aren't you?

19 MS. WEISS: Excuse me?

20 JUDGE MILLER: Now you are getting into other  
21 matters, aren't you?

22 MS. WEISS: Not at all, not at all.

23 JUDGE LINENBERGER: Well, Mr. Chairman and  
24 intervenors, let me just note here what we see as a  
25 stumbling block in this contention. The comments you

1 have made in support of admissibility of the contention  
2 really go to the lead-in paragraph at the top of page 19  
3 of your revised statement. That lead-in paragraph is  
4 not followed by the words "for the reasons that".  
5 Therefore, the Board construes that subparagraphs (a),  
6 (b) and (c) are indeed parts of the contention.

7           If that is an improper construction, please  
8 advise us, but as it was laid before us, that is the way  
9 we construe it.

10           Now, we see subparagraphs (a), (b) and (c)  
11 regarding availability of fuel and possible competing of  
12 fuel with DOE requirements and other requirements for  
13 plutonium as being completely separable considerations  
14 from the likelihood of the CRBR meeting the objectives  
15 of the LMFBR program. They are separable considerations.

16           The first paragraph standing alone is, indeed,  
17 consistent with the commission's order of August 1976.  
18 But the three subparagraphs appear to us to be  
19 completely separable considerations, and you have not  
20 argued those considerations. You have only argued the  
21 first paragraph. We have no problem with the first  
22 paragraph as such as to being consistent with 4 NRC 67.  
23 The problem we have is with the subparagraphs.

24           MS. WEISS: We would be willing to put in "for  
25 the following reasons." That would not change our

1 intention or our meaning.

2 JUDGE LINENBERGER: You have not put them in.

3 MS. WEISS: I am not sure that that --

4 JUDGE LINENBERGER: I you are moving to amend  
5 the contention, let us hear that, too. But we are  
6 discussing the contention as you have presented it to us.

7 MS. WEISS: If the Board believes that that  
8 would make the difference between admissibility or  
9 inadmissibility, we would move to amend the contention  
10 in that way. It would in no way change what we intended.

11 JUDGE LINENBERGER: Well, we are not sitting  
12 here coaching you as to how you should frame your  
13 contentions. We take it as framed, and that is our  
14 observation on it. So that is really all I have to say  
15 right now. I have explained what our problem is.

16 MR. SWANSON: Mr. Chairman.

17 JUDGE MILLER: Yes.

18 MR. SWANSON: Excuse me, I would just like to  
19 add a point here, since we are talking about the  
20 commission's decision and its interpretation just where  
21 the admissible contentions lie. Even were we to add the  
22 words "for the following reasons", I believe the  
23 objections that have been stated thus far equally are  
24 applicable. The introductory paragraph is concerned  
25 with the availability of sufficient fuel to enable the

1 CRBR to demonstrate its objectives.

2           The staff would note that an earlier proposed  
3 contention of the intervenors, contention 11 which is  
4 set out in full in footnote 6 of the commission's August  
5 1976 decision, and particularly subpoint (c), the  
6 availability among other things of a breeder reactor  
7 fuel cycle to support the CRBR or commercial LMFBR  
8 economy, that was a contention which was physically  
9 ordered to be thrown out by this commission.

10           Clearly, the issue has already been decided  
11 and, of course, this Board did, in accordance with the  
12 commission's decision, throw out that contention. I  
13 think adding the words, "for the following reasons" make  
14 this contention no more a viable contention which is  
15 within the scope of this proceeding.

16           MS. WEISS: If I may point out to the Board,  
17 that does not fully state the contention that was  
18 dropped -- that was stricken by the commission. It  
19 leaves out the crucial language. The language that was  
20 stricken was "the availability, cost and benefit of a  
21 breeder reactor fuel cycle to support the CRBR, or a  
22 commercial LMFBR economy." And that came out when the  
23 commission said you cannot look into the programmatic  
24 questions.

25           MR. SWANSON: The point is, of course, that

1 the whole contention went out, the availability of the  
2 cost, the benefits, as well as subpart (b) which dealt  
3 with uranium supplies.

4 MS. WEISS: It seems to us if you cannot fuel  
5 the breeder then it cannot achieve its objectives. We  
6 do not care what its objectives are, DOE can define them  
7 in any way that they wish, and that will be taken as a  
8 benefit. But if you cannot run the thing, it cannot  
9 achieve its objectives. It would be the same as if you  
10 could not get steel to build the vessel. If you could  
11 not build it, it could not achieve its objectives.

12 JUDGE MILLER: Isn't that a judgment, a matter  
13 of judgment, as the commission used the term, and isn't  
14 it a judgmental matter that is left to DOE or DOE or  
15 others, not to the commission?

16 MS. WEISS: I do not see, if you say that this  
17 issue is out, what issue is left then, when the  
18 commission left -- specifically left open the question  
19 of the likelihood that the CRBR will meet the  
20 programmatic objectives.

21 JUDGE MILLER: Design and location I suppose  
22 are obvious things. Alternative design, alternative  
23 sites. Those are the matters I suppose that were left  
24 open. I certainly do not think that we are going into  
25 availability of steel, its impact on national events,

1 whether or not we have enough fuel. Those do not seem  
2 to be matters that are cognizable when we are looking at  
3 this Clinch River breeder reactor.

4           On page 92, as you know, of the decision, the  
5 commission set forth what we were to take as givens, to  
6 be assumed as established. I guess they put it a little  
7 more elegantly at that point, which includes a need for  
8 a liquid-metal fast breeder reactor program, including  
9 its objectives, structure and timing; the need for a  
10 demonstration to scale facility to test the feasibility  
11 of liquid-metal fast breeder reactors when operated as  
12 part of a power generation facility in an electric  
13 utility system, including its timing and objectives.

14           MS. WEISS: But the commission left open two  
15 levels of issue. It said all site-specific,  
16 plant-specific issues are open. Those are the issues  
17 which the chairman just described. We go on under our  
18 NEPA responsibilities, and given all of the limitations  
19 which the chairman read -- that is, we may not inquire  
20 into the wisdom of the program ; we take the program as  
21 given, we deem the program a benefit. Nonetheless, the  
22 commission under its NEPA obligations just look at  
23 whether the CRBR is likely to meet those objectives, and  
24 that is a second level issue beyond the site-specific,  
25 plant-specific issues.

1 JUDGE MILLER: And that includes the  
2 availability of fuel, whether it be for the operation  
3 of an experimental or demonstration scale, or one year  
4 or two years.

5 MS. WEISS: If that is the reason why the  
6 breeder is unlikely to demonstrate its objectives, if  
7 that is the factual predicate, then yes, that is what  
8 this Board has to look at. I do not see it would be any  
9 different if we came to you and said there is not enough  
10 steel to build the vessel.

11 JUDGE MILLER: Do you think we are going to go  
12 into this limited work authorization and then the  
13 subsequent, if there be one, construction permit  
14 proceeding? Are we going to go into such factors as --  
15 if you believe that they would be open to question --  
16 the availability of steel or the collective bargaining  
17 agreement to be made or how we stand with reference to  
18 dealing with Japan? These seem to us to be large  
19 issues, wholly beyond the scope of this proceeding.

20 MS. WEISS: We have not raised any of those  
21 issues.

22 JUDGE MILLER: We know, but we do not see that  
23 they are very much different. Do you want us to start  
24 counting the availability of fuel? What kind of fuel  
25 are you talking about?

1 MS. WEISS: The fuel that is required to fuel  
2 the CRBR.

3 JUDGE MILLER: Well, what is that?

4 MS. WEISS: That is largely plutonium.

5 JUDGE MILLER: All right, so we are talking  
6 about plutonium. Now --

7 MS. WEISS: Just because we are talking about  
8 plutonium and plutonium is used for weapons, and it may  
9 be an uncomfortable question to open -- does not viciate  
10 the fact that it goes precisely and directly to a  
11 question which this commission left open as part of its  
12 NEPA obligations.

13 JUDGE MILLER: I am afraid the Board does not  
14 agree with you as to what is left open. When we look at  
15 (a) according to DOE policy, the need for plutonium for  
16 the U.S. weapons program takes precedence over the need  
17 for plutonium for the liquid-metal fast breeder reactor  
18 program. We just do not think that we are competent or  
19 desirous of going into that matter. We think it was  
20 taken from us by the commission's rulings and we think  
21 that it is an effort to go wholly beyond that which is  
22 the proper scrutiny of this particular plan, this  
23 particular site, this particular Clinch River breeder  
24 reactor.

25 So, we are going to sustain the objections to

1 contention 17 almost as a matter of law, frankly. And  
2 we will not permit -- we do not leave to the intervenors  
3 to file contention 17 dealing with the fuel question.

4 All right, we proceed now to number 18, which  
5 does get into quality assurance and other matters.  
6 Eighteen is objected to on the question of timeliness  
7 and other matters, other reasons why the applicants and  
8 the staff also oppose the acceptance of the contention  
9 for litigation. We will hear from applicants, staff and  
10 then the intervenors, please.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           MR. EDGAR: One initial point of clarification  
2 which relates to Judge Linenberger's earlier comment.  
3 We do have this open question that we are obligated to  
4 get back to the Board on on the scope of the LWA, and I  
5 should have some resolution at the break, I hope, if I  
6 can contact our management. That has a bearing,  
7 obviously. Judge Linenberger foreshadowed that  
8 question, but I think there are other considerations  
9 that the Board needs to take into account.

10           The first is that even if you go to an LWA-2,  
11 which is limited to the base mat, you still have very  
12 specific limits on the scope of examination of the QA as  
13 it would relate only to the steel and mat placement. But  
14 even beyond that, we think there are two essential  
15 questions that the Board should consider.

16           The first is what is the new information here,  
17 and more importantly, what is the nexus of that new  
18 information to CRBRP and the Clinch River QA program.  
19 It is one thing, as Intervenor's have done at pages 21  
20 and 22 of their response to our objections, to say,  
21 well, there is a widespread, broad industry problem here  
22 in the QA area, and then to say, well, Clinch River is  
23 no different from anyone else in the industry, ergo the  
24 contention ought to go in.

25           In our judgment, that totally lacks

1 specificity and basis. We would not have any means of  
2 preparing to confront that contention. We believe that  
3 the Intervenor's are obligated to show two things: new  
4 information which relates to Clinch river in the QA  
5 area, and secondly, to provide sufficient particularity  
6 in regard to this contention that there is a reasonable  
7 basis to prepare to meet the issue.

8           There is a significant problem of a moving  
9 target if one merely cites back in the contention the  
10 regulations. It merely says in a broad sense the  
11 Applicants will not comply with the regulations. That  
12 in itself is not sufficiently particular to give us fair  
13 notice of what the issue is. In any event, we believe  
14 that this issue, acceptance so far as it would be  
15 qualified by the point I raised earlier in connection  
16 with Judge Linenberger's comment, this issue is not  
17 necessary for any broad-scale inquiry in regard to an  
18 LWA.

19           MR. SWANSON: We have relatively little to  
20 add. The argument set forth by the Staff in its  
21 pleading agrees with that just described by Mr. Edgar,  
22 and that is that there appears to be no new information  
23 that the Intervenor's are setting forth to substantiate  
24 good cause, and indeed, if you look at their response to  
25 objections, they do not argue that there are new

1 requirements, merely that there is an increased  
2 awareness to the Staff's understanding.

3           This awareness has manifested itself in an  
4 increased inspection effort, but to date there have been  
5 no changes in the requirements for the quality assurance  
6 program that would be part of the review of the Staff of  
7 Clinch River. If such a change were to be made, then we  
8 would face that issue at that time as to whether or not  
9 good cause exists, but as of now, good cause simply has  
10 not been asserted for adding a contention on QA at this  
11 time.

12           The same requirements apply now as before, and  
13 this is a contention which could have been raised at any  
14 time prior to the suspension of hearings.

15           JUDGE MILLER: Intervenors.

16           MS. WEISS: Yes, Mr. Chairman. I am sorry to  
17 have to make the record a little confusing, but before I  
18 respond on what is numbered Contention 18, I would like  
19 to make a formal request to amend the language of  
20 Contention 17 and then have the Board rule on the  
21 amended language if they would.

22           We would like to amend the language of  
23 Contention 17 to add the language "for the following  
24 reasons:" to the end of the first paragraph.

25           [Board conferring.]

1 JUDGE MILLER: So that you may have your  
2 record, leave will be granted to the Intervenors to  
3 amend formerly numbered Contention 17 of the revised  
4 contentions, revised statement of contentions and bases  
5 filed March 5, 1982 by adding at the end of the first  
6 paragraph -- changing the period to a comma -- the  
7 following words: "for the following reasons:".

8 The amendment is allowed. The proposed or  
9 proffered contention reads as amended and the Board  
10 adheres to its ruling that the contention will not be  
11 allowed.

12 MS. WEISS: Thank you, Mr. Chairman.

13 JUDGE MILLER: You are welcome. Now, do you  
14 wish to address --

15 MS. WEISS: Yes.

16 JUDGE MILLER: Okay.

17 [Laughter.]

18 MS. WEISS: On the question of whether we have  
19 cited new information, I would simply argue to the Board  
20 that we are not required to cite new information; what  
21 we are required to do is to establish good cause. One  
22 way to do that is to cite brand new information, new  
23 facts that have come to light, and another way, I think,  
24 is to point, as we have in this contention, to  
25 developments industry-wide which show pervasive,

1 consistent failures of QA.

2           Essentially every time the Commission has  
3 looked, the NRC has looked in any detail at the quality  
4 assurance of any particular point in the past couple of  
5 years, they have found frightening, pervasive failures  
6 on QA. It may well be that somebody who is trained in  
7 the nuclear industry would have known in 1975 the state  
8 of quality assurance. We did not and we do not think we  
9 should be held to that standard of knowledge. As a  
10 practical matter, the extent of this problem has just  
11 come to the attention of the public.

12           As far as the claimed lack of specificity, I  
13 think that we have been as specific as we could  
14 reasonably expect to be at this time. I really do not  
15 believe that the Applicant or the Staff is in any  
16 genuine doubt about what they have to show as far as  
17 notice pleading goes. They have to show that the QA  
18 program meets the Commission's rules, presumably that  
19 even if the specificity stopped at this stage, that is  
20 what they would show.

21           We think that we have shown enough to  
22 establish a threshold question about the abilities of  
23 the Applicants and the Staff to ensure conformance to  
24 QA. We do not question that this is not an LWA-1 issue  
25 except if we get into LWA-2, and then there are some

1 limited questions about the work that is important to  
2 safety done within the scope of that. But this is our  
3 only chance to get in issues relevant to the  
4 construction permit too.

5           So, you know, this is our one shot at it, and  
6 whether it is an LWA-1 or not, it does not matter, it  
7 seems to us.

8           [Board conferring.]

9           JUDGE LINENBERGER: A question with respect to  
10 the last paragraph on page 19, which concludes "or that  
11 such program would protect the public health and safety  
12 adequately even if it complies with NRC requirements."

13           Now, I can fairly directly read that to say  
14 that irrespective of meeting NRC requirements and  
15 quality assurance, it is not good enough, and it is but  
16 a short step from there for me to say that in essence  
17 that statement is challenging the adequacy of NRC  
18 requirements with respect to quality control.

19           How say you to this?

20           MS. WEISS: We do not intend to challenge the  
21 adequacy of the requirements, but --

22           JUDGE LINENBERGER: Do you wish us to  
23 disregard that language, then, at the bottom of page  
24 18? It is pretty explicit.

25           MS. WEISS: Yes, you are right.

1 JUDGE LINENBERGER: Are you moving to amend  
2 the contention --

3 MS. WEISS: Could we just confer for a few  
4 minutes?

5 [Counsel for Intervenor conferring.]

6 JUDGE MILLER: We will take about a ten-minute  
7 recess.

8 [Recess.]

9 JUDGE MILLER: Have the Intervenor,  
10 Applicants, et al been able to conclude their caucus?

11 MR. TREBY: We will go check.

12 [Pause.]

13 JUDGE MILLER: All right, we will resume the  
14 proceeding.

15 Ms. Weiss, have you had an opportunity to  
16 confer as you requested?

17 MS. WEISS: Yes, we have, Mr. Chairman. We  
18 have reviewed subparts (a) and (b) of the contention and  
19 we find that they are fully consistent with amending  
20 language of the first paragraph of the contention in the  
21 following manner. It is a contention numbered 18 in the  
22 revised statement of contentions and bases of  
23 Intervenor, NRDC and Sierra Club, and we would propose  
24 to include the following language immediately following  
25 the number 18: "Neither Applicants nor Staff have

1 demonstrated that Applicant's quality assurance program  
2 to be applied to the design, fabrication, construction  
3 and testing of the structure, systems and components of  
4 the facility is adequate to meet NRC requirements."

5           We would excise the following language: "or  
6 that such program would protect the public health and  
7 safety adequately even if it complies with NRC  
8 requirements."

9           JUDGE MILLER: Very well. We consider  
10 proposed Contention 18 to be amended in accordance with  
11 the description you have just read into the record.

12           MS. WEISS: Thank you, Mr. Chairman.

13           JUDGE MILLER: All right. Pardon me.

14           Do you have anything further to add, Staff?  
15 Mr. Swanson.

16           MR. SWANSON: No.

17           JUDGE MILLER: Very well.

18           Ms. Weiss?

19           MS. WEISS: I have nothing further, Mr.  
20 Chairman.

21           [Board conferring.]

22           JUDGE MILLER: The Board will deny the request  
23 for leave to file Contention 18. We will say that it is  
24 our understanding that quality assurance is, of course,  
25 a very important matter, that it is both covered by our

1 regulations and is an ongoing matter for both the Staff  
2 and the Applicants.

3           And we point out further that when we get into  
4 or towards the construction permit phase as  
5 distinguished from the limited work authorization, your  
6 proposed contention will be no more untimely than it is  
7 now because you have raised the question now as early as  
8 you felt that you should or could. And if you have any  
9 bases other than a simple blanket statement that there  
10 has been no demonstration, in other words, you will not  
11 be debarred by our denial of Contention 18 at this time  
12 and at this juncture.

13           You will not be denied automatically an  
14 opportunity to file some kind of contention going into  
15 these matters with the specificity and with the bases  
16 and good cause which the Board feels is lacking at this  
17 time.

18           We will now come to proposed Contention 19  
19 regarding the plans for coping with the emergencies and  
20 the like. This has been addressed by both Applicants  
21 and Staff. Applicants point out that it originally  
22 contained only general language but there have been  
23 specific allegations in subparts (a) through (g) which  
24 were added during the process of negotiation.

25           Let me say on behalf of the Board we do

1 recognize the fact that the parties have in good faith  
2 met and attempted to negotiate and in some cases have  
3 successfully negotiated some of these contentions,  
4 language as well as matters of discovery. This is a  
5 practice that the Board had asked the parties to follow,  
6 and we commend you for doing it because it is very  
7 helpful both to the Board and, I think, to the  
8 proceeding itself.

9           Let's see who wishes to go first on this.  
10 Applicants?

11           MR. EDGAR: We have three basic points here.  
12 We think that the contention lacks in terms of  
13 particulars and a nexus to CRBRP. We further do not  
14 believe that this is the kind of contention which  
15 requires a full inquiry in connection with an LWA.

16           Lastly and our third point is that to the  
17 extent that it involves the question of the CDA, and  
18 likewise to the extent that NRDC contends on page 24 of  
19 its response that the rule here does not serve the  
20 purpose for which it was intended, then in that event it  
21 is incumbent upon NRDC to apply for a waiver under  
22 10 CFR 2.758, which they have not done, and having not  
23 done so, the contention would be barred.

24           In short, we believe that the arguments here  
25 on Contention 19 run parallel to those in regard to QA

1 and that for similar reasons that contention should be  
2 denied.

3 JUDGE MILLER: Staff.

4 MR. SWANSON: I would like to expand on that,  
5 on the concerns previously stated, if I may. First of  
6 all, the introductory paragraph, as indicated, is  
7 directly a challenge to the regulations as presently  
8 worded. The wording "or that such plans would protect  
9 the public health and safety adequately even if they  
10 comply with NRC requirements appears to be -- I cannot  
11 see how it can be interpreted any other way than as a  
12 challenge to Appendix E to Part 50.

13 But those regulations simply do not go far  
14 enough to protect the public health and safety even if  
15 complied with. That is a direct challenge and, I would  
16 submit, an improper challenge to the regulations, and  
17 that part in and of itself is grounds for striking that  
18 portion of the contention.

19 JUDGE MILLER: That portion is even if they  
20 comply with the last clause in the first paragraph.

21 MR. SWANSON: It begins with "or." In  
22 other words, after the first comma in the introductory  
23 paragraph: "or that such plans would protect the public  
24 health and safety adequately even if they complied with  
25 NRC requirements.

1 I think in addition to reciting portions of  
2 emergency planning regulations, many of which were there  
3 in substance although they have been changed since 1970,  
4 we need to be concerned with certain key words that were  
5 left out of Appendix E to Part 50 when the subparts were  
6 drafted up.

7 Throughout Part II of Appendix E, which is the  
8 section of the regulations dealing with emergency plans  
9 at the construction permit stage, the emphasis is on the  
10 requirement for a description of preliminary analysis  
11 reflecting the need to include the various subparts.

12 Now, the subparts set forth in this  
13 contention, besides being, we believe, defective in that  
14 they merely restate the parts of the Appendix E without  
15 setting forth specific concerns, we believe leaves out  
16 some important elements of the criteria, the  
17 requirements in Appendix E, II, and that we need to  
18 constantly keep in mind that at the construction permit  
19 stage, all we are talking about is a description of  
20 preliminary analysis; we are not talking about a final  
21 plan, we are not talking about a plan that had to be  
22 ready for implementation, but we are at the preliminary  
23 stage.

24 Now, to the extent that Intervenor may argue  
25 that they could not be any more specific in their

1 subparts than to merely restate the regulations because  
2 of information that they have not had a chance to read,  
3 maybe the answer is that they are guessing that they are  
4 going to be getting an emergency plan which is defective  
5 and they just want to take a general shot at it now.

6           Now, it seems to me that perhaps they are also  
7 then guessing whether or not good cause has yet been  
8 established for raising the contention at this late  
9 date. Merely to restate a contention, we believe, is an  
10 inadequate manner of raising a contention. It does not  
11 provide the parties any basis for preparing specifically  
12 their review or their testimony, and we believe that the  
13 contention is fatally deficient on that ground. In  
14 other words, that the contention is vague, it lacks  
15 specificity required and that it merely restates the  
16 regulation.

17           Now, if we look at Subpart (f) as well, I  
18 think that is the only subpart that does not generally  
19 paraphrase or restate the regulation. There they launch  
20 off on a whole new area as to whether or not specific  
21 measures necessary to cope with a core disruptive  
22 accident must be factored into the proposed emergency  
23 plans.

24           Such analysis is not required by Appendix E,  
25 and we believe in this area too as well as in the last

1 phrase of the introductory paragraph, we have a direct  
2 challenge to the requirements set forth by the  
3 Commission in Appendix E, and we believe that an  
4 adequate basis has not been set forth for proceeding  
5 under 2.758 challenging the regulations in that regard.

6           These concerns, coupled with those set forth  
7 by the Applicants, we believe are sufficient to warrant  
8 the rejection of this new contention at this time.

9           JUDGE MILLER: You say "at this time."  
10 Suppose that in the future an emergency plan is  
11 prepared, filed, analyzed and so forth which the  
12 Intervenors believe for certain reasons to be inadequate  
13 or insufficient? Could they have an adjudication of  
14 such matters, and if so, how and when?

15           [Counsel for NRC Staff conferring.]

16           MR. SWANSON: Yes. I think the applicable  
17 standard is if on reviewing a new piece of information  
18 there exists significant new information which they  
19 could not have previously had and used to formulate a  
20 contention, then they should at that time raise the  
21 proposed new contention or modification of one and set  
22 forth in specificity as required by 2.714 with good  
23 causes for raising that contention at that time.

24           JUDGE MILLER: Why would they have to show  
25 good cause? By good cause, I assume you mean one of the

1 factors for untimely filed contentions; is that correct?

2 MR. SWANSON: Yes. I stand corrected.

3 JUDGE MILLER: If it is within the scope,  
4 then, and not previously reasonably available, it would  
5 not be untimely, would it?

6 MR. SWANSON: It would under your  
7 hypothetical. That would, I think, satisfy the first  
8 factor of good cause.

9 JUDGE MILLER: It would satisfy all factors  
10 because it would not be untimely, and the five factors  
11 pertain to untimely or nontimely contentions, do they  
12 not?

13 MR. SWANSON: The regulations require  
14 specifically contentions to be required at a specific  
15 time which is past.

16 JUDGE MILLER: Provided that the information  
17 is available, our cases hold. That is why -- I know  
18 there is a split in the staff on this. That is why  
19 when, for example, an FES is filed which for the first  
20 time fairly reasonably raises matters that were not  
21 there heretofore required to be anticipated by  
22 intervenors or others, some Boards, at least, and  
23 probably including this one, have held that if a showing  
24 is made of either the new information, changes of  
25 circumstances or other matters, that the result is that

1 the application, the request for leave to file that  
2 contention thus triggered is not untimely. Not being  
3 untimely, you do not have the five factors, but you  
4 certainly scrutinize closely to see if the underlying  
5 factual basis is there and the availability, triggering  
6 of information and the like.

7 Now, does not the Staff accept that analysis?

8 MR. SWANSON: I think the analysis you were  
9 just describing is an analysis that can be performed for  
10 coming up with the same net result, but the fact remains  
11 that 2.714 requires filing at a time certain, which in  
12 any proceeding -- well, let's take this proceeding. It  
13 has passed. Now the same reasoning, I think, goes into  
14 your analysis as would an analysis specifically of the  
15 five factors, and the result would be the same.

16 JUDGE MILLER: I know, but I am not talking  
17 about the result now; I am talking about the method of  
18 analysis. For example, suppose there were a significant  
19 change in, departure from the plans for this particular  
20 facility, significant, substantial, announced a week  
21 from now. Surely you would not contend that Intervenor  
22 could not raise matters fairly admissible for the first  
23 time upon the change, would you?

24 MR. SWANSON: No, we would not. But I am  
25 saying that under your scenario they would have

1 satisfied the five factors for raising a contention.

2 JUDGE MILLER: Do you think that if there were  
3 a substantial, significant change in the design, which  
4 would be within the scope, therefore, of the information  
5 to be gained, which we take as a given by the Commission  
6 rules and so forth, that we would start worrying about  
7 the five factors? Do you think we would really be  
8 troubled much by that?

9 Now, the Staff has taken different positions  
10 on this question in different cases. I want the record  
11 to be fair to you in that regard, and there are two  
12 different views.

13 MR. SWANSON: I think the controlling factor  
14 is we cannot ignore the requirement under 2.714. I  
15 think the scenario you are pointing to represents a  
16 clear-cut indication where a petitioner would succeed,  
17 they would clearly have shown good cause for filing at  
18 that time and not before.

19 JUDGE MILLER: He would have been showing good  
20 cause. He would not have had available under my  
21 hypothesis a significant and substantial change made for  
22 the first time in the design of a liquid-metal fast  
23 breeder plant, Clinch River.

24 MR. SWANSON: Precisely.

25 JUDGE MILLER: Do you think we would worry

1 much about expanding the issue whether somebody else  
2 adequately represented the other factors of the five?  
3 Do you think they would be applicable as such, is what I  
4 am asking the Staff to take a position on, because if  
5 you are going to take that position, then we are going  
6 to have to make a ruling now.

7           We had thought that these matters could be  
8 left for future developments if they occurred, but if  
9 you are going to take the position now that you are  
10 going to have a timeliness and a five-factor test on  
11 matters such as emergency planning and the like, we may  
12 have to rethink our bases.

13           We do not think the staff should be too  
14 mechanical on this thing. We think in fairness to the  
15 public interest there should be a clear possibility in  
16 the event of substantial and significant changes that we  
17 do not have to parse everything and look at the five  
18 factors. If it is that clear and it is triggered by  
19 some action, whoever takes it, we think at that point  
20 that they should have the opportunity.

21           Now, if you are going to tell us that the  
22 Staff takes a different position, then we will have to  
23 factor that in to the way that we are approaching these  
24 suggested new contentions.

25           MR. SWANSON: No, all I am telling you is our

1 interpretation of the requirements of the Commission's  
2 regulations. I think in the situation that you  
3 mentioned, the Staff would probably stipulate that a  
4 contention should be admitted, and avoid the mechanistic  
5 process that you indicate.

6 JUDGE MILLER: Staff does not stipulate  
7 jurisdiction to a Board, now does it, any more than any  
8 other party. You can stipulate all you want, but it is  
9 a matter for adjudication and decision by the Board,  
10 isn't it?

11 MR. SWANSON: Very definitely. What I am  
12 saying is that rather than pressing for a point-by-point  
13 determination in the scenario that you presented, the  
14 Staff would probably stipulate that its position is that  
15 the five factors are satisfactorily accounted for by  
16 the petitioner and that its position is that the new  
17 contention should be admitted.

18 JUDGE MILLER: Mr. Edgar, we would like to  
19 hear from you on this point because it does have  
20 implications for the future.

21 MR. EDGAR: Well, I would like to consider one  
22 other element of this, and I did raise it in my  
23 argument, but I would like to emphasize it if I could.  
24 One of the things that the Board posed here was when  
25 should this issue be considered, and in our judgment

1 this issue or set of issues, however described or  
2 pleaded, are unnecessary for an LWA. This is CP on a  
3 threshold basis, and --

4 JUDGE MILLER: We recognize that position.  
5 Our question then goes further, the next step that I  
6 think you should address post-LWA.

7 MR. EDGAR: And then you go to CP.

8 JUDGE MILLER: Wherever you go, wherever you  
9 are.

10 MR. EDGAR: Understood. So what we are  
11 talking about is another phase in any event.

12 JUDGE MILLER: Yes.

13 MR. EDGAR: And we are talking about  
14 deferring. In my judgment the contention should be  
15 deferred. It should be made more specific. We have  
16 stated those objections, but the practical solution here  
17 is to defer the contention, and I might comment there  
18 that we are on an exceptionally schedule here. The  
19 Board has put everybody on notice that there is no room  
20 for movement. Everybody has got to put maximum effort  
21 into this thing to meet the Board's end date.

22 JUDGE MILLER: True.

23 MR. EDGAR: If you take that constraint, and  
24 in my mind it is a very important, practical one, then  
25 we should not be considering contentions now and

1 undertaking discovery now which can divert the resources  
2 of the parties and the Board and detract from the  
3 objective of getting to these hearings and resolving the  
4 issues.

5           I think it is in Intervenor's, the Staff and  
6 Applicant's interest alike to defer this issue until  
7 some subsequent phase. There is no point in expending  
8 anybody's resources now on a matter which is totally  
9 unnecessary to a position.

10           JUDGE MILLER: Let me inquire. First of all,  
11 the Board is not going to be in a position of drafting  
12 contentions. We have been told by the Commission we are  
13 not to do it and we are not about to do it. You know  
14 the arguments that have been made about this clause are  
15 that such plans would protect the public health and  
16 safety adequately even if they complied with  
17 requirements.

18           Is it your voluntary choice to do anything  
19 about this in this Contention 19?

20           MS. WEISS: Let me just explain that. That is  
21 intended to apply only to subsection (f). Subsection  
22 (f) provides the sole issue that goes beyond compliance  
23 with Appendix E. Our point in subsection (f) is that  
24 the emergency plan should take into account special  
25 measures that may be required in the event of CDA.

1           It is in some ways dependent on the result of  
2 the earlier contentions. In fact, it is largely  
3 dependent upon the result of the litigation of the  
4 earlier Contentions 2, 3 and 4, I think.

5           There has been an argument made that this  
6 represents a challenge to Appendix E. We have responded  
7 to that with particular reference to the documents which  
8 form the basis for the drawing of the ten-mile line, the  
9 ten-mile EPZ incorporated in Appendix E, and those are  
10 cited in the rule itself.

11           That document was a document which considered  
12 various accident sequences for light-water reactors and  
13 established a planning basis for drawing EPZs based upon  
14 solely the consideration of LWR accident sequences and  
15 the application of some judgment beyond but clearly was  
16 limited to consideration of LWR sequences.

17           Our argument would be that (f) is not a  
18 challenge to the rules because it raises issues that  
19 were explicitly not considered when the rule was  
20 adopted. That is the argument as far as that goes, and  
21 that is the only section of the contention to which that  
22 language "even if they comply with NRC requirements" is  
23 intended to go.

24           JUDGE MILLER: That is an effort as residual  
25 cleaning. Our question is -- The Staff has raised the

1 question that if you attempt to inject the element of  
2 residual impacts, that you are in effect, although not  
3 expressly doing so, challenging the regulations.

4 MS. WEISS: We believe that it is the only way  
5 in which one can challenge the regulations, that is, if  
6 one asked the Board to resolve a question that was  
7 already resolved in the rulemaking, and this question  
8 was specifically not addressed and not resolved in the  
9 rulemaking. It did not look at what the appropriate EPZ  
10 should be for breeders. So there is nothing inconsistent  
11 with the rule in asking them to consider something that  
12 was not addressed or considered in the rulemaking.

13 JUDGE MILLER: That does not quite address the  
14 matter. Even if they comply with requirements, whatever  
15 they may be at that time, which now denotes futurity,  
16 you are still alleging as a pleading matter that even if  
17 they comply with NRC requirements, that that is a basis  
18 for a challenge. That is what you are saying.

19 That troubles us. I will be frank about it.

20 MS. WEISS: Well --

21 [Counsel for Intervenor conferring.]

22 JUDGE MILLER: I think you may have a Hobson's  
23 choice. We do think that the suggestion by Mr. Edgar,  
24 Applicant's counsel, does make sense because we are on a  
25 schedule for trial in August. The Board is inclined at

1 this time to defer consideration of this Contention 19,  
2 which would then be renumbered 9, but we are either  
3 going to strike that or you are going to withdraw it, so  
4 I might just as well put the matter bluntly for the  
5 record.

6 MS. WEISS: I would prefer to have you strike  
7 it.

8 JUDGE MILLER: It is stricken. Consider it  
9 stricken. Consider that the first paragraph, then, ends  
10 with the words "are adequate to meet NRC requirements.",  
11 period, and that the remainder of that clause or those  
12 clauses are stricken. Being stricken, Contention No. 19  
13 is renumbered 9 and is deferred for consideration  
14 subsequent to the LWA evidentiary hearing and partial  
15 initial decision.

16

17

18

19

20

21

22

23

24

25

1 MS. WEISS: May I just briefly speak to that?

2 JUDGE MILLER: You may, but you are taking a  
3 chance. You ought to quit while you are ahead.

4 MS. WEISS: We do not have any problem with it  
5 being deferred if it is understood by the parties that  
6 we will have the opportunity to have discovery on it.

7 JUDGE MILLER: I am not going to bargain about  
8 it. It is deferred until then. There will be no  
9 discovery about it then unless it is tied into some  
10 other admitted contention. We want to have our record  
11 very clear, so we do not want to bargain; we do not want  
12 to have loose strings.

13 Now, if you want to confer with your  
14 colleagues, make your choice. Fine.

15 MS. WEISS: I am not asking to bargain with  
16 the Board.

17 JUDGE MILLER: Nothing is understood. It is  
18 deferred until after LWA. Period.

19 (Counsel for Intervenors conferring.)

20 MS. WEISS: I am sorry. I understood the  
21 Board to have ruled pretty clearly, so I do not have  
22 anything else.

23 JUDGE MILLER: We gave you -- in a certain  
24 limited area we gave you certain choices and wanted you  
25 to make your decision on them.

1 MS. WEISS: Then I am sorry. I do not  
2 understand what the choices were.

3 JUDGE MILLER: Well --  
4 (Board conferring.)

5 JUDGE MILLER: Okay. We will consider that  
6 the record then is clear.

7 MS. WEISS: I do not want my client to be  
8 prejudiced because of my failure to understand something  
9 that the Board was saying. Could I ask your indulgence  
10 to explain to me what the choice was?

11 JUDGE MILLER: We thought that you wanted to  
12 confer with your associates, and that is what you have  
13 been doing for the last five minutes.

14 MS. WEISS: As to what question?

15 JUDGE MILLER: You were conferring about it,  
16 in part, the original choice that the Board gave you to  
17 withdraw voluntarily the portions going into residual  
18 matters. You said you would rather the Board ruled.  
19 The Board therefore ruled by striking it and declaring  
20 the rest was deferred.

21 There was some question you raised or one of  
22 your associates raised -- Mr. Greenberg, maybe you did  
23 -- as to what you are going to do in discovery. That is  
24 where you went off into conference. Where does this  
25 leave us in discovery. And you were going to talk, and

1 then you never came back.

2           Now, there is the state of the record as my  
3 memory gives it to you.

4           MS. WEISS: I see.

5           JUDGE MILLER: Okay. ,

6           MS. WEISS: Well, we just would want to make  
7 the point to the Board that the effect of the ruling is  
8 to preclude us from discovery on this issue, and we  
9 believe that that puts us in something of a Catch-22  
10 situation, because that would be the way that we would  
11 develop the information that would enable us to present  
12 a contention with some greater specificity.

13           The reason why we cannot now is because there  
14 was no emergency plan. So far as I know there is none  
15 yet. But beyond making a plea to the Board that you  
16 allow us to have this contention in for the purposes of  
17 discovery. I have nothing more to add.

18           JUDGE MILLER: Maybe you misunderstood what we  
19 said about discovery. We said we are deferring it until  
20 after the evidentiary hearing and after the partial  
21 initial decision made on LWA. During that deferred  
22 period we do not intend to hear discovery or anything  
23 else pertaining to it unless it relates to some other  
24 admitted contention we have not had time to go through.  
25 It might be, but it sure will not be on the basis of

1 this Contention 19, now 9.

2 Now, what happens after that depends, I  
3 suppose, on many things.

4 MS. WEISS: We would have to --

5 JUDGE MILLER: The events, so on and so  
6 forth. So --

7 MS. WEISS: We would have to come back before  
8 the Board and make a request to have the contention  
9 admitted after the LWA stage.

10 JUDGE MILLER: The posture of it now is that  
11 it is deferred for consideration. Presumably anybody  
12 could make a motion to bring it to the Board's attention  
13 after the barrier of the time deferral or suspension.

14 Now, since in part you are seeking to  
15 challenge a plan that has not yet been devised, if I  
16 understand you, or at any rate circulated and so forth,  
17 it does seem that you might be a little premature in  
18 that sense. How do you know what is wrong with a plan  
19 you have never seen and neither has anybody else in that  
20 sense now?

21 MS. WEISS: Well, there is a threshold LWA  
22 question.

23 JUDGE MILLER: Yes.

24 MS. WEISS: On evacuability. Now, the  
25 licensee is going to have to come forward and make some

1 showing on that which it has not yet done.

2 JUDGE MILLER: We assume whatever issues are  
3 necessary will be covered. Let us put it that way. I  
4 think that issue is a very narrow one. This is not an  
5 island where you can practically without argument on the  
6 facts say thus and so, and it is either or is not  
7 totally incapable of some type of evacuation. But short  
8 of that I do not know how far we are going to get into --

9 MS. WEISS: It is certainly a much narrower  
10 question than compliance with the full requirements of  
11 Appendix E. But your obligation was to come forward  
12 with our contentions today.

13 JUDGE MILLER: You came forward. You have one  
14 deferred. Now, I suggested to you a while ago that if  
15 you want to keep drilling away on this, you are tempting  
16 the Board very sorely to strike the whole thing; and  
17 that is then when you start conferring again, and I do  
18 not hear from you for ten minutes.

19 MS. WEISS: You will not hear from me any more  
20 today on this contention I promise you, Mr. Chairman.

21 JUDGE MILLER: Okay. It is then deferred  
22 until after the LWA partial initial decision.

23 Now we come to originally designated  
24 Contention 20, CRBR accidents beyond the design basis.  
25 It is objected by both applicants and the staff.

1 Do applicants wish to go first?

2 MR. EDGAR: Yes. We have two basic points to  
3 make here. Our arguments are set forth at pages 30 all  
4 the way up through 35 of our March 19 filing; but let me  
5 draw the Board's attention to page 36 of NRDC's revised  
6 basis dated March 5th.

7 JUDGE MILLER: Page 36?

8 MR. EDGAR: Page 36. The discussion begins on  
9 page -- the bottom of page 35 and carries over to the  
10 top of page 36. It relates this discussion -- it  
11 provides the intervenors' basis for the admission of  
12 Contention 20. And the significant thing here is on  
13 page 36, and NRDC concedes the following: "While  
14 arguably this contention might have been asserted in  
15 1977" --

16 JUDGE MILLER: You are fading on us.

17 MR. EDGAR: NRDC states the following: "While  
18 arguably this contention might have been asserted in  
19 1977, it was intervenors' position, never ruled upon by  
20 the Board, that the FES was inadequate and should have  
21 been recirculated prior to the hearing."

22 Now, Mr. Chairman, that NRDC position was  
23 related to the question of national sites; in  
24 particular, NRDC's motion alleged that the DES for  
25 Clinch River did not give sufficient notice of issues as

1 to national sitings.

2           That FES recirculation argument is now being  
3 advanced to support the late filing of a contention that  
4 has to do with design features under accident  
5 conditions. The question of national sites and the  
6 question of design features under accident conditions  
7 are poles apart and indeed totally unrelated.

8           We submit, Your Honor, that the basis for  
9 NRDC's submission of the contention simply is irrelevant.

10           Now, another point that NRDC makes that is  
11 worthy of mention, and that is if one examines the  
12 discussion on page 28 of their response to our  
13 objection, we find the discussion concerning the  
14 Commission's so-called Class 9 accident policy statement  
15 in regard to environmental statements. And NRDC  
16 indicates that the policy statement is new information  
17 that gives rise to the basis for admitting the  
18 contention.

19           Now, we think this severely begs the  
20 question. It has been no secret since the inception of  
21 these proceedings, and particularly no secret to NRDC,  
22 that the role of the hypothetical core disruptive  
23 accident, indeed the Class 9 accident, has been an issue  
24 in the review process with the NRC staff.

25           Both the DES and the FES clearly raise the

1 Class 9 accident issue. This was on the table. Just  
2 look at NRDC's original Contentions 2, 3 and 4 and see  
3 whether they knew that there was a question of whether  
4 there was a Class 9 accident issue here.

5           We think NRDC has simply come up with a late  
6 thought for a totally irrelevant reason; and that is,  
7 the Class 9 policy statement has nothing to do with it.  
8 They had adequate notice as to why this contention might  
9 have been raised earlier.

10           Now, there is a final point here that we think  
11 goes again to the question of the Board's schedule and  
12 to the question of practical management of this hearing  
13 process. If the Board examines original Contentions 2,  
14 3 and 4, which are now Contentions 1, 2 and 3 under the  
15 admitted numbering system, you will see that 20 is  
16 really subsumed or covered by 2, 3 and 4. To the extent  
17 that it is necessary to consider accident issues in  
18 connection with the LWA, Contentions 2, 3 and 4 cover  
19 it. And it is totally unnecessary to consider the scope  
20 of Contention 20 in these proceedings.

21           Thus, we believe that for the reason that NRDC  
22 had adequate notice to raise the contention, and for the  
23 second reason that the contention is unnecessary to the  
24 Board's decision here, it should not be admitted.

25           JUDGE MILLER: It was our memory that Class 9

1 accidents were included in the scope of the contentions  
2 in this fast breeder reactor case five years ago. Has  
3 there been some change in the position taken by the  
4 intervenors? We thought that it had been asserted that  
5 it was recognized by both the parties and the Board at  
6 that time to be an issue.

7 MS. WEISS: Yes.

8 JUDGE MILLER: Class 9.

9 MS. WEISS: This contention goes directly to  
10 the analysis of Class 9 accidents in the impact  
11 statement, which is a precise analysis of risks and  
12 consequences. So it could not have been raised until  
13 the FES came out in February 1977.

14 Now, it is our view that this is not an  
15 untimely contention. The first time it could have been  
16 raised was February 1977. Sure, the question of whether  
17 the design basis was properly drawn and whether CDAs  
18 ought to be in the design basis, those were all  
19 questions that arise on the safety side from the FAR.  
20 But the NEPA analysis of risks and consequences cannot  
21 be challenged until the document appears which purports  
22 to satisfy the requirements for making that analysis.  
23 That was not until February '77.

24 We urge the Board to look at the practical  
25 considerations of what was going on at that time.

1 (Board conferring.)

2 JUDGE MILLER: We will hear from the staff.

3 MR. SWANSON: Yes. I think -- we are trying  
4 to look up the date here, but the staff wants to clarify  
5 one point. Analysis of Class 9 accidents was not for  
6 the first time raised in the FES. It was considered in  
7 the draft environmental statement.

8 JUDGE MILLER: On page 33 -- wait a minute.  
9 That is the applicants'. I am sorry. The point,  
10 however, is raised that not only the FES but the DES in  
11 sections are cited at page 33 of the applicants'  
12 response to the revised statements.

13 Are those the passages that the staff is now  
14 referring to?

15 MR. SWANSON: Yes. The second point is that  
16 to the extent they are concerned about Class 9 accidents  
17 and consequences in terms of environmental issues, as  
18 the Board admitted, old Contention 3 -- I guess it is  
19 still Contention 3 -- that is the very term, analyses of  
20 CDAs and the consequences.

21 JUDGE MILLER: Old 3 is now 2.

22 MR. SWANSON: Two. Excuse me, excuse me.

23 JUDGE MILLER: I just want to keep these  
24 numbers straight for the transcript when we go back  
25 through them. The old 3 is renumbered 2.

1           MR. SWANSON: I am sorry. Old 3, now number  
2 2, deals specifically with the analyses of CDAs and the  
3 consequences. The analysis by the Applicants and staff  
4 are inadequate for purposes of licensing the CRBR  
5 performing the NEPA cost-benefit analysis. So I thi  
6 we already have that issue in. It is simply not a new  
7 matter that was raised for the first time in the FES.

8           I just want to raise one further point which  
9 we did mention in our response, and that is related to  
10 Contention 20(a). And that is the assertion that even  
11 if we were to assume at the time the FES came out in  
12 February that that was inadequate time or that the  
13 climate was such that they were not bound to raise the  
14 contention at that time.

15           Even if that argument were to prevail, the  
16 intervenors have referenced a document yesterday in  
17 connection with their argument about former Contention  
18 2, now Contention 1, which we also reference in our  
19 response on page 26, that being the May 6, 1976 letter  
20 from Mr. Denise of the staff to Mr. Caffey of DOE.

21           That document set for the additional design  
22 requirements that would reduce, in the staff's view, the  
23 likelihood of accidents to an acceptable level. That  
24 document was, as the intervenors pointed out yesterday,  
25 attached to the FES; but at the time that letter was

1 sent out a copy was also sent to Dr. Cochran of NRDC and  
2 was in fact the subject of extensive discovery by the  
3 NRDC in their eleventh set of interrogatories to the  
4 staff. This was no new bit of information that popped  
5 up for the first time in February of '77 or for which  
6 any argument, credible argument could be made now that  
7 it is new information to be raised for the first time  
8 now.

9           The staff had set forth its position before.  
10 It could have been challenged soon after the May 6, '76  
11 letter was sent out. The FES just merely indicated that  
12 the staff had previously described additional design  
13 requirements which would reduce the likelihood of  
14 accidents to an acceptable level. It did not raise any  
15 new items.

16           The staff position simply is that the  
17 intervenors had been put on notice as early as May 6,  
18 '76 that this -- what the staff's position was; and we  
19 think that it is extremely untimely for them at this  
20 time to come forward with a contention on this matter.  
21 So we think that additional factor weighs quite heavily  
22 in favor of throwing that out as part of the contention.

23           JUDGE LINENBERGER: Mr. Swanson, did the staff  
24 respond to that eleventh set of interrogatories?

25           MR. SWANSON: Yes, we did. We can give you

1 the specifics.

2 JUDGE LINENBERGER: That is all right. I can  
3 accept that. I just wondered if that was a matter that  
4 was hanging.

5 MR. SWANSON: Yes, we did.

6 JUDGE LINENBERGER: Thank you.

7 MR. SWANSON: We responded in January '77.

8 JUDGE MILLER: January 1977?

9 MR. SWANSON: Yes.

10 JUDGE MILLER: Anything further from staff?

11 MR. SWANSON: No.

12 JUDGE MILLER: Very well.

13 Intervenors.

14 MS. WEISS: Well, this is the first time that  
15 the staff has put forward the argument that this  
16 contention would not have been timely even if raised in  
17 February of March of 1977.

18 Now, they seem to be claiming that in order to  
19 preserve an issue challenging the FES, one has to  
20 challenge it at the draft stage. Our forum for raising  
21 issues about --

22 JUDGE MILLER: Draft stage of a final  
23 environmental --

24 MS. WEISS: That is what the staff said to  
25 you, that this issue was clearly raised in the DES, and

1 we had to raise it -- bring the contention to the Board  
2 at that time.

3 JUDGE MILLER: What the staff said was on May  
4 6, 1976, Appendix I of the staff's FES contained a copy  
5 of the letter from Mr. Denise and so forth, which is  
6 described by the staff.

7 MS. WEISS: The Denise letter is attached to  
8 the February '77 FES.

9 JUDGE MILLER: The letter -- let's see, yes,  
10 yes. I think you are right.

11 MS. WEISS: It was written earlier.

12 JUDGE MILLER: That was the date of the  
13 letter. It was included as Appendix I to the staff's  
14 FES which was filed either January, as you said, or you  
15 are telling me now February '77, is that right?

16 MS. WEISS: And we were aware that that was  
17 their guidelines, those were the guidelines that they  
18 were using at that point. However, our forum for  
19 challenging the DES first of all is the comments to the  
20 DES.

21 JUDGE MILLER: Pardon me?

22 MS. WEISS: Our forum for challenging the DES  
23 is first of all our comments to the DES.

24 JUDGE MILLER: Did you make the comments along  
25 these lines?

1 MS. WEISS: Yes.

2 JUDGE MILLER: How were they handled by the  
3 staff then?

4 MS. WEISS: They wrote the FES which --

5 JUDGE MILLER: Normally the staff refers to  
6 comments, I believe. Maybe we can find it. Several of  
7 you have the document.

8 (Counsel for intervenors conferring.)

9 MR. SWANSON: We are still looking to see  
10 whether or not there is a specific reference. It is  
11 quite clear that they provided comments. We considered  
12 them, and it was factored into our response.

13 Now, as we indicated on page 26 of our  
14 response, on page 7-11 we indicated that previously  
15 described features and requirements, the incorporation  
16 of these features and requirements would make the  
17 accident risk acceptably low. And, of course, attached  
18 to the FES was in fact the letter which spelled out the  
19 specifics of the staff's position.

20 JUDGE MILLER: This is the Denise letter?

21 MR. SWANSON: It does not mention the Denise  
22 letter at that time. The Denise letter was, as  
23 previously mentioned, was an attachment.

24 JUDGE MILLER: What was it that spelled out  
25 the staff's position?

1 MR. SWANSON: It was the Denise letter.

2 JUDGE MILLER: Oh, okay.

3 MR. SWANSON: A copy of which I indicated was  
4 sent to NRDC at the time it was written.

5 JUDGE MILLER: One thing that the Board is  
6 curious about is why the merits of your apprehensions  
7 are not adequately covered and pleaded as issue matters  
8 in revised Contentions 1, 2 and 3.

9 MS. WEISS: If the Board -- we have been  
10 rifling around trying to find our comments and their  
11 responses. If the Board would not mind, I would like to  
12 address that first and then talk about indeed whether it  
13 is subsumed.

14 The essence of our contention -- I feel I have  
15 to backtrack because it has been obfuscated somewhat --  
16 is that the conclusion in the FES that accident risks  
17 can be made acceptably low with the incorporation of  
18 certain unspecified design features without describing  
19 those design features and requirements as insufficient  
20 to provide justification for the conclusion that the  
21 risks will be as low as stated, now we raised --  
22 therefore, it is generally raising a question of  
23 uncertainty that your analysis, your data, your  
24 justification does not provide enough reason for us to  
25 reach the conclusion -- for us to accept your conclusion

1 that the risks can be made acceptably low.

2           We first raised that in our comments which are  
3 reproduced in the FES beginning at page A-48. And if  
4 you look at page A-56 and A-57, we raise the claim that  
5 the staff has not identified the structures, systems or  
6 components which will assure that the risk is as the FES  
7 or the DES claimed.

8           The NRC responds to that point on page 11-27,  
9 11-28 of the FES, and it says to us on page 11-28  
10 because the facility has significant developmental  
11 aspects, the DES discussion necessarily was less firm  
12 regarding the specific event consequences and risks.  
13 However, in an attempt to assure the discussion was  
14 complete --

15           JUDGE MILLER: I did not follow that. I  
16 cannot hear.

17           MS. WEISS: That part is really --

18           JUDGE MILLER: Are you deleting it? What are  
19 we doing?

20           MS. WEISS: It is not necessary. I think the  
21 important point is the concession that the DES statement  
22 was not firm.

23           JUDGE MILLER: What happens to that point?  
24 Just it just dangle off into uncertainty or disappear or  
25 what? I mean they are discussing it now in the FES. Is

1 there any further pursuit of the matter? Does it just  
2 die?

3 MS. WEISS: It appears in Section 7.1.3, 7.1.4  
4 of the FES on pages 7-10 and 7-11. And the pertinent  
5 conclusion that we are challenging appears in the  
6 section entitled 7.1.4.

7 JUDGE MILLER: What page?

8 MS. WEISS: Page 7-11.

9 JUDGE MILLER: Thank you.

10 MS. WEISS: Under the heading "Accident  
11 Conclusions," the design information and evaluations  
12 available at this time have been reviewed. Based on  
13 this review our conclusion is that the accident risks  
14 can be made acceptably low with the incorporation of the  
15 features and requirements in the design as discussed  
16 above.

17 That conclusion is not ripe, it seems to me,  
18 until you have a licensing document. You do not have a  
19 licensing document until you have an FES, and that is  
20 the point at which one ought to have the opportunity to  
21 challenge it, when it is the final conclusion, which it  
22 is not until you have an FES by definition.

23 Had we challenged at the DES stage, their  
24 response would have been that is still under review. So  
25 we exhausted the remedies available to us at the DES

1 stage by making the comments which raised that precise  
2 question. And I think that we are entitled now to  
3 challenge the final conclusion of the FES.

4 JUDGE MILLER: Who wishes to respond?

5 MR. EDGAR: Mr. Chairman, we have very little  
6 to add here. We simply note that this whole set of  
7 issues under Contention 20 were clearly a matter of  
8 widespread knowledge to all parties very early on. The  
9 DES raises the Class 9 point. The Denise letter was a  
10 working document.

11 JUDGE MILLER: The issue argued now by Ms.  
12 Weiss is it was premature to raise the question until  
13 the FES was filed. How do you answer that?

14 MR. EDGAR: That is just not so. If you have  
15 notice of information, you should come forward. There  
16 was no, at least to my knowledge, nothing that militates  
17 in that direction.

18 JUDGE MILLER: Except you do not know what the  
19 FES is going to say. If you speculate about it, then  
20 you are charged with being premature, imprecise and all  
21 the rest of it.

22 MR. EDGAR: It is not a question of being  
23 premature or speculative on the question of whether this  
24 facility would be the subject of a review on severe  
25 accidents and that the design basis issues would be

1 contested. This has been known since day one. And I  
2 reiterate my point, and I do not think the Board has an  
3 answer to this, at least thus far, that Contentions 1, 2  
4 and 3 adequately cover this point. There is no need for  
5 a new contention.

6 JUDGE MILLER: We asked to have a response to  
7 that, and the intervenors wished to give us the product  
8 of their search of the record which we had asked for.  
9 So now I suppose it would be timely and appropriate, Ms.  
10 Weiss, for you to tell us why in your judgment admitted  
11 Contentions 1, 2 and 3 do not permit you to raise the  
12 issues set forth in your proposed Contention 20.

13 (Counsel for intervenors conferring.)

14 JUDGE MILLER: It appears to the Board that  
15 the issues which you are concerned about could be  
16 covered by the pleadings denominated in Contentions 1, 2  
17 and 3. If they can, there is no sense spending a lot  
18 more time on this one.

19 MS. WEISS: I think that they could be, Mr.  
20 Chairman, but what we would like in the interest of  
21 making it clear, what we are intending to raise --

22 JUDGE MILLER: You are making it pretty  
23 clear. There is a record. There is a transcript.  
24 Nobody is going to be in any doubt what you want to  
25 raise if they are cognizable under 1, 2 and/or 3.

1           You have your pleading. You have alerted  
2 everybody. We spent some considerable time on this. We  
3 doubt if any more is justified, and we doubt if this  
4 contention is therefore necessary. But if you wish to  
5 present some additional reasons besides what has been  
6 covered by yourself and other parties, you are welcome  
7 to do so.

8           Somehow we cannot get a clearcut commitment  
9 that the issue is cognizable under 1, 2 and 3. We got a  
10 lot of circumlocution. So let's get right down to it.  
11 Is it or is it not, and if not, why not?

12           MS. WEISS: Well, I think our problem is the  
13 contention was written before -- contention which is now  
14 number 2 was written before the FES, and so it was not --

15           JUDGE MILLER: That may be, but a contention  
16 has a life of its own; it goes on. And if you raise  
17 successfully an issue, you still have your issue. You  
18 are not pleading evidence now. You are not required  
19 to. You are going to have to answer some  
20 interrogatories, I am sure. But if it is a valid  
21 contention and it is admitted, why do you need the  
22 frosting on the cake? You have a lot of other problems.

23           (Counsel for intervenors conferring.)

24           MS. WEISS: The only clarification that we  
25 would seek is as a result of some comments that I made

1 in response to questions from Mr. Linenberger yesterday  
2 about the relationship between Contention 1 and  
3 Contention 2, contentions that are now numbered thus.

4 JUDGE MILLER: What do you want to do,  
5 withdraw whatever it was you said to Judge Linenberger?

6 MS. WEISS: So nobody will be confused I just  
7 want -- if it is clear that we are raising these NEPA  
8 issues, these issues under what is now numbered  
9 Contention 2, the consequence of that would be that even  
10 if we do not prevail on Contention 1, Contention 2 would  
11 have some live aspects. That is the only correction  
12 that I would want to make to that, because NEPA requires  
13 an analysis of Class 9 accidents whether -- which are  
14 not in the design basis.

15 JUDGE MILLER: All right. You made your  
16 point. I do not think you have any vulnerability on  
17 that. You will stand or fall on what the contentions  
18 are as well as what the NEPA or safety considerations  
19 are, but you are not being foreclosed in any way.

20 MS. WEISS: Given the discussion that we have  
21 had today, we would propose then to withdraw Contention  
22 20 and to raise those issues under Contention 2.

23 JUDGE MILLER: All right. The record will  
24 show that Contention No. 20 in the revised statement is  
25 withdrawn, and the transcript will reveal whatever the

1 discussion has been.

2           We will now come to previously numbered  
3 Contention 21. Do applicants wish to go first on that?

4           MR. EDGAR: Yes. The basic thrust of  
5 Contention 21 is that applicants' proposed system for  
6 classifying, categorizing postulated design basis  
7 accidents as described in the PSAR, Table 15.1.2-1 is  
8 arbitrary and, by implication, inadequate.

9           The first point of information we would note  
10 is that the applicants' classification system has not  
11 changed in any material respect or significant respect  
12 since 1976. More significantly, we believe that in  
13 regard to this contention there is no showing of  
14 information, and we note that the intervenors raised  
15 some questions of some British steam generators and some  
16 LWR steam generators, but there is no showing of nexus  
17 there that, a) the information is relevant to Clinch  
18 River, and b) material to an admitted contention.  
19 Likewise, there is no showing that the information is of  
20 recent vintage. But --

21           JUDGE MILLER: In what respect is there  
22 duplication with Contentions 2 and 4?

23           MR. EDGAR: I am getting to that, and we think  
24 that 2, 3 and 4 adequately cover the issues that need to  
25 be addressed at the LWA. If there is some very detailed

1 questions of -- fine questions of accident analysis can  
2 easily be deferred to the CP. I mean this is --

3 JUDGE MILLER: Hold it a minute. You said 2,  
4 3 and 4, which is what you have --

5 MR. EDGAR: I am sorry, Mr. Chairman.

6 JUDGE MILLER: I want the record to show that  
7 you are now referring to the newly numbered 1, 2 and 3,  
8 correct?

9 MR. EDGAR: That is correct. I misspoke  
10 myself. When I used 2, 3 and 4 in this context I meant  
11 the newly renumbered 1, 2 and 3. But more  
12 significantly, we think that, a) the contention can be  
13 handled by 2, 3 and 4, but more significantly, the  
14 contention can be deferred until the CP.

15

16

17

18

19

20

21

22

23

24

25

1 JUDGE MILLER: Staff?

2 MR. SWANSON: We really do not have much to  
3 add to that. I think the discussions previously  
4 discussed by the Applicants and as we set forth in our  
5 pleading address the question.

6 He referenced a table in that Contention that  
7 has totally inconsequential changes in it. It just does  
8 not exist, good cause -- in other words, new information  
9 -- to justify the filing of this Contention at this time.

10 JUDGE MILLER: Do you consider that the  
11 substance of this Contention is covered by existing  
12 newly-numbered Contentions, 1, 2, and 3, as the  
13 Applicants believe?

14 MR. SWANSON: Yes. It certainly could be.

15 JUDGE MILLER: Do you think it is?

16 MR. SWANSON: Yes.

17 JUDGE MILLER: Not just arguably. I would  
18 like to have a statement of position.

19 MR. SWANSON: Yes.

20 JUDGE MILLER: All right. We will hear from  
21 Intervenor.

22 JUDGE LINENBERGER: Excuse me.

23 JUDGE MILLER: I am sorry. I did not mean to  
24 --

25 JUDGE LINENBERGER: Before Intervenor speak

1 here, I would like them to include in whatever they have  
2 to say something in response to a situation that is  
3 bothering me.

4           The Contention addresses the adequacy of this  
5 table 15.1.2-1 of the PSAR -- adequacy for the purposes  
6 of protecting radiological health and safety. My own  
7 perusal of that table leads me to believe that the table  
8 really is not intended to offer any sort of specific  
9 guidance on protection of the public. It is a  
10 categorizing or classifying of various kinds of events,  
11 and I do not see anything in the PSAR that indicates it  
12 is offered for any other purpose.

13           Therefore, to beat that table on the head  
14 because it does not protect the health and safety of the  
15 public just raises a question in my mind. So if you  
16 could address that along with whatever else you have to  
17 say here on this Contention, the Board would appreciate  
18 it.

19           MS. WEISS: Well, you are right, of course,  
20 Judge Linenberger, and we do not intend to challenge the  
21 table. What we meant by the Contention, and I can only  
22 conclude that is was awkwardly worded because it seems  
23 to have touched off misunderstandings on all sides, we  
24 are challenging the system which is described in the  
25 table, and that system is for classifying and

1 categorizing events within the design basis.

2           That is what makes this Contention different  
3 from those which challenge the design basis. This takes  
4 the design basis essentially as you find it and what it  
5 attempts to question instead is a system of categorizing  
6 faults as likely, unlikely or extremely unlikely, and  
7 that is described in the table 15.1.2-1 and also table  
8 15.1.2-2, which we attached to our response.

9           There is a relationship between the  
10 categorization of an event and the acceptance criteria.  
11 Acceptance criteria flow from your categorization as --

12           JUDGE MILLER: Let me interrupt you for a  
13 moment. It has been contended in here also that the  
14 revised, revised Contentions 1, 2, and 3 do sufficiently  
15 plead the matter which is the substance of what you are  
16 attempting. What is your position on that?

17           MS. WEISS: Well, we intend -- we do not see  
18 that it does. We are not challenging the design basis  
19 and we are not going into DCAs or accidents beyond the  
20 design basis.

21           JUDGE MILLER: What are you challenging?

22           MS. WEISS: The method of setting the design  
23 criteria based on the classification of events within  
24 the design basis. We take the design basis as given and  
25 then the question is --

1 (Counsel for Intervenor conferring.)

2 MS. WEISS: There is a system for classifying  
3 potential events as likely, unlikely, or extremely  
4 unlikely. Consequences flow from that with respect to  
5 the acceptance criteria, and the new information does  
6 not have to do with the system which has always been  
7 proposed -- the Staff has not yet accepted it, by the  
8 way -- but with the categorization of, for example,  
9 problems that would result from steam generator failures.

10 JUDGE MILLER: I am having trouble following  
11 you in the sense of what difference does it make? I am  
12 interposing the demur since we are discussing  
13 pleadings. So what -- a legal so-what?

14 MR. COCHRAN: It makes no difference to me  
15 whether we argue it under a Contention called 1 or a  
16 Contention called 22.

17 JUDGE MILLER: Could it be argued by 1, 2, or  
18 3?

19 MR. COCHRAN: Yes, as long as we are  
20 preserving -- everybody understands --

21 JUDGE MILLER: That is what they are all  
22 telling the Board. The Board understands the matter  
23 itself. The substantive matter is cognizable under  
24 Contentions 1, 2, and 3. If that be so, we would like  
25 to get to the end of the pleading matters.

1           MR. COCHRAN: I just hope that the Staff and  
2 the Applicant do not come back and say we are  
3 overreaching that because now we are going into these  
4 matters.

5           MR. EDGAR: I think there is a point that the  
6 Board should focus on here, and that is remember that as  
7 the Contention is worded, the last part of it says: For  
8 purposes of protecting radiological health and safety.  
9 Secondly, that we are talking about accidents within the  
10 design basis and acceptance criteria therefor, and thus  
11 we are talking about the fine grid of safety analysis  
12 here within the ambit of this Contention.

13           In our judgment, most of this Contention, the  
14 broad of scope of inquiry within this Contention, should  
15 be deferred to the CP. There are elements of this --

16           JUDGE MILLER: We are talking about whether or  
17 not it is reasonably within 1, 2, and 3 and, if not,  
18 what are the limiting factors.

19           MR. EDGAR: That is what I am trying to get  
20 at. I am saying 1, 2, and 3 get at the outer limits of  
21 the design basis. I mean, if you have done your job on  
22 1, 2, and 3, then the other accidents within this design  
23 basis should not be a problem.

24           In other words, you have bounded their  
25 consequences and you have examined their effects and

1 thus there is some interplay here that you have to take  
2 a look at where you are drawing lines. But I think a  
3 lot of this, you know, most of this inquiry is properly  
4 in what I call the hard core safety review issues.

5           Maybe the NRC Staff has some comment on that,  
6 but I just want to make sure that that is reflected.

7           JUDGE MILLER: The more I listen to you the  
8 less harmony I seem to get. You told me it was  
9 cognizable under 1, 2, and 3. The Staff agreed. We had  
10 some discussion and finally the Intervenor say all  
11 right, if it is reasonably encompassed there we are not  
12 insistent on setting it forth in this form.

13           I do not expect you to start backing away from  
14 it.

15           MR. EDGAR: I do not want to confuse things,  
16 Mr. Chairman.

17           JUDGE MILLER: I am sure you don't. So  
18 unconfuse me now. Why doesn't this in all reasonable  
19 aspects --

20           MR. EDGAR: It is encompassed.

21           JUDGE MILLER: Raised under 1, 2, and 3?

22           MR. EDGAR: It is. It is.

23           JUDGE MILLER: All right. In that event, why  
24 what is your pleasure, Ms. Weiss?

25           MS. WEISS: Based upon the discussion that has

1 preceded, we would propose to withdraw the Contention  
2 that is numbered 21 in the revised statement of  
3 Contentions and bases of Intervenor NRDC and Sierra  
4 Club and litigate those issues under previously admitted  
5 Contentions.

6 JUDGE MILLER: One, 2, and 3?

7 MS. WEISS: Yes.

8 JUDGE MILLER: Leave is granted. We will now  
9 come to Contention 22, renumbered Contention 10.

10 We are having an awful lot of trouble with  
11 poor little orphan Contention 10. It keeps going page  
12 after page and never gets to light anywhere. Let's try  
13 this one, number 22.

14 (Laughter.)

15 JUDGE MILLER: Applicants, do you want to go  
16 first?

17 MR. EDGAR: Mr. Chairman, we have briefed this  
18 at some great length in our March 19 filing at pages 37  
19 through 40, covered the point. The essential issue here  
20 is whether the ALARA concept should apply to the  
21 accident case and whether this is simply an extension of  
22 the old Contention 8. When I say "old" I mean the  
23 originally admitted, so-called ALARB contention.

24 In a word, we think as a matter of law that  
25 the ALARA concept has specific meaning within the NRC

1 regulations. It does not apply to accidents.

2 Furthermore, we do not believe that there is good cause  
3 for a late filing even if that were not the case.

4 But we feel that that issue is straightforward  
5 here. It has been adequately briefed that ALARA, as  
6 advanced by the Intervenor, is just as a matter of law  
7 incorrect.

8 JUDGE MILLER: The Staff takes, in part at  
9 least, the same position, doesn't it?

10 MR. SWANSON: Entirely the same position. As  
11 we briefed the issue on pages 30 and 31, we think very  
12 clearly as a matter of law ALARA does not apply to  
13 accident considerations. We think the Intervenor's  
14 argument raised on page 33 that the reason a specific  
15 reference to accidents did not appear in the Contention  
16 was a miscommunication.

17 It is hardly a justification for raising it  
18 now, but even if it were raised back then the argument  
19 would have been the same. As a matter of law it would  
20 be an impermissible Contention. It would be a  
21 challenge, we believe, to the Commission's regulations  
22 and should not be admitted at this time either.

23 JUDGE MILLER: We have read your statements  
24 and some of the cases cited. We must say that we are  
25 almost persuaded it is, as a matter of law, a

1 misapplication of ALARA regulation principles.

2           However, you are entitled to be heard on your  
3 Contention why it is not, why ALARA is applicable not to  
4 normal operations but to accidents of this type.

5           MS. WEISS: Essentially our position is that  
6 the fact that ALARA is not explicitly -- an ALARA  
7 analysis is not explicitly required for an accident  
8 situation and has not been performed in prior licensing  
9 by NRC for accident situations does not mean that the  
10 rules preclude its application to an accident situation.

11           The only mention of ALARA is in Part 20. That  
12 goes, of course, to exposures from routine releases. We  
13 are not challenging Part 20. We are seeking to have the  
14 Board apply what we believe is the appropriate meaning  
15 of ALARA as it has been developed by the national and  
16 international standard-setting organizations to the  
17 accident analysis.

18           (Board conferring.)

19           JUDGE MILLER: The Board is of the belief that  
20 at this time -- and, of course, the Commission is  
21 studying these matters and may come down with something  
22 in the future -- as of this time we just do not believe  
23 that the ALARA regulations do apply to accidents in that  
24 sense and do apply during normal reactor operations.

25           Now if at some time the Commission makes a

1 change, of course, you will be entitled to raise the  
2 question then because it will then for the first time as  
3 we are ruling become applicable. But our ruling is that  
4 at the present time the Board feels it is bound by the  
5 existing regulations and that the ALARA principles do  
6 not apply in the manner sought to be established by  
7 Intervenor.

8           Consequently, previously-numbered 22 will not  
9 be permitted to be filed as a cognizable issue. We  
10 will, therefore, now go to 23, which may or may not  
11 become number 10.

12           (Laughter.)

13           Applicants.

14           MR. EDGAR: I would like to call the Board's  
15 attention in this connection to some very specific  
16 things in NRDC's filing and our own.

17           First, our filing of March 19 addresses our  
18 position on the Contention at pages 41 through 42, but  
19 let us look at NRDC's response at page 41, which happens  
20 to be fortuitous.

21           In connection with page 41, if you read the  
22 explanation of the question you see that the thrust of  
23 the Contention and what they are seeking to get at here  
24 is related to and flows from the UCS petition for  
25 emergency and remedial action on equipment qualification.

1           In particular, the two enumerated paragraphs  
2 at the bottom of page 41 indicate that Intervenor's are  
3 seeking to challenge NRC's standards for reviewing  
4 environmental qualification and the lack of  
5 documentation of qualification throughout the industry.

6           Reading over to page 42, there is another  
7 interesting presumption or perspective on this problem  
8 in the very last paragraph. And NRDC says they would  
9 like to have discovery here to develop further  
10 specificity and, indeed, they say NRDC must first  
11 receive the documentation of prototype test results and  
12 analyses of CRBR safety equipment in order to determine  
13 the extent to which the equipment meets GDC-4.

14           What we are dealing with here is the safety or  
15 normally the CP issue associated with equipment  
16 qualification. Indeed, the last cited portion on page  
17 42, when you are talking about prototype test results  
18 and analyses you are talking about operating license  
19 data, specific equipment qualification results on  
20 specific equipment.

21           We would submit to the Board that NRDC's  
22 answer itself makes it abundantly clear that this issue  
23 has no place in the context of an LWA proceeding, that  
24 in fact the sensible approach here would be to defer the  
25 issue. There is no need for discovery, particularly

1 when we are dealing, as here, with a very tight  
2 schedule. There is not need to take any effort and to  
3 consume the resources of the parties when the matter at  
4 issue is unnecessary to a decision on the LWA.

5 JUDGE MILLER: Staff?

6 MR. SWANSON: We agree with that analysis of  
7 the Intervenor's basis, proposed basis for the  
8 Contention.

9 JUDGE MILLER: You agree it should be deferred?

10 MR. SWANSON: That is correct.

11 JUDGE MILLER: All right. If you all agree to  
12 defer it I am going to defer it.

13 MS. WEISS: We would agree to defer it, Mr.  
14 Chairman. I just would not like my absence to answer  
15 any further to indicate that I agree with what was  
16 said. The Contention was misrepresented, but we would  
17 agree to defer it.

18 JUDGE MILLER: All right. In that event,  
19 then, Contention 23, which is now renumbered revised  
20 Contention 10, is deferred until after the limited work  
21 authorization evidentiary hearing and partial initial  
22 decision.

23 By the way, we probably have some other  
24 Contentions in there which may well be safety matters.  
25 We have not yet addressed the point of which ones are

1 appropriate for continued discovery and consideration at  
2 the LWA. The Applicants have listed some. The Board  
3 has some in mind. We will go over that when we finish  
4 the Contentions, which we hope to be soon.

5 MR. EDGAR: Our discovery motions get to that.

6 JUDGE MILLER: Now we are going to the last  
7 Contention, 24, which if it survives will be revised  
8 number 11.

9 MS. WEISS: Mr. Chairman, I think we may be  
10 able to short-circuit some of the discussion on 24 in  
11 view of the discussion that we had earlier on Contention  
12 21. We believe that 24 is cognizable -- I am sorry. It  
13 was the discussion in connection with Contention 20.

14 We think Contention 24 is cognizable under the  
15 Contention that is currently numbered 2, because 24 goes  
16 to a finding that is required for the licensing. That  
17 is, that the CRBR can be constructed and operated at the  
18 proposed location without undue risk, et cetera. So we  
19 think that it comes underneath Contention 2, so long as  
20 it is clear that the subparts of Contention 2 do not  
21 state all of the issues in their entirety.

22 JUDGE MILLER: The Board understands that  
23 revised Contention 2 lists subissues that it does not  
24 delimit by virtue of the phrase "for the following  
25 reasons" or whatever.

1 MS. WEISS: Right.

2 JUDGE MILLER: With that understanding, we  
3 believe that the record shows that the Intervenor  
4 withdraw Contention 24 on the grounds that it is covered  
5 by the matters which they wish to go into under  
6 Contention 2 as revised. Is that correct?

7 MS. WEISS: Yes, Mr. Chairman.

8 JUDGE MILLER: Are there any objections?

9 MR. EDGAR: None.

10 JUDGE MILLER: Staff?

11 MR. SWANSON: We have no objection to the  
12 procedure, although we are rather concerned at Ms.  
13 Weiss' representation that there is seems to be an  
14 open-ended issue embraced by Contention 2.

15 Our concern with 24 was it was so broad it  
16 certainly could fit within 2. It could probably fit  
17 within a few other Contentions also. We have no problem  
18 with the procedure just indicated by the Board, but I  
19 did not want our silence to be interpreted as agreeing  
20 that it is an open-ended Contention 2, that simply  
21 because it lacks the words "for the following reasons"  
22 that we could come up with numbers 5 through 25 at the  
23 hearing suddenly with the assertion that these were  
24 implicit.

25 JUDGE MILLER: What are you saying?

1 MR. SWANSON: Well, I hope we have some  
2 finality to these Contentions, that perhaps they may not  
3 be as specific as what we may end up with at the end of  
4 the discovery process, but I hope that the Board is not  
5 acknowledging that there is an open-ended possibility to  
6 expand 2 without further leave of this Board.

7 JUDGE MILLER: If the matter is covered by 2,  
8 it is covered by 2. It does not take any further action  
9 of the Board. If it is not covered by it, it is not.

10 MR. SWANSON: I agree.

11 JUDGE MILLER: We are not giving a declaratory  
12 judgment.

13 MR. SWANSON: That is fine.

14 JUDGE MILLER: We now have 10 revised  
15 Contention -- yes, 10. We are going to recess in about  
16 five minutes for lunch and then we are going to  
17 reconvene at 1:30. I think before we go into the  
18 motions now, some of which involve Contentions admitted  
19 or not admitted or matters of that kind, it would be  
20 appropriate for us to review which of the admitted  
21 Contentions, as revised and as constituting some  
22 finality for pleading purposes and the precise wording,  
23 I think we have agree that Ms. Weiss on behalf of the  
24 Intervenor will file, first showing to the opposing  
25 counsel so that there is agreement on the language of

1 these Contentions.

2           They will then be lodged with the reporter so  
3 that it or they may be attached physically to the  
4 transcript of this conference. Are we in agreement so  
5 far?

6           MS. WEISS: Yes.

7           JUDGE MILLER: Okay. Now it would be wise, I  
8 believe -- and you may decide whether you want to do it  
9 now since you have previously addressed yourselves to it  
10 to some extent or after the recess -- we would like to  
11 know which of these issues in the form of admitted  
12 cognizable Contentions are appropriate for ongoing  
13 discovery and evidentiary presentation at our  
14 evidentiary hearing the last week in August, and which  
15 ones need not or should not be the subject of either  
16 ongoing discovery during that period of trial  
17 preparation but will be taken up both for discovery and  
18 whatever other purposes are deemed appropriate following  
19 the partial initial decision on LWA.

20           What is your pleasure?

21           MR. SWANSON: Mr. Chairman, I think the Staff  
22 would very much appreciate having the opportunity to  
23 talk this over over lunch and take it up after.

24           JUDGE MILLER: We will recess for lunch. We  
25 will reconvene at 1:30. We will take that up as the

1 first matter before then going into whatever motions  
2 there are or other matters that the Board has to  
3 consider.

4 MS. WEISS: There is just one other thing, Mr.  
5 Chairman. The parties have reached an agreement on  
6 Contention 8(b), which you had taken under advisement,  
7 and we can talk about that now or later. It makes no  
8 difference to me. I just wanted to let you know.

9 JUDGE MILLER: We will do that when we get  
10 back, but that is a Contention under the revised current  
11 numbering now 8(b) as in boy.

12 MR. EDGAR: I am not sure we have an agreement  
13 on that, but we have been talking.

14 JUDGE MILLER: We will take it up after lunch.

15 (Whereupon, at 12:12 o'clock p.m., the hearing  
16 recessed, to reconvene at 1:30 o'clock p.m., the same  
17 day.)

18

19

20

21

22

23

24

25

AFTERNOON SESSION

(1:30 p.m.)

1  
2  
3 JUDGE MILLER: We will come to order, please.  
4 Was there something with reference to the new number 8  
5 Contention that you wanted to advise the Board about,  
6 Ms. Weiss?

7 (Pause.)

8 Are you waiting for me?

9 MS. WEISS: Oh, 8(d). I am sorry. Did you  
10 want to talk about Contention 8 now?

11 JUDGE MILLER: I thought you did. That is why  
12 I was giving you the opportunity.

13 MS. WEISS: I think we have some agreement on  
14 most 8(d) a narrow point of disagreement, and I think I  
15 would prefer to let Mr. Edgar address it and then I  
16 would follow him, if that is okay by the Board.

17 JUDGE MILLER: Is this the newly numbered 8 or  
18 is this the old number 8?

19 MS. WEISS: This is the old 8.

20 MR. EDGAR: Old.

21 MS. WEISS: It does not have any number at the  
22 present time, I do not think.

23 JUDGE MILLER: Okay. I think I see what you  
24 mean.

25 MR. SWANSON: Specifically, we have old

1 8(d)(1) only.

2 JUDGE MILLER: Yes, okay.

3 MR. EDGAR: Mr. Chairman, it was my  
4 understanding you were going to assign that a number  
5 toward the end of the sequence.

6 JUDGE MILLER: Yes, that would be number 11 if  
7 it has any vitality.

8 MR. EDGAR: That is right.

9 JUDGE MILLER: That will be renumbered to new  
10 number 11 because we left off with number 10, having  
11 gone through the -- okay.

12 MR. EDGAR: One thing that may be useful here  
13 to set the baseline, I believe the Staff has a marked up  
14 copy of the Contention and if I could suggest, first of  
15 all, one change upon which the parties have reached  
16 agreement.

17 In the text of 8(d)(1) --

18 JUDGE MILLER: 11(d)(1). It just got  
19 christened, so I cannot blame you for that.

20 MR. EDGAR: 11(d)(1), under subparagraph (1)  
21 there is in the second line the phrase "once in a  
22 lifetime organ dose." The parties would suggest that  
23 that read instead, "10 CFR 100.11 organ dose." Am I  
24 correct?

25 MR. SWANSON: Yes.

1 MS. WEISS: Yes.

2 MR. EDGAR: So the change consists of striking  
3 "once in a lifetime" and inserting "10 CFR 100.11". All  
4 right.

5 The next point in our filing, at pages 14  
6 through 16, our filing dated March 19, we had rephrased  
7 the Contention to say it was acceptable to us if it was  
8 more particularized in regard to the documents, ICRP 26  
9 and 30. We are withdrawing that objection on the basis  
10 that Dr. Cochran has represented on the record that the  
11 new knowledge here is in fact the recommendations of the  
12 ICRP in reports 26 and 30, as modified, in regard to  
13 certain weighting factors as to which and EPA have a  
14 different view than the ICRP.

15 In other words, Dr. Cochran takes the approach  
16 of the two ICRP documents but some specific numbers or  
17 weighting factors in there he has disagreement and we  
18 figure we can pin that down on discovery and so, to that  
19 extent we are okay. We have no problem.

20 The remaining --

21 JUDGE LINENBERGER: Mr. Edgar, before you go  
22 further, is there a citation you can give us to the  
23 weighting factors that NRC considers to be appropriate?

24 MR. EDGAR: Well, I do not have them and we  
25 were going to get them on discovery. Perhaps Dr.

1 Cochran could do that.

2 MS. WEISS: NRC or NRDC?

3 JUDGE LINENBERGER: NRC. I understood Mr.  
4 Edgar to say that NRC and EPA concurred that certain  
5 different weighting factors should be used. I was  
6 wondering if these are documented somewhere.

7 MR. COCHRAN: The EPA has had -- put out a  
8 document where they proposed modifications to the  
9 occupational exposure limits, and their proposed  
10 weighting factors are in that document. The NRC Staff  
11 has prepared some very early draft materials, some  
12 changes, to 10 CFR 20 that would incorporate,  
13 presumably, their own view of the weighting factors.

14 We have -- are seeking through discovery to  
15 more precisely define what the latest numbers that EPA  
16 is proposing and what the latest numbers the NRC is  
17 proposing --

18 JUDGE LINENBERGER: Is the answer to my  
19 question, though, then you do not have a citation to  
20 give me?

21 MS. WEISS: We do not have that with us. We  
22 could tell you what the latest information that we have  
23 after we go back to our office. We could provide that  
24 to the Board if you would like.

25 JUDGE LINENBERGER: Well, no, not for now. I

1 just thought if you had it I would like to note it down.

2 Thank you very much.

3 MR. EDGAR: In any event, our approach to this  
4 in regard to our first objection is simply to undertake  
5 discovery and pin down the similarities and differences.

6 JUDGE MILLER: That may well be the most  
7 expeditious way to handle it.

8 MR. EDGAR: Understood. Now we have a  
9 residual problem here and that deals with the question  
10 of the extent to which the Board will and can entertain  
11 a challenge to the 25 rem whole-body and 300 rem thyroid  
12 values in 10 CFR 100.11.

13 It is our position that a challenge should not  
14 be entertained or allowed. We think that one of the  
15 implications of Dr. Cochran's approach in advancing ICRP  
16 26 and 30 would be to undertake a challenge to the  
17 thyroid value.

18 He has indicated to me that he does not intend  
19 to challenge the whole-body value of 25, but in effect  
20 and ultimately there is no way from the standpoint of  
21 applying the ICRP 26 and 30 methodology that he can  
22 avoid a challenge to the thyroid value of 300.

23 We think that that issue may as well be  
24 decided up front. If we are going to challenge the 300  
25 to the thyroid then, in my mind, that is impermissible

1 under NRC's regulations and we would like to know that  
2 right now. We do not need to wait for that answer.

3 MS. WEISS: Do you want to ask a question or  
4 do you want me to hold forth?

5 JUDGE LINENBERGER: I want to be sure we  
6 understand what you are saying, Mr. Edgar, and also  
7 whether Dr. Cochran agrees with it. But insofar as  
8 organ exposures are concerned -- and here I am trying to  
9 see if I understand you, Mr. Edgar, by restating it in  
10 my own words, insofar as organ exposures are concerned,  
11 it is Dr. Cochran's position, I believe you have said,  
12 that certain revised and more appropriate weighting  
13 factors should be used but that the implication of these  
14 -- of adopting these revised weighting factors would be  
15 in effect -- would cause, in effect, a different result  
16 than the 25 rem and 300 rem whole-body and thyroid  
17 values found in Part 100.

18 MR. EDGAR: That is correct, with one  
19 exception. And it would in effect cause a revision of  
20 the thyroid value. It would accept the whole-body  
21 value. It would accept -- a-c-c-e-p-t.

22 JUDGE LINENBERGER: Okay. Now, Dr. Cochran,  
23 pardon me, is that a proper characterization of your  
24 position as I have stated and Mr. Edgar has amended it?

25 MR. COCHRAN: Very close, but not quite.

1 JUDGE LINENBERGER: Okay. Please clarify.

2 MR. COCHRAN: First of all, the ICRP approach  
3 that we are referring to essentially applies a limit on  
4 this weighted sum of organ dosage, including the  
5 whole-body dose, and it also goes further to say that in  
6 order to ensure that one does not -- protects against  
7 non-stoichiometric effects we will provide a cap on the  
8 dose to any individual organ.

9 Now let's just suppose that I were to prevail  
10 with respect to -- that that approach would be adopted  
11 but would suggest for -- at least for dosage -- for  
12 organs like lung, bone, liver, that that approach should  
13 be adopted and that furthermore the capping value for  
14 the dosages for those particular organs -- bone, lung  
15 and liver -- should be 30 rems.

16 I mean, just for the sake of an argument,  
17 let's assume that is where we came out. Now the  
18 residual problem that Mr. Edgar and I are quibbling over  
19 is now that we have established that capping value for  
20 these other organs by the ICRP approach and the way it  
21 would be implemented, if one stuck with this fact of the  
22 existing regulations, one would apply to the thyroid, so  
23 I would say look, we are not challenging the thyroid  
24 limit.

25 All we are saying is, with respect to this one

1 single organ, that if you do not stay not only under the  
2 300 rem limit set by the regulations but also this lower  
3 capping value that there is a residual risk involved  
4 that is excessive. So that is the sole area of dispute  
5 and in fact we presented our case of next August right  
6 now. You can decide it now or later.

7 JUDGE MILLER: That is fair.

8 (Laughter.)

9 MR. COCHRAN: We are going to get the same  
10 amount of discovery on the ICRP documents, the weighting  
11 factors and so forth because you have to apply it to the  
12 other organs and there is no dispute about that. It is  
13 just this final top of the pyramid that we are arguing  
14 on.

15 JUDGE LINENBERGER: Keep the microphone just a  
16 moment longer, if you will, sir. This is something I  
17 wanted to ask yesterday and overlooked it. To what  
18 extent, if at all, does the situation you have just  
19 described challenge any of the conclusions of BEIR III?

20 MR. COCHRAN: Of course, we have the BEIR III  
21 report in front of us. Now only with respect to the  
22 weighting values, when one assigns those values one has  
23 to -- one has to make some assumptions about the  
24 relative risk for equivalent dosages to different organs.

25 JUDGE LINENBERGER: These are the risk

1 estimators of BEIR III.

2           MR. COCHRAN: That is right. You can go to  
3 BEIR III. You can go to the Commission 10 CFR 20 or  
4 wherever to get the information to assist you in  
5 determining what those weighting factors ought to be.

6           Frankly, the BEIR III numbers may turn out to  
7 be the appropriate ones, but one needs to find out -- I  
8 mean, I would like to find out what the Commission's  
9 thinking is, what the EPA's thinking is, what the  
10 Applicant's thinking is with regard to what those  
11 individual risks are for purposes of assigning these  
12 weighting factors, and that is why I have asked for  
13 production of documents on how they are addressing this  
14 very same issue with respect to occupational standards,  
15 proposed standards.

16           It is not that we are challenging the  
17 standards. We just need the same data source in order  
18 to make the proper judgments about what those weighting  
19 factors ought to be.

20           JUDGE LINENBERGER: Okay. Thank you.

21           MR. SWANSON: I wonder if we could ask a  
22 clarifying question. We are just trying to -- I guess  
23 we still have one point of confusion. It is our fault.  
24 We did not ask about this during the break, and it is  
25 this. Are we talking about an accident situation?

1           It appears when you are referencing 100.11 we  
2 are talking about site suitability criteria for an  
3 accident situation, whereas it is our understanding that  
4 ICRP report 26 deals with normal operations. I cannot  
5 resolve that apparent conflict.

6           MR. COCHRAN: The ICRP approach is a formalism  
7 by which one can take into account the fact that one  
8 might be exposed to external whole-body radiation  
9 simultaneously with exposure to various organs and  
10 whether one should use this new formalism as opposed to  
11 the formalism that everybody has been using to date,  
12 which is based on this concept of a critical organ.

13           Now granted the most logical place that most  
14 countries in the world would apply this new formalism  
15 initially is to occupational exposures and to exposures  
16 to the public. There is nothing inherent in the  
17 methodology, though, that says if you are establishing  
18 limits for other purposes, for example criteria for  
19 designing containments and so forth and siting reactors,  
20 that the same concept should not be applied.

21           I mean, if you took that -- made that  
22 argument, then you would have to argue that you should  
23 not be applying the old approach in that respect either,  
24 but in fact you already are.

25           MR. SWANSON: The Contention is clearly

1 addressing an accident situation.

2 MR. COCHRAN: We are addressing 10 CFR 100.11  
3 situations.

4 (Board conferring.)

5 MR. SWANSON: Thank you.

6 JUDGE MILLER: What is the Staff's position?

7 MR. SWANSON: Well, we agree that it is an  
8 appropriate change to change the once in a lifetime  
9 organ dose to a reference to 100.11. The concept in  
10 general, residual risk, is all right, but I think we do  
11 need to have a specific basis and we get down to what  
12 appears to be a round-about challenge to the 300 rem  
13 value that should precede a determination of whether or  
14 not the Contention should be let in as is or perhaps  
15 modified or otherwise treated differently.

16 I am not sure that we have this -- the Staff  
17 has not heard the basis yet for this specific challenge.

18 JUDGE LINENBERGER: Well, the position that I  
19 tentatively find myself in -- I will not speak for the  
20 Chairman here at the moment -- and I do not pledge not  
21 to change this position in the future, but the position  
22 I find myself in just now is that I do not quite see why  
23 there is a problem if inferentially a case can be made  
24 that certain revisions to weighting factors ought to be  
25 made, and it is seen that that in turn can be argued

1 against the 300 rem value.

2           It seems to me it ought to be possible to  
3 approach this and keep those two things separate. Now  
4 maybe I am oversimplifying things here, but that is the  
5 way it looks to me and I do not speak for the Chairman  
6 here. Does the Staff see some reason why one cannot or  
7 should not keep these matters separate?

8           (Counsel for NRC Staff conferring.)

9           MR. SWANSON: Do I understand Judge  
10 Linenberger to be asking whether or not the Contention  
11 could be admitted for the purpose of considering the  
12 effects of a change in the weighting process but without  
13 expressly allowing a challenge to the 300?

14           I mean, if that were the case --

15           JUDGE LINENBERGER: In effect, yes, but let me  
16 explain why I say "in effect", because you may have --  
17 you may need to straighten me out here.

18           I am saying in effect yes, because, rightly or  
19 wrongly -- you tell me -- I am saying that what we are  
20 dealing with primarily in this Contention is a source of  
21 radiation not generally encountered or not encountered  
22 in any major way in light-water reactor proceedings, and  
23 if the proper way to deal with this different source of  
24 radiation turns out ultimately to point to perhaps an  
25 inconsistency between its results and what is already in

1 Part 100 expressed as 300 rem, that is potentially a  
2 technical challenge, if you will, but it is not a legal  
3 kind of thing and it seems to me that we should not  
4 refuse to listen to questions of, if they are properly  
5 supported, to issues that go to the right way to treat  
6 plutonium exposures.

7           Now if you have -- want to pull the rug out  
8 from under me here, help yourself. I do not claim per  
9 se to have the last word, but it is kind of a novel  
10 situation, it seems to me.

11           MR. EDGAR: I do not think it is novel. I  
12 think what we have here is a regulation. If there is  
13 evidence that suggests that the regulation should be  
14 changed, a proper forum for that is in a rulemaking, and  
15 I think that is what we are being told.

16           We would not have a problem if the Intervenor  
17 stipulate or the Board rules that there will be no  
18 challenge to the 25 whole-body and the 300 thyroid and  
19 take the Contention for what it is, litigate it and we  
20 will see what happens.

21           I do not think -- well, I do not think -- I  
22 think our point of difference is narrow and I think the  
23 solution is straightforward.

24           (Board conferring.)

25           JUDGE MILLER: Contention 11, as renumbered,

1 will be admitted as modified.

2 MS. WEISS: The other portions of 11 were not  
3 challenged. I just wanted to make it clear that that  
4 ruling would include all of the old 8.

5 JUDGE MILLER: The ruling includes the  
6 Contention, however subparts there may be, and the  
7 as-modified refers to the modification as read into the  
8 record.

9 Now you will formulate all Contentions. I  
10 probably should get them initiated by all -- you  
11 probably should get them initiated by all counsel and  
12 submit them for inclusion in the transcript.

13 MR. SWANSON: Unfortunately, I do not have the  
14 benefit of a transcript, but my notes indicate that when  
15 we went through all other aspects of for er 8 yesterday,  
16 the Board numbered it Contention 6, separated out  
17 8(d)(?). Are my notes wrong? Okay, sorry.

18 JUDGE MILLER: Was 8 what we were just looking  
19 at?

20 MR. SWANSON: I guess I was concerned 8(d)(1)  
21 was separated out for a separate number to be considered  
22 later.

23 JUDGE MILLER: That is why we just -- is that  
24 the one we were just talking about? That is why we said  
25 we would later, and the later is now and it is 11,

1 because the end of the Contentions were 10.

2 MR. SWANSON: But all of former 8, then, is  
3 going to be one numbered Contention.

4 JUDGE MILLER: Eleven.

5 MR. SWANSON: Okay.

6 JUDGE MILLER: All right. I suppose we are  
7 now at the point, are we not, to take up motions? I  
8 will hold for the moment several where my notes indicate  
9 the parties say they are going to negotiate and proceed  
10 first to the two groups of motions, I believe.

11 Let me see if I have -- what I am looking at  
12 now is Applicant's motion for protective order dated  
13 3/29/82, points of authority in support of it which I  
14 was told in the course of discussions bore some  
15 applicability to NRDC's ninth request to Applicants for  
16 admission dated 3/18, NRDC's 16th set of interrogatories  
17 to Applicants -- interrogatories to Applicants, dated, I  
18 think, 3/18, and NRDC's request to Applicants for  
19 production of documents.

20 I was told, if I understand correctly, that  
21 these all at least have some relationship to the  
22 Applicant's motion for protective order and its points  
23 and authorities in support. Is this correct so far?

24 MR. EDGAR: Yes.

25 JUDGE MILLER: Now there is a subsequent one,

1 Applicant's motion for protective order to NRDC's 17th  
2 set, so that was filed, I think, April 2. We are going  
3 to give Ms. Weiss an opportunity to examine that, so I  
4 will put that at the end, at any rate, of the motions.

5 Are there other motions regarding discovery  
6 that we should take up at this time?

7 MR. JONES: Mr. Chairman, did you mention the  
8 Staff's motion for protective order also? It is a  
9 motion for protective order of the 22nd set of  
10 interrogatories to the Staff.

11 JUDGE MILLER: I have objections to -- well,  
12 yes, put in the objections, then motion for protective  
13 order under a date of April 2.

14 MR. JONES: That is correct.

15 MR. GREENBERG: Mr. Chairman.

16 JUDGE MILLER: Yes.

17 MR. GREENBERG: There were submissions made on  
18 the 19th of March related to the general approach to  
19 discovery between now and the hearing date, and after  
20 the meeting yesterday afternoon counsel for the  
21 Applicants, the Staff and NRDC met in order to try to  
22 agree upon a general approach to discovery prior to the  
23 commencement of the LWA-1 hearing.

24 We did reach an agreement following that  
25 meeting. I would be happy to deal with that now or

1 after we discuss the motions.

2 JUDGE MILLER: Let me see. Is that the  
3 Intervenor's statement of position regarding discovery  
4 matters?

5 MR. GREENBERG: Yes, it is.

6 JUDGE MILLER: Filed March 19.

7 MR. GREENBERG: It is that --

8 JUDGE MILLER: Pardon me.

9 MR. GREENBERG: It is that and both the  
10 Applicants and the Staff in their filings of March 19  
11 responding to Contentions also dealt with general  
12 discovery issues.

13 JUDGE MILLER: I am not sure -- the filings of  
14 March 19 regarding Contentions?

15 MR. GREENBERG: Yes.

16 JUDGE MILLER: Oh, those we have just been  
17 over in the past two days?

18 MR. GREENBERG: Well, at the -- I do not have  
19 the documents in front of me, but at the end of the  
20 submissions of both the Applicants and the Staff there  
21 is a discussion of general discovery questions  
22 independent of the discussion of the Contentions.

23 JUDGE MILLER: Yes. All right. If you have  
24 come to some semi-agreement, you might state it for the  
25 record. Let's see if we can get it in final form.

1           MR. GREENBERG: Well, thank you, Mr. Chairman,  
2 and certainly counsel for Applicants and Staff are free  
3 to take issue, but I think what I will state does  
4 reflect the agreement that was reached yesterday  
5 afternoon.

6           As I said, we sat down to try to resolve the  
7 issues raised in our pleadings of March 19, and we  
8 reached the following agreement.

9           First, by April 15, 1982, Intervenor's would  
10 serve all discovery requests with respect to old  
11 Contentions, and the Applicants --

12          JUDGE MILLER: Are you varying now the  
13 schedule?

14          MR. GREENBERG: No, we are not varying the  
15 schedule.

16          JUDGE MILLER: Oh.

17          MR. GREENBERG: This is so-called first-round  
18 discovery on old Contentions. We would get our  
19 questions out by April 15. We understand that the  
20 Applicants and the Staff would get their questions out  
21 by April 15, so that all the answers will be in by April  
22 30, the date specified in the Board's prehearing order  
23 of February 11. We have already proceeded with some of  
24 that discovery. We have outstanding sets and the  
25 remainder would be completed by April 15.

1 I should add, in this connection, that we have  
2 two sets of discovery outstanding to the Staff. We had  
3 hoped that the Staff would be able to respond to those  
4 sets within 14 days and we felt that no more time than  
5 that was necessary. However, Staff has stated that they  
6 would not be able to comply within that period and in  
7 order to reach an agreement on the overall schedule we  
8 are not going to object to the Staff's filing its  
9 responses on April 30.

10 Now the second key event occurs on April 30,  
11 and on April 30 all responses to old discovery, that is,  
12 discovery filed in the 1975-1977 period, will be updated  
13 and served. In addition, we will receive by that date  
14 answers to all our new questions with respect to old  
15 Contentions.

16 The next period is a period we refer to as  
17 second round discovery, running from April 30 to June  
18 18. That is consistent, again, with the Board's order of  
19 February 11, and during that period, first of all, we  
20 would proceed with follow-up discovery to the extent any  
21 is necessitated on questions related to old Contentions,  
22 and that follow-up discovery could either derive from  
23 responses to some of our newer interrogatories or from  
24 updates to prior discovery.

25 And in effect we are talking about one round,

1 and I will explain in a litte bit greater detail what we  
2 mean by round of this follow-up discovery. In addition,  
3 during this period from April 30 to June 18 we  
4 contemplate that we would take discovery with respect to  
5 new Contentions.

6           Now as a practical matter that may not be very  
7 extensive, given the Board's rulings of this morning,  
8 although I would include within the category of new  
9 Contentions new parts to old Contentions that were  
10 admitted by the Board yesterday or today, and we  
11 contemplate in effect that there would be two rounds of  
12 discovery, as it were, with respect to those issues -- a  
13 first set of questions seeking to elicit basic  
14 information and then any follow-up that was necessary --  
15 all to be completed by June 18.

16           Now we are going to proceed somewhat  
17 differently, and we are talking here about NRDC in its  
18 approach to both the Department of Energy and the  
19 Staff. The Department of Energy asked that we proceed  
20 during this follow-up period on a  
21 Contention-by-Contention basis or at least on a multiple  
22 Contention basis in getting out some of these follow-up  
23 questions, so that we might ask first a series of  
24 questions, follow-up questions, related to Contentions  
25 1, 2, 5, and then subsequently questions related to 6,

1 2, 10.

2           And we also agreed that we would try to  
3 develop a schedule for that follow-up discovery,  
4 although it is difficult to say that is a binding  
5 schedule. There would be some targets that we would aim  
6 for to allow the Department of Energy and the other  
7 Applicants to plan for responses to discovery.

8           The Staff did not want to proceed in that  
9 fashion. It preferred to get all our discovery requests  
10 in one bunch and not have it staggered, and in order to  
11 meet that requirement we have agreed that we would  
12 provide all the updated discovery requests and we are  
13 just talking about updates here or follow-up discovery  
14 in one package to the Staff.

15           The Staff has agreed that it would answer  
16 interrogatories during this period, April 30 to June 18,  
17 on a 14-day turnaround basis and it is further agreed  
18 that Intervenors need not go to the Board in the first  
19 instance for permission to take discovery of the Staff.

20           Now there were two other points that were  
21 agreed upon which I should emphasize. The first is that  
22 during the follow-up period there may be a mix of  
23 discovery. It may turn out that it is most efficient in  
24 follow-up to take some depositions rather than proceed  
25 by interrogatory with respect to all matters or requests

1 for admission.

2           We contemplate that there may be some  
3 depositions. To the extent that depositions do not  
4 cover a particular of follow-up it may be appropriate  
5 also to have some interrogatories, but we do not  
6 anticipate an overlap between the depositions and the  
7 overall -- and the interrogatories.

8           Finally, I believe that all the parties would  
9 reserve the right to object to particular discovery  
10 requests on substantive grounds, whatever legal  
11 objections they may have to specific questions, although  
12 not objections to this overall approach.

13           That pretty much wraps up what we have agreed  
14 to yesterday afternoon and I hope the presentation  
15 accurately reflects the discussions we had.

16           JUDGE MILLER: It sounds very sensible. We  
17 will inquire, first of all, if this is an accurate  
18 representation of the agreements reached among the  
19 parties.

20           MR. EDGAR: There are two minor items. One, a  
21 point of emphasis which I am fairly certain is not an  
22 element of disagreement. I think it is an element of  
23 agreement that in the follow-up discovery -- and we are  
24 basically talking about two blocks of discovery here --  
25 first follow-up on our discovery updates which are due

1 April 30, the last day, if you will; secondly, follow-up  
2 in regard to new information relating to old  
3 Contentions, discovery which has been ongoing.

4           In those two classes, the Intervenor will go  
5 by Contention and try to come in with one set per  
6 Contention. That was the essence of it.

7           MR. GREENBERG: Yes, we may include several  
8 Contentions in one set.

9           MR. EDGAR: Understood, but the point we  
10 talked about yesterday was that we were not going to  
11 have a succession of sets coming in on the same  
12 Contention so you never knew when your task was done  
13 with that group of people.

14           The second thing that I can reserve comment on  
15 now, if the Board wishes, but I would like to address  
16 it, is a new item. When we talked about this we did not  
17 have in front of us all of the rulings that the Board  
18 has made on Contentions, but Mr. Greenberg said  
19 something that we had not discussed, which had to do  
20 with new parts to old Contentions, and I think we need  
21 to probably confer amongst ourselves and understand just  
22 what that means and how we apply that within this set of  
23 agreements.

24           I am not sure we are going to disagree. I  
25 think we need to talk about it.

1           MR. GREENBERG: Our concept there is that we  
2 would have one initial set of questions and one  
3 follow-up set of questions.

4           MR. EDGAR: We are going to need to talk about  
5 what we mean by a new part to an old Contention.

6           JUDGE MILLER: That can be refined, I take it,  
7 by conference among counsel.

8           MR. EDGAR: Yes.

9           JUDGE MILLER: Any further clarification?

10          MR. EDGAR: No. Those are the only two items  
11 of which I am aware.

12          JUDGE MILLER: So far as the Applicants are  
13 concerned, then, this does reflect the agreement that  
14 they have reached.

15          MR. EDGAR: That is correct.

16          JUDGE MILLER: Okay, now we will inquire of  
17 the Staff.

18          MR. JONES: As stated, I think that reflects  
19 the agreements we reached yesterday. The Staff would  
20 want to note that although we are not requiring that  
21 interrogatories be approved by the Board first, we still  
22 reserve the right, if there is a particular question  
23 that we feel does not meet the requirements of  
24 2.710(h)(2)(ii), that we may object on that basis but  
25 that we would not require that they go before the Board

1 in the first instance as the rules require.

2 JUDGE MILLER: Where does that leave us?

3 MR. GREENBERG: That was not the understanding  
4 that I thought we had reached yesterday. I thought we  
5 agreed that you may make substantive objections to  
6 interrogatories on the grounds that they are outside the  
7 scope of Contentions or not otherwise consistent with  
8 the Board's order, but we would not be in a position of  
9 having the Staff go back at its discretion, basically,  
10 to the Board to seek to cut off discovery.

11 JUDGE MILLER: That was my understanding of  
12 yours and then, implicitly, Mr. Edgar's description of  
13 the agreement. The Staff seems to have a slightly  
14 different version now, if we are following you correctly.

15 MR. JONES: I guess maybe we are disagreeing  
16 over what "substantive" is. For the Staff that means a  
17 substantive objection in the sense that the regulation  
18 provide that the interrogatories must be necessary to a  
19 decision and not obtainable from any other source. I am  
20 not sure that objection would be even available to the  
21 Applicant.

22 JUDGE MILLER: We do not believe it would be,  
23 but on the other hand it was our understanding of this  
24 agreement that that is in a sense of matter of form that  
25 by now the counsel, by conferring, know pretty well what

1 their broad areas of discovery area.

2           The Staff was willing, for that purpose, to  
3 waive the right that it has to require the Board to  
4 rule. That is what we understood to be what you all  
5 agreed.

6           MR. JONES: No. I think perhaps there is some  
7 misunderstanding. Under the rules, supposedly the  
8 interrogatories would have to be filed with the Board in  
9 the first instance before they were even filed on the  
10 Staff. That is what we are waiving, is the requirement  
11 that they, before they are even sent to the Staff to  
12 answer, they be found by the Board to be both necessary  
13 and not obtainable from any other source.

14           JUDGE MILLER: What else would the Board be  
15 ruling on in the case of interrogatories addressed to  
16 Staff? That is the whole nutshell, is it not?

17           MR. JONES: I am not sure I understand what  
18 you are saying.

19           JUDGE MILLER: Well, I thought you would waive  
20 some of the formal requirements. The only formal  
21 requirement that the Board is aware of in the case of  
22 the Staff's right to require a Board ruling is what you  
23 just described. Now either you waive it or you do not.  
24 We understood you people knew what you were talking  
25 about. You were willing to waive the requirement that

1 the Board make the findings that the regulations set out  
2 before you are required to answer.

3 We do not know anything other than that that  
4 the Board would be doing anyway.

5 MR. JONES: What we are willing to waive is  
6 the requirement that the Board rule on the whole set of  
7 interrogatories before we even look at them.

8 JUDGE MILLER: We do not care about that whole  
9 or half. What do you want us to do? We thought you  
10 were willing to go ahead and answer, give the  
11 information, just as the others are doing. Now why --

12 MR. JONES: As long as the questions are  
13 appropriate, but if they are not necessary to a decision  
14 and they are not -- they are obtainable from some other  
15 source they are not going to be appropriate questions.

16 JUDGE MILLER: What are you waiving, then?  
17 You are not waiving anything.

18 MR. JONES: I do not know any other way to say  
19 it. We are waiving the requirement that they file  
20 interrogatories with the Board before the Staff even  
21 looks at them.

22 JUDGE MILLER: We do not care if you want to  
23 be shielded from looking at these perhaps impious  
24 interrogatories, it makes no difference to us. You are  
25 not waiving anything the way you have described it.

1 Maybe you are. I do not know. Is this what you were  
2 all talking about?

3 MR. EDGAR: Well, I do not think we had a  
4 three-way conversation along these lines, but I am  
5 wondering if this is such a really big problem. I think  
6 what we are talking about is a difference in procedure  
7 whereby instead of the Board having to be involved at  
8 every juncture of the discovery process vis-a-vis  
9 discovery to the Staff, the Staff would respond to  
10 discovery but preserve its objections if it wishes to  
11 object, and all parties have preserved their objections,  
12 that one of the Staff's objections would include the  
13 2.720 and presumably parties would confer and that would  
14 not be abused.

15 I really do not think they are going to have  
16 that big a problem with it. I really think that that is  
17 something that can write its own answer. It is  
18 gratuitous in my part in that sense. I am saying it is  
19 slightly gratuitous on my part. It is not my discovery  
20 and, you know, we were addressing the things that we had  
21 agreed upon, the Applicants, on the stuff to us, but I  
22 really think we can work something out on that.

23 JUDGE MILLER: I thought you had.

24 MR. EDGAR: Well, I think it has.

25 MR. GREENBERG: I thought we had too, and I

1 was looking for a set of symmetrical obligations here.  
2 One of the parts of this agreement, as mentioned in my  
3 presentation, was that we would be getting our  
4 information to -- our questions to the Staff toward the  
5 end of that second round period. If they were going to  
6 basically preserve their right to come back in and argue  
7 that none of this is necessary or that it can be  
8 obtained from other parties, we may really be in a  
9 pickle at the very end of that discovery period.

10 JUDGE MILLER: I am aware of that. I will say  
11 this, that the Staff's practice has been to voluntarily  
12 respond to a great deal of discovery requests, including  
13 interrogatories, and that they have always asserted  
14 their right to have the Board make a finding before they  
15 were required to.

16 I do not know that the Board would have to  
17 look at it first. The Staff, I should think, would look  
18 at it at least simultaneously to decide whether or not  
19 they wanted to raise what might be a technical  
20 question. But setting that aside, the Staff has  
21 traditionally responded. Unless there has been some  
22 sharp change in Staff practice, I do not see why they  
23 would not continue, at least to that extent, because you  
24 have here an agreed timing.

25 If you are going to stand on your rights, you

1 might just as well, as far as the Staff is concerned,  
2 file everything promptly and the Board will rule. But I  
3 will tell you this. The Board does not, in discovery,  
4 believe in too great a reliance on technical matters.  
5 We find that it is both time-saving and more fair for  
6 information to be given, to be given more or less  
7 voluntarily.

8           Staff might have a technical objection. (a)  
9 it saves time. By the time it is put in the hopper you  
10 are going to have some time elapsed and, secondly, it is  
11 more fair to the parties and it certainly brings out the  
12 facts in a timely fashion, which is the purpose of  
13 discovery.

14           And that is why we asked you voluntarily to  
15 confer and to make available information, even though it  
16 might be a close question in your mind, resolve in favor  
17 of giving information. We are all going to live by the  
18 same facts. So I would say that the Staff does not seem  
19 to be responding in a way in which I understood the  
20 agreements were going, but I do not think you can have  
21 it both ways.

22           You either have to cooperate and have it be a  
23 mutual thing because you are going to seek discovery as  
24 well as give it, and, if not, if everybody is going to  
25 stand on form, all right, start firing the form and we

1 will start firing back rulings very rapidly.

2           MR. TREBY: Well, Mr. Chairman, I think the  
3 Staff is attempting to cooperate and to reach some sort  
4 of agreement. I think that we are, by agreeing that we  
5 will accept discovery and we will attempt -- and we will  
6 answer those voluntarily, we are in fact saving the  
7 Board the burden of first looking at these Contentions,  
8 determining which ones do or do not meet the  
9 requirements of 2.720(h)(2)(ii).

10           We are also saving the Board the problem of  
11 assigning the time, since, as you know, the regulations  
12 do not provide us any special time for the Staff to  
13 answer the interrogatories. We have now indicated we  
14 are going to answer them in two weeks. What the Staff  
15 is preserving is having agreed to those things.

16           There may well be certain contentions which  
17 are filed with the Staff or interrogatories, excuse me,  
18 interrogatories which are filed with the Staff which the  
19 Staff believes are objectionable, either because they  
20 are not necessary to the decision in this case -- that  
21 is almost the same objection as they are not relevant --  
22 so that that is approximately the same objection.

23           But we also believe that we are entitled to  
24 make the objection on the grounds that the information  
25 is obtainable elsewhere, that you could as easily and

1 probably have, since we have been getting a lot of  
2 duplicate questions, gotten this information from the  
3 Applicant.

4           We are not willing to give up that objection  
5 and I think that it is reasonable on the Staff to wish  
6 to preserve that potential objection. But let me point  
7 out that it has been the Staff's practice in this case,  
8 as in many others, to talk with the Intervenors to  
9 discuss our objections to see if we cannot work them out  
10 first before we try to make them in writing, and we will  
11 continue to try to do that so that we do not burden the  
12 Board.

13           JUDGE MILLER: That is correct. That is what  
14 we have asked all parties to do.

15           MR. GREENBERG: Mr. Chairman, in the interest  
16 of moving things along and getting an agreement, perhaps  
17 I can suggest that we will allow the Staff to preserve  
18 that possibility. I do not think it has been abused in  
19 the past. But we did talk yesterday about giving us  
20 notice within ten days if there was an intent to object  
21 or seek a protective order, and I wondered if I can  
22 confirm that that commitment is still outstanding.

23           JUDGE MILLER: Is that still outstanding?

24           MR. JONES: That is fine, yes.

25           JUDGE MILLER: Consider it as modified in that

1 respect. Anything further?

2 MR. GREENBERG: No.

3 JUDGE MILLER: Okay.

4 All right, any other matters now before we go  
5 into the motions?

6 (No response.)

7 JUDGE MILLER: All right. What is the first  
8 matter -- the Applicant's motion for protective order  
9 with regard to NRDC's 16th set of interrogatories and  
10 ninth request for admissions and fifth request for  
11 production of documents, all of which were served on  
12 March 18 and the Applicant has filed a motion for  
13 protective order supported by points and authorities  
14 dated March 29, and there is also the matter of -- I  
15 think we were to take up at the same time -- the NRDC's  
16 request of Applicants for admissions of 3/18 and NRDC's  
17 16th set of interrogatories to the Applicants.

18 Is that correct?

19 MR. EDGAR: Yes.

20 JUDGE MILLER: Okay. Who has -- you have the  
21 original motion, I guess, Mr. Edgar.

22 MR. EDGAR: Yes. You are going to have to  
23 bear with me just a little on new and old numbers  
24 because, you know, this motion is based on the old  
25 Contention numbers, so I will try to keep that in mind.

1 I would like to raise two things primarily.  
2 The first thing, if I could direct the Board's attention  
3 to our motion of the 29th of March, paragraph 3 on page  
4 four --

5 JUDGE MILLER: Fuel availability?

6 MR. EDGAR: Yes, and paragraph 4 on page five.

7 JUDGE MILLER: All right.

8 MR. EDGAR: And I will not go on and summarize  
9 the arguments presented in the motion or the memorandum  
10 of points and authorities on these two points since,  
11 first, as to paragraph 3, fuel availability, the Board  
12 ruled out that Contention, which was old Contention 17,  
13 and, secondly, as to paragraph 4, which is application  
14 of ALARA to accidents, the Board ruled out old  
15 Contention 22.

16 So for the reasons set forth in those  
17 arguments and based on the Board's rulings, we think  
18 that the discovery in connection with those two items,  
19 as enumerated in paragraphs 3 and 4, should not be had.

20 JUDGE MILLER: Very well. What does that  
21 leave, then, as matters in controversy?

22 MR. EDGAR: There are two matters in  
23 controversy. If I could refer you to page three,  
24 paragraph 1, page three of the motion, paragraph 1,  
25 safeguards, page three of the motion, pages three and

1 four of the motion, paragraph 2, occupational exposure  
2 limits.

3           If I may, I would like to argue those in  
4 inverse order and just briefly summarize the first one,  
5 occupational exposure. That is rather straightforward.  
6 You will see in connection with interrogatories 2 and 3,  
7 at page nine of Intervenor's 16th set of  
8 interrogatories and in regard to request for production  
9 2 at page four of its fifth request for production of  
10 documents, Intervenor has requested information  
11 regarding draft and proposed EPA rules on occupational  
12 exposure limits.

13

14

15

16

17

18

19

20

21

22

23

24

25

1           This Board's April 6, 1976 ruling or order  
2 relating to contention 8 explicitly held that  
3 intervenors may not challenge the occupational exposure  
4 limits in 10 CFR Section 21.101. Discovery that goes  
5 beyond this and relates to these limits is, again,  
6 improper for the reason that the contention itself is  
7 improper and has been previously ruled out. And for  
8 that reason we think that the discovery should not be  
9 had.

10           (Board conferring.)

11           MS. WEISS: Mr. Chairman, is a response  
12 appropriate to that now?

13           JUDGE MILLER: Yes, yes.

14           MS. WEISS: You have just admitted contention  
15 11(d)(1), and when Dr. Cochran was explaining what the  
16 intent of that is, what the purpose of it is, he  
17 directed himself specifically to the relationship of the  
18 latest EPA and NRC positions to the questions raised  
19 about what risks should be assigned to doses to the  
20 various organs. That is a question that is now going to  
21 be litigated, and we are simply asking for the  
22 information in EPA's latest position, and the  
23 applicants' position with respect to what those  
24 weighting factors should be.

25           We are not challenging any rule; we are just

1 looking for the technical basis for setting weighting  
2 factors for the various organs.

3 MR. EDGAR: Mr. Chairman, we submit that the  
4 interrogatory is itself -- contradicts that  
5 characterization. On page 9 of the 16th Set of  
6 Interrogatories you can read items 2 and 3. It says,  
7 identify the latest EPA position with respect to  
8 proposed occupational exposure limits. Item 3 says  
9 identify the latest applicant position with respect to  
10 proposed occupational exposure limits.

11 This goes beyond the existing regulations, and  
12 we think the Board has ruled here previously.

13 JUDGE LINENBERGER: What were the pages you  
14 were reading from?

15 MR. EDGAR: Sixteenth set of interrogatories,  
16 page 9. And the document request, the fifth document  
17 request, number four, or page 4.

18 JUDGE LINENBERGER: Thank you.

19 (Board conferring.)

20 JUDGE MILLER: How does the proposed  
21 occupational exposure limits of either EPA or the  
22 applicants, how does that fit into your contention that  
23 you have identified, 11(d)(1), is it not?

24 DR. COCHRAN: Could I answer that?

25 JUDGE MILLER: Yes.

1 DR. COCHRAN: The EPA is in their proposed  
2 standards -- at least as of the date they went public  
3 with them for public comment and hearings -- was  
4 adopting the ICRP 26 approach with the modification of  
5 some of the weighting factors and the limiting caps on  
6 the various organ dosages.

7 Now, I am aware that there has been an  
8 exchange of correspondence within the administration  
9 between EPA and DOE, and EPA and NRC staff, as with  
10 respect to whether these modifications are appropriate  
11 and advisable and so forth, and whether they can live  
12 with them. And what I am seeking with regard -- in the  
13 request for production of documents is this package of  
14 material so that I can see what the staff position is  
15 and what the applicants' position is with respect to the  
16 various risk numbers assigned, and therefore, the  
17 weighting factors, and any capping limits and so forth.

18 We are not challenging the occupational  
19 exposure data, but we want to see what their basic  
20 assumptions are with regard to the risks and weighting  
21 factors and whether, for example, the gonads should be  
22 included as an organ of risk when you do this weighted  
23 sum or whether it should be excluded. That would be one  
24 difference between the ICRP approach and the EPA  
25 approach.

1           Now, the only thing we have done with respect  
2 to the interrogatories is we expect to get this package  
3 of material. We would like them to identify which is  
4 the latest version so they do not come back at a later  
5 date and say oh, well, that is what we -- that was our  
6 position in September but our position has, of course,  
7 changed, and so forth, so you are arguing from the wrong  
8 documents now.

9           So it would be nice to know what their current  
10 position is, and that is what we are asking for in the  
11 interrogatories. We are asking for the data base, how  
12 their position has changed over this period of the last  
13 couple of years.

14           MR. EDGAR: NRC has exposure limits in Part  
15 20. These exist, they are the rules for occupational  
16 exposure. The applicants are required to meet those  
17 regulations. We cannot see how a request that says tell  
18 me what is going to happen at EPA has anything to do  
19 with matters which are relevant to this proceeding.

20           DR. COCHRAN: I have to come in and argue  
21 whether these weighting factors are appropriate. I  
22 think this discovery goes to whether the particular  
23 weighting factors that EPA is proposing that --

24           JUDGE MILLER: What does that have to do with  
25 the issues in this case? That is what I am not quite

1 following.

2 DR. COCHRAN: We are going to set appropriate  
3 dose limits for organs such as bone and lung, and also  
4 perhaps liver with respect to 10 CFR 100.11, and what I  
5 am proposing is that we adopt procedurally, for  
6 establishing what those appropriate limits are, the  
7 approach that the ICRP 26 has taken, and it is the same  
8 approach that EPA is proposing to use in -- with regard  
9 to occupational exposures.

10 Now, if we know that all the folks onboard,  
11 the applicant, the NRC, the EPA and the NRDC, are going  
12 to propose to use the same weighting factors with  
13 respect to occupational exposure, then I do not have a  
14 hard selling job to say that those are the weighting  
15 factors that ought to be applied with respect to 100.11,  
16 when we get to the bone and the lung. But --

17 JUDGE MILLER: Ought to be applied instead of  
18 what?

19 DR. COCHRAN: Instead of this approach that  
20 the applicant and staff are currently taking in the  
21 existing documents, which is based on the concept of a  
22 critical -- of establishing a limit for critical organ.  
23 And they go through a procedure by which they say the  
24 critical organ limit for the bone that would be  
25 equivalent to a whole body limit of 25 rems is 150

1 rems. I frankly do not think that is the appropriate  
2 approach to take -- using the concept of the critical  
3 organ and trying to match the 150 for the bone to the 25  
4 to the whole body.

5 JUDGE MILLER: Isn't that the way the  
6 regulations have presently established?

7 DR. COCHRAN: There are no regulations for  
8 establishing the appropriate limits for bone and lung  
9 vis a vis releases of actinides for purposes of  
10 establishing site suitability under 10 CFR 100.11.

11 We are starting from scratch with respect to  
12 actinide release and limitations of exposure to these  
13 other organs. And the question that will be before the  
14 Board is when we establish these new limits, are we  
15 going to take the ICRP 2 approach or are we going to  
16 take the ICRP 26 approach.

17 MR. EDGAR: He is posing a different question  
18 here. This interrogatory does not have to do with  
19 weighting factors or Part 100. This interrogatory says  
20 plainly identify the latest EPA position with respect to  
21 proposed occupational exposure limits. That is exactly  
22 what the Board ruled upon on April 6 of 1976 and said  
23 no, we are not going to get into the proposed EPA  
24 occupational exposure limits.

25 MS. WEISS: I think that Mr. Edgar is

1 confusing the standard for admissibility of evidence  
2 with the standard for discovery, which is far broader  
3 and anything reasonably calculated to lead to possibly  
4 relevant evidence should be allowed on discovery.

5 JUDGE MILLER: To lead to admissible evidence.

6 MS. WEISS: That is right, and to the extent  
7 that there should be, we fully expect, particularly in  
8 the document request, that there will be discussions by  
9 EPA of why it is proposing to adopt these exposure  
10 limits which will bear on what the dose limits should be  
11 for bone, lung, liver under Part 100. That would be  
12 evidence that would be relevant with respect to  
13 contention 11(d), and we think that we ought to be  
14 allowed at least to see if that exists.

15 JUDGE MILLER: 11(d) refers to the guideline  
16 values for permissible organ doses used by applicants  
17 and staff.

18 MS. WEISS: 11(d) now goes precisely -- it has  
19 been amended, modified to reference Part 100.11.

20 JUDGE MILLER: The approach utilized by them  
21 in establishing 10 CFR 100.11 organ dose equivalent  
22 limits corresponding to whole body dose is inappropriate  
23 and so forth.

24 MS. WEISS: Right. We think the documents  
25 that would be discoverable under this, these two

1 interrogatories and the request for production, will  
2 give us evidence that will support us in arguing that  
3 the ICRP approach ought to be used because it more  
4 closely approximates the correct risk resulting from  
5 doses to various organs which will be an issue.

6 (Board conferring.)

7 JUDGE MILLER: What was the Board's ruling  
8 with refering to occupational exposure limits in --

9 MR. EDGAR: I will find it here.

10 JUDGE MILLER: Does staff happen to recall?  
11 Do you know the approximate date?

12 MR. EDGAR: Yes. It is April 6, and we have  
13 it cited here. We have it cited to the NRC reports. If  
14 you look on page 4 of our motion, footnote 4, --

15 JUDGE MILLER: What is the page of, the April  
16 6, 1976?

17 MR. EDGAR: In the original text in the slip  
18 opinion form. Look on page 11.

19 JUDGE MILLER: What I have is the published  
20 part that was published, starting with page 430.

21 MR. EDGAR: 435 is the correct page, Mr.  
22 Chairman, and you will see a caption there which is  
23 labeled contention 8, and right under that caption  
24 contention 8 you will see the ruling to which I refer.  
25 Direct challenge to the occupational dose limits.

1 DR. COCHRAN: Mr. Chairman.

2 JUDGE MILLER: Yes?

3 DR. COCHRAN: Let me give you a better  
4 history. NRDC had a petition as of 1975 both to the NRC  
5 and the EPA to change the occupational exposure limits,  
6 and it was based on the argument that was made with  
7 respect to -- that was ruled out by the Board -- to the  
8 best of my recollection, went to the issue of the  
9 genetic consequences and whether one should utilize --  
10 my recollection was that the argument was that we had  
11 said that would the applicant admit that if they adopted  
12 the approach that we recommended in our petition, that  
13 that was ALARA. That that would be a standard -- that  
14 that would be a risk less -- as low as reasonably  
15 achievable, and that was ruled out as a challenge to the  
16 standard.

17 The documents that I am seeking here go to an  
18 entirely different approach for establishing  
19 occupational exposure. And it is whether or not you  
20 will adopt the ICRP 26 approach and if so, which is  
21 being recommended by the EPA, what risk factors. Do you  
22 take the BEIR numbers or do you take somebody else's  
23 numbers to assign these weighting factors.

24 Now, we want to look at that and see. It may  
25 be that the Department of Energy has not attacked the

1 weighting factors at all. That would tell us that they  
2 are, in a sense, accepting the EPA weighting factors, or  
3 it may be they are attacking them and we could see what  
4 their position is on these matters.

5 MR. EDGAR: All Dr. Cochran is saying is that  
6 he filed a petition some years ago which was not  
7 accepted. Now he has changed his rationale, but  
8 nevertheless, he is still trying to do the same thing,  
9 which is to attack the regulation. There is no  
10 difference.

11 (Counsel for intervenors conferring.)

12 JUDGE MILLER: Mr. Edgar, in what way would  
13 there be any harm done if the documents and the  
14 interrogatories were permitted at this stage?

15 MR. EDGAR: Well, I would like to address  
16 that. One could argue that well, having a little  
17 discovery go on is not harmful, but I really think it is  
18 under these circumstances, that we have an extremely  
19 tight hearing schedule. We all have finite resources.  
20 This is not necessary to a decision and it does, indeed,  
21 conflict with the rulings of the Board. And --

22 JUDGE MILLER: We have been told that it does  
23 not conflict, that there are no regulations which cover  
24 this squarely in the case of plutonium. Do they or do  
25 they not?

1           MR. EDGAR: That is incorrect. There are  
2 existing occupational standards for exposures to  
3 plutonium. You can look in 10 CFR Part 20 and they are  
4 right there. And I do not think Dr. Cochran would  
5 disagree with the existence of standards.

6           JUDGE MILLER: What are the existing  
7 standards, Dr. Cochran?

8           DR. COCHRAN: We are not debating the existing  
9 occupational exposure standards which cover exposures to  
10 plutonium and every other type of radiation. We are not  
11 debating the limits to routine releases to the  
12 environment which are covered under 10 CFR 20. We are  
13 debating what should be the appropriate standard for 10  
14 CFR -- limits in 10 CFR 100.11.

15           Now, one has two choices. One can use the  
16 approach that is being considered with respect to  
17 changes in the occupational exposure standard, or one  
18 can go back and adopt the -- something along the lines  
19 or similar to the approach that has been used in the  
20 past and is currently being used for an occupational  
21 exposure standard.

22           We are at a junction where we are going to  
23 establish a new approach for handling these accident  
24 situations. You can -- Edgar wants to eliminate, Mr.  
25 Edgar wants to eliminate the discovery so that we cannot

1 argue why we should use the new approach, and therefore,  
2 he will have a better opportunity to defend the old  
3 approach. And I think that is unfair.

4 (Board conferring.)

5 JUDGE MILLER: 100.11, as I understand it,  
6 relates to accident situations and does not cover  
7 plutonium presently, is that correct?

8 DR. COCHRAN: That is correct.

9 JUDGE MILLER: Mr. Edgar, is that correct?

10 MR. EDGAR: That is correct. Well, let me --  
11 it applies to site suitability analysis. All right.  
12 And it is a guideline value or design value. But what  
13 the interrogatory asks for is occupational exposure  
14 standards, and that is in Part 20, that is an existing  
15 regulation.

16 JUDGE MILLER: Yes, but it is one that does  
17 not apply to accidents, LWA or plutonium, 100.11.  
18 Occupational exposure does not apply to 100.11.

19 MR. EDGAR: No, it does not.

20 JUDGE MILLER: Or vice versa.

21 MR. EDGAR: Absolutely, it does not. But he  
22 is not asking for that, Mr. Chairman; he is asking for  
23 the information on the occupational standards which do  
24 cover plutonium and which are in Part 20.

25 JUDGE MILLER: Would it not be some evidence

1 as to the nature and effects of plutonium exposure under  
2 certain circumstances? And if so, why is not relevant  
3 in the broad discovery sense? I am inclined to believe  
4 that it probably should be, Mr. Edgar, but I want to  
5 give you the chance --

6 MR. EDGAR: Mr. Chairman, it is in my mind  
7 extremely remote.

8 JUDGE MILLER: It may be remote, it may be  
9 extremely remote, but that is really not decisive at  
10 this point. Now we are getting into discovery, we are  
11 going to fine tune all these things later and not too  
12 much later.

13 MR. EDGAR: But one adjunct of that is that we  
14 can get a better definition of the scope, of what these  
15 intentions are, and we are going to be talking about  
16 that later on today. But --

17 JUDGE MILLER: If you don't hurry up, it is  
18 going to be tomorrow.

19 MR. EDGAR: You will pardon me there, but in  
20 my mind we can gain insight into the scope of these  
21 contentions and what we have to do to prepare in these  
22 proceedings through the discovery process. And when you  
23 have a really clear one like this where what he is  
24 really trying to do is to get into another rulemaking by  
25 an indirect route --

1 JUDGE MILLER: Why do you say that?

2 MR. EDGAR: Well, because, look at the  
3 interrogatory. It says, give me -- identify the latest  
4 EPA position.

5 JUDGE MILLER: All right. That is something  
6 that has been the subject of certain exchanges of  
7 documents we are told and discussions between and among  
8 your client, the Department of Energy, EPA and possibly  
9 others.

10 MR. EDGAR: Right.

11 JUDGE MILLER: What is so strange about that?

12 MR. EDGAR: The document request says provide  
13 all written correspondence relating to applicants'  
14 opinion with regard to establishment of new occupational  
15 dose limits as proposed in draft and proposed rules by  
16 EPA during the last four years.

17 JUDGE MILLER: All right, what is so tough  
18 about that?

19 MR. EDGAR: Well, we are going to rely on the  
20 existing regulations. They may or may not --

21 JUDGE MILLER: The existing regulations in  
22 Part 100.11 do not cover accidents and do not cover  
23 plutonium, I am told. And that is --

24 MR. EDGAR: No, they do not cover -- no.

25 JUDGE MILLER: I am sorry. Do cover accidents

1 and not occupational. Is that --

2 MR. EDGAR: That is right, you have stated  
3 that correctly. And he is getting into a broad scale  
4 inquiry into a totally different subject that this Board  
5 has already ruled out. That is all I am saying.

6 JUDGE MILLER: What we ruled out, as I  
7 understand it is we were not going to get into the  
8 contentions that wanted us to go into what we regarded  
9 as a challenge to the existing regulations on  
10 occupational exposure. That is apples. This is  
11 oranges. This is discovery going to certain effects in  
12 an accident sequence under Part 100.11.

13 Now, why is there not at least some reasonable  
14 connection between the studies that go into that and  
15 those that have gone into or may go into proposed  
16 occupational exposure limits? We are not challenging or  
17 going into the occupational limits, but we are taking a  
18 look, since this is an admitted contention, at the  
19 approach that you and the staff have used in your 100.11  
20 approach in establishing equivalent limits and so forth.

21 (Board conferring.)

22 JUDGE MILLER: The Board is going to rule that  
23 the discovery request, both interrogatories and  
24 documents, may be had; however, subject to the following  
25 condition or understanding which will be articulated by

1 my expert, Dr. Linenberger.

2 (Laughter.)

3 Didn't I pass the buck? He said I could not  
4 do it.

5 (Laughter.)

6 JUDGE LINENBERGER: Consistent with our order  
7 of April 6, 1976, we will not permit a challenge to the  
8 occupational dose limit values. To the extent that the  
9 document that Dr. Cochran seeks and answers to  
10 interrogatories that he seeks offer him some  
11 illumination as to a proper way to approach the question  
12 of exposures to actinides, we feel that this discovery  
13 is appropriate.

14 We will not countenance, however, challenging  
15 the occupational dose values, dose limits themselves.

16 MR. JONES: Mr. Chairman, if the staff could  
17 just jump in here for a moment.

18 JUDGE MILLER: Now you jump in. You leave me  
19 floundering for half an hour. Go ahead.

20 (Laughter.)

21 MR. JONES: I am afraid I am not going to help  
22 you in that respect anyway. In I think most of the  
23 instances where you are going to be discovering an  
24 objection to an interrogatory by the applicants, the  
25 staff has the identical interrogatory. If we can say

1 me, too on whatever your rulings are, it will save us  
2 having to deal with those later.

3 JUDGE MILLER: Fair enough, that will expedite  
4 things. Thank you.

5 All right. Now what is our next hassle?

6 MR. EDGAR: Our next hassle --

7 JUDGE MILLER: I am a lawyer. I should not  
8 even be doing this.

9 (Laughter.)

10 Go ahead.

11 MR. EDGAR: Our next --

12 MS. WEISS: George, there is just one --

13 JUDGE MILLER: Does someone have a question?

14 MS. WEISS: Yes. You were correct I think  
15 that all the questions on the interrogatories about fuel  
16 availability are mooted, but I would not agree that your  
17 objections on the ALARA contention are mooted. Let me  
18 just direct the Board to the right place.

19

20

21

22

23

24

25

1           That is paragraph number 4 on page 5 of the  
2 motion for the protective order. All of the discovery  
3 requests in question are spelled out in the Applicant's  
4 memorandum of points and authorities in support of the  
5 motion for protective order beginning on page 20, going  
6 through to page 23.

7           Those requests for admissions were proposed by  
8 NRDC under two separate contentions, Contention 8(a) and  
9 Contention 22. Contention 22 is out. That was the  
10 contention that said to have the Board look at  
11 accidents, apply ALARA to accidents. That is out.

12           Contention 8(a) has now been renumbered 11(a)  
13 and is still in. It is one of the ones from 1976. I  
14 would just suggest, we have gone through these, that 14,  
15 20, 22 to 24, and 11 and 13 are related directly to the  
16 contention which has not been admitted and therefore  
17 must go out, but that the remainder are related equally  
18 to the contention which is still in, and therefore  
19 should stay in.

20           MR. EDGAR: All right. I would like to  
21 respond to that. The point that they have labeled 8(a)  
22 in my mind is not significant. They have contended all  
23 along, apparently, according to their most recent  
24 pleading, that they meant to include it within  
25 Contention 8(a), so we will -- I do not think that that

1 means much, but there is another point that the Board  
2 ought to take into account here.

3           If you look at the admissions which go in the  
4 ninth set from pages 5 to 10 and you read them as a  
5 logical sequence, you will see that going from 1 to 24,  
6 what the beginning is and what the end is, and the end  
7 result is an attempt to demonstrate or buttress Dr.  
8 Cochran's argument that the ALARA applies to accidents.

9           Now, if you have any doubt as to whether that  
10 is where he is headed with the argument, you might want  
11 to look at NRDC's response to our objections to the  
12 contention at pages 34 all the way up through page 39,  
13 and read the discussion in the text of NRDC's responsive  
14 pleading and then compare it to the language in the  
15 admission.

16           DR. COCHRAN: That is not necessary. We will  
17 admit that.

18           MR. EDGAR: The language is the same; will you  
19 admit that?

20           DR. COCHRAN: I will admit that that was the  
21 original intent. What I am suggesting is we have an  
22 ALARA contention. We might just as well find out what  
23 ALARA means, at least with respect to routine  
24 exposures. They are relevant, but if the original  
25 intent governs whether they are admissible, then I will

1 abide by the Board. It is certainly relevant, ought to  
2 be able to ask them again with respect to what is  
3 relevant.

4 MR. EDGAR: All I am suggesting to you is that  
5 those admissions constitute the very rationale that NRDC  
6 argued in support of the admission of Contention 22.

7 DR. COCHRAN: We are not going to argue the  
8 rationale. That is out.

9 MR. EDGAR: If the rationale is out and the  
10 contention is out, then why do you need discovery which  
11 is the same as the rationale that the Board has rejected?

12 JUDGE MILLER: This is not quite discovery;  
13 this is a request for admissions following -- these are  
14 requests for admissions, this is not discovery.

15 MR. EDGAR: It is a mode of discovery, Mr.  
16 Chairman.

17 JUDGE MILLER: It is a mode establishing  
18 certain matters for use at trial. That is a little bit  
19 different. That is not an interrogatory. There is a  
20 difference. In trial you will find out if you are not a  
21 little cautious about some of these things.

22 MR. EDGAR: Okay.

23 JUDGE MILLER: I know it is in the same  
24 section, both under the Rules of Civil Procedure and  
25 ours, but there is a difference. Admissions, admissions

1 given and their use at trial and their use without  
2 further foundation.

3 MR. EDGAR: Why do we need an admission in  
4 connection with --

5 JUDGE MILLER: Save him from having to make  
6 the proof if you will admit it.

7 MR. EDGAR: The Board has overruled the  
8 contention, so there is no need for proof.

9 JUDGE MILLER: Overruled one contention. The  
10 argument is that there is still an ALARA issue.

11 MR. EDGAR: And I am trying to point out to  
12 you that these admissions here, requests for admissions  
13 are in fact NRDC's rationale for admission of the  
14 contention. They are co-extensive, they are identical.

15 JUDGE MILLER: If they are co-extensive, what  
16 difference does it make? They still have one which they  
17 contend is relevant, so the fact that it is not relevant  
18 because it is moot to another really does not --

19 MR. EDGAR: The Board has made a ruling as a  
20 matter of law that ALARA does not apply to accidents.  
21 These admissions go to an attempt to establish the  
22 contrary position.

23 JUDGE MILLER: Now wait a minute --

24 MR. EDGAR: That is exactly what they are  
25 trying to do, and that is how they were argued in the

1 responsive pleading. They are how they are logically  
2 designed in the set of admissions.

3 MS. WEISS: I think, you know, it seems to me  
4 it is getting a little out of hand. We have attempted  
5 to excise all of their requests for admissions that  
6 related to the contention which has not been admitted by  
7 the Board. Those which remain clearly relate to a  
8 definition of the ALARA principle. There are ALARA  
9 contentions remaining. Do you dispute that if we filed  
10 them tomorrow under Contention 8(a), that you would have  
11 to address yourself to them? If you do not dispute  
12 that, it is simply a matter of form that we are arguing  
13 over.

14 MR. EDGAR: I think we are arguing a little  
15 more than a matter of form. I think we are arguing --  
16 Dr. Cochran candidly admitted the purpose of those  
17 admissions and the fact that they were identical with  
18 the responsive pleading.

19 JUDGE MILLER: I do not think that  
20 mechanically establishes that, Mr. Edgar. They do have  
21 Contention 11(a), which states that neither the  
22 Applicants nor the Staff have shown that exposures to  
23 the public and plant employees will be as low as  
24 reasonably achievable. That is an existing, ongoing  
25 contention.

1           Now, going through the request for admissions  
2 that you have alluded to, the fact that they may have  
3 been developed or used for something else, accidental  
4 matters to which ALARA has been held not to apply, does  
5 not solve it. It is only the beginning, it is not the  
6 end of the problem.

7           The question is whether that which remains is  
8 reasonably relevant, which in the discovery sense is  
9 fairly broad, applies, and it looks to us as though it  
10 does, as though it would. However, if you have  
11 something in here, go through the request for admissions  
12 one, two, three, if there are some that you say could  
13 apply only to the mooted matter and could not reasonably  
14 apply to the existing 11(a), then we will hear you.

15           We have looked through and we do not see any,  
16 but --

17           MR. EDGAR: You do not see any that would not  
18 apply?

19           JUDGE MILLER: That would not apply to 11(a)?  
20 Yes.

21           MR. EDGAR: Well --

22           JUDGE MILLER: Which one?

23           MR. EDGAR: You have to throw out 24. I am  
24 going to read from the bottom. You have to throw out  
25 24, back to 22.

1 JUDGE MILLER: 24 to 22, isn't that an odd way  
2 to approach it?

3 MR. EDGAR: All right.

4 MS. WEISS: We agreed --

5 MR. EDGAR: Let me have your list again.

6 JUDGE MILLER: What do you have, 22 to 24,  
7 request for admissions, and those are out, as I  
8 understand it.

9 MS. WEISS: We agreed to withdraw those. I  
10 think that is --

11 JUDGE MILLER: All right. Request for  
12 admissions 22, 23, 24. With reference to -- well, Roman  
13 numeral III, Contentions 8(a) and 22, which have now  
14 been renumbered on the one hand and denied on the other,  
15 are hereby deleted. Now --

16 MS. WEISS: There were some others, too.

17 JUDGE MILLER: Now, if you will show me, then,  
18 starting with page 21 and going back to 1, which ones  
19 you claim are wholly irrelevant in the broad sense to  
20 the remaining ALARA contention of 11(a), we will be glad  
21 to listen to you. Is Staff going to jump in here? I  
22 mean this is a good time if you are going to come to our  
23 aid.

24 [Laughter.]

25 Be thinking guys.

1           Go ahead.

2           MS. WEISS: We would think 20 should go out as  
3 well.

4           JUDGE MILLER: All right, 20 is out. And as a  
5 matter of fact, screen these carefully, now, because if  
6 there is any question about going out, knock them out,  
7 please.

8           MS. WEISS: We also think that 14 should go  
9 out.

10          JUDGE MILLER: Hold it; 14 is out.

11          MS. WEISS: And 13 should go out.

12          JUDGE MILLER: Which one?

13          MS. WEISS: Number 13 should go out.

14          JUDGE MILLER: How did we get this backward  
15 habit, Mr. Edgar. I am going to be reading the  
16 newspaper right to left.

17          Okay, go ahead.

18          MS. WEISS: And 11 should go out.

19          JUDGE MILLER: And 11 is out. Fine, 11 is out.

20          Are there any more, now? If they are  
21 doubtful, knock them out because we want to get right  
22 down to what is necessary for the proper development of  
23 11(a), but we do not want to impinge upon the objections  
24 that have been raised by the Applicant.

25          MR. EDGAR: Okay, Mr. Chairman. I do not see

1 the point in belaboring it further. We have stated our  
2 position. The Intervenor's have withdrawn, by my count,  
3 11, 13, 14, 20, 22 through 24, and we would like a  
4 ruling as to whether we have to answer the balance.

5 [Board conferring.]

6 JUDGE MILLER: The Board then rules that the  
7 Applicants shall answer the remaining unstricken  
8 requests for admissions that you have just described,  
9 Mr. Edgar.

10 All right, now what is --

11 MR. JONES: Can Staff ask for a clarification  
12 of NRDC? Our numbers match yours when you say 22  
13 through 24.

14 JUDGE MILLER: They either match them or they  
15 jolly well will because they will see that they do. I  
16 think they will undertake to do that. Please strike the  
17 corresponding requests to the Staff, whatever the  
18 numbers may be, to match those that have just been  
19 removed as to the Applicants, please.

20 Okay, Mr. Edgar, what is next?

21 MR. EDGAR: The final point is expressed at  
22 page 3 of the motion, paragraph numbered 1, and the  
23 subject is safeguards. The interrogatories in question  
24 in our judgment go far beyond the bounds of the admitted  
25 contention. We believe that three basic limitations

1 must apply here. The first is that the contention was  
2 not admitted to look at the adequacy of safeguards, and  
3 DOE and even NRC licensed fuel cycle facilities. Rather  
4 the contention was admitted for a limited purpose in  
5 conjunction with the NEPA cost-benefit balance.

6           We further think that a full-scale inquiry  
7 into NRC licensed facilities is improper and that an  
8 inquiry into facilities outside NRC jurisdiction is  
9 improper. In essence what we are looking for is an  
10 attempt to ascribe some reasonable bounds --

11           JUDGE MILLER: All right, let's hear from  
12 Intervenor on that.

13           MR. EDGAR: Okay.

14           JUDGE MILLER: We previously considered that.  
15 We are inclined to agree with the fact that we  
16 adequacy-type of discovery versus the more --

17           MR. GREENBERG: Perhaps, Mr. Chairman,  
18 adequacy is an infelicitous word in these circumstances.

19           [Laughter.]

20           JUDGE MILLER: No, it is a perfectly good word.

21           MR. GREENBERG: In these circumstances it may  
22 help to explain matters to go back and try to focus on  
23 what NRDC originally thought this contention was all  
24 about.

25           JUDGE MILLER: You know, I am awfully tired of

1 having to go back. It is getting late in the day.  
2 Start at the end and work back. Start with today and  
3 then yesterday.

4 [Laughter.]

5 MR. GREENBERG: The basic point, Mr. Chairman,  
6 this contention, Contention 5 is aimed at determining  
7 risks and consequences of certain intentional acts at  
8 the CRBR and fuel cycle facilities for purposes of a  
9 NEPA cost-benefit analysis. The essence of our  
10 discovery is to try to develop information which allows  
11 us to assess the potential risks and consequences of  
12 those intentional acts.

13 We are not challenging the adequacy of  
14 Commission regulations, we are not challenging the  
15 adequacy of safeguards at other facilities, we are not  
16 looking at the LMFBR fuel cycle. We are trying to  
17 develop an appropriate information base so that we can  
18 assess the NEPA cost-benefit analysis, and that is all  
19 there is to it.

20 JUDGE MILLER: That is the long way around the  
21 mulberry bush. We are inclined to deny the requests  
22 which are contained in -- let's see, you have  
23 interrogatories and requests for admissions, haven't you?

24 MR. GREENBERG: No.

25 MR. EDGAR: We have it catalogued here on page

1 3 of our motion under safeguards. In the first two  
2 lines we have catalogued the discovery requests to which  
3 we object.

4 JUDGE MILLER: Those are Interrogatories 4 and  
5 5 at pages 7 and 8 of the interrogatories.

6 MR. EDGAR: Right. And then we have a request  
7 for production.

8 JUDGE MILLER: Request for production at pages  
9 1 and 2 of the request for production of documents. Is  
10 that sufficiently identified for record purposes?

11 MR. EDGAR: Yes.

12 JUDGE MILLER: All right.

13 The Board will rule that those interrogatories  
14 need not be answered and that document and those  
15 documents need not be produced.

16 Now, what is the next one?

17 MR. EDGAR: The next is the Applicant's April  
18 2, 1982 motion for a protective order and accompanying  
19 memorandum of points and authorities. I might suggest  
20 to the Board at the outset that the discussion in the  
21 first four enumerated paragraphs of that motion at pages  
22 2 through 4 are irrelevant at this point since we have  
23 reached agreement on an approach to discovery, and that  
24 has been stated for the record this morning -- I mean,  
25 excuse me, this afternoon after the lunch break. So

1 that the focus of concern here is as to paragraphs 5 and  
2 6 of the motion as set forth at pages 4 and 5.

3           In essence we have the same set of arguments  
4 which apply to this motion as applied to the motion  
5 which the Board just considered in regard to safeguards;  
6 that Contention 5 was admitted for a limited purpose,  
7 and I will refer here to our motion or accompanying  
8 memorandum of points and authorities at page 6 to the  
9 end; that Intervenor's discovery request raised  
10 programmatic generic issues outside the scope of a  
11 licensing proceeding; that Intervenor's discovery  
12 requests raised issues outside the Board jurisdiction;  
13 and lastly, that Intervenor's interrogatories raise  
14 issues which need not be considered in an LWA or even a  
15 construction permit proceeding.

16           MR. GREENBERG: Mr. Chairman, if I might, I  
17 would like to respond to that. The Applicants paint with  
18 a very broad brush here and do not really specify to any  
19 great extent the particular interrogatories which pose  
20 problems for them. I would like to take a moment, if I  
21 could, to explain what kind of information we are trying  
22 to develop here and what our rationale is.

23           Applicant's position seems to be that about  
24 the only discovery that we can take under Contention 5  
25 relates to compliance with current regulatory

1 requirements. That, in our view, is far too narrow an  
2 approach to take to this particular contention, and  
3 indeed we believe that viewpoint was specifically  
4 rejected by the Board in April 1976 when it admitted  
5 Contention 5 for NEPA cost-benefit purposes.

6           The question is how do you go about developing  
7 information to make that NEPA cost-benefit assessment,  
8 and the interrogatories that we have put forward and the  
9 requests to produce are simply an effort to try to  
10 develop some information with respect to the risks and  
11 consequences of safeguards at the CRBR and supporting  
12 fuel cycle facilities.

13           Now, in order to develop that information, you  
14 cannot limit yourself to the CRBR, you cannot limit  
15 yourself to specific fuel cycle facilities. If you look  
16 at the final environmental statement which has been  
17 prepared by the Staff, the analysis of safeguards is  
18 premised upon an evaluation of safeguards, risks and  
19 consequences at a variety of facilities, and then there  
20 are projections of what those future risks and  
21 consequences might be.

22           What we are endeavoring to do here is develop  
23 information which explains how the Staff reached the  
24 judgments it reached that probabilities of death are low  
25 or that the consequences of safeguards incidents might

1 be limited, and we believe that kind of discovery is  
2 perfectly appropriate in the NEPA cost-benefit context.  
3 I think Applicants are taking far too narrow a view of  
4 what NEPA cost-benefit is all about.

5           We are looking at all costs associated with a  
6 particular facility or series of measures at that  
7 facility, economic costs, social costs, technical  
8 costs. It is not a narrowly-focused inquiry. And in  
9 order to develop the information to evaluate that NEPA  
10 cost-benefit assessment, it is essential to develop the  
11 kind of information base that we simply do not have at  
12 this point.

13           I think that the distinction that is attempted  
14 to be drawn between adequacy and risks, on the one hand,  
15 and costs, on the other hand, is a wholly artificial  
16 one. If there are risks associated with particular  
17 measures or the use of particular fuels, those risks can  
18 result in costs, and we are trying to get a handle on  
19 that.

20           MR. JONES: Mr. Chairman, if the Staff could  
21 jump in, maybe we could help on this one. This has been  
22 a recurrent problem with the interrogatories on  
23 safeguards that the Staff has noted, and it has to do  
24 with the nature of the FES review that the Staff does.  
25 The Staff will never be judging the adequacy of any of

1 the fuel cycle facilities safeguards simply because none  
2 of the ones that are proposed will be NRC licensed. The  
3 only facility that will ever be reviewed, and that will  
4 be at the OL stage for adequacy, is the CRBR facility  
5 itself.

6           With respect to the rest of those facilities,  
7 and really with respect to the FES on Clinch River, the  
8 FES analysis goes to the extent of not questioning the  
9 adequacy but of looking at the safeguards that have been  
10 proposed or are in existence at those facilities  
11 in assessing what the environmental impacts of the  
12 safeguards are and whether there will be any increase in  
13 those impacts that can be attributable to adding Clinch  
14 River products to that fuel cycle if it is an existing  
15 facility, will it be expanded, that sort of question.

16           This is where we get into the problem whether  
17 they are not only asking us for information on adequacy  
18 of other facilities. This is a question we will never  
19 answer at this stage or any other from the standpoint of  
20 an NRC review, and this is what is creating really some  
21 problems with us.

22           We have no problem with giving them  
23 information that we may have as to what safeguards exist  
24 at a facility that has been proposed for the fuel  
25 cycle. That certainly is relevant as to what the

1 environmental impacts of those safeguards are, but as to  
2 whether that is adequate, it is something that we just  
3 do not have jurisdiction to question now or even in the  
4 future.

5 MR. GREENBERG: Mr. Chairman, at the risk of  
6 repetition, I do not --

7 [Board conferring.]

8 JUDGE MILLER: We have been talking about  
9 costs. Are we speaking about environmental costs?

10 MR. JONES: Yes, that would be what would be  
11 appropriate for the FES review.

12 JUDGE MILLER: Now, would we also be  
13 considering the cost of providing safeguards in some  
14 type of NEPA cost-benefit balancing, possibly?

15 MR. JONES: That certainly would be one of the  
16 factors that go into the balancing, yes.

17 JUDGE MILLER: Those are the only two respects  
18 in which costs are evaluated by the Staff in this  
19 proceeding, if I understand it.

20 MR. JONES: That is correct.

21 [Board conferring.]

22 JUDGE MILLER: What are the numbers of the  
23 interrogatories, by the way?

24 MR. EDGAR: I can refer the Board to page 5 of  
25 our motion. They are catalogued down at the bottom of

1 the page. Practically speaking, there are 19  
2 interrogatories in the set and it is every one but 1 and  
3 19. But we have broken the interrogatories out to  
4 correlate them with the arguments. They are correlated  
5 here and they are correlated in the memorandum of points  
6 and authorities.

7 [Pause.]

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 JUDGE LINENBERGER: I noticed with respect to  
2 several interrogatories here in a grouping of 7 to 18  
3 here questions involving what measures have been taken  
4 and then questions involving what measures have not been  
5 taken.

6 I would like to understand from intervenors  
7 why they think asking applicant to tell them what  
8 measures were not taken is a reasonable request.

9 MR. GREENBERG: Well, what we are concerned  
10 with here is assessment of risk and in a determination  
11 to take some measures and not take others. Presumably  
12 an evaluation is made that some measures are going to be  
13 more effective. We are going to try to understand what  
14 measures were deemed ineffective, what the basis for  
15 that determination was. So it does seem to us --

16 JUDGE LINENBERGER: But you did not ask that  
17 question. You just said what has not been done. Well,  
18 that is an open-ended question if I ever heard one.

19 MR. GREENBERG: We are really referring to  
20 what measures have been considered in light of the  
21 specific recommendations made in a variety of reports.  
22 And what we try to do, Judge Linenberger, in these  
23 interrogatories is try to be specific and limit the  
24 request to specific reports and analyses that have been  
25 issued over the last five years which have made various

1 recommendations to reduce risks in the fuel cycle. And  
2 we are trying to get a handle on what particular actions  
3 have been taken to reduce those risks, because we  
4 believe they are relevant to evaluating this facility  
5 and its supporting fuel cycle for cost-benefit purposes.

6 (Board conferring.)

7 JUDGE MILLER: It is the Board's belief that  
8 the series of interrogatories here go well beyond the  
9 scope of admissible or permissible discovery with regard  
10 to safeguards. That is what your interrogatories with  
11 regard to Contention 5 as originally numbered, is that  
12 correct?

13 MR. GREENBERG: Now Contention 4.

14 JUDGE MILLER: Which is now Contention 4.

15 The Board, therefore, will sustain the  
16 objections of both applicants and staff to those series  
17 of interrogatories addressed to safeguards contained in  
18 NRDC's twenty-second set of interrogatories to the  
19 staff, and what was your same number?

20 MR. EDGAR: Seventeen.

21 JUDGE MILLER: Seventeen set of  
22 interrogatories to the applicants.

23 MR. GREENBERG: Mr. Chairman, one point of  
24 clarification. I did not understand that Mr. Edgar was  
25 objecting to all the interrogatories.

1 MR. EDGAR: No, we did not have -- we did not  
2 have an objection on 1 and 19.

3 JUDGE MILLER: One and 19?

4 MR. EDGAR: Right.

5 JUDGE MILLER: What about the staff?

6 MR. TREBY: We are willing to answer 1 and 19  
7 also.

8 JUDGE MILLER: They are willing to answer them  
9 all?

10 MR. TREBY: No. Just 1 and 19. And it is set  
11 23 rather than 22.

12 JUDGE MILLER: Oh, set 23.

13 MR. TREBY: Right.

14 JUDGE MILLER: Set 23 to the staff. The staff  
15 then shall answer interrogatories 1 and 19, is that  
16 correct?

17 MR. TREBY: That is correct.

18 MR. JONES: I am not sure what the numbers are  
19 for us, but they are the corresponding ones.

20 JUDGE MILLER: Now, what are the interrogatory  
21 numbers that the applicants have not objected to and  
22 hence should be willing to answer?

23 MR. EDGAR: Numbers 1 and 19 of the  
24 seventeenth set of NRDC interrogatories to the  
25 applicants.

1 JUDGE MILLER: All right. Applicants and  
2 staff shall therefore answer interrogatories 1 and 19 of  
3 the sets thus described for the record.

4 MR. TREBY: Excuse me. May I correct myself?  
5 I guess our number is 1 and 20.

6 JUDGE MILLER: One and 20 for the staff. Of  
7 which set now?

8 MR. JONES: The 23rd.

9 JUDGE MILLER: The 23rd set of interrogatories  
10 of the intervenors to the staff, and the applicants are  
11 going to stand on 1 and 19 of the 17th set of  
12 interrogatories from the intervenors to the applicant.

13 MR. EDGAR: Yes.

14 MR. GREENBERG: Mr. Chairman, I must say this  
15 leaves me with some uncertainty as to the scope of our  
16 Contention 4.

17 JUDGE MILLER: Safeguards?

18 MR. GREENBERG: Correct.

19 JUDGE MILLER: It looks like it is not going  
20 to be that far-ranging for one thing. We have quite a  
21 bit on our plate, as you can understand, and so we are  
22 willing to have you on a reasonable basis. We are not  
23 being technical about the scope of relevance. We do  
24 regard it as being broader for discovery purposes, but  
25 there have to be some limits as to the range --

1           MR. GREENBERG: I guess what I am saying is I  
2 do not understand what those limits are at this point,  
3 since virtually all of our discovery has now been thrown  
4 out except for two questions. And those questions  
5 specifically go to simply certain measures which are  
6 being taken or may be taken at the CRBR plant and  
7 supporting fuel cycle facilities, certain specified  
8 measures.

9           But what you have done is you have not allowed  
10 us to discover any information with respect to  
11 safeguards risks or safeguards consequences, although it  
12 would seem to us --

13          JUDGE MILLER: You started out elsewhere. You  
14 started out with so far-ranging a thrust that in order  
15 to get it limited to what we deemed to be relevant even  
16 for discovery purposes here, yes, you were left with 1  
17 and 19 or 1 and 20.

18          MR. EDGAR: Mr. Chairman, I wanted to remind  
19 the Board you asked me earlier today to come back -- to  
20 try to straighten out this apparent difference we had  
21 with the staff on the LWA-1 scope.

22          JUDGE MILLER: Yes.

23          MR. EDGAR: And I have done that, and I was  
24 wrong, in a word. I had the wrong information.

25          The LWA-1 request is now the only thing before

1 the NRC staff. The applicants are looking at the  
2 advisability of a limited LWA-2 request, but that would  
3 come after any LWA-1. So in terms of what is before the  
4 Board, the game plan is to go for the one. If it makes  
5 sense to go for two, it would be done but as an  
6 increment after the LWA-1. So I do not think we are in  
7 disagreement with the staff, and I think I misstated the  
8 facts.

9 JUDGE MILLER: Well, we are glad to have it  
10 corrected. We are then going to be considering both the  
11 discovery and the evidentiary hearing in August, the  
12 LWA-1 matters.

13 MR. EDGAR: Yes, yes.

14 JUDGE MILLER: Now, what other motions are  
15 there?

16 MR. EDGAR: You had asked for some discussion  
17 on the subject of a sort on the contentions, I believe.

18 MS. WEISS: There is still staff -- staff has  
19 some remaining objections to discovery which I think we  
20 should go into.

21 JUDGE MILLER: Let's hear from the staff then.

22 MR. JONES: I think most of our objections  
23 have been taken care of, but there are a couple. One  
24 that was in the document, the 22nd set which we filed,  
25 objection to the 22nd set of interrogatories which was

1 filed on April 2nd by the staff.

2           The other is a disagreement on a document  
3 request which I verbally last night conveyed our  
4 objection. And one of those has been resolved, and I  
5 guess we still have one left. So if we can deal with  
6 those two matters, then we will be set.

7           JUDGE MILLER: Well, now, are you referring  
8 now to the staff's objections to NRDC's 22nd set of  
9 interrogatories to the staff and a motion for protective  
10 order filed for two?

11           MR. JONES: That is correct.

12           JUDGE MILLER: I see. That is the one you  
13 referred to, Ms. Weiss.

14           MS. WEISS: Yes, yes.

15           JUDGE MILLER: Okay. Let's see. Who wants to  
16 lead off on that?

17           MR. JONES: Well, I will state what the  
18 disagreement is, and I am not sure I understand the  
19 counterarguments, so let me deal with that.

20           We objected to three series of questions  
21 because the contention was not yet admitted, and it was  
22 discovery on those contentions. We have resolved two of  
23 those. The difference of opinion I guess is respect  
24 with old Contention 23 which is now -- okay. It was  
25 renumbered as Contention 10 and deferred. I assume that

1 would likewise defer the interrogatory questions related  
2 to that contention, and I am informed it may not.

3 JUDGE MILLER: The present renumbered  
4 Contention 10 has been deferred which relates to the  
5 systems necessary to establish and maintain a safe cold  
6 shutdown and so forth.

7 MR. JONES: I believe that is correct.

8 JUDGE MILLER: That is a contention, all  
9 right. Now, pursuant to that contention you have filed  
10 a motion for a protective order. What page do we look  
11 at there to find out the remaining viable dispute?

12 MR. JONES: Our objection appears starting on  
13 page 6 of our filing, and we had put three sets together  
14 which had the same objection.

15 JUDGE MILLER: Yes. Okay. Okay.

16 Now, the 22nd set of interrogatories to the  
17 staff.

18 MR. JONES: That is correct.

19 JUDGE MILLER: And which ones are now at issue?

20 MR. JONES: Beginning on page 12 there are a  
21 series of three questions, the last one having subparts  
22 (a) through (g). I am sorry. Five questions, the third  
23 one having subsections (a) through (g) on Contention  
24 23. That is now Contention 10 which has been deferred.

25 And I believe NRDC indicated they had some

1 position that it might fall under an admitted  
2 contention, and I just have not heard the argument yet.

3 JUDGE MILLER: All right. We did defer  
4 Contention 10, that is true, until after the initial --  
5 partial initial decision.

6 Now, does there remain anything up until that  
7 point?

8 MS. WEISS: No.

9 JUDGE MILLER: Well, then, the interrogatory  
10 and other discovery with relation to Contention 10 are  
11 likewise deferred, is that correct?

12 MS. WEISS: Yes. The only nature of my  
13 argument is that I think that all of these questions  
14 would be relevant to Contentions 1, 2 and 3. We are  
15 asking about accident analysis primarily, and I think  
16 that they are relevant under 1, 2 and 3. And maybe the  
17 way to resolve that is really just to have us talk to  
18 the staff and take a look at it, if we could take five  
19 minutes.

20 JUDGE MILLER: We do not mind. How much more  
21 do we have to do?

22 MS. WEISS: I think that is the last.

23 MR. JONES: I have one part of the document  
24 request, but that is all.

25 MS. WEISS: Just one minor discovery point

1 left.

2 JUDGE MILLER: All right. We will take a  
3 short recess then. If there is anything else that  
4 occurs to you, housekeeping or otherwise, let's get it  
5 all wrapped up when we come back.

6 (Recess.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 JUDGE MILLER: The hearing will resume.

2 There was to be a conference, I believe.

3 MR. JONES: Mr. Chairman, I think we have  
4 agreed on both of the discovery points we had so that  
5 they should resolve themselves.

6 JUDGE MILLER: Very good. Do you want it  
7 stated for the record so we will know which --

8 MR. JONES: We have agreed the interrogatories  
9 under Contention No. 23 are conceivably relevant to  
10 parts of new numbered 1, 2 and 3. And in a moment I  
11 believe we are going to be arguing about whether any  
12 portions of 1, 2 or 3 should be deferred until after  
13 LWA, and I think that will resolve our problem on these  
14 interrogatories.

15 JUDGE MILLER: All right. Intervenors agree?

16 MS. WEISS: Yes, Mr. Chairman.

17 JUDGE MILLER: Does that include the motion to  
18 compel responses?

19 MR. JONES: Excuse me. We do not have a  
20 motion to compel, do we?

21 JUDGE MILLER: Motion for a protective order?

22 MR. JONES: Yes. I think we have resolved all  
23 the matters either through --

24 JUDGE MILLER: That is the one dated April 2.

25 MR. JONES: Yes.

1 JUDGE MILLER: Objection to NRDC's 22nd set of  
2 interrogatories to the staff and motion for protective  
3 order. That has been resolved by the parties?

4 MR. JONES: Most of that is identical to the  
5 rulings on the applicant which will apply, and that  
6 takes care of it.

7 JUDGE MILLER: Fair enough. Thank you.

8 MR. JONES: If it would be preferable, we can  
9 go through very quickly and indicate for the record what  
10 the decision was on each of our portions.

11 JUDGE MILLER: Oh, the decision made with  
12 regard to the applicants which are applicable equally to  
13 the staff?

14 MR. JONES: That is correct.

15 JUDGE MILLER: Well, do you have it just  
16 before you there, numbers?

17 MR. JONES: I think I can go through very  
18 quickly, yes.

19 JUDGE MILLER: Okay.

20 MR. JONES: Our first two objections were to  
21 interrogatories 4(a) through (e) and 5(a) and (b) under  
22 Contention 5. Those were disallowed. Those identical  
23 interrogatories were disallowed against the applicant,  
24 and so they would be disallowed against us.

25 On Contention 8 we had objected to

1 interrogatories 3, 4 and 5 and 7, 8 and 9, and 7 and 8  
2 were identical to the applicants' objections, and that  
3 was resolved, and in the course of that we will withdraw  
4 the objections to the other interrogatories. They are  
5 of the same nature, so we will answer those.

6           With respect to the questions on Contention 8,  
7 interrogatories 10 through 12, our understanding is that  
8 8(d) has now been admitted as modified, and those  
9 interrogatories would be appropriate.

10           Contention 23 -- under the old Contention 23  
11 we just stated that that will be resolved with respect  
12 to your ruling on deferring contentions. And with  
13 respect to Contention 24 I believe we agreed that that  
14 has been subsumed.

15           (Counsel for NRC staff conferring.)

16           MR. JONES: We had one statement I guess that  
17 when the staff -- when the Board deferred Contention 23,  
18 which is now Contention 10, it likewise would have  
19 deferred those portions of 1, 2 and 3 that addressed  
20 those same items.

21           MS. WEISS: That is different. I mean I  
22 thought we were -- the agreement was we would leave it  
23 to the Board to see what portions of 1, 2 and 3 are  
24 deferred and which ones are going.

25           JUDGE MILLER: I think we were going to take

1 those up as soon as we are through.

2 MR. JONES: I guess we can deal with that in a  
3 moment then.

4 MS. WEISS: And on Contention 24, which we  
5 withdrew on the understanding that that was subsumed in  
6 Contention 2, I just want to make it clear for the  
7 record that your position is now that you will answer  
8 those.

9 MR. JONES: That is correct.

10 MS. WEISS: Okay.

11 JUDGE MILLER: Is this statement accurate then?

12 MS. WEISS: Yes, Mr. Chairman.

13 JUDGE MILLER: Is there anything else we  
14 should have stated on the record now in order to show  
15 the resolutions of Board -- the parties have been able  
16 to arrive at? Is that covered?

17 (No response.)

18 And there is one other matter, and that  
19 relates to what contentions should still be the subject  
20 of ongoing discovery and of evidentiary proceedings. We  
21 want to be clear so that the parties will not be under  
22 any undue burden, and so they can focus because it is a  
23 pretty tight schedule.

24 Does anyone have that in mind? I know that  
25 the applicants and maybe the staff at some point have

1 given us the numbers, but I am not sure how they may  
2 have been modified by the actions of the last couple of  
3 days.

4 Does somebody want to lead off on that? Which  
5 contentions or issues reflected by contentions should  
6 logically be deferred until after the evidentiary  
7 hearing, whether it be in whole or in part of an ongoing  
8 contention?

9 The Board has set some contentions definitely  
10 for deferral under the Board's ruling, but we know that  
11 there are others or portions of others where the parties  
12 may wish to suggest that they would prefer not to have  
13 to be devoting unnecessary time and energy to it now in  
14 order to take care of the remainder which definitely are  
15 up for trial.

16 Mr. Edgar, are you ready to go forward?

17 MR. EDGAR: Yes. If I may, I would like to  
18 take new contentions 1, 2 and 3 as a group for the  
19 moment. We know what they are. We have had very  
20 extensive discovery on that. We are heavily engaged in  
21 the updating process now. There are two areas within  
22 those contentions that I think that we should earmark as  
23 items for deferral.

24 The first is the question of accidents within  
25 the design basis on envelope within the logical

1 structure of 1, 2 and 3. There is no need to go into  
2 that at the LWA stage.

3 The second area --

4 JUDGE MILLER: Is that the LWA-1 stage?

5 MR. EDGAR: Yes, sir.

6 JUDGE MILLER: That is all we are focusing on  
7 right now.

8 MR. EDGAR: That is correct. Then -- and I  
9 will try to use new numbers here consistently if I can.  
10 As far new Contention 4 -- I mean as for Contention 4 as  
11 admitted by the Board at these prehearing meetings, I  
12 think the point here is reflected in the Board's rulings  
13 on the safeguards, that we do not need to go into  
14 adequacy. We do not need to go into the details of a  
15 specific security plan, but whether the inquiry here is  
16 limited to the scope of the cost-benefit analysis.

17 As for admitted Contention No. 5, it is our  
18 judgment that that is litigable at the LWA stage. We  
19 would note the limitations that the Board expressed in  
20 admitting the contention as to the scope of inquiry  
21 concerning the Y-12 facility.

22 As for Contention 11, which is admitted  
23 Contention 11, formerly Contention 8, there are several  
24 areas which the Board should consider here. The first  
25 is under 8(a) -- I am sorry -- 11(a). I stand

1 corrected. The ALARA finding as to the plant and as to  
2 employees is a CP finding, and it flows from the Part 50  
3 regulations.

4 Of course, 11(b) is a residual risk statement  
5 of the contention which requires discussion of the  
6 effects of compliance with the regulation. We think  
7 11(d), as in dog, relates to site suitability and thus  
8 is within the scope of an LWA finding. LWA-1, that is.

9 Turning to Contention 6, the fuel cycle, we  
10 think is appropriate for LWA given the limitations  
11 expressed by the Board when that contention was admitted.

12 Seven, Contention 7, which was old Contention  
13 10, now Contention 7, we think that, which basically is  
14 alternatives and site selection, is appropriate for the  
15 LWA.

16 New Contention 8, or as admitted, Contention  
17 8, old 14, or what we call 1976 Contention 14, that was  
18 admitted in that formulation, as admitted by the Board's  
19 1976 order, is an LWA-type issue.

20 And the remaining issues are the subject of  
21 specific rulings by the Board either excluding the  
22 contentions or expressly deferring them. And I would  
23 not repeat that except to mention that.

24 JUDGE MILLER: Applicants -- I am sorry --  
25 intervenors.

1 MS. WEISS: That is very close to how we had  
2 seen things. I would like to just talk about one of  
3 those or two at the most.

4 JUDGE MILLER: Okay.

5 (Counsel for intervenors conferring.)

6 MS. WEISS: I would wonder if you have  
7 identified which portions of Contentions 1, 2 and 3 you  
8 believe relate to accidents within the DBA and therefore  
9 ought to be deferred.

10 MR. EDGAR: I am just stating an area which I  
11 do not think is necessary for trial. That is all. The  
12 basic logic of 1, 2 and 3 defines what we need to  
13 indicate.

14 MS. WEISS: Are you saying that you think 1, 2  
15 and 3 should be deferred or should be in or parts should  
16 be deferred?

17 MR. EDGAR: No, no. I said 1, 2 and 3 should  
18 be litigated.

19 (Counsel for intervenors conferring.)

20 JUDGE MILLER: I am confused now about 1, 2  
21 and 3. I seem to have it in both columns, and if it is  
22 portions of it, that is one thing, but otherwise I have  
23 a heck of a conflict here.

24 What is your position?

25 MR. EDGAR: Let me state our position. Maybe

1 someone has characterized our position. We think that  
2 you litigate 1, 2 and 3. That is our position.

3 JUDGE MILLER: In the LWA hearing, both in  
4 discovery and trial?

5 MR. EDGAR: That is right. And we think we  
6 have done that.

7 JUDGE MILLER: What was this about, the  
8 accidents within the --

9 MR. EDGAR: I am just taking -- there is an  
10 old 21 that goes into 1, 2 and 3, and I do not think you  
11 need to spend much time with accidents within the design  
12 basis envelope.

13 JUDGE MILLER: Do we need to spend any time?

14 MR. EDGAR: I do not think you need to spend  
15 any in the context of an LWA.

16 JUDGE MILLER: You are not saying it needs to  
17 be deferred. You are just saying don't waste your time.

18 MR. EDGAR: That is right. When I say defer,  
19 Mr. Chairman, let me suggest this, that that might be  
20 fair game for a CP; that is the detailed examination of  
21 design basis accidents. It is in every PSAR. That is  
22 probably a proper area of inquiry, but I do not think  
23 you need to get into it at this juncture, and that is  
24 what I was trying to say.

25 JUDGE MILLER: What don't we need to get into

1 at this juncture?

2 MR. EDGAR: Accidents within the design basis.

3 JUDGE MILLER: That is to be deferred.

4 MR. EDGAR: That is correct.

5 JUDGE MILLER: That is what I had in the first  
6 place. Okay. So that goes in the deferred column.

7 Then 1, 2 and 3 except for that matter goes in the trial  
8 column.

9 MR. EDGAR: Right.

10 JUDGE MILLER: It is in both then. Okay.

11 Does everybody understand what we are doing here now?

12 MS. WEISS: Yes. I understand what has been  
13 proposed anyway.

14 JUDGE MILLER: Now your comments on it, and we  
15 will talk to the staff and get as much agreement as we  
16 can.

17 DR. COCHRAN: Judge Miller, I would like to  
18 make one comment about what is in and out of 3.

19 JUDGE MILLER: Okay.

20 DR. COCHRAN: I generally agree with Mr.

21 Edgar's characterization that what we really are talking  
22 about is the design basis event, the old, what is it,  
23 21? The old 21 is now in 3. Most of that can be  
24 deferred. There are some minor details that would be  
25 in, but we can envelope them within our discussion of

1 whether or not they are design basis events or not. So  
2 I do not think it is a problem. I just wanted to -- do  
3 not want to precisely rule out everything we had in mind  
4 under 21.

5 JUDGE MILLER: Okay. Do you understand, Mr.  
6 Edgar, what he is talking about?

7 MR. EDGAR: I understand, and I think that  
8 that is a fair statement.

9 JUDGE MILLER: Okay. Now we have two of you  
10 in line. Now let me try the staff.

11 MR. SWANSON: Not unanimous.

12 (Laughter.)

13 Let me just get a clarification. I think our  
14 discussion will be confined to 1, 2 and 3, but just let  
15 me get a clarification, because I did not hear you  
16 mention new 11(c), but I assumed you grouped 11(b) and  
17 (c) together, is that right, or --

18 JUDGE MILLER: As what, being deferred or  
19 tried?

20 MR. SWANSON: As being LWA matters.

21 JUDGE MILLER: Eleven?

22 MR. EDGAR: Let me check it.

23 MR. SWANSON: You mentioned 11(b) was the  
24 residual effects.

25 MR. EDGAR: I grouped (b) and (c) together,

1 yes, you are correct.

2 JUDGE MILLER: Where did you group them?

3 MR. EDGAR: In the LWA.

4 JUDGE MILLER: (b) and (c)?

5 MR. EDGAR: Right.

6 JUDGE MILLER: That is to be tried?

7 MR. EDGAR: That is right.

8 JUDGE MILLER: That is not what I have.

9 JUDGE LINENBERGER: That is not what I wrote  
10 down from what you said.

11 JUDGE MILLER: I thought you had 11(d) for one  
12 thing.

13 MS. WEISS: I did understand you to say 11(b)  
14 and (c) were LWA-1.

15 JUDGE MILLER: (b) and (c) are LWA-1.

16 MS. WEISS: And (d).

17 JUDGE MILLER: (b), (c) and (d).W

18 MS. WEISS: Everything but (a).

19 JUDGE LINENBERGER: Oh, okay.

20 MR. EDGAR: Right. That is what I said. That  
21 is what I had hoped --

22 JUDGE MILLER: (a) is deferred. The rest of  
23 them were to be tried.

24 MR. EDGAR: That is what I intended to say. I  
25 may have misspoken.

1 JUDGE MILLER: Okay. Staff?

2 MR. SWANSON: Staff agrees with that, but  
3 where we would like to propose parsing out issues is in  
4 1, 2 and 3, because we believe there are elements of  
5 both LWA matters and CP matters encompassed in those  
6 contentions. I think the only way to do it is to do it  
7 by subcategory. Using the new numbering system we  
8 believe 1(a) is an LWA matter, but that the rest of 1 is  
9 more suitable or it can be postponed for the  
10 construction permit.

11 JUDGE MILLER: 1(a).

12 MR. SWANSON: 1(a) is an environmental matter  
13 dealing with CDA initiators, 1(a) only.

14 JUDGE MILLER: 1(a) ought to be tried now?

15 MR. SWANSON: Right. The rest relates more to  
16 the type of analysis that is suitable for and would be  
17 included in the staff's safety evaluation report.

18 And in new number 2 we believe that, taking it  
19 by parts, 2(a) is an LWA matter; 2(b) and 2(c) also are  
20 environmental LWA matters, but that d), 2(f), 2(g) and  
21 2(h) are CP matters. I skipped over 2(e) because 2(e)  
22 we believe is also an environmental matter, an LWA  
23 matter.

24 JUDGE MILLER: So far for trial you have now  
25 2(a), (b), (c), and (e).

1 MR. SWANSON: That is correct.

2 JUDGE MILLER: Okay.

3 MR. SWANSON: Of 2, and then, of course, 1(a).

4 JUDGE MILLER: 1(a), correct.

5 MR. SWANSON: Now, of new contention 3 we  
6 believe (b) and (c) are suitable for trial now, LWA;  
7 that (a) and (d) are CP matters. And we would agree  
8 with the rest of the characterization of the contentions.

9 JUDGE MILLER: All right. Now, let me see if  
10 we have agreement by applicants and intervenors to these  
11 modifications.

12 MS. WEISS: We definitely do not agree with  
13 that, and I understand it to be inconsistent with what  
14 the applicant said. I have not been able to discern at  
15 this point, but there is an illogical thread that  
16 supports putting these subissues into one or another  
17 category. It seems to be dictated by what the staff  
18 usually looks at in their SER and what they usually look  
19 at in their site suitability report.

20 But it seems to me they are seeking to  
21 artificially separate these subissues in such a way that  
22 it would be unable -- the Board will not have before it  
23 a sufficient record to allow it to reach a conclusion on  
24 the ultimate questions which are clearly required to be  
25 resolved under NEPA.

1           LWA-1 cannot be issued until all the NEPA  
2 findings are made, not just some. And the reasonable  
3 assurance standard applies at the LWA stage just as much  
4 as it does at the CP or OL stage. It is not a lesser  
5 order of proof required or a lesser burden of proof  
6 required.

7           And certainly if the CDA ought to be  
8 considered within the design basis, that is going to  
9 change large parts of the FES with respect to its  
10 conclusions about the risks and consequences of  
11 accidents.

12           It should automatically change the analysis  
13 under Part 100 for site suitability in that it would  
14 change the source term dramatically, and certainly site  
15 suitability is a question that has to be resolved at  
16 this stage. All the Part 100 findings have to be made.

17           JUDGE MILLER: What are the issues, in a  
18 general way, which are cognizable and necessary for an  
19 LWA-1 hearing?

20           MS. WEISS: The Board must resolve with  
21 finality all NEPA issues. It must make all of the  
22 conclusions called for by Part 51 that would have to be  
23 made for the issuance of a CP.

24           JUDGE MILLER: That is to say all of the  
25 environmental findings required at the CP stage must be

1 made at the LWA-1 as well as a preliminary finding that  
2 the site is a suitable one for the type of reactor  
3 proposed from the standpoint of radiological health and  
4 safety.

5 MS. WEISS: Correct.

6 JUDGE MILLER: Is that your understanding?

7 MS. WEISS: That is what the rule provides.

8 JUDGE MILLER: Are you all in accord on that?

9 MR. EDGAR: Yes.

10 MR. SWANSON: Yes.

11 JUDGE MILLER: After the LWA-1 finding has  
12 been made and determining there are no unresolved safety  
13 issues relating to the additional activities proposed,  
14 then we could go into LWA-2, but we are not at that  
15 stage yet, is that correct?

16 MR. EDGAR: Yes.

17 MR. SWANSON: Yes.

18 MS. WEISS: That is correct.

19 JUDGE MILLER: And then LWA-2 may be combined  
20 with an LWA-1 or may be considered at a later time, and  
21 you have all chosen to go that route. All right. I  
22 guess those are the general principles.

23 Now, how do we apply them?

24 MR. SWANSON: Well, just setting forth the  
25 appropriate general principle, as applicant recently

1 cleared up, we are not considering LWA-2 at this time so  
2 the Board does not have to make a finding that there are  
3 no unresolved safety questions.

4 JUDGE MILLER: Correct.

5 MR. SWANSON: The staff believes that there is  
6 a rational means for distinguishing between those items  
7 which go towards that resolution of safety issues for  
8 the construction permit versus those that are necessary  
9 to make environmental or site suitability findings.

10 Now, boards in the past, for example, taking  
11 Appendix I, have -- and ALARA issues have determined  
12 that indeed -- which I think is analogous to considering  
13 the accident analysis that we have put off to the CP  
14 stage -- have indicated that for the environmental  
15 finding you take a certain scenario that the staff would  
16 have to show there is reasonable assurance that that  
17 scenario can be accommodated, in this case that a CDA  
18 can safely be put in a category of a low enough  
19 probability so it does not have to be a design basis  
20 accident, show reasonable assurance that that can be so,  
21 and that there is reasonable assurance that the safety  
22 systems can be designed to in fact make that a reality,  
23 that in fact the core disruptive accident is not  
24 necessary to be a design basis accident.

25

1           So the environmental costs of reducing that  
2 probability are acceptably low, and of course, that the  
3 environmental cost of this core disruptive accident with  
4 its low probability are factored into the cost-benefit  
5 analysis. We do not have to show with the kind of  
6 detail that would be required at the CP stage that in  
7 fact the safety analysis has been done, the design  
8 features have been accounted for, so that this will, in  
9 fact, be accomplished.

10           In other words, you do not have to do all of  
11 the safety review necessary for a CP in order to make  
12 the environmental findings. Obviously, if the Board  
13 were later to find that the staff or applicants had not  
14 demonstrated that the design features could safely  
15 reduce the probability of a CDA so that could be  
16 discounted as a design basis accident, then that would  
17 necessarily have affected prior environmental findings  
18 if the Board in making those findings, had assumed that  
19 they could be reduced -- the probability could be  
20 reduced.

21           But that does not mean that you have to take  
22 the converse and go to finality for CP purposes merely  
23 to make environmental findings. And it is for that  
24 reason that the staff believes that taking them in turn,  
25 contention 1(b) dealing with reliability program --

1 excuse me, the applicants' reliability program -- or  
2 1(b)(1), sufficient failure mode data pertinent to CRBR  
3 systems predicting probability of CDA's, or (2)  
4 applicants' projected data base encompassing all  
5 credible failure modes and human elements, (b)(3) that  
6 they establish that CDA's have a sufficiently low  
7 probability that it can be excluded from their projected  
8 -- you know, their projected data base and excluded --  
9 let me back up.

10 (b)(3) dealing with the data described in  
11 applicants' projected data base, even if obtained, does  
12 not establish that CDA's have a sufficiently low  
13 probability that they may be excluded from the design  
14 basis. In other words, the detailed analysis that would  
15 have to be gone through to establish that. Or (b)(4),  
16 that applicants have not established that the test  
17 program used for the reliability program will be  
18 completed prior to their projected date of completion of  
19 construction of the CRBR. Similarly for parts of new  
20 contention 2 (2)(d) dealing with design of containment,  
21 2(f) dealing with computer codes, or 2(g), the computer  
22 models and codes and input data, and then finally 2(h),  
23 dealing with containment design again.

24 And similarly with new contention 3(a) the  
25 comprehensive analysis comparable to the Rasmussen

1 report, or 3(d), the what I assume here is the TMI  
2 Lessons Learned issues dealing with human error are  
3 matters which can appropriately be left to the final  
4 safety analysis that is done for purposes of a  
5 construction permit analysis.

6 MS. WEICS: What the staff is saying, Mr.  
7 Chairman, is while conceding that you all have to make a  
8 finding on whether the CDA should be included within the  
9 design basis -- in other words, whether or not the  
10 design basis has been appropriately drawn, while  
11 conceding that you need to make that finding, they are  
12 saying you can only look at certain information and you  
13 must take their assertions, based on whatever vague  
14 grounds there are. You cannot probe further.

15 I mean if you look at what they have done as a  
16 practical matter to these contentions, you see what they  
17 have done. Contention number 1 is the envelope of DBA's  
18 should include the CBA, an admitted contention.

19 Neither applicants nor staff have demonstrated  
20 through reliable data that the probability of CDA  
21 initiators is sufficiently low to enable them to be  
22 excluded. Okay. They are generous, we can litigate  
23 that. But we cannot look into any other of the subparts  
24 that will enable you to make a conclusion on that. You  
25 cannot look into the reliability program which is

1 claimed to be capable of eliminating CDA's from the  
2 design basis. You cannot look at the methodology which  
3 is the fault tree and event tree methodology which is  
4 claimed to support this conclusion that the probability  
5 will be low. You cannot look at the data base which  
6 goes into the fault tree and event tree analysis and so  
7 on and so on.

8           The assertion seems to be that we are limited  
9 by the level of vagueness and uncertainty that they are  
10 at, and we are certainly not so limited.

11           JUDGE LINENBERGER: If they have not done  
12 their analyses, doesn't that impose a limitation on you?

13           MS. WEISS: No, sir. If they have not done  
14 their analyses, it is their job to convince you that  
15 this plant ought to be licensed despite the absence of  
16 any analysis that would justify a conclusion that CDA's  
17 should be excluded.

18           JUDGE LINENBERGER: Well excuse me, but you  
19 give me a problem when you say -- talk about licensing  
20 the plant when we are at an LWA, proceed at your own  
21 risk phase of the proceeding. How can you talk about  
22 licensing the plant there?

23           MS. WEISS: I think the LWA's frequently is  
24 misunderstood. This Board need make all of the findings  
25 required under NEPA. All parties concede that the

1 question of the design basis envelope is a question that  
2 must be resolved under NEPA because it bears directly on  
3 the source term which goes to site suitability, and it  
4 bears directly on the analysis of risk and consequence  
5 of accidents which the FES must include.

6           Simply because this is an LWA does not mean  
7 that one can make that finding to a lesser degree of  
8 certainty. Reasonable assurance applies at every stage.

9           JUDGE LINENBERGER: Isn't all you are really  
10 saying, Ms. Weiss, is that we may make a finding with  
11 respect to the LWA issue which later on, if things go to  
12 a construction permit hearing, we may find we had  
13 inadequate bases to make, and have to modify our  
14 decision? And that indeed puts us in a strange  
15 position. But I think that is really what you are  
16 telling us and that is something that we averted to just  
17 yesterday, that this could indeed happen.

18           MS. WEISS: I am saying that that result is  
19 forbidden -- well, I am not saying it could not happen,  
20 but that result is not contemplated under the LWA  
21 rules. You are not supposed to look to some lesser  
22 degree, apply some lesser burden of proof. You have  
23 been given the requirement of resolving these issues  
24 under NEPA. That is not lesser responsibility. The  
25 burden of proof required to make those findings is no

1 less great than it is to answer those questions on the  
2 safety side.

3           You cannot say we are going to sort of take a  
4 half a look now and then we will take a whole look  
5 later, and if we made some mistakes in the half a look  
6 we can correct them. That is not what the LWA rule  
7 contemplates, I submit.

8           JUDGE LINENBERGER: All I am saying is I think  
9 I hear you objecting to the position that the Board will  
10 find itself in, rather than the position that  
11 intervenors are finding themselves in. And at this  
12 point it is nice to have you worrying about the Board,  
13 but that is not really why we are there, I think.

14           MS. WEISS: Well, what I am worried about is  
15 whether we will be able to bring you the evidence to  
16 allow you to make a decision. I mean, if --

17           JUDGE MILLER: You are contending it affects  
18 the scope of ongoing discovery as well as the  
19 evidentiary aspects of the LWA.

20           MS. WEISS: Absolutely.

21           MR. EDGAR: I would like to take exception to  
22 that statement because the discovery that we have had on  
23 these contentions -- and there is a pile of it -- has  
24 made no distinction. It has just gone. It has been  
25 filed, it has been answered. So I think we can do that

1 sort right now and people have not done the kind of  
2 detailed categorization that the staff just went through.

3           The staff's position has some fundamental  
4 logic to it, but I do not think you can just do a sort  
5 like a go/no-go cage, and say one is CP, one is LWA.  
6 Some of these are a matter of degree. You know, it is a  
7 question of how much information. I think the staff's  
8 sort is a good first cut at it, but it is really  
9 incumbent on the parties to come forward with their  
10 evidence and say what they think is sufficient.

11           We have approached this one from the  
12 standpoint of we will let all the discovery go; we know  
13 we want to say in terms of sufficiency under these  
14 contentions, and we will stand or fall on that. I think  
15 the staff's sort is correct logically, but you cannot --  
16 when they do it, you cannot say well, we are going to  
17 exclude that area totally. You are going to be putting  
18 in elements of that information.

19           And I am not sure we can settle anything here  
20 and now. I do not think you can do it in the abstract.  
21 You have to do it in the testimony, almost.

22           JUDGE MILLER: Yes, but the Board --

23           MR. EDGAR: And for discovery I do not think  
24 you have to reach it because we have not had that  
25 problem.

1 JUDGE MILLER: Well, you have not had a lot of  
2 problems because you have not addressed them, too. You  
3 have had a lot of discovery but there is a lot more down  
4 the pike.

5 Now, the Board wants to make clear that we  
6 called this conference; we did it and we said we will  
7 consider all pending motions. We want it clearly  
8 understood that we were going to hear them so far as we  
9 could. Apparently, we were able to, as it worked out,  
10 but we have a big pile of material that we have gone  
11 through. We have made rulings, the parties have been  
12 very good about sitting down and refining in some  
13 instances, and adjusting and accommodating their mutual  
14 positions.

15 However, let me suggest this to you. In a  
16 sense, the Board was teaching you right from wrong, but  
17 we were teaching you wrong first because we do not want  
18 to have to do this again. We do not want to have to be  
19 the target of all these papers, and that is why we used  
20 the Comanche Peak procedure simply as an analogue.

21 But we think in the future now as you get down  
22 to this hard work of discovery, it is now more focused  
23 because you have the contentions, and as these matters  
24 are discussed and debated, I think there is more  
25 refinement of points of view going on. But you all have

1 a lot of work to do both in the discovery and its  
2 various aspects and the schedule which has been adopted,  
3 and then accomodated by the parties, which makes sense,  
4 leading up to a trial.

5           Now, we do not want to be the target of these  
6 continuing motions. We want you to be able to sit down  
7 and resolve them, so that is very well. We appreciate  
8 the fact that maybe at this point we cannot say whether  
9 1(b) or (d) or (c) is or is not on the discovery side of  
10 the ledger, but somebody has to do it and that scmebody  
11 is you.

12           So to the extent that you say something is not  
13 necessary for a decision now, okay, but you are going to  
14 live with it. You start filing the motions, we are  
15 going to flip them out. We are trying now to cover --  
16 we are trying to cover all that we can. It is only in  
17 extreme situations that the Board wants to get involved  
18 now in further discovery and pleadings. And we let you  
19 have considerable leave. We encouraged you to file  
20 everything you want. We tried to teach you right from  
21 wrong and that is wrong. We did it because of the  
22 stated reasons.

23           We had a five-year gap, we had many things to  
24 bring together. Certain mutuality of debate and  
25 analysis was necessary. Let me say that the Board

1 appreciates the fact that all of you participated in a  
2 very good faith and genuine way and achieved results.  
3 But whatever you leave hanging now is going to have to  
4 be resolved essentially by you folks. I hope you are  
5 keeping that in mind when you say that the things will  
6 evolve as we get on with discovery, because you are  
7 going to be the ones that are discovering an evolving.  
8 The Board only to a limited extent.

9 MR. EDGAR: One, two and three in my mind are  
10 a special case. I can deal with the others. And I  
11 think the sort we went through on that -- there may be  
12 small differences but the parties are essentially in  
13 accord on that. When you get one, two and three you are  
14 into some very fine detail which requires some very  
15 specific expertise, and it is hard for me to take a  
16 contention which has an overlap between its subparts and  
17 say this is in, this is out, sitting here at this table.

18 In the context of a discovery request or  
19 preparing testimony, I think that problem is tractable,  
20 so --

21 JUDGE MILLER: I know in testimony it is  
22 tractable because we will be there and rule. But what  
23 about the period of time inbetween? That is what is  
24 concerning the Board.

25 MR. EDGAR: I do not have a unique or easy

1 answer to that question. It is just a complex subject  
2 and we are going to have to confer amongst each other to  
3 get it sorted out.

4 I can tell you the most complex one here is  
5 one, two and three, yet that is the area where we have  
6 had the least discovery dispute. I do not know why that  
7 is, but that is the case.

8 JUDGE MILLER: All right, the Board is content  
9 to leave it there. You have agreement on many aspects  
10 of ongoing discovery vis a vis issues and contentions.  
11 There are some areas you do not have agreement. We will  
12 expect you to resolve it, and you have assured us when  
13 you get down to concrete matters you will be able to.  
14 You have in the past. We are content to leave it at  
15 that if you are.

16 Anything further that needs to be said now,  
17 considering that we might not meet with you again for a  
18 while? We have other cases, too, you know, and  
19 obligations, just as you folks have. Anything further?

20 I did not mean to disregard the state of  
21 Tennessee. I realize that you recently changed your  
22 status from that of a direct party to that of an  
23 interested state, but by not calling upon you to express  
24 your views we certainly did not mean to indicate we were  
25 not interested. Is there anything that you would like

1 to bring before the Board?

2 MS. BRECKENRIDGE: I cannot think of anything.

3 MR. SWANSON: I just wanted to make sure I  
4 understand the ruling and also how it affects some of  
5 the fringe -- I will call them fringe contentions, the  
6 ones that were deferred for CP purposes. One of which  
7 anyway NRDC claims is related to 1, 2 and 3. Do I  
8 understand that the Board is not prepared at this time  
9 to parse out subsections of 1, 2 and 3? Is that correct?

10 JUDGE MILLER: That is correct because the  
11 parties are not prepared, as we understand it, to give  
12 us any clear guidance on it.

13 MS. WEISS: We agreed, didn't we?

14 JUDGE MILLER: To the extent that you are,  
15 yes, we will rule if you want us to.

16 MR. SWANSON: The staff set forth one proposal  
17 and apparently the other two parties have counter  
18 proposals, so --

19 MR. EDGAR: Why don't we get together and talk  
20 about that? That is --

21 JUDGE MILLER: You see, the Board is willing  
22 to leave that. Essentially 1, 2 and 3, that is the  
23 heart of it, I agree with you. We are going to leave it  
24 that you get together and talk and that you will resolve  
25 it by talking somehow. I do not know. Last man out of

1 the room, turn out the lights.

2 MS. WEISS: I hope it does not come to a fight.

3 JUDGE MILLER: We do not want to come and go  
4 through this again, so if you want us to rule we will  
5 rule now. But there seems to be enough questions in the  
6 minds of staff vis a vis the others and so forth that we  
7 were going along with the mutual suggestions that you  
8 could and would work these matters out.

9 All right, if you want -- do you want to go  
10 back? We have heard the arguments and we know  
11 applicants and intervenors are essentially in agreement  
12 on particularly all of the 1, 2 and 3 at any rate, which  
13 seems to be the bulk of the non-agreement with staff.

14 MR. SWANSON: Well, this I suspect is going to  
15 be a fundamental difference, but I wonder if maybe we  
16 should take a very limited time, say five minutes, and  
17 just see if there is any possibility of an approach that  
18 is worth pursuing discussion. If not, then the staff  
19 may want this -- will want the Board to rule on it.

20 JUDGE MILLER: We are at your disposal. We  
21 have all spent a lot of time. A lot of you have spent a  
22 lot of money. We fortunately live near. Yes, if it  
23 will assist you, do you want to take what, a five or  
24 ten-minute recess? We are at your disposal. We are not  
25 trying to rush anybody. We want to be fair and

1 reasonable, so to the extent you can agree, great. It  
2 is much better because you can accomodate each other's  
3 conflicting desires.

4           To the extent you cannot, lay it on the line,  
5 the Board will rule. We may be wrong. We will do the  
6 best we can, we will not dilly-dally. So you get your  
7 druthers. How about five minutes, ten minutes? Ten  
8 minutes?

9           MR. SWANSON: Ten minutes.

10          JUDGE MILLER: Fine.

11          (Recess.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 JUDGE MILLER: All right. Were you ladies and  
2 gentlemen able to accomplish anything by conference?

3 MS. WEISS: Mr. Chairman, we spoke to the  
4 licensee -- the Applicant and the Staff. Essentially,  
5 as you are aware, the Applicant and the Intervenors are  
6 in agreement. The Staff is not in agreement. I am  
7 convinced that the difference between us is the  
8 difference on how the Board ought to make the ultimate  
9 findings on the merits of Contentions 1, 2, and 3, that  
10 Staff will be arguing that it does not need to look at  
11 CRBR-related data to make the finding that the design  
12 basis has been drawn correctly.

13 It will be our assertion on the merits that  
14 they cannot -- that this Board cannot make a conclusion  
15 about whether a reactor of the general design or type  
16 can be cited without looking at CRBR's specific  
17 information, that the assertion by itself is not  
18 supported and that what the Staff seeks to do now is to  
19 limit our ability to prove our case on the merits.

20 They are essentially asking for the Board to  
21 rule in advance of the hearing on the ultimate merits of  
22 Contentions 1, 2, and 3.

23 MR. EDGAR: Let me state for the record, I am  
24 not sure that I agree with all of those statements by  
25 any stretch of the imagination. But I think we can

1 manage to deal with Contentions 1, 2, and 3 as a matter  
2 of proof.

3 I think the Staff's logic in terms of how it  
4 sorts out what is in and what is out is essentially  
5 correct, but there are matters of degree there that need  
6 to be addressed, and I do not think that I disagree with  
7 their logic at all. We can hear from the Staff in much  
8 more detail here, but I do not want the impression to be  
9 painted that we are in disagreement with the logic that  
10 they express in terms of how you sort this Contention.

11 JUDGE MILLER: I am not sure I understand your  
12 point.

13 MR. EDGAR: Let me give you an example.

14 JUDGE MILLER: Okay.

15 MR. EDGAR: If you look at Contention 1, new  
16 Contention 1, the Staff says 1(a) is one in which the  
17 probability of certain initiators is low enough that you  
18 can exclude CDAs from the design basis. Then (b) goes  
19 to the reliability program, which is part of the basis  
20 for exclusion. We do not think you have to go through  
21 the full-blown reliability program as a matter of proof  
22 here.

23 We think it is a much more limited scope of  
24 review at the LWA stage and that a great deal of this  
25 fits at the CP. By the same token, we do not believe

1 you can exclude all consideration, you know, a priori.

2 I do not think it fits that mechanically.

3 JUDGE MILLER: Well, you have given us a  
4 description on the one hand, and on the other hand --

5 MR. EDGAR: I cannot do any better with it.

6 JUDGE MILLER: Where do you come down? Be  
7 concrete. You look at it somewhat but not as much as --

8 MR. EDGAR: We intend to present testimony.  
9 We will put on experts to give you their views as to  
10 what they feel is sufficient for this purpose, a  
11 reasonable finding that you can arrive at your  
12 definition of design basis.

13 But that is not the answer for all times.

14 JUDGE MILLER: The reliability program?

15 MR. EDGAR: That is right.

16 JUDGE MILLER: Are you talking about (b)?

17 MR. EDGAR: To a limited part.

18 JUDGE MILLER: What evidence would you put on  
19 on (b)? What would you not feel you were required to  
20 put on or to produce discovery on on (b)?

21 MR. EDGAR: We have not made any distinctions  
22 on discovery to this stage. We just have not done it.

23 JUDGE MILLER: Do you plan to? Do you think  
24 the decisions on discovery will flow from the limited  
25 nature, if there be a limited nature, of the

1 consideration of these matters in an LWA-1 hearing?

2 MR. EDGAR: I find it almost impossible to do  
3 a priori without seeing the specific facts.

4 JUDGE MILLER: That is the Board's problem.  
5 We are doing an a priori, a priori -- thirdhand removed.

6 MR. EDGAR: I really cannot offer a simple  
7 answer.

8 JUDGE MILLER: Give me a complicated answer.  
9 Give me any kind of an answer except to say you have to  
10 look at it, but you do not have to look at it much.  
11 That does not really enlighten me very much. I know you  
12 have a problem because you have not gone through it.

13 The subparagraphs you have gone through where  
14 you have your experts with you who have gone through --

15 MR. EDGAR: I do not have any of them with me  
16 at this juncture. I honestly do not, and that is what  
17 it would take to give you a complete answer here.

18 JUDGE MILLER: All right. When do you want to  
19 reconvene? There is no sense in messing around with  
20 this. Sometime -- pick yourself a date next week.  
21 Bring all your experts in. Let's have all the  
22 information. We are going to have to make a ruling of  
23 record. I think one day ought to be sufficient, but  
24 there is no sense in fooling around with it.

25 Am I a quorum of one? I just lost my partner.

1 (Laughter.)

2 JUDGE MILLER: Okay. Week after next. What  
3 is the date? Pick a date the week after next.

4 Dr. Cadet Hand will not be here. He is tied  
5 up in a matter in Berkeley, California. He was  
6 precommitted for over a month and he did ask us to  
7 proceed by quorum, which we are doing, so we are now  
8 checking Judge Linenberger's calendar for the earliest  
9 possible date and we will expect you to file in advance  
10 what you want.

11 Now do not wait until the two or three days  
12 before because we have had problems. We would like to  
13 have data, memoranda, whatever you want. Give the other  
14 parties, as well as the Board, a reasonable shot at it  
15 that is not just two days. How about the 19th or the  
16 20th? That is Monday or Tuesday.

17 Does anybody have any insuperable obstacles?

18 MS. WEISS: It is not the dates that I am  
19 worried about so much as what is going to be going on.

20 JUDGE MILLER: You are going to address some  
21 interrogatories, if you have not, some document  
22 production where you go on your theory of this to the  
23 scope you deem necessary. Do not go all the way since  
24 there is some indication we do not have to and should  
25 not go into the whole scope safety review of a CP.

1           Okay, that is one parameter. But short of  
2 that, keep it as limited as you can for the purposes as  
3 you desire to make a record. We want the Applicants to  
4 do the same thing and we want the Staff to do whatever  
5 they can do and have your experts both assist you in  
6 advance and have them here so we can get right down to  
7 it, because we are going to have to make some  
8 fundamental rulings.

9           There is no sense in kicking it around in the  
10 abstract. So as soon as we can do it, that is the  
11 soonest we can address it. It gives you a chance in a  
12 meaningful way to get down to details too.

13           MR. SWANSON: We think that is a good idea.  
14 Could we just get one clarification? I mentioned before  
15 the fringe issues. Perhaps we are limited to 9 -- I am  
16 talking about new numbers now -- 9 and 10, which were  
17 the old numbers 19 and 23. At least as to 23 we had an  
18 outstanding question as to whether or not discovery  
19 should go forward.

20           The Board had deferred -- I am talking now old  
21 23, new 10. The Board had deferred that Contention.

22           JUDGE MILLER: The new number 9?

23           MR. SWANSON: New number 10, I believe.

24           MR. EDGAR: They went to the CP.

25           MR. SWANSON: That is --

1 MR. EDGAR: There is no discovery on them.

2 JUDGE MILLER: That is deferred. The Board  
3 deferred that.

4 MR. SWANSON: Okay. If discovery is deferred  
5 on that, there is no outstanding question, then.

6 JUDGE MILLER: The Board had ordered discovery  
7 and evidentiary matters on that one be deferred until  
8 after the initial -- partial initial decision, so that  
9 is already taken care of.

10 MR. SWANSON: Thank you.

11 JUDGE MILLER: Any others now that you had?  
12 Is it 1, 2, and 3 now that we need to address in depth?

13 MR. EDGAR: That is right.

14 JUDGE MILLER: Okay. That is 1, 2, and 3. If  
15 there are any others, name them now, because we are  
16 going to take whatever time is necessary to go into  
17 whatever depth is required.

18 (No response.)

19 JUDGE MILLER: All right. We will meet on  
20 Tuesday, 9:00 a.m., hopefully in this courtroom -- 9:00  
21 a.m., Tuesday, April 20. Do as much as you can in  
22 advance and exchange papers and let the Board have  
23 them. As I say, do not file anything two to three days  
24 before the hearing because that is not fair and it does  
25 not help.

1 Anything further?

2 (No response.)

3 JUDGE MILLER: All the rulings we made here  
4 will stand. We will bring out an order and they will be  
5 reflected in that. This will be a continuation for the  
6 purpose of ruling upon the matters to be ongoing  
7 discovery in Contentions 1, 2 and 3.

8 MS. WEISS: Mr. Chairman, we are trying to  
9 think of what we have to do in the next two weeks, the  
10 time before these hearings that you have set on the  
11 19th. We have a final deadline of the 15th to get out  
12 all of our discovery requests on existing Contentions.

13 We have budgeted that essentially full time  
14 for the next ten days. As you are aware, this is an  
15 extraordinarily tight schedule. We then have, as we  
16 calculate it, another two weeks to do all of our  
17 discovery on new Contentions and additions and revisions  
18 to Contentions newly admitted.

19 We really have -- well, we have to update all  
20 of our answers by April 30. I just do not see how we  
21 can do all of this within the -- something has to give.  
22 The schedule as it is now set up does not permit NRDC to  
23 meet all these obligations.

24 JUDGE MILLER: You will have to do the best  
25 that you can. We set up a schedule that we

1 believed to be feasible and the fact that you were  
2 unable to agree on certain matters, I am afraid, is not  
3 going to be justification for slipping the schedule.

4 MS. WEISS: Well, we do not -- we have never  
5 -- well, it is our view that the schedule was marginally  
6 feasible to begin with, and if the parties could not  
7 agree, that is not our fault. I do not think we should  
8 suffer from it.

9 JUDGE MILLER: We are not trying to assess  
10 fault, but in fact the parties cannot agree and we have  
11 seen and believed that all of you have been in good  
12 faith. We do not think there is any --

13 MS. WEISS: We would simply ask the Board to  
14 give us some extra time on the discovery schedule to  
15 accommodate this additional burden.

16 JUDGE MILLER: I am sorry. We cannot permit  
17 slippage. I have told you this from the start.

18 MS. WEISS: It seems to me that the schedule  
19 is being elevated to it has a life of its own. It does  
20 not. It is there to accommodate as quick as we can  
21 possibly move towards a hearing, and I think we have  
22 gotten beyond the point of it is as quick as we can  
23 possibly move, and we are getting to the point where our  
24 ability to participate meaningfully in this case is  
25 being rather severely prejudiced.

1 JUDGE MILLER: Well, we do not agree, but we  
2 are sorry if you feel that way. These matters have been  
3 pending for a long period of time. The fact that the  
4 parties have not been able to address all of them is  
5 both understandable, but it is not something that is  
6 going to delay the trial. We want to get to trial. We  
7 thought you knew that.

8 You know, the wintertime you lawyers go down  
9 where lawyers gather, whether it be Florida or Arizona.  
10 I suspect Intervenors' counsel do not have the luxury  
11 that lawyers have who have wealthier clients, but  
12 everybody goes out, makes speeches, sits on panels,  
13 tells how you get a 7, 8, 9, 10-year delay on the  
14 licensing process upon adjudicatory -- nobody ever asks  
15 the Board what were its problems.

16 You all make big, fat speeches. Now I do not  
17 mean any of you personally.

18 (Laughter.)

19 JUDGE MILLER: But I mean lawyers generically  
20 that are handling these matters. Now the Board is  
21 making a good faith and determined effort to get it to  
22 trial and these are part of the frictions and the  
23 problems. I practiced law a number of years. I know  
24 the problems, but I know also that when you have to do  
25 something you bring to bear the facilities that you need

1 to do it, and I think you will find that you have a lot  
2 more capability, resiliency, imagination and ingenuity  
3 than you now think and you are all in the same boat.

4 MS. WEISS: I do not think so.

5 JUDGE MILLER: You all have the problems of  
6 time. You are going to be doing discovery and  
7 interrogatories. You will be doing them on 1, 2, and 3  
8 anyway.

9 MS. WEISS: I think they are in the Queen  
10 Elizabeth and we are in a leaky rowboat, so we are not  
11 all in the same boat.

12 (Laughter.)

13 JUDGE MILLER: That may be. I told you you  
14 have my sympathy, but sympathy never yet prepared a  
15 trial brief.

16 MS. WEISS: That is right.

17 JUDGE MILLER: We are down to trial. There is  
18 no fooling around about it. I know your problems and I  
19 can sympathize with them, but on the other hand I am  
20 afraid we are going to go to trial. That is the way  
21 anything gets resolved here.

22 And I find also there is a marvelous flurry of  
23 activity, the adrenalin -- again present company  
24 excepted -- the adrenalin of lawyers seems to bubble up  
25 starting about a week, maybe ten days before they are

1 going to go to trial, come to a conference, and that is  
2 why these flood of papers comes.

3           You pointed out how they come at the last  
4 minute. There is a very peculiar but very persistent  
5 correlation there, and so we are telling you what the  
6 problems are and how the Board feels that it is  
7 necessary to go to hearing now. Do the best that you  
8 can. We are not going to insist on perfection, but you  
9 have given these matters some thought. They are not new  
10 to you.

11           You all have certain strategic objectives in  
12 mind and certain tactical objectives as well, and you  
13 are coming into conflict on some of them. That is  
14 understandable, but the world is not going to stop. You  
15 just might be able to adjust some of these things if you  
16 sit down and talk real hard and give as well as take.

17           But if you cannot, then give us the  
18 information, come on in, and we will make the ruling. I  
19 am afraid I cannot say much more than that.

20           If there is nothing further, we will stand  
21 adjourned until the date that we will meet with you.  
22 Thank you.

23           (Whereupon, at 5:06 o'clock p.m., the hearing  
24 was adjourned, to reconvene at 9:00 o'clock a.m.,  
25 Tuesday, April 20, 1982.)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

Atomic Safety and Licensing Board

in the matter of: U.S. Department of Energy Project Management Corp., TVA  
(Clinch River Breeder Reactor)

Date of Proceeding: April 6, 1982

Docket Number: 50-537

Place of Proceeding: Bethesda, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

David S. Parker

Official Reporter (Typed)



(SIGNATURE OF REPORTER)