NUCLEAR REGULATORY COMMISSION

COMMISSION MEETING

In the Matter of: PUBLIC MEETING

(

(

DISCUSSION OF REPORT ON TASK FORCE ON EVALUATION OF GINNA EVENT

ORIGINAL

DATE: April 14, 1982 PAGES: 1 - 84

AT: Washington, D. C.

ALDERSON ____ REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	
4	DISCUSSION OF REPORT OF TASK FORCE ON
5	EVALUATION OF GINNA EVENT
6	
7	PUBLIC MEETING
8	
9	Nuclear Regulatory Commission
10	1717 H Street, N. W. Washington, D. C.
11	Wednesday, April 14, 1982
12	The Commission met, nursuant to notice, at
13	
14	2:00 p.m.
1	BEFORE:
15	
15	VICTOR GILINSKY, Commissioner
17	THOMAS ROBERTS, Commissioner
18	STAFF MEMBERS GIVING PRESENTATIONS AT MEETING:
19	S. CHILK
20	S. TRUBATCH
21	N. DIRCKS
21	T. MARTIN
22	R. HAYNES
	G. HOLAHAN
23	S. REYNOLDS
~	J. NEHEMIAS
24	
	R. ZINKERNAN

1

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on April 14, 1982 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

PROCEEDINGS

2 CHAIRMAN PALLADINO: The meeting will please 3 come to order.

1

The Commission meets this afternoon to hear a 5 briefing on the NRC report for the January 25, 1982, 6 steam generator tube rupture at R. E. Ginna nuclear 7 power plant.

8 The report is the product of an NRC task force 9 composed of representatives of the Office of Nuclear 10 Reactor Regulation, the Office of Inspection and 11 Enforcement, the Office of Analysis and Evaluation of 12 Operational Data and the Regional Offices of Region I 13 and Region III.

The licensee was not provided an opportunity 15 to review or recommend changes to the report but 16 cooperated fully with the task force effort and provided 17 information as requested.

18 The report documents the circumstances 19 surrounding the January 25th steam generator tube 20 rupture event at the Ginna plant. It focuses on the 21 period from 9:25 a.m. of January 25 when the tube 22 rupture occurred to 10:45 a.m. on January 26 when the 23 plant entered the recovery phase.

24 The report is intended to describe factual 25 information and significant findings associated with the

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

event and thereby provide the required information for
 detailed analysis and recommendations by the various NRC
 offices. This latter effort and the resulting
 dissemination of information will ensure that NRC and
 the nuclear industry continue to profit from operating
 an accident experience.

7 Unless my fellow Commissioners have any other 8 opening remarks they would like to make, I suggest 9 turning the meeting over to Mr. Dircks.

10 COMMISSIONER AHEARNE: I have a question I 11 would like to ask Mr. Dircks.

Bill, is this report the response to the A Chairman's request of task force for the evaluation of A January 29th?

15 MR. DIRCKS: Yes.

16 COMMISSIONER AHEARNE: What the Chairman had 17 asked for is an interim report to the Commission with 18 findings, conclusions and recommendations. I had 19 difficulty coming across the conclusions and 20 recommendations. I don't think they are there.

21 MR. DIRCKS: Let me talk about that right 22 away. This is in response to the Chairman's memo of 23 January 29th. I talked to Ron Haynes on February 1st 24 and give him a go-ahead on the thing. In the meantime 25 we had several other activities underway, the

1 longer-term look at steam generators by the Steam
2 Generator Task Force and the review of those problems in
3 that area.

4

What the task force has done was to do as complete a factual summary of the event at Ginna as possible. The offices have reviewed the factual summary thus far and they have no immediate recommendations for simmediate action.

9 The next step in this phase is for the offices 10 to go through a more in-depth look at this report and 11 see if there are any longer-term actions to be taken. 12 In addition to that, what we want to do is turn the 13 report over to the Steam Generator Task Force and for 14 them to review it from their perspective.

15 Another point that Harold wants to do is to 16 distribute the report widely to all the licensees to 17 take a look at the operator actions involved.

18 So there are no immediate recommendations in 19 here. The longer-term recommendations will follow as 20 each office goes through the report in a very in-depth 21 manner.

22 COMMISSIONER AHEARNE: But I guess what you 23 are saying is that a conclusion is that there is no 24 immediate action that you can see being needed and so 25 the recommendation is to support that conclusion to take

1 no immediate action and then to turn this report, as you 2 say, over to the longer-term effort.

3 MR. DIRCKS: Yes.

Those are the only points in response to your 5 question that I wanted to make. It is a factual 6 summary. There is no need to take any immediate 7 actions. If there were, we would have made those 8 recommendations even before you got the report today.

9 CHAIRMAN PALLADINO: This is a factual report 10 of just the period that I described?

11 MR. DIRCKS: Yes.

12 CHAIRMAN PALLADINO: It does not go into the 13 facts that were obtained as a result of later 14 inspections and therefore doesn't include metallurgical 15 information and the like.

16 MR. HAYNES: We do cover some post-event work 17 there and we do have some photographs of where we stand 18 at this time on the metallurgic aspects.

19 MR. DIRCKS: There is certainly information in 20 here that the Steam Generator Task Force should be 21 reviewing during the course of their deliberations.

22 Ron.

23 MR. HAYNES: May I just lead off. Mr. 24 Chairman and Commissioners ---

25 CHAIRMAN PALLADINO: For the benefit of the

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE S.W. WASHINGTON D.C. 20024 (202) 554-2345

1 public it might be well just to identify yourselves
2 since we didn't introduce all the people at the table.

3 MR. HAYNES: My name is Ronald Haynes and I am 4 the Regional Administrator at the Philadelphia Office of 5 the NRC called Region I.

6 On last January 28th I provided a preliminary 7 briefing to you about the Ginna steam generator tube 8 rupture event which occurred on January 25th. I had 9 just then returned from the Ginna site and my report to 10 you was necessarily brief and limited to a broad look at 11 the major operational and radiological events which had 12 occurred.

On January 29th, Mr. Chairman, that you spoke 14 to earlier, you directed Mr. Dircks to establish a task 15 force to review and evaluate the Ginna event. On 16 February 1st Mr. Dircks discussed this assignment with 17 me and then later he confirmed our discussion in a 18 memorandum of February 5th which appointed me to 19 organize and direct this effort.

Now to carry out this assignment I functioned an as chairman of a five-person steering group comprised of senior managers from the Offices of NRR, OIE, AEOD and a Region I. On February 4th the steering group met for 4 the first time in Bethesda and documented a charter for the task group effort. This charter delineated the

1 scope of the work, as you described previously, Mr. 2 Chairman, and a preliminary outline of the report was 3 then developed to document it.

The effort was really to obtain and report the 5 relevant facts of what occurred during this period 6 between 9:25 on the 25th and about 10:45 on January 7 26th, plus bring in some post-event activities that took 8 place that were of interest, particularly with respect 9 to the steam generator, and what was found at that time 10 with what happened to the tube and the cruse of the 11 leakage as best could be determined. What we wanted to 12 do with this report was then to be able to provide a 13 data base, if you can, for detailed analyses and 14 consideration by the other offices in the NRC.

On February 8th with advice and concurrence of 16 the steering group I appointed Mr. Tim Martin as the 17 leader of the task force and detailed him full time to 18 the assignment. Mr. Martin is a Senior Manager in 19 Region I. He is Director in charge of Division of 20 Engineering and Technical Programs.

21 He was on leave in Hawaii during the event 22 when it occurred and so the task force was his first 23 involvement with this incident. He came on that Monday 24 and got the assignment.

(Laughter.)

25

MR. HAYNES: Now during the execution of this 2 assignment the steering group met several times with Mr. 3 Martin and members of the task force and provided 4 guidance.

5 COMMISSIONER AHEARNE: Jim, he really didn't 6 have to throw that in, did he?

7 (Laughter.)

8 MR. HAYNES: They provided the guidance as 9 requested and this report which we have here, NUREG 10 0909, also includes information and input from the 11 Federal Emergency Management Agency.

As you know, we did this to be able to obtain As fuller understanding of the governmental response to the event. As you know, FEMA did respond to the site on 5 January 25th and worked with us to the 26th, and I am happy to say that their cooperation has continued throughout this period on the work of the task force in a developing the information.

19 Now if I can at this time, I would like to 20 turn over the major part of the presentation to Mr. 21 Martin. As most of you know, Tim is well known an 22 experienced leader in investigating technical events at 23 operating nuclear power plants. He performed a key role 24 at several investigations associated with the Three Mile 25 Island II accident as well as the Indian Point II

1 flooding event and as well as security problems we h 2 out at the Beaver Valley facility.

Tim, if you will.

3

4 MR. MARTIN: Mr. Chairman, Commissioners, my 5 name is Tim Martin. I am the Director of the Division 6 of Engineering and Technical Programs in Region I. I 7 received this assignment on a Sunday back in February.

8 I met with the steering group and received my 9 charter on the following Monday, and I want to reiterate 10 that we were to document the facts and findings of 11 facts. We were not to make recommendations and we were 12 not to come to conclusions. This was to be a mother 13 document, a document to be provided to other offices who 14 would do more detailed review, evaluation and ultimately 15 to develop recommendations. That was the charter we 16 operated under.

I will take exception to one thing relative to 18 the steam generator tube documentation in the document. 19 Obviously all the examination of events was done 20 post-event and all the things that are reported in there 21 reflect back to that period. The tube did rupture 22 during the period we were chartered to look at and 23 therefore we provided the best information we had about 24 the tube rupture that occurred during that event. So 25 the document basically reflects that period.

Now the Section 7 in the document does reflect some post-event activities, but they are necessary to g put the earlier event into perspective and they were therefore provided for that reason. 10

5 COMMISSIONER AHEARNE: Tim, since you do end 6 up discussing some of the examination of the tube, this 7 is information current as of?

8 MR. MARTIN: I have to turn to Sam Reynolds.
9 Mr. REYNOLDS: As of three weeks ago.

10 MR. MARTIN: The NUREG was put together by a 11 task force of 13 principal authors and I want to in a 12 spirit of regionalization let you know that we had four 13 representatives from NRR, we had one from AEOD, we had 14 three from I&E, we had two from Region III and three 15 from Region I.

16 We were also assisted by FEMA, by our 17 contactor, Battelle Northwest, by the Jet Propulsion 18 Laboratory and their computer enhancement of our video, 19 and also we had abundant assistance from all the offices 20 represented by the members who provided us calculations, 21 analayses, reviews and recommendations. It was a team 22 effort of all NRC and we are very appreciative of the 23 cooperation we got.

24 We also had three excellent techical editors 25 provided by Mr. Besaw'shop who worked some damn long

1 hours and they really deserve a lot of credit.

2 The information that you see in this document 3 was generated as a result of a two-week visit to the 4 site. We made observations, we performed some tests, we 5 made some measurements, we conducted interviews, we 6 analyzed data, we monitored audio tape generated both by 7 the licensee and by us, we took video tape that was 8 generated by the licensee and subjected it to computer 9 enhancement, we took some procedures and walked through 10 them to see what the problems might be with them and we 11 reviewed a lot of documents.

Basically the first two weeks was spent on 13 site to gather the data which was then brought back to 14 the offices to do the analysis.

The final document was ready on the 8th of 16 April. At that time I send it to the printers. I sent 17 it to the various NRC staffs who would need to review it 18 in preparation for this briefing today and I sent it to 19 the licensee and the vendor. That was the first time 20 they saw it. It was sent to them with a cover letter 21 saying this is for proprietary review only. We did not 22 solicit any further review. In fact, it was being 23 printed as they were reviewing it.

24 We got our release on Monday the 12th for the 25 proprietary purposes. The Ginna plant did coordinate

the vendor review and report to us. The safeguard
 release was done by our Nuclear Material Safety and
 Safeguards Office and we got that about the same time.

4 So at this time the green document is ready 5 for release. There are minor differences between the 6 yellow document and the green document. Section 572, we 7 noted an error on Friday. I think it was about the 8 9th. It had to be corrected and it had to be right in 9 the document that was printed. So what you see is a 10 result of my staff pointing out a problem and we got 11 that fixed. There are also some typos that are 12 corrected. So that is the major difference.

13 With that lead in I would like to start with14 slide one.

15 (Slide presentation.)

16 The first two slides are really for the 17 purpose of giving you a lay of the land and pointing out 18 the equipment which is a problem. The reactor vessel is 19 near the center toward the bottom. The things to point 20 out in the reactor vessel are the thermocouples that 21 were located at the exit of the core and in the upper 22 head were of extreme value to the operators.

23 Coming out through the hot leg on the B side, 24 and the B side has the faulted steam generator, we have 25 the let-down line to the CVCS system, the chemical

ALDERSON REPORTING COMPANY, INC.

ON VIRGINIA AVE SW WASHINGTON D.C. 20024 (202) 554-2245

volume and control system. This was the major source of
 water that ultimately caused the rupture of the
 pressurizer relief tank disk.

4 Working my way around the reactor coolant pump 5 and then the injection point for the charging flow from 6 the CVCS, this injection point along with the safety 7 injection, which really come in almost on top of each 8 other, are the major source of cool water into the B 9 loop and we will address that later when we talk about 10 how we tried to resolve what kind of thermal transient 11 that the reactor vessel saw.

12 This plant has one peculiarity. There are no 13 TH or hot-leg indications inside the control room. They 14 do have RTDs located in the hot legs and they do compute 15 a delta T, but they do not bring out hot leg. The fact 16 that that information was not available caused us some 17 confusion over the emergency notification system as we 18 kept asking for the information and they didn't have it.

19 There is cold-leg information though. The 20 cold-leg RTDs are located almost right on top of the 21 safety injection and charging points. The RDT sticks 22 about one inch into the pipe. This is a 27 and a half 23 inch pipe. So you don't get a hell of a lot of good 24 information from it.

The temperature dropped very low shortly after

25

ALDERSON REPORTING COMPANY, INC.

1 natural circulation stopped in the B loop and this was 2 probably caused by the cold water coming in. The safety 3 injection water, by the way, was running at the tank 4 about 69 degrees and we believe that it probably heated 5 up to around 90 degrees from pump heat and from the heat 6 tracing, but still there was very cool water being 7 injected at this point.

8 Coming on around the diagram we have the 9 pressurizer. The pressurizer heater controls tripped 10 the heaters very early in the event as the pressurizer 11 voided. They will not be restarted until after a 12 decision is made to restart the reactor coolant pump and 13 it will be a while before the pressurizer actually gets 14 a bubble back in it.

On the pressurizer you will notice there is one pressure transmitter. That is the narrow-range pressure transmitter. It is used for safety circuits for reactor protection and safety injection circuits. If is the only safety related pressure transmitter indicator on this system. I will talk about the other one shortly. It so happens that this one bottoms out at about 1700 pounds. In the majority of the transient and in the majority of the recovery this instrument was on this lower scale. It was the only safety indication of pressure that they had.

1 Coming off the top left of the pressurizer you 2 see a number of valves with motor operated valves in 3 front of them. These are the PCRVs, the power operated 4 relief valves. There are two of them. They have a dual 5 purpose. One for controlling transients that you don't 6 want to challenge your code safeties, and, two, they are 7 used for low-pressure overpressure protection, or low 8 temperature pressure protection.

9 The PCV-430 you see there is the one that did 10 fail. It failed in the open position, and I will talk 11 about it a little bit later. It was due to a failure in 12 the pneumatic system, not the valve itself. The valve 13 functioned probably three times, but on the fourth time 14 started to shut and then reopened by itself and this was 15 a result of the control system malfunction.

16 The motor operated valve, the block valve did 17 fuction properly. It takes about 40 seconds for it to 18 close. So there was some discharge. Again, I 19 reiterate, it is not the major source of water to the 20 pressurizer relief tank. In fact, the major source is 21 going to be from the let-down system, and I will talk 22 about that in a second.

23 On the line from the power operated relief 24 valve there is a temperature element. The temperature 25 element did indicated elevated temperatures for a

1 significant period of time and caused the operators to 2 suspect that the PORVs were leaking so they shut both 3 block valves. So both the PORVs were isolated very 4 early in the event. 16

5 Coming on around now, right above the 6 pressurizer relief tank which is in the upper-right-hand 7 side you see the line that leads down to it has letdown 8 relief feed into it and seal return relief. The seal 9 return relief lifted almost immediately after 10 containment isolation because you have cut off charging 11 flow.

12 Your primary system is now bleeding back 13 through the seals. It pressurizes the line to protect 14 the low-pressure piping downstream and the seal relief 15 opens. It is about five GPM max and probably closer to 16 one GPM actually. You can actually watch the level 17 trace on the pressurizer relief tank and you can see it 18 come up, but it is a very small contribution. The major 19 contribution will be the letdown relief and we will talk 20 about that in a little bit.

Going on down, the pressurizer relief tank 22 rupture disk did rupture during the event. It dumped 23 approximately 1,320 gallons to the containment sump. I 24 guess that is all I want to say about that.

25 Coming on around now and we are back to the A

1 loop, you see the other pressure instrument located off 2 the hot log of the A loop. This one is a wide-range 3 instrument, zero to 3,000 pounds. It was used by the 4 operators to determine if they had saturation 5 conditions, it was used by the operators to determine 6 the delta P from the primary system to the steam 7 generator for leak control and it was used by the 8 operators to determine when they could go into the RHR 9 mode so they woulin't pressurize the low-pressure 10 piping. It was a very important instrument. It is not 11 safety related. Yet, they had to have it and this was 12 the only one they could use.

13 Slide two, please.

14 CHAIRMAN PALLADINO: Can I ask Mr. Dircks a 15 question. Do we have line diagrams of these of every 16 plant at least in this much detail available?

17 MR. DIRCKS: I don't think we have it in that18 detail. I think we should.

19 CHAIRMAN PALLADINO: Yes, I think so because 20 this would help. Thank you.

21 MR. MARTIN: Mr. Chairman, one of the things 22 we did note from this event. We expected the 23 Westinghouse plant to have a TH indication. It caused a 24 great deal of confusion as we kept asking for it and 25 they kept not being able to give it to us and we didn't

ALDERSON REPORTING COMPANY, INC.

understand why. The ultimately ended up giving us core
 exit temperatures and that caused further confusion
 because the core exit was reading less than the cold leg
 temperatures just because of the calibration problem.

5 CHAIRMAN PALLADINO: But now you had a cold 6 leg temperature.

7 MR. MARTIN: Yes, sir.

8 CHAIRMAN PALLADINO: You had the delta T.

9 MR. MARTIN: We had the delta T. Going back 10 to the TMI experience we knew that calculated values are 11 subject to errors. So we didn't have a great deal of 12 faith in calculated values. We wanted the raw 13 information.

14 CHAIRMAN PALLADING: In other words, the sum 15 of delta T and T cold did not satisfy you.

16 MR. MARTIN: It did not.

17 This next drawing is shown for two purposes. 18 One, to show you where the atmospheric relief paths are 19 and also to point out some things that are going to play 20 a major part in the following discussion.

The two steam generators, they feed out. There are pressure instruments located on both the main steam lines. They have an atmospheric relief that is normally set at 1050 pounds. It has a manual block then there are four code safeties. Three of

1 them are set at 1140 and one is set at 1085. So the 2 atmospheric power operated relief valve on this one is 3 around 1050. Normally you would use it and it would 4 prevent challenging your code safeties. If it fails you 5 have always got the block valve. On the code safeties 6 you don't.

7 We have noted that during this event the 8 operators did isolate the block valve on the faulted 9 steam generator atmospheric PORV. It certainly is not 10 going to stop the pressure from increasing. The code 11 safeties were subsequently challenged. Had they failed, 12 and we believe that they did fail to recede on several 13 instances, there was no way to isolate them. So they 14 removed one line of defense.

Release points, obviously to the condenser you have the air ejectors. Any of the code safeties relieving, and one of them did on the B, so that is a release point. The exhaust to atmosphere from the y auxiliary feedwater pumps was also a release point. I will show these to you on a diagram later on and how they fit in with the plume.

22 One comment I would like to make on the 23 configuration of the main steam line. The main steam 24 line comes out of the steam generator and rises several 25 feet, turns horizontal, snakes around for a thermal

ALDERSON REPORTING COMPANY, INC.

1 expansion, goes through the containment wall and then 2 dives down 20 or 30 feet, turns horizontal and then all 3 these connections for the safety valves and the PORV and 4 the tap-off for the feedwater pump are located in a 5 horizontal run. Then you have got your main steam 6 isolation valve.

7 This configuration resulted in when we had 8 flooding filling that line. We probably ended up with a 9 gas bubble at the top of the high point and we probably 10 had partitioning of the radionuclides and the volitiles 11 ended up in the gaseous space. You had water now 12 sitting up against your code safeties. So when they 13 ultimately relieved we had water relief versus — eam 14 relief which is assumed in the analysis that we do for 15 steam generator tube rupture events.

16 With that lead in, then I would like to go to 17 slide three.

18 We chose, after examining the event, to divide 19 it into nine phases. The nine phases were chosen 20 because during each phase similar things seemed to be 21 going on. The trends of the parameters were somewhere 22 and it seemed to divide into that.

Initially we were at steady state. We were a operating at 100 percent power and everything was copacetic. There was no, and I repeat, there was no

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 indication, no warning that there was a leakage into the 2 steam generator. The blow-down monitors didn't show 3 anything. The air ejectors didn't show anything. The 4 chemistry didn't show anything.

5 COMMISSIONER AHEARNE: And there was no 6 indication of leakage in any previous ---

7 MR. MARTIN: In years past they had had 8 leaking tubes which they had been able to detect.

9 COMMISSIONER AHEARNE: But there was none for 10 this particular tube?

11 MR. MARTIN: None for this one, sir.

12 COMMISSIONER AHEARNE: And you are saying that 13 just prior to this event there was no ---

14 MR. MARTIN: No indication.

15 COMMISSIONER AHEARNE: Now is there an 16 instrument with a set point at a certain number of 17 gallons per minute that they should have picked 18 something up, or does it alarm at some point?

19 MR. MARTIN: Roy, can you answer that? 20 MR. ZIMMERMAN: The air ejector alarm would 21 probably be the most sensitive. My name is Roy 22 Zimmerman. I am Resident Inspector at Ginna. The air 23 ejector alarm would be an aid along that line. They did 24 have some leakage from B steam generator in their 25 previous cycle but it was a very small leak. There was

1 nothing in this present cycle.

2 COMMISSIONER AREARNE: There is no instrument 3 that would alert them that there is a leak in the steam 4 generator at some certain number of gallons per minute 5 loss rate?

6 MR. HAINES: You would do that on a water 7 balance, Commissioner, and there is no direct reading.

8 MR. MARTIN: They are able to monitor for the 9 tech spec limits on leakage using the water chemistry 10 and also the blow-down monitor which is probably a 11 little less sensitive than the air ejector. I can't 12 tell you what the alarm on the air ejector equates to in 13 terms of gallons per minute. Obviously it is strongly 14 dependent upon the activity in the primary system.

15 So Phase I steady state operation.

Phase II was the tube rupture and resource and pressure the air ejector alarm. They had a steam flow feed flow mismatch on the steam generators, on the B steam generator specifically. They had a pressurizer level alarm, a pressure alarm. They ultimately had at 9:28 a scram. Shortly thereafter there was a safety scram. Shortly thereafter, in fact almost scincidentally, a containment isolation, noting that the

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 safety injection pumps had started, that they were 2 scrammed and pressure was dropping. They tripped the 3 reactor coolant pumps at 9:29. The pressure continued 4 to drop. It dropped below 1200 pounds, probably at 1150 5 or something like that. The safety injection pumps were 6 then taking hold and pumping water in.

7 During the Phase III, which we call the 8 natural circulation repressurization, you can see the 9 effect of the safety injection. You can also see the 10 effect of the cool-down which is occurring in natural 11 circulation on both A and B steam generators because at 12 least in the initial part of this the generators have 13 not been isolated. They are still trying to determine.

At 9:33 they have already notified the NRC 15 that there was a steam generator tube rupture event. 16 They choose at this time not to say that it is in the B 17 generator because they are not confident. They know 18 they have had one. They think it is a B but they are 19 doing some further checks. Some of those further checks 20 includes a radiation reading on the main steam lines. 21 It confirms for them that it is the B steam generator. 22 By 9:40 they have isolated the B steam generator.

23 The level continues to rise in the B steam 24 generator and finally goes off scale in another 15 or 20 25 minutes.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 CHAIRMAN PALLADINO: What was it that led them 2 to conclude it was the B generator?

3 NR. MARTIN: The initial thing that told them 4 was they got a steam flow feed flow mismatch on that 5 generator, a slight perturbation in level. I think one 6 of the things that probably confused them and didn't 7 make them take immediate action was on the subsequent 8 scram both steam generators observed shrink to about the 9 same level. It was only then the subsequent radiation 10 reading on the main steam lines confirmed for them that 11 it was the B steam generator. So at 9:40 they did shut 12 the main steam isolation valve and that was really the 13 last thing, the isolator on that generator at that 14 time. The taps were all isolated and the auxiliary feed 15 was all isolated and everything clse was taken care of.

16 COMMISSIONER AHEARNE: Do you find disturbing 17 or not much of a problem that it took 15 minutes to 18 reach that conclusion?

MR. MARTIN: No, I do not find it disturbing.
20 Quite frankly, I find these operators extremely well
21 trained.

22 COMMISSIONER AHEARNE: I am not talking about 23 the operators.

24 MR. MARTIN: That it took them 15 minutes?
 25 COMMISSIONER AHEARNE: That it took them 15

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 minutes.

2 MR. MARTIN: No, I don't think so. If they 3 had bottled the wrong one and then had to bottle the 4 other, you know that would cause them a significant 5 problem. I think they took prudent action.

6 COMMISSIONER AHEARNE: But in that type of 7 time period you had reached the conclusion that it was 8 which generator ---

9 MR. MARTIN: I am sure for them this went by 10 in about a half a minute.

11 COMMISSIONER AHEARNE: I am not asking that.
12 MR. MARTIN: I do not find fault.

13 COMMISSIONER AHEARNE: I recognize that. I 14 have read your report, I have recognized that you have 15 reached the conclusion that the operators did very 16 well. That wasn't my challenge. My question really was 17 do you find that to take 15 minutes to reach that 18 conclusion, do you think that that is an adequate amount 19 of time? Let's say our procedures or the procedures are 20 such that they lead you on every one of these scenarios 21 you go through to conclude it will take 15 minutes. Are 22 you satisfied? Is that a reasonable amount of time?

23 MR. MARTIN: I have no problem with it. I can 24 also point out that the FSAR assumes an hour would be 25 nice but four and a half hours is okay.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 CHAIRMAN PALLADINO: Is the 15 minutes 2 dependent on a number of factors? Could it have been 3 longer or shorter?

4 MR. MARTIN: I think if it had been a smaller 5 leak it would have been more difficult to determine. 6 This turns out to be probably your bounding leak. We 7 will talk about it later, but it comes out at about 760 8 gallons per minute initially. If that is not right on 9 the maximum, it is awful close.

10 CHAIRMAN PALLADINO: What do you mean if that 11 is not right on the maximum? Why couldn't it be more?

12 MR. MARTIN: You would have to shear more 13 tubes. You are basically at the critical flow.

14 CHAIRMAN PALLADINO: More tubes is what I was 15 thinking about.

16 MR. MARTIN: I want to point out here that in 17 a review of the data after the event in the quite of our 18 offices we were able to say that there was probably a 19 bubble formed in the top of the reactor vessel during 20 this initial depressurization. We wouldn't expect the 21 operators to spot it. It wasn't there very long.

The temperature indications in the upper head a show that during the repressurization had there been a the temperature indications in the upper head a bubble formed early it would have gone away very squickly. Because the pressurizer level was dropping

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 like a rock because of the break they would have never 2 been any perturbation in the pressurizer level.

3 Containment isolation was reset at about 4 9:57. They needed that to regain instrument air so they 5 could regain control of valves inside containment and 6 also to gain control of the safety injection system.

7 This initial part, their main thrust is to do 8 a very rapid cool-down to no-load temperatures, around 9 490 degrees, so they then can subsequently 10 depressurize. Unfortunately, natural circulation 11 doesn't give you very good mixing in the upper head and 12 so the temperature up there will remain hot.

At approximately 10:07 they had met all the At conditions they felt necessary to start depressurization. They are going to use the power operated relief valve on the pressurizer because the reactor coolant pumps had been tripped much earlier. So they don't have that spray available to them.

19 They successfully cycle it three times. Now 20 the reason they have to go through a cycle operation is 21 there is like six or ten feet between the instrument 22 they have got to read and the switch you have got to 23 control. So there is a two-man operation. The guy 24 bumps it, how is that; you know, he bumps it, how is 25 that.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

After three successful operations they try the 2 fourth one, the valve opens, they go to shut and the 3 valve starts to shut and then reopens by itself.

4 Our investigation subsequently has determined 5 that this probably was related to a restriction that the 6 licensee had put in the exhaust from a solenoid valve 7 which controls the power operated leak valve. The 8 restriction was put on the exhaust port. If you look at 9 the technical manual associated with that solenoid it 10 says do not put a restriction on that because it can 11 lead to malfunction.

12 To get the type of transient that was seen in 13 this value there had to be some particle or something 14 blown into the restriction. Basically what you have to 15 have is a down-pressure transient followed by a 16 repressurization. The value did stroke partially 17 closed, then reopened, stayed open for two days and then 18 went shut by itself.

19 They were removing the shield blocks on top of 20 the pressurizer cubicle when it finally went shut and 21 this could have caused vibration which shook it free. 22 But that is pure speculation and I have not got the 23 piece of dirt in my hand to show you.

24 So after the fourth operation, had they been 25 successful and had the valve shut, it probably would

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 have secured safety injection right there. They had met 2 all the requirements. But the with the stuck-open PCRV 3 and the block valve traveling shut, they probably had no 4 consideration of stopping the safety injection at that 5 point. Safety injection repressurized the system and 6 now you see we enter into the Phase 5 which is prolonged 7 safety injection.

8 At this point they got a pressurizer which is 9 going full scale and reading off scale high. They know 10 they have a bubble in the top of the reactor vessel. 11 They verified the thermocouple readings in the upper 12 head. They show a saturation condition. The pumps are 13 essentially sitting there on a shut-off head. We have 14 been able to do the calculations from pre-op test data 15 on the pumps and the charging just about matches what we 16 calculate is the flow through the break. I think that 17 came out about 400 gpm.

During that period, if you note the B steam 19 generator transient, you will notice that during the 20 power operated relief valve opening you see that the 21 steam generator pressure did drop. There was actually 22 reverse flow through the break during that period.

23 Subsequently you will see two more jogs before 24 the end of the prolonged safety injection. Those were 25 actually reliefs of the code safety on the B steam

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 generator, the lowest set point, the one that is set at 2 1085 pounds.

After the first opening you will notice a long 4 period of essentially flat pressure in the B steam 5 generator. We believe this is during a period where you 6 have steam leak out that code safety.

7 The subsequent transient you will see it as a 8 slow build-up. So basically we see the valve as 9 completely receded during that period.

10 The third opening which occurs right at the 11 end of the prolonged safety injection phase at about 12 10:38 you will notice that the pressure drops much 13 further than the two previous openings. We believe at 14 this point that the code safety has seen two-phase 15 flow. As the valve opens this is the time when they 16 terminate safety injection in trying to cut down 17 releases to the atmosphere.

At about 10:40, right at the end of the 19 prolonged safety injection, they have secured the last 20 condensate pump on the condensers. This causes the 21 steam generator ejectors to trip off the line. This 22 causes them now to shift to using the A steam generator 23 steaming to atmosphere through its power operated relief 24 valve.

Interviews indicate that the reason they did

25

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 this was to pervent further contamination of the in-line 2 polishers, the demineralizer system and also the 3 condensate storage tank.

4 During the following period, which we call 5 Phase 6, leak reduction, here they are trying to reduce 6 the leakage between the primary system and the secondary 7 system. They are in a paradox. They are in a procedure 8 which says you have got to secure safety injection and 9 you have got to regain normal pressurizer level control 10 before you restart the reactor coolant pump.

They know they have a bubble in the top of the reactor pressure vessel and they want to deal with that. They don't want it to grow too large so that it would hamper natural circulation. A good demonstration to that the core is cool the thermocouples indicated. The foressure in the A steam generator and the fact that they are able to steam the A stream generator clearly is indicates that natural circulation is occurring. The gelta T indicates natural circulation is occurring.

So they want to start a reactor coolant pump 21 to re-establish some normalcy in the primary system and 22 to expedite the cool-down and recovery phase. About 23 11:19 they start a safety injection pump for the purpose 24 of an anticipated pressure transient which they expect 25 when the reactor coolant pump is started. They leave

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 that on for a little while and it causes another code 2 safety to lift.

3 Unfortunately, we lose a lot of data at this 4 point.

5 COMMISSIONER ROBERTS: What happened? 6 MR. MARTIN: The computer crashes. It is a 7 Prodac 250. You can see the dotted line there.

COMMISSIONER ROBERTS: Twenty minutes.

8

9 NR. MARTIN: The only information we have 10 during that period is really the information we have 11 from the strip chart, the one non-safety related strip 12 chart from that pressure transmitter located on the A 13 hot leg. That is really what you see on the dotted line 14 there. So the reactor coolant pump starts during the 15 period when we haven't got any really good data.

16 Subsequently after the reactor coolant pump 17 has been restarted, if there was any residual bubble 18 left, and we don't really believe there was much of one 19 left because they had operated the safety injection 20 system and they had pumped it up pretty well. Also, the 21 thermocouple readings up in the upper head told us that 22 at maximum it couldn't be much greater than 300 cubic 23 feet at that time anyway. The reactor coolant pump 24 starting would have caused good circulation in the upper 25 head. Any bubble that had been there would now have

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 collapsed and be gone.

2 COMMISSIONER GILINSKY: Collapsed for what 3 reason?

4 MR. MARTIN: Because of the cool water you are 5 now injecting. The water in the head was running 480 or 6 490 and your temperature of your water in your cold leg 7 of your "A" was running much less than that. In fact, I 8 think I have a graph of that later on.

9 COMMISSIONER GILINSKY: You are essentially 10 cooling the bubble?

11 MR. MARTIN: Exactly. There are actually flow 12 holes that inject cool water up into this area even 13 through a normal operation. So once the reactor coolant 14 pumps start the turbulance and all then these injections 15 should cause cooling of that bubble if it is still there 16 and collapse it.

17 COMMISSIONER GILINSKY: Because the increase 18 of pressure by itself wouldn't do it.

19 MR. MARTIN: Understood.

20 Subsequently after the computer comes back up 21 you will notice that there is again a wide difference 22 between the primary system and the steam generator. We 23 have had another safety valve lift. This time it is 24 probably seeing pure water and it doesn't recede well. 25 We know the lines are full. If the lines are full and

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 you have got this kind of leak that this delta P implies 2 is going into the steam generator it has got to be going 3 some place.

We say it probably went out the safety valve. 5 The licensee probably wouldn't have been able to see it 6 though because he is steaming off the "A" steam 7 generator and the plume side by side and you wouldn't 8 know where it is coming from. The valves are right side 9 by side. So we wouldn't expect the operators to note 10 this.

So you go through the period of the leaking 12 safeties. Subsequently at about a little before 12:30 13 it seems to seep, the valve seems to seep. Subsequent 14 to that they establish a long-term cool-down. They go 15 onto RHR about 7 a.m. the next morning and they are in 16 the cold shutdown at about 7 p.m. the next evening.

17 CHAIRMAN PALLADINO: Tim, somewhere along the 18 line I got the impression that the safety relief valves 19 on the secondary side have lifted only for a few 20 minutes. Now this indicates that they had lifted ---21 MR. MARTIN: The original numbers, about two 22 minutes, was the operator's recollection from 23 overhearing the noise. They are not very quiet. 24 Actually the majority of water that we found leaving the 25 system is during these periods of leaking.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
For instance, in period eight, we believe that the safety is leaking about a hundred gallons per minute during that period of time. That is about a 50-minute 4 period so that is a significant amount of water.

5 Our total number of water loss from the system 6 runs around 18,300 gallons. That is around 117,000 7 pounds.

8 CHAIRMAN PALLADINO: What did you say the leak 9 rate was during period eight?

10MR. MARTIN: About 100 gallons per minute. I11 think that is an underestimate. It is a little higher.12CHAIRMAN PALLADINO: How about when they first

13 opened?

14 MR. MARTIN: Between 10:19 and 10:28 that 15 would have been only steam leaking out which would be 16 equivalent to about 20 gallons of water. Basically what 17 you have got there, you have got about 20 gallons of 18 water leaking in. You really just displacing volumes. 19 You are moving the same amount of volume in steam as you 20 are replacing with water.

The system at this point, our calculations of 22 inventory show that the steam lines would not yet be 23 full. So they are filling at this point and steam is 24 being vented. The equivalent of about 20 pounds of 25 water would have been vented from the safeties during

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 this period of time.

4

Now a little bit later I have got some graphs
3 of leak rates. In fact, I think it is the next one.

May we have the next slide, please.

5 This slide represents our calculations of 6 leakage rate flow, if you will, through the steam 7 generator. Our maximum rate computer was about 760 8 gallons per minute. You can see that there was a period 9 where it went negative. That was during the period the 10 power operated relief valve got stuck. You can see in 11 general that it ran 200 or 300 for a considerable length 12 of period out there.

We also did a tank balance. By the way, the 14 data generated by the plant is for operations. It is 15 really not for post-event analysis. The tank 16 information we had was minimal. Safety injection flows 17 were minimal. You know, if somebody remembered to write 18 them down we had them but that is the only way we got 19 them. The charging flows the same way. Temperatures, 20 there is a lot of information that it was difficult to 21 come up with and in many cases had to be implied.

CHAIRMAN PALLADINO: Tim, during the early 23 part of the accident I was told the leak rate was 24 something around 75 I guess it was gallons per minute. 25 Do you remember that?

MB. HAYNES: Yes.

2 CHAIRMAN PALLADINO: I don't see any of 3 this ---

4 COMMISSIONER AHEARNE: We passed through it 5 several times, Joe.

6 CHAIRMAN PALLADINO: What is that?

7 COMMISSIONER AHEARNE: We pass through 75 very 8 rapidly.

9 (Laughter.)

1

10 MR. HAYNES: As I recall, Mr. Chairman, around 11 11 a.m. or shortly thereafter we reported 75 gallons per 12 minute and that was based upon what the plant was 13 experiencing as their charging flow at that time of 75 14 gallons per minute. So it was an inferred type reading.

15 CHAIRMAN PALLADINO: Yes. It looks like it 16 was certainly higher than that at that particular time.

17 MR. HAYNES: Yes, it does.

18 CHAIRMAN PALLADINO: As a matter of fact, 19 except for that one dip, it was always higher.

20 MR. HAYNES: Right.

21 MR. MARTIN: We of course have had two months 22 to come up with these numbers.

23 CHAIRMAN PALLADINO: Yes, I appreciate that. 24 I was thinking that one of the things you try to 25 estimate during the course of an accident is how bad it

1 is. I was wondering how you felt about having an 2 estimate of 75 and trying seeking overall that it was 3 much more rapid? Is there anything we can do to improve 4 our estimating as a result of what we learned at this 5 accident?

6 MR. HAYNES: I am sure there is. Like I say, 7 it was an inferred reading of what they got from the 8 charging flow and safety injection flow and how much is 9 throttled. I can well imagine it is very difficult for 10 the operators. As Tim said, the plant is really 11 designed for operator as opposed for post-event or 12 accident analysis.

13 COMMISSIONER GILINSKY: It seems to me the 14 point is they reported an inferred reading on the basis 15 of the charging flow and that is probably the best you 16 can do rather than report it as the leak rate.

17 MR. HAYNES: That is right.

18 CHAIRMAN PALLADINO: Yes. I was just trying 19 to find out if the next time we get something like that 20 that we have to worry that it is considerably higher. 21 Maybe that is something we can look at later.

22 MR. MARTIN: May we have the next slide, 23 please.

24 This next slide represents our attempt -- 25 COMMISSIONER GILINSKY: I think there is an

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 important point there. Often in these occasions we have 2 had things reported without it be made clear just what 3 the basis for the particular report is. I think by 4 conveying that as well it gives it a little bit of a 5 context and it is easier to place it in your mind and 6 fix the importance of it.

7 MR. HAYNES: That is a soft number and you go 8 get a harder number.

9 COMMISSIONER GILINSKY: Yes.

10 CHAIRMAN PALLADINO: Well, I remember having 11 discussions later. I said, well, I heard 75 gpm, and he 12 said, oh, it was up much higher than that. I was trying 13 to get a feel for how we get information during the 14 course of an accident. I agree.

15 MR. MARTIN: This next slide represents the 16 task force's attempt to quantify the thermal transient 17 that the reactor vessel may have seen. After the 18 reactor coolant pumps were tripped the "A" loop very 19 quickly established a natural circulation. We estimate 20 it to be about 8,000 gallons per minute.

Using only the "A" loop's temperature trace 22 you come up with a cool-down rate of about 100 degrees 23 per hour, 116, or something like that. So the majority 24 of the reactor vessel would have seen that type of 25 temperature transient. That was really the maximum

1 during the early part of the event. Subsequently it is 2 certainly much lower than that.

3 Until the "B" main steam isolation valve was 4 shut and the feedwater flow to the "B" steam generator 5 was isolated, it, too, saw about 8,000 gallons per 6 minute natural circulation flow. Subsequent to securing 7 feeding and subsequent to shutting the main steam 8 isolation valve the "B" steam generator basically heated 9 up to whatever TH was and we stagnated natural 10 circulation and then the "B" loop when through some type 11 of transient. You see here what the RTD on the cold leg 12 showed us happened in the "B" loop.

Again, I want to remind you this sticks only 14 like an inch into the pipe. It is 27 and a half inches 15 in diameter and it is almost right on top of the 16 injection point of this water coming from the RWST.

17 COMMISSIONER AHEARNE: But you are dropping 18 from something like 535 or 540 down to a minimum there 19 of about 270 over a period of, what, 30 minutes.

20 MR. MARTIN: That is true. But remember this 21 is back in the loop. This is a considerable distance in 22 the loop.

23 COMMISSIONER AHEARNE: Yes, I understand 24 that. But you didn't talk about the significance then 25 of that later pump.

MR. MARTIN: That is a true statement.

2 COMMISSIONER AHEARNE: Now what your data 3 seems to imply then is that you have something like a 4 260 degree drop in half an hour.

1

5 MR. MARTIN: In the loop right by that RDT. 6 COMMISSIONER AHEARNE: Right. Then you have 7 to talk about how much of a drop, how rapid a drop do 8 you have as you go back further. I agree. But it is 9 correct that your data has a 260 degree drop in half an 10 hour.

11 MR. MARTIN: This is what the data would
12 suggest. That is correct, and that is only on the "B"
13 side.

14 What we did then was we looked at what was 15 happening in the "B" loop. We had a break in the loop. 16 There is going to be flow to the loop. It is going to 17 come from the hot leg and it is going to come from the 18 cold leg. Using a very simplified assumption that the 19 water is going to be mixed real well before it goes by 20 this RTD, we were able to match the temperature 21 transient seen by the RDT by assuming a reverse flow in 22 the cold loop of approximately 400 gallons per minute. 23 With that assumption and the known safety injection flow 24 and the known charging flow you can see how the dark 25 black line lays very closely on top of the transient

1 that you actually experienced in the loop.

Now if that really occurred that way, what that suggests is that it is like 400 gallons per minute coming out of the reactor vessel toward the break sweeping the safety injection and changing flow toward the break and therefore the reactor vessel would never reactor vessel would never see the transient that you are seeing in the "B" loop.

8 Now what are the problem with that? Well, 9 first of all, the break flow at max was calculated to be 10 about 400 gpm at this point already. So 400 gpm plus 11 the safety injection flow, which is about 200 gpm, plus 12 the charging flow certainly can't be flowing back that 13 way.

14 Well, the next place you draw back is well, 15 maybe there is not complete mixing. If there is not 16 complete mixing you could get the same transient by 17 doing some mixed mean. But the bottom line is we can't 18 tell you. I cannot tell you today that that vessel 19 right below the "B" loop didn't see a significant 20 thermal transient greater than the average that they 21 experienced. We try it a d the instrumentation just 22 does not provide us the information to give you that 23 answer.

24 COMMISSIONER AHEARNE: That is then the 25 interpretation. I noticed the language in your report

1 seemed to be carefully chosen that suggested that the 2 flow to the faulted loop may not have ---

3 MR. MARTIN: We are confident that there was 4 flow toward the faulted loop but certainly not of this 5 magnitude. I can't today tell you that it didn't 6 happen, that there wasn't a significant, this 7 200-and-some-odd degree drop that you pointed out.

8 COMMISSIONER GILINSKY: Let's see, where does 9 this leave us?

10 COMMISSIONER AHEARNE: Let me go back to a 11 point I raised earlier before you came here, Vic. I 12 guess I am disturbed that there is no conclusions or 13 recommendations out of this. I recognize, Tim, that 14 your charter was not to have conclusions and 15 recommendations, but you have had this group of people, 16 very knowledgeable people, spend all this time digging 17 through this and I guess I feel on several of these 18 points that you come across that it short of cries out 19 for a "therefore," therefore more work or therefore this 20 is our conclusion or therefore the plant management 21 ought to do this or therefore NRC ought to do this. 22 This is one area that seems to need a "therefore."

MR. DIRCKS: The "therefore's" are coming.
 COMMISSIONER AHEARNE: But I would have felt
 that this report ought to have had ---

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. DIRCKS: But you make a choice. Do you 2 want the report fairly quickly and with the facts laid 3 on the table or do you want the "therefore's" and get it 4 three or four months later.

5 COMMISSIONER GILINSKY: Is there another 6 report in the works?

7 MR. DIRCKS: Yes. What we are going to do is 8 take this report and get it back to the program offices 9 to come up with a ---

10 COMMISSIONER AHEARNE: But, Bill, these people 11 did do this report. This group now has spent all this 12 time digging through this. I guess I would liked to, 13 and in fact I know I would have liked to, and in fact 14 given that the Chairman's letter said that it would have 15 conclusions and recommendations ---

16 MR. DIRCKS: I think you are going to get 17 recommendations. I think the report lays out a very 18 exhaustive and comprehensive statement of what happened 19 there.

20 COMMISSIONER AHEARNE: Is there some reason 21 why the writers of the report couldn't put down their 22 recommendations?

23 MR. DIRCKS: Well, I think we have had 24 experience with trying to assemble facts and coming up 25 with a series of recommendations that become then a

1 driving force for agency actions that when we go back 2 and take a look at a year later we say, well, really 3 were we pressed by time to come up with that 4 recommedation or pressed by some other reasons? I think 5 it is better to say what are the immediate actions that 6 we have to take as a result of this? The answer I get 7 is no.

8 Then if there are no immediate actions let's 9 go back and do an exhaustive analysis of the facts and 10 then come in with a statement of recommendations that 11 have a ---

12 COMMISSIONER AHEARNE: Are you going to let 13 these authors at least whisper to this longer-range 14 group?

15 MR. DIRCKS: Many of the authors are actually 16 now going back to review the statement from the 17 longer-term, and I hate to use the term, action plan 18 connotation.

19 (Laughter.)

20 CHAIRMAN PALLADINO: Tim, are there any 21 analyses that you think might be made to give us a 22 better handle on what happened to ---

23 COMMISSIONER AHEARNE: Careful, that sounds 24 like a recommendation.

25 (Laughter.)

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 CHAIRMAN PALLADINO: I am sympathetic with 2 your point of view so I am trying to be careful. But 3 are there some analyses that we could make that would 4 give us a better handle on what might have happened in 5 the reactor vessel, the reactor vessel temperature?

6 MR. MARTIN: I believe there is certainly 7 capability in the agency or with the contractors to do a 8 computer modeling of it and do a lot more than we were 9 able to. We have the facts to feed into that model. We 10 know approximately what the safety injection and the 11 charging flows were and we have the temperature 12 information.

13 If I might, I am going to turn to Gary Holahan 14 who can probably answer that better.

15 Gary.

16 MR. HOLAHAN: I am Gary Holahan from NRR. 17 What you see here are basically hand calculations from 18 the data available from the plant. Certainly more 19 detailed calculations could be do with any of a number 20 of computer codes that are available. A basic 21 one-dimensional calculation could be done with a code 22 like RELAP or a comparable code that Westinghouse would 23 have, or an even more complicated sophisticated 24 calculation could be done with the TRACK code from one 25 of our contractors.

1 COMMISSIONER AHEARNE: What kind of confidence 2 do you have in those codes?

3 MR. HOLAHAN: You always have to be somewhat 4 skeptical, but in this case you have got the data. If 5 the code can match the data without too much fine-tuning 6 of the code then I think you could live with the answers.

7 MR. DIRCKS: Let me make one point though on 8 the recommendations. The restart review for Ginna is 9 now ongoing. So you are going to pick up the actual 10 content here in the restart review. Many of the members 11 who worked on this report are participating in the 12 restart review. So that is one vehicle in which you get 13 recommendations or recommended actions to be taken in 14 regard to this particular reactor.

15 What I was talking about before is 16 recommendations cutting across action that may have a 17 generic meaning for many reactors. That is what I was 18 talking about before.

19 CHAIRMAN PALLADINO: Bill, will some further 20 attempt be made to evaluate what we think the rate of 21 temperature drop for various parts of the vessel have 22 been?

MR. DIRCKS: That I am sure is going to be
 part of the analysis during this restart review.
 CHAIRMAN PALLADINO: That is what I was

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 getting at because the implication that part of the 2 vessel got something like a 260 degree drop in a half 3 hour seems extreme and may not bear any resemblance to 4 what actually took place.

5 MR. DIRCKS: Anything in here is not going to 6 be overlooked and particularly in the restart review.

7 MR. DENTON: I think that particular area is 8 one in which the steering group did press the task force 9 to make as definitive statement as they could and it is 10 one that we are going to have to follow up on very 11 closely. They have pushed as hard as they could within 12 the time frames they have had to get answers and we will 13 pick it up from there and see what else we can do to 14 better establish what did happen to the vessel. I think 15 it is a key issue to be resolved before restart and we 16 will do that.

17 CHAIRMAN PALLADINO: Is that being done in NRR?
 18 MR. DENTON: Yes.

19 MR. DIRCKS: With a good deal of contribution 20 from Region I.

21 MR. DENTON: Of course, Mr. Holahan who just 22 spoke is in the Division of Licensing and will be 23 heavily involved in that proceeding.

CHAIRMAN PALLADINO: Do you want to proceed.
 MR. MARTIN: The next slide, please.

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 This particular slide which I am going to use 2 to talk about the radiological information, you are 3 looking to the northwest. The lake is to the right and 4 at the top and you are actually looking right at the 5 plume.

6 CHAIRMAN PALLADINO: Right at the what? 7 NR. MARTIN: Right at the plume. The wind 8 during the majority of this event, during the time when 9 the releases occurred actually came right across the 10 plant towards you.

11 The tower which you see behind the plant is 12 the primary meteorological tower. There is a back-up 13 meteorological tower off the picture to the left.

Some important things. If you will notice the Some important things. If you will notice the Is large building closest to the lake. In the northeast Gorner you will see a little pipe sticking up. That That happens to be the air ejector exhaust. That was where the first releases came from.

19 Subsequently if you look in to the large 20 square building which is a little further to the south, 21 you are looking inside the facade which goes around it. 22 Reading from west to east across the north facade, you 23 have the auxiliary turbine exhaust which very early in 24 the event had some releases, the "A" steam generator 25 PORV, and then almost in the eastern side of that facade

1 the "B" steam generator code safety that released the 2 majority of activity.

Now in the south face of that facade you will 4 notice that it drops straight down and runs into another 5 building. There is actually a space between that 6 building and the facade that you can crawl under and it 7 has pens to be right here where the auxiliary building 8 ventilation suction is located.

9 Now that is important because in the wake that 10 occurs from this plume that actually tumbles over the 11 edge of the building, this ventilation system picks it 12 up and low and behold we do get radiation particulate 13 and iodine alarms from the monitors which are located on 14 the exhaust from the auxiliary building ventilation 15 system.

16 CHAIRMAN PALLADINO: Did I follow that 17 correctly? I thought you were saying they were picking 18 up radioactivity from the outside?

19 MR. MARTIN: They are actually sucking it back 20 into the building.

21 CHAIRMAN PALLADINO: That is a new invention.
 22 (Laughter.)

23 COMMISSIONER AHEARNE: Not necessarily 24 desirable.

25

MR. MARTIN: Coming on out from the plant you

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 see the grove of trees. Just behind the grove of trees
2 we have our maximum verified on-site reading of about
3 three MR per hour, and it was right up against the fence.

Then in the middle of the field that seems to be circled by that road you see the white spot. That white spot happens to be the location of the two TLD's which showed significant readings, the licensee reading which gave 21.7 M-rad integrated dose and the New York State TLD which read 9.4 millirad.

10 CHAIRMAN PALLADINO: Where is that?

11 MR. MARTIN: This is the white spot in the 12 middle of the field which you see circled by the road. 13 Now I am also waiting for this answer so let me turn to 14 Mr. Nehemias.

15 Would you tell me why those two read 16 differently?

17 MR. NEHEMIAS: Principally simply that the18 state dosimeter was higher.

19 COMMISSIONER AHEARNE: How much higher?

20 MR. NEHEMIAS: About eight feet for the state 21 and about four and a half feet for the licensee.

22 COMMISSIONER AHEARNE: And the three and a 23 half foot difference is the reason?

24 MR. NEHEMIAS: Yes.

25 MR. MARTIN: I have been waiting for that

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 answer.

2 MR. HAYNES: There is snow on the ground. 3 MR. MARTIN: Yes, there is a lot of snow on 4 the ground here.

5 COMMISSIONER AHEARNE: Four feet? 6 (Laughter.)

7 MR. MARTIN: I think one of the points we 8 should make here is this was a very cold day, high 9 humidity day, there was snow and almost all the activity 10 that was condensable or was entrainable by moisture feel 11 right out on the plant and the plant property on site. 12 This circular drive is still on site. All these 13 readings are on site.

Now there was one significant reading off site 15 just off the lower left-hand side of the picture. At 16 the intersection of Lake Road and Ontario Road at about 17 mid-day there was a reading of 1.2 M-rad per hour, but 18 that was the only off-site dose of significance that was 19 measured.

20 To give you some feel for the releases. Our 21 computation indicates about 90 curies of nobel gases 22 were released, about 0.4 curies dose equivalent of 23 Iodine 131 and 1.3 curies of particulate, including 24 cobalt, molybdenum, barium and cesium. There was also 25 about 25 curies of tritium most of it in the form of

1 water.

I just want to point out that the nobel gases and the Iodine 131 releases do not exceed design analysis numbers. Particularly I want to focus in on the iodine since it has the largest effect.

6 CHAIRMAN PALLADING: What was your iodine 7 reading?

8 MR. MARTIN: It was 0.4 curies dose equivalent 9 iodine. If you just add it up, you know, the total of 10 the iodines, it came to around five curies. I do want 11 to point out though that this plant was running only a 12 few percent of its tech spec limit of iodine in the 13 primary system. Therefore, there wasn't that much ready 14 for release.

A review of the chemistry data before versus 16 around 12:50 that afternoon when another sample was 17 taken, there appears to have been no iodine spike which 18 is assumed in the analysis.

19 CHAIRMAN PALLADINO: There is something you 20 said that I guess I don't understand. You said the 21 total of how much iodine?

22 MR. MARTIN: Total of about five curies. 23 CHAIRMAN PALLADINO: Now what was the 24 four-tenths?

25 MR. MARTIN: The four-tenths is the dose

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 equivalent Iodine 131. In other words, if you were 2 looking for what is the equivalent amount of Iodine 131 3 which would cause the same effect to a human, then it 4 comes out 0.4 curies.

5 MR. HAYNES: And I believe the technical 6 specification is in dose equivalent.

7 CHAIRMAN PALLADINO: Is in what?

8 MR. HAYNES: Is in dose equivalent for Iodine 9 131, the longer half life.

10 MR. MARTIN: Actually the way it works out is 11 it is dose equivalent for the activity in the primary 12 system and you really end up with dose equivalency 13 because of the way the tech spec is worded.

14 Now one thing that we did note here was that 15 there was water released from the safeties versus steam 16 which is assumed. Because there was water released you 17 do not get the partitioning of the iodine into much 18 smaller releases per cc of matter. Also, you get 19 particulate that you would not normally expect in a 20 design analysis. It was of interest to us and that is 21 what we found.

Basically it was forced on the plant because 23 of the configuration of the piping and the fact that 24 they did allow the piping to flood and fill.

25 There is one other point to make on this

1 picture. You will notice the building in the middle off 2 site to the left. That is the licensee's evacuation 3 center. It also was in the plume and the licensee did 4 evacuate people into the plume to this location. He did 5 not have an alternate evacuation site nor does NRC 6 require one.

7 I wonder if I can have the next slide, please.
8 I wanted to show you this slide to give you
9 some feel for where the water came from that ruptured
10 the PRT rupture disk. During containment isolation the
11 valve on the right-hand side, FC-371, that gets a "T"
12 signal goes shut if it is itainment isolation
13 valve. The valves inside wat to the left do not get a
14 signal.

15 The valve, 427, which is coming from the 16 reactor coolant system, that valve goes shut when the 17 pressurizer level goes out the bottom. Basically this 18 is a level control system, if you will. So when the 19 initial transient caused the pressurizer level to drop, 20 the valve 427 went shut.

21 When it goes shut the selected orifice valve, 22 the 200A, 200B and 202, whichever one is selected, would 23 also go shut. So while the pressurizer level is 24 off-scale low these valves would all remain shut. 25 Further, on containment isolation you kill the

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 instrument air inside containment and therefore the 2 valves assume their fail position. So the orifice 3 isolation valves all fail closed so they would stay 4 closed and 427 would subsequently drift open.

5 When the containment isolation was reset you 6 don't open the valves immediately. All that does is 7 allow you now to take manual control of the valves.

8 One of the valves that was opened after 9 containment reset was instrument air, opening instrument 10 air then pressurized the system. You would expect 427 11 to go shut because the pressurizer level was still 12 off-scale low and you would expect the orifice valves to 13 assume whatever position was commanded for 427.

14 When the pressurized came back on scale on 15 opening the PORV 427 would stroke open. When it strokes 16 open the reactor coolant system pressure comes in 17 through the orifice valve. Since there is no flow the 18 orifices don't follow your pressure any and this line 19 starts to pressurize. Relief valve 203 then opened and 20 you can watch the pressure trace and the level trace on 21 the PRT and it very guickly starts to fill.

Now pressure didn't go up that much as a 23 result of filling because apparently there was some 24 leakage in the vent valve that goes back to the vent 25 header. The vent header is a gaseous waste treatment

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 system. But subsequently when the PRT went solid, was 2 full of water, then the pressure, basically as seen 3 reactor coolant system pressure ruptured this loop. 4 This was the major contributor to the inventory increase 5 in the PRT.

May I have the next slide, please.

6

7 This is a slide of the steam generator at 8 Ginna. There are a couple of points I want to point out 9 to you.

10 Coming down the right-hand side you will see a 11 downcomer flow resistance plate. That flow resistance 12 plate was put in the generator to control recirculation 13 in the generator and actually can be moved up and down 14 and can shut off the loop circulation flow.

In 1975 the licensee made a modification to 16 the steam generator at the recommendation of 17 Westinghouse and cut the orifice plate out, just flame 18 cut it out. We have looked at the procedure. The one 19 thing the procedure doesn't have although it has tools 20 in and tools out type inventory, it didn't have make 21 sure you have got all the ring out in your hands.

22 COMMISSIONER AHEARNE: Was that a modification 23 which was unique to Ginna?

24 MR. MARTIN: No, sir, I do not believe it is.
 25 COMMISSIONER AHEARNE: Was it a modification

1 requested of Salem?

2 MR. WIGGONS: It is not a generic modification. 3 CHAIRMAN PALLADINO: They took that whole ring 4 out? MR. MARTIN: Yes, sir. 5 CHAIRMAN PALLADINO: Except for ---6 7 MR. MARTIN: Well, you are getting to the 8 punch line. (Laughter.) 9 CHAIRMAN PALLADINO: They were supposed to 10 11 take the whole ring out. 12 MR. MARTIN: The other part of the steam 13 generator I would like to point out to you is the 14 wrapper plate inside the shell comes down I think it is 15 about 17 inches above the tube sheet and then you can 16 see the tubes inside. The tubes that are going to be of 17 interest to us are going to be the peripheral tubes, the 18 ones located on the outside and in fact those on the hot 19 leg. So you see the primary coolant inlet. That is 20 where the hot leg tubes come up there. 21 COMMISSIONER AHEARNE: Tim, let me ask a 22 question. This is a generic action that was taken? MR. MARTIN: That is my understanding. 23 COMMISSIONER AHEARNE: But the procedures that 24 25 Westinghouse put on didn't specifically address taking

1 out the ---

2 MR. REYNOLDS: The procedure included a 3 provision for putting in a protective system to prevent 4 dropping things into the steam generator. That was in 5 the procedure. The procedure did not call for 6 reassembly of all of the parts of the ring to make sure 7 you had 100 percent of all of the volume of the ring 8 when you took it out.

9 COMMISSIONER AHEARNE: To you knowledge, has 10 any other licensee run into the problem of parts of that 11 left inside the steam generator?

12 MR. REYNOLDS: Westinghouse has indicated 13 there is no indication of similar peripheral tube 14 problems on any other steam generators.

15 COMMISSIONER AHEARNE: I wasn't asking whether 16 there was any similar tube problems. I was asking 17 whether you had any indication of any other licensee 18 having found any pieces that had been left behind after 19 that modification?

20 MR. REYNOLDS: Not to my knowledge? 21 CHAIRMAN PALLADINO: How many steam generators 22 were there in which this modification was made or how 23 many plants?

24 MR. REYNOLDS: I believe all the 44 series 25 were similarly modified. Now I can't say for sure.

1 CHAIRMAN PALLADINO: What, half a dozen, or 2 more or less?

3 MR. MARTIN: I don't think we can answer that, 4 Mr. Chairman.

5 CHAIRMAN PALLADINO: I was just wondering if 6 anything peculiar was happening to those plants.

7 MR. MARTIN: Could we have the next slide, 8 please.

9 CHAIRMAN PALLADINO: Maybe I am asking the 10 guestion too soon. Was one of the pieces or one or more 11 of the pieces that was found in there, did it come from 12 this ring or was it presumed to come from this ring?

MR. MARTIN: We believe it is and I have a14 picture here very shortly to show you.

15 MR. HAYNES: Mr. Chairman, you question about 16 whether anything peculiar was happening at the other 17 plants ---

18 CHAIRMAN PALLADINO: On this modification. 19 MR. HAYNES: Yes. I believe Sam did try to 20 address that because the information he got from 21 Westinghouse is that none of the other plants that had 22 undergone the modification had shown indications with 23 peripheral tube problems like Ginna has experienced. 24 CHAIRMAN PALLADINO: Well, did Ginna have any

25 precursor symptoms before ---

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. MARTIN: Yes. 2 MR. HAYNES: Oh, yes. CHAIRMAN PALLADINO: --- someone addressed 3 4 that something like that was happening? MR. MARTIN: Yes. 5 CHAIRMAN PALLADINO: So if it was not 6 7 happening at the other plants you might have a higher 8 assurance that there is no similar problem. MR. MARTIN: Yes. 9 On this slide, what we have here is a picture 10 11 of the tube sheet for just the hot side. The circled 12 areas are those that have plugged tubes. The ones with 13 "x's" have sleeves in them. The ones in the center part 14 of the semicircle are basically sludge related problems, 15 chemical problems. They can either be in the sludge 16 area above the tube sheet or in the crevice area below 17 it. CHAIRMAN PALLADINO: Some of these are dark 18 19 circles. What does that mean? MR. MARTIN: The dark circles mean it is 20 21 simply plugged. The circles with an "x" through it 22 means it is sleeved. CHAIRMAN PALLADINO: The dark circle with an 23 24 "x". 25 MR. MARTIN: That means it is sleeved.

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

CHAIRMAN PALLADINO: And the plain circle? 1 2 MR. MARTIN: The plain circle means just 3 plugged. CHAIRMAN PALLADINO: Means what? 5 MR. MARTIN: Plugged. It has a plug that 6 prevents flow through it. CHAIRMAN PALLADINO: That is if it is solid. 7 8 What if it is just an open circle? MR. MARTIN: If it is just an open circle that 9 10 is a flow hole. It basically is a place where flow can 11 go through. 12 The ones in the center ---COMMISSIONER ROBERTS: What are we looking at 13 14 here? This isn't a tube sheet ---15 MR. MARTIN: I am looking right down at the 16 tube sheet. COMMISSIONER ROBERTS: This is the tube sheet. 17 MR. MARTIN: This is the tube sheet and it is 18 19 showing what are the different tubes. Basically at the 20 intersection of each line there is a tube there. For 21 those that we chose to put black marks, that is a 22 plugged tube at that location. For those that have 23 black marks with an "x" through it, that means it is 24 sleeved. Those that have simply little circles, these 25 are flow holes.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 Mr. Haynes has brought something to my 2 attention. If you look around the periphery of the 3 semicircle you see the pattern of little open circles. 4 Those represent tubes. You notice those little dots. 5 Those are the flow holes we are talking about. Sam, is that right? 6 MR. REYNOLDS: The dots around the cutside are 7 8 the outer boundary of the flow holes in the tube support 9 plate. COMMISSIONER AHEARNE: That is the dots. 10 11 There are dots and circles. MR. REYNOLDS: The dots on here indicate the 12 13 extent of the flow holes. They have flow holes inhoard 14 of that but not outboard of that. COMMISSIONER AHEARNE: And the circles also ---15 MR. REYNOLDS: Ch, these circles are just the 16 17 tube holes. COMMISSIONER AHEARNE: So then you legend down 18 19 in the middle isn't correct. MR. REYNOLDS: That really should be a dot. 20 COMMISSIONER AHEARNE: Okay. 21 COMMISSIONER ROBERTS: What do you mean by a 22 23 wedge area? MR. MARTIN: The tubes are supported at six 24 25 locations I believe coming up through the steam

ALDERSON REPORTING COMPANY, INC,

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 generator. Basically they are perforated plates the 2 tubes pass through and those plates have to be supported 3 from the wrapper. At the wedge areas is where you 4 actually have supports.

5 Now there are 12 wedge areas around the 6 wrapper. Each tube sheet has six support points. The 7 lowest tube support is supporting each even number wedge 8 area, the next one at each odd, et cetera. So the wedge 9 area is simply for location purposes.

10 It just so happens that the problem we 11 experienced this time was in the No. 4 wedge area. It 12 is a locational aid, if you will, at this point.

13 CHAIRMAN PALLADINO: I almost followed you and 14 then I got lost about one-third of the way through.

15 (Laughter.)

16 CHAIRMAN PALLADINO: Could you start over.

17 MR. MARTIN: The tubes are supported by tube 18 support plates and there are about six of them.

19 Can I go back to that previous slide.

20 CHAIRMAN PALLADINO: Are they complete plates? 21 MR. MARTIN: Yes.

If you will notice the tube support plates If you will notice the tube support plates an arching up the bundle. Now each one of these tube support plates is hung from the wrapper and they are shung by wedges. Each tube support plate has six wedge

1 positions and they alternate.

2 CHAIRMAN PALLADINO: What do you mean hung by 3 wedges.

4 MR. MARTIN: So there are 12 locations total 5 around a wrapper.

6 CHAIRMAN PALLADINO: What do you mean hung by 7 wedges?

8 MR. MARTIN: They actually are wedged into 9 place. There are three little wedges that are knocked 10 in and after the wedges are put in place then the 11 support plate is welded to the wedge and the wedge is 12 then welded to the wrapper.

13 CHAIRMAN PALLADINO: I see, and there are how 14 many wedges around?

15 MR. MARTIN: For a support plate there are six 16 support points and a total of 12 wedge locations becase 17 they alternate as you go up the bundle.

18 CHAIRMAN PALLADINO: So going around the 19 periphery you use one, two, three, four?

20 MR. MARTIN: That is correct.

21 CHAIRMAN PALLADINO: So now when you talk 22 about wedge area No. 4 it is on a particular peripheral 23 position?

24 MR. MARTIN: Yes, sir.

25 CHAIRMAN PALLADINC: Thank you.

65

1 COMMISSIONER ROBERTS: Well, is there any 2 significance to the fact that the plugged holes at least 3 in the periphery are almost always in a wedge area?

4 MR. MARTIN: The majority of them seem to be. 5 COMMISSIONER ROBERTS: Does that tell us 6 anything?

7 MR. MARTIN: The licensee originally 8 attributed the failures he was experiencing to a 9 stiffness in that area. I am not sure he still does 10 today. I have not seen his latest analysis nor have we 11 completed ours. But you are correct. It does seem in 12 the majority of cases on the periphery to locate in 13 these areas.

14 COMMISSIONER ROBERTS: What is the basis for 15 your earlier statement, and I am not disputing it, but 16 how do you know that it was a sludge problem on these 17 middle tubes.

18 MR. MARTIN: Let me turn to my expert.
19 Sam.

20 MR. BEYNOLDS: That is the typical sludge 21 location. They have sludge. The characteristics that 22 they had at phosphate water treatment were similar to 23 the standard sludge phosphate water treatment problems. 24 Eddy Current was the one that told them that they had 25 indications to tubes, sir.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

COMMISSIONER ROBERTS: Okay.

1

2 MR. REYNOLDS: We didn't go into that in great 3 detail in the NUREG because it is well documented in 4 other NRC documents.

5 COMMISSIONER AHEARNE: Now your previous 6 point, Sam, that you had mentioned that there were no 7 other plants that had experienced anything similar. You 8 mean they had not experienced tube degradation out in 9 the far perimeter? Is that your point?

10 MR. REYNOLDS: They did not experience tube 11 degradation problems of say a cancerous growth mode like 12 this on peripheral tubes. I can't say that they didn't 13 have any peripheral tube problems that may have been 14 denting or some other mechanism. I can't make that 15 statement because I just don't know.

16 COMMISSIONER AHEARNE: So you are not sure if 17 you had a similar chart of other plants that you might 18 get this pattern on the outside?

19 MR. REYNOLDS: What I am saying is I certainly 20 cannot say categorically that if you looked at other 21 series 44 steam generators that you would not find an 22 occasional peripheral tube plugged, but you would not 23 find a pattern of tube plugging ---

24 COMMISSIONER AHEARNE: A large number of them.
 25 CHAIRMAN PALLADINO: Why wouldn't you find

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 them?

2 MR. REYNOLDS: Excuse me? 3 CHAIRMAN PALLADINO: Why wouldn't you find 4 them in other steam generators? MR. REYNOLDS: They have not been found by any 5 6 kind of testing in any other plants and there is no ---MR. MARTIN: They haven't experienced the same 7 8 set of problems. COMMISSIONER ROBERTS: Because it happened in 9 10 this one doesn't mean that ---CHAIRMAN PALLADINO: But he made it sound like 11 12 it was so obvious that it wouldn't happen. 13 COMMISSIONER AHEARNE: What I was trying to 14 follow was the line that if they made this change 15 generically did other plants perhaps have this stuff 16 drop in, and I think his counter was if it had then you 17 would have expected to see the peripheral tubes or a 18 larger number and they haven't seen them. MR. MARTIN: This particular drawing shows the 19 20 situation prior to the event. The problems that had 21 been experienced in the No. 4 wedge area had been 22 basically progressing inward toward the center of the 23 figure.

24 Sam, can you tell me the approximate time the 25 first one appeared in the No. 2 wedge area, the first

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 problem?

ER. REYNOLDS: 7/77. 2 MR. MARTIN: 7/77. The original modification 3 4 was made in '75 on the orifice plate. If the part that 5 was found truly came from there it could have been 6 sitting in there from that time. 7 The next slide, please. No, hold that slide. 8 This slide shows a picture of the largest 9 10 piece that was removed from the "B" steam generator. 11 Although you can't see it real well in this photograph, 12 the piece has markings on it, parallel grooves that are 13 spaced at approximately the spacing you would find on 14 tubes and they are basically indented just as if it had 15 been sitting and bounding against the tubes like that. The drilled hole corresponds to approximately 16 17 the kind of and size hole you would expect to find in 18 the orifice plate. The material is magnetic. Is that true? 19 MR. REYNOLDS: It has the appearances of 20 21 carbon steel. MR. MARTIN: We have not performed a chemical 22 23 analysis of it. COMMISSIONER ROBERTS: How thick was the 24 25 orifice plate, half inch?

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. REYNOLDS: Yes.

1

2 MR. MARTIN: Everything seems to point to this 3 being a part of that plate.

4 COMMISSIONER AHEARNE: You say you haven't 5 done a metallurical examination. Has the licensee or 6 Westinghouse?

7 MR. REYNOLDS: They are in the process of 8 analyzing it, yes, to the best of my knowledge.

9 MR. MARTIN: It also has the appearance of 10 being flame cut.

COMMISSIONER AHEARNE: Wait. Excuse me.
 Do we know whether they are or not?
 MR. WIGGINS: They are.
 COMMISSIONER AHEARNE: Thank you.

15 MR. MARTIN: The thing also has the appearance 16 of being flame cut as the procedure called for in 1975.

17 MR. HAYNES: It has got the thickness. It has 18 got the curvature. It has got the small hole, the 19 orifice hole. A is made of the same material. It is 20 very similar.

21 MR. MARTIN: The next slide.

This particular picture shows a tube and not the ruptured tube, although obviously this one is the ruptured, that was found in the generator. You see several rotations of it showing the structural damage

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
1 that has occurred. This particular tube was one of the 2 tubes that had been previously plugged. 3 Sam, do you remember why this one was 4 originally plugged? 5 MR. REYNOLDS: I will have to look on the list. MR. MARTIN: Basically you can see the 6 7 structural mechanical damage that occurred to this 8 particular tube. 9 The next slide, please. COMMISSIONER ROBERTS: Excuse me. What do you 10 11 mean "White dot points outward"? I am confused. What 12 is the terminology at the bottom of the slide? MR. MARTIN: The white dot, Sam. 13 MR. REYNOLDS: They cut a hole in the shell 14 15 and the wrapper and reached in and put a paint marker at 16 that point. They could only get outboard so they called 17 this zero degrees and then these are the degrees based 18 on that outboard direction. 19 MR. MARTIN: Sam, do you want to comment on 20 some of the markings on those tubes? MR. REYNOLDS: They are rather classic 21 22 fretting wear marks on tubes, like this one, for 23 example. You can see all the flat marks on there. 24 CHAIRMAN PALLADINO: What are all those edges 25 down at the bottom?

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. REYNOLDS: That is where the tube was 2 detached at the bottom from the rest of the tube. 3 CHAIRMAN PALLADINO: That is where it was 4 broken.

MR. BEYNOLDS: Yes, detached it.

5

6 MR. MARTIN: Let me point out this was not the 7 ruptured tube because this one, as I understand it, had 8 been previously plugged and Sam will find out what they 9 said.

10 MR. WIGGINS: There is an indication above the 11 tube sheet. It was an indication of inner surface metal 12 loss.

13 CHAIRMAN PALLADINO: They plug them at both 14 ends?

15 MR. MARTIN: They plug both ends. Of course, 16 it then no longer has the primary side pressure on the 17 inside to help support it. Whatever the mechanism was 18 that ultimately caused it to fail it wasn't as 19 defendable as it was before.

20 CHAIRMAN PALLADINO: Were there in a position 21 to be struck by the other pieces of metal?

22 MR. MARTIN: The metal was found at a location 23 which was displaced azimuthally from this but dragging 24 the lights through it could have moved the large pieces. 25 CHAIRMAN PALLADINO: In other words, they are

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 in a position though ---

2	MR. MARTIN: It is certainly below the wrapper
3	and in a place where it could have been
4	CHAIRMAN PALLADINO: It could have been beat
5	up by the
6	MR. MARTIN: It could have been.
7	MR. REYNOLDS: That is a peripheral outer tube.
8	MR. MARTIN: That is an outer tube?
9	MR. WIGGINS: That is an outer tube.
10	CHAIRMAN PALLADINO: Was the one that broke an
11	outer tube?
12	MR. MARTIN: No. Would you go back to the
13	previous slide, please. The one before that.
14	The arrow points toward the ruptured tube.
15	Sam's comment about a cancer, basically the problem
15	Sam S comment about a cancer, basicari, the problem
16	developed initially on the outside and kind of worked
17	its way in. There is precautionary plugging and other
18	things that were done.
19	CHAIRMAN PALLADINO: Are you saying that it
20	might have been beat up by the extraneous pieces of
21	metal?
22	COMMISSIONER AHEARNE: Or could it have been
23	beat up by a broken tube?
24	CHAIRMAN PALLADINO: Yes.
25	Go ahead.

MR. MARTIN: Again, Sam loves this.

2 CHAIRMAN PALLADINO: I mean initiated by a 3 broken tube.

4 MR. MARTIN: Sam, what is your opinion? 5 MR. REYNOLDS: The wear marks on the tube that 6 you see are in my opinion tube-to-tube fretting wear 7 marks. The damage at the bottom of the tube could 8 possibly have been associated with the loose foreign 9 object.

10 COMMISSIONER AHEARNE: Well, by tube to tube, 11 do you mean one tube rubbing against or banging it?

12 MR. REYNOLDS: Yes.

1

13 COMMISSIONER AHEARNE: But that would have 14 meant that one of the tubes would have had to have been 15 broken off at the bottom.

16 MR. REYNOLDS: Yes, sir. There were tubes 17 that were broken off completely between the first tube 18 support plate and the tube sheet.

19 COMMISSIONER ROBERTS: But they were plugged?
 20 MR. REYNOLDS: There were previously plugged
 21 tubes that were subsequently broken off.

CHAIRMAN PALLADINO: But I think it is an mportant observation if true. I am not saying that you have proven that. I understand this particular tube had been checked at the previous inspection and was found to

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 be within our tolerance limits.

2 MR. MARTIN: Using the standards they had it 3 indicated about 20 percent and they had a 40 percent 4 criteria.

5 CHAIRMAN PALLADINO: So what I am saying is 6 had this been a corrosion problem or if I were to 7 conclude that it was a corrosion problem, then it cast 8 doubt about our ability to inspect and the frequency of 9 inspection giving us any assurance that the tubes were 10 all right. If, however, it was a result of something 11 beating outside tubes that in turn beat this one, I 12 don't get comfort from it, but at least it gives me some 13 feeling that we still can rely on inspection for the 14 more normal corrosion process.

15 COMPISSIONER AHEARNE: Agreed.

Could you take a minute and perhaps talk Through what, from your group and perhaps Sam the Rexpert, what was the progression that led to the rupture.

19MR. REYNCLDS: I can only give an opinion.20MR. MARTIN: That is what he is asking for.21MR. REYNOLDS: There is a group that is

22 working on this.

23 COMMISSIONER AHEARNE: I understand. I am 24 just asking what your opinion is.

25 MR. REYNOLDS: I certainly don't think there

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 is any question that a large foreign object on a 2 periphery of the tube would cause tube damage, would 3 cause changing of the shape of the tube which could 4 possibly cause collapsing of the tube once the tube is 5 no longer round and has a pressure on the outside of it 6 which then can change a lot of things, the natural 7 frequency of the tube.

8 There is no direct evidence that we can see of 9 going from the first damage on the outside of the tube 10 through to the final rupture. The final rupture is 11 apparently due to failure by another tube and not by the 12 for sign object because it has fretting wear marks on it 13 that are longer than nine inches and that are of the 14 geometry that you could only get by two orbiting tubes 15 touching each other on the surface giving you the score 16 marks that are horizontal to the tube.

17 So that is all I can say.

18 MR. MARTIN: You might be able to see this on 19 the next slide.

20 Can we have slide 12, please.

21 Sam, do you want to point out points on there. 22 MR. REYNOLDS: This is the tube that did 23 rupture. It is worn to the point of an almost knife 24 edge. You could cut your finger on this portion of the 25 rupture right here. We originally reported that

ALDERSON REPORTING COMPANY, INC.

1 visually there was less than five percent wall thickness
2 and there are some spots where it is considerably less
3 than that.

The total length of the rupture is similar to 5 the length of the indication that was previously 6 reported on the Eddy Current examination as a 20 percent 7 defect. This obviously is flats on the tube. The 8 characteristic of the failure are similar to the 9 characteristics that you have when you had mixed span 10 collision of tubes, for example, in a surface condenser, 11 in that it is somewhat symmetric and runs out. The 12 rupture stops at roughly 50 percent of the wall 13 thickness of the tube.

14 There are indications on this tube of fresh 15 fretting wear marks and fretting marks that are not 16 fresh that have an oxidized appearance. So this tube 17 was being worked on in another location actually before 18 this location when all the way through the tube.

19 COMMISSIONER AHEARNE: Tim, do you know the 20 perimeter at the break?

21 MR. MARTIN: It is about what, seven-eighths? 22 MR. REYNOLDS: The opening here is about 23 three-quarters of an inch and the diameter is 1.05. 24 COMMISSIONER AHEARNE: Do you know the

25 perimeter of the metal that is left in the break? What

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 I was wonder is that when a rupture occurs sometimes it 2 isn't just a complete rupture. What first happens is 3 you begin to get enough stress that you actually get 4 some metal flow.

5 MR. REYNOLDS: Oh, sure, it balloons. 6 COMMISSIONER AHEARNE: It stretches, 7 ballooning, and then it breaks.

8 MR. REYNOLDS: It increased from seven-eighths 9 of an inch to 1.15 inches measured across here.

10 COMMISSIONER AHEARNE: What I was wondering is 11 you mentioned how thin the material is at that break 12 point. It wasn't clear to me that that thinning was due 13 to wear or whether it was due to the ballooning and the 14 stretch.

15 MR. REYNOLDS: In my opinion, it was due 16 mostly to wear. Certainly when you have got excessive 17 deformation of the tube in ballooning that some thinning 18 resulted from that, too.

19 MR. MARTIN: That is my last slide.

20 COMMISSIONER AHEARNE: Before you get through 21 with that slide. Where is that tube being examined?

22 MR. REYNOLDS: That particular tube is being 23 examined at Westinghouse Research Labs. At least it was 24 there three weeks ago. It is being obviously 25 metallurgically examined which means it is being cut up

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 into pieces and the pieces are being examined.

2 MR. MARTIN: I have some concluding remarks 3 relative to the operators and the licensee management. 4 I think that this event demonstrated that they 5 understood their plant, that they understood their 6 procedures and that they understood the philosophy of 7 coping with a steam generator tube rupture event.

8 They paid particular attention to assuring 9 that the core was adequately cooled. When they ran up 10 against problems in their procedures which didn't see to 11 fit the situation they did not just leap in and change 12 things. They assessed the situation. They made a 13 determination of what was the best course of action. 14 They did leave their procedures. They did deviate from 15 their procedures when they weren't appropriate and they 16 re-entered the procedures later on when it was.

17 COMMISSIONER AHEARNE: Now I gathered from 18 somewhere in your report though, I thought I ran across 19 where the operators did not think they did deviate fro 20 the procedures.

21 MR. MARTIN: That was their statement. I 22 disagree with them. I think they reacted prudently.

23 COMMISSIONER AHEARNE: In other words, they 24 believe they didn't deviate and you believe they did but 25 they were correct in deviating? MR. MARTIN: That is correct.

1

2 CHAIRMAN PALLADINO: Is that because the 3 procedures can be interpreted a couple of different ways?

4 MR. MARTIN: I think that their interpretation 5 is that in all cases we will act prudently, that the 6 procedures simply are a guideline. If I have to jump 7 from this procedure to that procedure to that procedure 8 to get around a hurdle in a procedure, that is following 9 my procedures. Another interpretation of the same 10 thing. I think they acted prudently and that is what I 11 was looking for.

12 MR. HAYNES: The procedure itself didn't cover 13 all of the situations what were facing the operator. 14 When it didn't cover that situation then they stoped and 15 thought and said well ---

16 COMMISSIONER AHEARNE: I was just puzzled by 17 the way that the report seemed to read. It was as 18 though the operators did very well. When necessary they 19 deviated from their procedures and that deviation that 20 they took was appropriate. On the other hand, the 21 operators were saying no, we did not deviate from the 22 procedures.

23 CHAIRMAN PALLADINO: It is important for us to 24 begin to understand what we mean by the words "following 25 procedures."

1 MR. MARTIN: I think their response was 2 partially defensive. There had been a lot of publicity 3 relative to NRC's original assessment of their 4 performance with charges that they had not followed 5 procedures.

6 CHAIRMAN PALLADINO: But you sort of give them 7 a little justification in saying what they said because 8 you said the procedures aren't all inclusive and you 9 have to select which procedures to use at what time. 10 Maybe we have to look a little closer at procedures and 11 what we mean by the words, but that is the least of my 12 worries.

13 (Laughter.)

14 COMMISSIONER AHEARNE: The impression I had is 15 they were saying look, you guys, there was a newspaper 16 flap about we were wrong, and also we know the tendency 17 perhaps of you guys to jump down our throats if we do 18 something wrong. We followed procedures.

19 MR. MARTIN: That may have been the response. 20 I think that there was some apprehension when our task 21 force arrived. We were not investigators. We were a 22 task force.

23 (Laughter.)

24 MR. MARTIN: There are two other comments I 25 would like to make.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

The licensee did provide adequate notification
 2 to both local, state and federal officials.

3 Finally, our emergency notification system 4 wasn't of the quality and reliability that we would like 5 to have during an emergency.

6 CHAIRMAN PALLADINO: Which notification? 7 NR. MARTIN: This is the emergency 8 notification system, our hot line. We lost it several 9 times. It clicked off on us. The volume and quality of 10 the signal wasn't what we have have expected or hoped 11 for. But even given those detriments, it still is a 12 damned good system and we did get a lot of information 13 over it but it could be better.

14 That is all I have.

15 CHAIRMAN PALLADINO: Can I ask you, do you 16 draw a conclusion yet on what led to the failure of this 17 particular tube?

18 MR. MARTIN: I support Sam's opinion, but that 19 is an opinion based upon -- I am an electrical 20 engineer. So that puts it in perspective.

21 (Laughter.)

22 MR. MARTIN: I trust Sam.

23 MR. HAYNES: The licensee and Westinghouse are 24 continuing to try to get assurance, that they really 25 have got a definitive reason of why did the tube fail,

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 for example, at the tube sheet.

2 CHAIRMAN PALLADINO: Do they lean toward Sam's 3 approach?

4 NR. MARTIN: Do you want to give your approach? 5 NR. REYNOLDS: I have no information as of 6 this moment of exactly what their latest thinking is. 7 It is hard to conclude anything other than what I said. 8 CHAIRMAN PALLADINO: When might we have a 9 feeling for what Westinghouse and the licensee think? 10 NR. DENTON: I might mention we have some 11 samples of the tubes being analyzed at Brookhaven. We 12 have retained a number of materials experts and I would

13 imagine within the next month, sometime before restart 14 we will have a definitive view on it. I don't think the 15 staff has a definitive position yet on what the cause 16 Was.

CHAIRMAN PALLADINO: Any other questions? 17 Tom? 18 MR. REYNOLDS: (Nodding negatively.) 19 CHAIRMAN PALLADINO: John? 20 COMMISSIONER AHEARNE: No. 21 CHAIRMAN PALLADINO: Well, we thank you very 22 23 much. That was an interesting presentation. COMMISSIONER AHEARNE: We certainly thank Tim 24 25 and all the people who worked very hard in putting the

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

```
1 information together in a short period of time.
            CHAIRMAN PALLADINO: All right. Thank you very
  2
  3 much.
    We will stand adjourned.
  4
            (Whereupon, at 3:55 p.m., the meeting
  5
6 concluded.)
                             * * *
  7
  8
  9
 10
 11
 12
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25
```

JUCIEAR REGULATORY COMMISSION

. This is to certify that the attached proceedings before the

COMMISSION MEETING

in the natter of: PUBLIC MEETING - DISCUSSION OF REPORT ON TASK FORCE ON EVALUATION OF GINNA EVENT Data of Fraceeding: April 14, 1982

Jocket Humber:

Flace of Proceeding: Washington, D. C.

were held as hereis appears, and that this is the original transcri; thereof for the file of the Commission.

Mary C. Simons

Official Reporter (Typed)

Official Reporter (Signature)



SLIDE 1 Ginna Nuclear Power Plant piping and instrumentation diagram







SLIDE 3 Reactor coolant system and steam generator pressure response as a function of time, January 25, 1982





BREAK FLOW (90m)



SLIDE 5

Reactor coolant loop cold-leg temperature compared with calculated values, January 25, 1982





SLIDE 7 Diagram of letdown line isolation and relief valves



SLIDE 8 Westinghouse Model 44 steam generator







SLIDE 10 Large foreign object removed from hot leg of B steam generator (½ in. thick)

A STATE OF		

Radial views of tube R44C55 showing first 9 in. above tubesheet. Tube detached from remainder of tube in tubesheet. White dot points outward. SLIDE 11

TRANSMITTAL TO:	67/60	ocument Cont	TOL Desk	ETT SCHOL	
· · · · ·	1 03	16 Phillips	(A)	RECEIVED 108	200-
ADVANCED COPY TO:	_7 T	ne Public Do	cument Roc	PRI DI	E
DATE: From: SECY OPS Branch		4/15/82	&	OPS File	5
Attached are ico transcript/s/ and r are being forwarded List and placement other distribution DCS identification documents wherever Meeting Title: Disc.	pies of elated n for ent in the H is reque numbers known.	a Commission meeting docu try on the D Public Docum ested or reg are listed	n meeting ment/s/. aily Access ent Room. uired. Ex on the ind	Car (Nata) They sion No isting ividual	i.e')
- Evaluate	in y k	Sinna E.	ent		1.1
MEETING DATE: ITEM DESCRIPTION: 1 	182	Open Closed Copies Advanced <u>To PDR:</u>	DCS ((1 of eac * Original * Document *	COPIES: ch Checked) May be Dup*	Duplica Copy*
5					
	****		*		
(PDR is advanced one of of each SECY paper.)	each docu	ment, two	* *Verify * change * availa	if in DCS to "PDR ble."	, and
	minno	mannin			

Q.