NUCLEAR REGULATORY COMMISSION



T. J. B. R.

In the Matter of: ADVISORY COMMITTEE ON REACTOR SAFEGUARDS SUBCOMMITTEE ON CLINCH RIVER BREEDER REACTOR

BRIEFING ON CLINCH RIVER BREEDER REACTOR

GEOLOGY AND SEISMOLOGY

AT:	Washington, D. C.	
		TR\$4
		,
	ALDERS	ON REPORTING
		- · · · · · · · · · · · · · · · · · · ·
	400 Virginia Av	e., S.W. Washington, D. C. 20024

1	UNITED STATES OF AMERICA
2	NUCLEAR REGULATORY COMMISSION
3	ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
4	SUBCOMMITTEE ON CLINCH RIVER BREEDER REACTOR
5	
6	BRIEFING ON CLINCH RIVER BREEDER REACTOR
7	GEOLOGY AND SEISMOLOGY
8	Nuclear Regulatory Commission
9	1717 H Street, N.W.
	Washington, D.C.
10	Tuesday, June 1, 1982
11	The Subcommittee meeting convened at 8:40 a.m.
12	pursuant to notice, M. Carbon, Chairman of the
13	Subcommittee, presiding.
14	DEFCENT FOR THE ACRS.
15	PRESERT FOR THE RORS.
	M. CARBON H. ETHERINGTON
16	J. MARK J. RAY
17	
18	ACRS CONSULTANTS PRESENT:
10	W. KASTENBERG W. LIPINSKI
19	P. POMEROY M. TRIFUNAC
	Z. ZUDANS
20	
21	NUCLEAR REGULATORY COMMISSION STAFF MAKING PRESENTATIONS:
22	R. STARK J. KNIGHT
23	
24	
25	이 같은 것이 가지 않는 것은 것이 같이 많이 많이 많이 많이 많이 많이 했다.

0

1

ALDERSON REPORTING COMPANY, INC.

1	DEPARTMENT OF ENERGY STAFF MAKING PRESENATIONS:
2	J. LONGENECKER
3	
4	BURNS AND ROE, INC. STAFE MAKING PRESENTATIONS:
5	W.G. BRUSEY A. DAJANI
6	
7	WESTINGHOUSE STAFF MAKING PRESENTATIONS:
8	A. MORRONE
9	T. PITTERLE
10	G. KRAEUTER
11	DESIGNATED FEDERAL EMPLOYEE:
12	P. POEHNERT
13	
14	그는 것 같은 것 같은 것은 것 같은 것 같은 것 같은 것 같은 것 같은
15	
16	
17	
18	
19	
20	
21	
20	
22	
23	
24	
25	

.

ø

PROCEEDINGS

2 MR. CARBON: The meeting will now come to 3 order. This is a meeting of the Advisory Committee on 4 Reactor Safeguards Subcommittee on the Clinch River 5 Breeder Reactor. My name is Carbon. I am subcommittee 6 chairman.

1

7 The other ACRS members present today are: 8 Messrs. Etherington, Mark and Ray. And Mr. Mathis 9 probably will be here, subject to the airlines, and 10 perhaps Mr. Bender.

We also have in attendance ACRS consultants:
Mr. Kastenberg, Mr. Lipinski, Mr. Pomery, Trifunac, and
Zudans.

The purpose of this meeting is to discuss the seismicity and associated seismic design for CRBR. The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act and the Government in the Sunshine Act. Mr. Paul Boehnert is the Designated Federal Employee for this meeting.

The rules for participation in the meeting have been announced as part of the notice of this meeting previously published in the Federal Register on Friday, May 14, 1982. A transcript of the meeting is being kept and will be made available as stated in the Federal Register notice. Everyone is requested to use a

1 microphone when speaking. We have received no written 2 statements or requests for time to make oral statements 3 from members of the public.

Before calling on Mr. Stark, I would make one or two short comments and ask if you have any comments and/or questions.

I know the purpose of the meeting is fully announced and obvious and apparent. I would comment that we have allowed adequate time to really dig in as deeply as we wish and be sure we get answers to any questions you might have in your minds. Simply from the standpoint of time alone, I would suggest that you need not be particularly inhibited.

Do you have any questions or comments to make about the direction that we should take today?

16 (No response.)

MR. CARBON: I know that a fair amount of review is accomplished, three or four or five or six years ago, but a lot has changed since that time. And as far as I am concerned, we are starting pretty much from ground zero.

22 MR. MARK: I have a small comment in 23 connection with your remark that we can be leisurely and 24 take our time. We do have 45 minutes set down for 25 lunch.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

(Laughter.)

1

MR. CARBON: I had not noticed that.
Well, if there are no other questions or
comments, we will proceed with the meeting and call cn
Mr. Stark of the NRC.
MR. STARK: Good morning. The Staff review in

7 the seismic area is currently underway, and the results 8 will be formally documented in our SER which is 9 scheduled to be due next March.

However, the Staff and its consultants, USGS, are present today, and one of the items you will find on the agenda is a discussion of the Staff review status and the review plans. And Mr. Jim Knight, who is also here, will be giving that presentation later on. So unless there are any other items, I guess we are prepared to listen to the Applicant.

MR. MARK: Is the Staff already firm, however,
on its estimates of seismicity and seismic input?

19 MR. STARK: For the most part. We are 20 finalizing the site suitability report, and we are 21 currently reviewing that, which looks at the site and 22 the characteristics of the site. So we are farther 23 along on that item than we are on analysis of seismic 24 restraints of piping, where we have a lot more time to 25 complete that.

Are there any other items?

(No response.)

1

2

3 MR. CARBON: I guess I am not clear there.
4 Are you expecting to have the SSE from the Staff by the
5 end of this month?

6

6 MR. STARK: What we are doing is making sure 7 that the characteristics of that site are reasonably 8 well known so that we feel that the site is not a 9 mismatch in that respect. So we have a section that 10 addresses seismic considerations in the site suitability 11 report. It is a general discussion that looks at that 12 particular site.

MR. CARBON: Will it say anything firm aboutyour belief on the OBE in the SSE?

MR. STARK: I have to take a look. I have a copy of it right now that I am reviewing, and I can show it to you later on this morning, and its present status. I will look and see what the words are.

19 MR. CARBON: Sometime today we would welcome20 that.

21 MR. STARK: Okay.

22 NR. LONGENECKER: Mr. Chairman and 23 subcommittee members, good morning. I am John 24 Longenecker from the Department of Energy, the Applicant 25 in this proceeding. I am pleased to be here today to

present to you the details that you have requested on the seismic design for the Clinch River Breeder Reactor Plant Project.

I would like to begin by saying a few words about the agenda, if I may. As I believe you are aware, we have requested some modification to the agenda as originally transmitted. Specifically, I would like to review the agenda and identify for you who the presenters will be today, at the same time identifying a few small changes.

As noted in the hando 1, we will begin with a review of the geology and seismology by Walter Brusey of Burns and Roe. We will then proceed with the seismic Category 1 structural design description by Ash Dajani, also of Burns and Roe.

After the lunch break then we will proceed with the description from four Westinghouse presenters of the seismic design of the mechanical systems and components. The presenters there, the first will be Tony Morrone, as shown on the original agenda.

We would propose reordering the first three presentations such that the one currently noticed as V.d, Electrical Equipment by George Macrae, would be proceed; second, item V.c by Tom Pitterle on Shutdown System Equipment would proceed third; and the final

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

presentation under Seismic Design of Systems and
 Components, Heat Transport Systems Equipment, would be
 presented by Bob Mullept of Westinghouse.

We would then proceed, omitting item V on the agenda. We believe that the summary and conclusions will have been given by each of the individual presenters.

The next item then, VII, will be reviewed; 8 that is, the NRC presentation as scheduled there. We 9 would propose at this time deleting item VIII, which is 10 the Response to two previous questions you had asked, 11 one on containment margin and the other on off-site 12 power and defer those until the next presentation we 13 have on site suitability, if that is acceptable. 14 Okay, any questions on the changes in the 15

16 agenda?

25

17 (No response.)

18 MR. LONGENECKER: Having said that, I would 19 like to give you a brief overview of what we hope to 20 present to you today. We will plan to show as the day 21 progresses in the two key areas that the seismic design 22 approach that we have used for the Clinch River Breeder 23 Reactor Project is appropriate for this use and is, in 24 fact, guite conservative.

In most cases, you will see that it is quite

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

similar to or identical to that used for light-water reactors. The methodology, criteria, and design results that we have used will demonstrate, we believe, substantial conservatism. And in several important design areas you will note that the SSE is the controlling loading condition.

Again, just as with light-water reactors, we 7 have a subctantial margin to accommodate seismic events 8 beyond the SSE. For your information, as we go through 9 today we will try to point out in which cases we are 10 using standard LWR criteria and in others where we are 11 departing from those due to the unique nature of the 12 LMFBR, and we will describe what criteria we have used 13 14 there.

15 So having said that, I would recommend that we 16 proceed with the first detailed presentation by Walter 17 Brusey of Burns and Roe.

18 (Slide-)

19 MR. BRUSEY: As you have heard, my name is 20 Walter Brusey, and I will be presenting the geology and 21 seismology section of this presentation.

22 (Slide.)

During this presentation I will be covering the development of the more significant parameters that have been used in the design of the Clinch River

project. I will be covering essentially how we got to the location of the Clinch River site, which is shown on Figure Number 1.

Did you all get copies of the vuegraphs? And I will do that by basically covering this outline. There have been rather extensive investigation programs conducted over a number of years at the Clinch River site.

9 I will briefly outline what we did in these 10 programs and how we got to arriving at the foundation 11 design parameters of this program. Also I will also 12 cover the earthquake history and then the selection of 13 the SSE and the OBE.

14 (Slide.)

This is a regional physiographic map of the area. As you can see, the site is located in the valley and ridge physiographic province here (indicating). This particular province is roughly 25 to 55 miles in yidth and about 500 miles in length.

It is characterized by northeasterly trending boundaries and ridges. Topographic elevations range from about 800 to 1000 feet. Rock formations that have been identified in this province include the Rome formation, the Conasauga, the Knox, and the Chickamauga. The Knox and the Chickamauga formations

1 have been identified at the site. MR. MARK: Those different areas have 2 3 different names. MR. BRUSEY: Yes. 4 MR. MARK: Those have to do with geologic 5 characteristics? Or is it thought that those are 6 seismic provinces? 7 MR. BRUSEY: These are just geologic 8 formations, similar stratigraphy and orthology. 9 MR. ETHERINGTON: What was the radius of the 10 11 circle? MR. BRUSEY: The province is roughly about 500 12 miles in length and about 25 to 50 miles in width. 13 MR. MARK: No, but on your chart there was a 14 circle which reached out into West Virginia and so 15 forth. That was a 200-mile, 300-mile --16 MR. BRUSEY: This slide here? 17 MR. MARK: The radius of that bit circle. 18 MR. BRUSEY: That is only about 20 miles. 19 MR. MARK: No, no --20 MR. BRUSEY: Oh, I'm sorry. This is roughly 21 about 200 miles. 22 (Slide.) 23 This is a site geologic map which we have 24 25 obtained from doing a number of site studies. Included

ALDERSON REPORTING COMPANY, INC.

in these investigation activities are literate studies,
ceological reconnaissance and mapping, aerial
photographic studies, fairly extensive boring coverage,
a number of observation wells that have been located in
this general site vicinity, and also extensive
geophysical investigations, including refraction and
cross-hole.

8 From this data it is possible to come out with 9 a geologic map of the site. As you can see, we are on a 10 peninsula of the Clinch River. This is actually a Watts 11 Bar lake. There are more levels of course, and the 12 Clinch River on Watts Bar Lake are controlled by dams 13 Lake upstream and downstream of the site.

The dams upstream are Meltons Hill and Norris 14 Dam, and the controlling dam downstream would be Watts 15 Bar Dam. The Knox and Chickamauga formations I 16 identified earlier. You can see the general extent of 17 these formations here. The Chickamauga formations are 18 located in this (indicating) band and, generally 19 speaking we are dealing with interbedded siltstones and 20 limestones, dipping at an angle of about 30 degrees. 21 These identified nonconformities occurred many years ago 22 towards the end of the Paleozoic era, about 280 million 23 years ago. 24

The site is located roughly here

25

(indicating). There are some other significant features
that probably should be identified. We were a little
bit concerned about potential solutioning in the
limestone formations, and the Knox of course is guite
well known in Tennessee for solutionings.

6 There are a number of sinkholes and so on that 7 have been identified in this formation. Similarly, in 8 the Chickamauga formation we have other sinkholes and 9 solutioning activity.

10 The overall thrust of the invesigation was for 11 economic reasons, certainly, to try and locate the plant 12 in an area where we would have minimum solutioning. And 13 this generally meant the upper siltstone stratum in the 14 Chickamauga formations.

15 We found in our boring investigations that 16 this particular stratum had minimum solutioning. Other 17 features I might want to just point out are the terrace 18 deposits here, which of course are reasonably extensive 19 also on this branch of the river.

20 (Slide.)

On figure 4 we have just a brief outline of the major investigation programs that are being conducted. Starting in 1972 some initial work was done by TVA to locate the site. And ongoing 1973 and 1974, when fairly detailed work was done to prepare for the

PSAR. In 1975 and 1976-77, some localized
 investigations were done not necessarily Category
 1-related, primarily for balance-of-plant and other
 problems related to excavation.

5 We are presently involved in a bedrock 6 verification program which is ongoing. And results, in 7 fact, preliminary results, just arrived recently.

As I mentioned previously, the main thrust of 8 the investigation was to define the interbedded 9 siltstone and limestone strata, the depth of the 10 weathering, to define the depths of the residual soils 11 and terrace deposits; to actually locate the nuclear 12 plant island structures in the area where we had minimum 13 solutioning; and then to carry out a detailed evaluation 14 of the foundation for the Category 1 structures. 15

16 MR. MARK: When you speak of borings, are we 17 thinking of 200 feet or 2000 or any particular amount?

18 MR. BRUSEY: No. Generally speaking, the 19 depths of the borings range from about 100 feet to 400 20 feet. Most of them are on the order of 200 to 300, but 21 we had a few that extended down to 400 feet.

22 MR. CARBON: I am curious as to the timing on 23 the bedrock verification program.

MR. BRUSEY: Sure.

24

25

MR. CARBON: What is the significance, if any,

ALDERSON REPORTING COMPANY, INC.

1 of that being in the last year or two in contrast to 2 earlier there?

MR. BRUSEY: Primarily schedule. We could 3 have actually conducted this program after we had 4 excavated, but it was felt that by doing it now we might 5 save some time while we are on schedule. In other 6 words, it could be done after excavation, but that would 7 obviously mean a halt in the placement of concrete for 8 mats and so on while we continued the program. But by 9 going ahead now we can hopefully eliminate that gap in 10 the schedule within a 2-or-3-month allowance for that in 11 12 the original schedule.

(Slide.)

13

On figure 5 there is an outline of where these 14 borings are located. This is up to the end of 1974. We 15 had about 106 borings completed at that stage. As I 16 mentioned earlier, the main thrust was to identify the 17 area where we had minimum solutioning. Also, there are 18 other investigations conducted primarily to evaluate the 19 sinkholes in the Knox and also for the emergency cooling 20 tower, which is also located on this same band of 21 22 siltstone.

Also, we did some rather detailed work on this portion of the nuclear plant island, primarily to find out if solutioning, which you will see when I identify the cross-section, any possibility of an encroachment of solutioning below the major nuclear island structures.

The actual investigations of course consisted of borings and the core from these borings were evaluated, and the core recoveries were estimated using of course an RQD determination; and geophysical studies were conducted, extensive studies, by Western Geophysical Company.

9 And as a result of this work, it was concluded 10 that the optimum location of the structure should be on 11 a band of siltstone which is roughly 400 feet wide. The 12 width of the structures is pretty close to 400, 380 or 13 so, so it was possible to place the structures entirely 14 on the siltstone stratum.

15 MR. TRIFUNAC: A question. What are the shear16 wave velcoities in the siltstone?

MR. BRUSEY: I am coming to that. That will
be part of the design parameters.

19 (Slide.)

20 On figure 6 we have a cross-section through 21 the nuclear plant island and the foundation-bearing 22 strata. You can see that the upper siltstone stratum, 23 which is roughly 400 foot wile at this section, 24 essentially supports the nuclear plant island. 25 We do have limestones, Unit A.limestone and

Unit B limestone bordering the upper siltstone. We were
 concerned with respect to potential solutioning in these
 limestones, particularly with the possibility of an
 encroachment below the nuclear plant islands.

Grade elevation was established at 815; and in reviewing the RQD determinations of the rock, it was concluded that elevation 715 was a reasonable elevation with respect to the finding of the consistent properties of the foundation stratum. So that particular elevation was selected as the bearing elevation for these

11 structures.

12 MR. ZUDANS: Could you help me understand what 13 ROD is?

14 MR. BRUSEY: That is the Rock Quality Index.
15 MR. ZUDANS: Fine.

16 MR. BRUSEY: That is basically the sum of all 17 the 4-inch segments of rock core occurring at any 5-foot 18 round or 10-foot round.

MR. ZUDANS: And this question of solutioning,
can you point with your pointer where these things
potentially might exist?

MR. BRUSEY: We were concerned here (indicating), this is unit A limestone, the possibility of solutioning extending down below the structures in this zone here. The same rationale of course would

1 apply to the Unit B limestone with potential

encroachment here (indicating). In fact, in the bedrock verification program we are presently checking this limestone layer roughly 100 feet or so into the limestone area to determine whether or not we have any solutioning.

We also conducted an extensive test grouting
program in this area to demonstrate that this problem
will not occur in any reasonable time frame.

MR. ZUDANS: What are the consequences if you
cannot prove that this problem does not exist?

12 MR. BRUSEY: There are no major problems; 13 strictly one of economics. Obviously if you do find 14 this problem, then you have to go through a rather 15 extensive grouting program. But obviously, it can mean 16 a delay in schedule and so on and it also can be rather 17 expensive.

18 MR. ZUDANS: In other words, the potential 19 solutioning volumes are not too large not to be able to 20 be handled by grouting?

21 MR. BRUSEY: That is right. That is right.
22 (Slide.)

Figure 7 shows the location of a fairly extensive test grouting program that was conducted in this area to demonstrate that this particular limestone

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

layer had essentially no solutioning. This program
 consisted of about 13 borings around boring 55. The
 intent of the program was to check the representivity of
 these borings.

Initially, the borings were placed at 20 feet, 5 and water pressure tests were conducted and then 6 grouted. And then we went inside the 20-foot spacing 7 with borings of 10 foot spacing. The overall 8 conclusions were that, based on negligible grout take, 9 foundation treatment would not be required in this zone. 10 It was also decided to extend the verification 11 program, which we are doing right now, to establish that 12 we do not have a problem across the full length of the 13 14 structures.

15 (Slide.)

As I explained, this is just a brief outline 16 of the verification program consisting of about 34 17 borings. This is an outline of the nuclear plant island 18 excavation. If you will remember the cross-section, we 19 were primarily interested in the first unit, the 20 limestone that dips under the siltstone stratum. So we 21 are extending these borings down roughly 100 feet into 22 the limestone to check that. 23

24 The results that I got last week indicates a 25 miminum amount of solutioning. So it looks like we are

able to demonstrate that the results of the test
grouting programs are confirmed. That is a limiting
conclusion, by the way, but we expect it to hold out.

MR. MARK: You have used the phrase "minimum solutioning" several times. What does that approximately mean? That you have not found any caverns bigger than 20 feet across, or what?

8 MR. BRUSEY: That is right. Generally speak, 9 a small one, 1 foot, 2 foot. If my memory serves me 10 correctly, there are none at all below elevation 715, 11 below the actual bearing elevation we selected for the 12 nuclear plant island.

MR. MARK: But the biggest cavern that you
would include in your expression "minimum solutioning"
would be perhaps bigger than 2 feet but not as big as 10
or something?

MR. BRUSEY: That is right. That is right. 17 As you get closer to the top of the weathered rock, the 18 voids do become rather significant up to -- I think our 19 maximum size void is about 26 feet. But that is, 20 generally speaking, fairly close to the top of the 21 weathered rock, and it obviously does not affect the 22 bearing capability of the nuclear plant island 23 24 structures.

25

But there is obviously a fair amount of

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 solutioning at the site, and it is not too unusual to 2 find a major sign of voids in the highly weathered 3 portion of the rock.

4 MR. ZUDANS: On the other cross-section that 5 you showed, I thought you indicated some potential for 6 the other coordinate as well.

7 MR. BRUSEY: That is right. Yes.

8 MR. ZUDANS: Now you are exploring this corner 9 and the other corner. What is in between? What makes 10 you sure there are no problems in between?

11 MR. BRUSEY: We have done some rather detailed 12 work in the siltstone, and as I say below elevation 715 13 we just have not got a problem. In the unit B siltstone 14 also below elevation 715, no problem. As I say, as you 15 approach the top of the weathered rock of that unit B 16 limestone, you do find rather extensive voids and 17 cavities, but nothing below 715.

18 MR. MARK: Excuse me. If you have a couple of 19 bore holes of four bore holes on the 30-foot -- these 20 things are roughly 30-40-foot spaces?

21 MR. BRUSE1: Yes.

25

22 MR. MARK: Supposing you have those. It is 23 possible to imagine that all of the middle where you did 24 not bar is empty.

MR. LONGENECKER: Yes. Yes.

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. MARK: Is there a technique whereby you
 can use some signals to ascertain that there are not any
 big holes between this drilling and that drilling?
 MR. BRUSEY: Yes. We can use cross-holes
 techniques to establish whether there are or not.

MR. MARK: Are those used?

7 MR. BRUSEY: Yes. In the foundation stratum 8 below the nuclear plant island, we did cross-hole work 9 to establish the dynamic properties to be used in the 10 seismic design and the engineering properties, as I 11 mentioned before, were consistent, and the velocities 12 were consistent -- in other words, there was no evidence 13 of solutioning below the structures.

14 It is quite likely that if cross-hole work was 15 conducted in the unit B limestone above elevation 715, 16 the velocity pattern might be rather erratic and could 17 demonstrate that solutioning did exist between borings. 18 But that is not really of concern with respect to the 19 foundation integrity of the nuclear plant island.

20

6

21

22

23

25

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

(Slide.)

1

2	In addition to borings, there were also some
3	other investigations conducted primarily in the faulting
4	area to check on the possibility of capable faulting.
5	Of course the two major fault lines in this area are the
6	White Oak Mountain fault and the Copper Creek fault.
7	The White Oak Mountain fault is about 1.7 miles from the
8	site. The Copper Creek fault outcrops about something
9	on the order of 1,500 to 2,000 feet from the site.
10	These faults were investigated. On the Copper
1.	Creek fault, extensive work was done, including borings
12	and mapping of outcrops, and samples were recovered
13	which were possible to date. Dr. Wampler of Georgia
14	Tech did the dating, and he found by radiometric methods
15	of testing argon methods, that the age of the Copper
16	Creek fault was on the order of 280 million years old.
17	This confirms other geological consensus on
18	the age of faults in the area.
19	(Slide.)
20	We were also a little bit concerned about
21	localized faulting occurring in the substratum,
22	particularly below the nuclear plant island structure,
23	and from the borings a shear zone was noted. This
24	plane, generally speaking, occurs throughout the length

25 of the nuclear plant island in the Unit. A limestone.

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

Extensive investigations were conducted to establish whether or not there would be any potential for movement of the zone. It was concluded, based on a consensus of geological opinion once again that this is an ancient and rehealed yield zone, and no possibility of movement.

7

(Slide.)

Another investigation was conducted at the 8 request of the NRC on some injection wells which are 9 located at the ONL site about four miles from the Clinch 10 River site. This is the method that ONL had elected to 11 dispose of radioactive waste. This is mixing 12 radioactive waste with grout and injecting under 13 pressure at depths on the order of 800 feet by 14 hydraulically fracturing the shale formations. It was 15 suggested perhaps by the NRC that the so-called Denver 16 analogium could be applied. Apparently, this particular 17 problem did crop up in Denver when they were disposing 18 of waste, and this created a triggering mechanism which 19 resulted in seismic activity. 20

The same rationale is applied here, and it was thought that perhaps by injecting this waste, we might be able to lubricate an existing fault plane, thereby triggering activity. Once again, extensive investigations were conducted to establish whether this

problem just could not occur. The magnitude of both the pressures and the amount of waste that was being deposited in this area was such that it would just not be possible to lubricate a fault plane and create seismic activity.

```
6 (Slide.)
```

Going to the development of the foundation design parameters that were used for both the static and dynamic design of the structures, as I mentioned earlier we had a rather extensive boring program, and of course the static properties are derived from testing representative samples of the core in the lab, and design compression tests were conducted.

In situ pressure meter tests were also done to 14 establish a range for the static properties. From these 15 properties calculations were done to determine what the 16 acceptable bearing capacity would be, and also what the 17 likely settlement might be. These numbers were more 18 than adequate. In fact, the actual depth of excavation 19 is considerably in excess of the estimated static wave 20 of the plant structures. 21

It is quite likely that the settlement, which may be on the order of a half inch, may be primarily due to recompression as a result of minor or potential elastic rebound after the excavation has been completed,

1 but of course installing some geotechnical

instrumentations, these are electrical extensometers to monitor potential heave and settlement, both during the excavation and also during the actual placement of concrete and the construction of the nuclear plant island.

As outlined here, it is anticipated that the 7 movements will be negligible, something of less than a 8 half inch. As far as the dynamic properties are 9 concerned, as I mentioned earlier, geophysical 10 investigations were conducted by Western Geophysical. 11 This included refraction lines, also cross hole, up 12 hole, and down hole, and also some continuous velocity 13 measurements by Birdwell. 14

As a result of these investigations, 15 properties were established for the siltstone and 16 limestone strata. In situ velocity measurements 17 generally resulted in a number like 6,200 feet per 18 second as the shear wave velocity for the siltstone. 19 Pased on some work that Dr. Hendron had done, who is our 20 rock mechanic consultant, a rock reduction factor was 21 applied to these in situ velocity measurements, 22 resulting in a modulus of approximately 1.5 million psi 23 and a plus or minus 25 percent variation was placed on 24 the modulus. That was the number that is being used for 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 seismic design.

4

9

2 MR. MARK: I believe you said 6,200 fps for 3 the siltstone?

MR. BRUSEY: Right.

5 MR. MARK: What is the corresponding number in 6 the limestone that seems to also be part of the 7 immediate environment?

8 MR. BRUSEY: Around 9,000 or so.

MR. MARK: 9,000 in the limestone?

10 MR. BRUSEY: Yes. And that is by applying a 11 reduction factor and so on. The modulus corresponding 12 dynamic modulus was on the order of 3 million. So there 13 are two numbers that have been used for seismic design: 14 1.5 million for siltstone and 3 million for limestone.

MR. MARK: Another question. You are only
three miles from the K25 plant, I think?

MR. BRUSEY: Right. Three or four miles.
MR. MARK: Is the local geology similar enough
that its experience in settlement has any relevance to
your estimates here?

21 MR. BRUSEY: We are pretty sure of our 22 foundation properties, so we are pretty sure basically 23 of our orders of deformation for both rebound and 24 resulting settlement. I can't really say the same for 25 the K25. I am not sure of the order of magnitude you

1 are talking about.

2	MR. MARK: I am believing they had no trouble
3	at all, and I was supposing you could use that as a
4	parallel statement if the geology had a resemblance.
5	MR. BRUSEY: That's right, yes.
6	MR. MARK: But you haven't done that?
7	MR. BRUSEY: No, we have not checked the
8	actual records of the K25 plant.
9	(Slide.)
10	Going on to seismology and the derivation of
11	the values to be used for the SSE and OBE, of course, on
12	Figure 13 is the regional earthquake map. Outlined
13	here, we have seismic events that have occurred in the
14	50-mile radius and also in the 25-mile radius. Of
15	course, there is the major earthquakes that control
16	seismicity for the site.
17	The three that are significant are, of course,
18	the New Madrid, the Charleston, and the Giles County
19	earthquake. The New Madrid and Charleston are roughly
20	300 miles from the site, and of course, based on the
21	attenuation relationships for both New Madrid and
22	Charleston, it was established that New Madrid would
23	have an intensity 6, 7 at the site, and Charleston would
24	have an intensity 6 at the site. These are the maximum
25	historical earthquakes that have occurred at the Clinch

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 River site.

2	The controlling earthquake is the Giles County
3	earthquake, which occurred in 1897. That is roughly 220
4	miles from the site, and this area here, this, of
5	course, is New Madrid, and this is Charleston
6	(indicating).
7	MR. CARBON: Where again was the Giles County?
8	MR. BRUSEY: Giles is up here. There is a
9	more detailed vu-graph coming showing the actual
10	location of Giles.
11	MR. TRIFUNAC: Could I ask a question
12	regarding the preceding vu-graph that had a 50-mile
13	radius?
14	MR. BRUSEY: Yes.
15	MR. TRIFUNAC: Are you going later on at some
16	time to tell us what are the recurrence relationships
17	for the earthquakes within this 50-mile radius? What
18	are the A and B parameters for the number of earthquakes
19	with this intensity?
20	MR. BRUSEY: We are presently not doing any
21	studies in the probabilistic area.
22	MR. TRIFUNAC: I didn't imply probabilistic.
23	I just asked whether you had A and B's in the
24	relationships.
25	MR. BRUSEY: We do have them, right. I don't

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 have them with ma, but I could get them for you.

MR. TRIFUNAC: Would you get them, please?
MR. BRUSEY: Right.

(Slide.)

4

This is a tectonic province map of the general 5 area. This particular map was developed by Law 6 Engineering Company. It is guite similar to some of the 7 other maps that have been developed in recent years by 8 USGS and others. The Giles County earthquake, as I 9 mentioned earlier, is roughly here (indicating), the 10 epicenter, about 220 miles from the site, which of 11 course is here (indicating). We, of course, have 12 adopted the tectonic province approach to defining the 13 SSE, which is to define the intensity of the maximum 14 historical earthquake in that province, which of course 15 is the Giles County, and you can move that earthquake to 16 the site. Then, having done that, to define an 17 acceptable intensity acceleration and core acceleration 18 correlation. 19

20 There is a reasonable amount of controversy on
21 the intensity for the Giles County earthquake.

22 (Slide.)

Figure 15 is an isoseismic map of the Giles County earthquake. This map was developed by a combined study of Law Engineering and Burns and Roe to establish,

30

based on felt observational effects, what the intensity 1 2 should be. As a result of this extensive study, it was concluded that the intensity of the Giles earthquake 3 should be classified as an intensity 7-8. In completing 4 the study, we consulted with a number of recognized 5 authorities on southeastern U.S. seismicity. At the 6 same time, other studies were being conducted by the 7 8 NRC.

9 MR. POMEROY: Before we leave that, could I 10 ask you what the consensus is that you managed to arrive 11 at there? It seems to me that there has been a rather 12 definitive study in the literature by Ballenger where he 13 has defined the epicentral intensity as definitely 8. 14 And I noticed in your PSAR also that you use 7 to 8, 15 based on this work, I assume.

MR. BRUSEY: Right; yes.

16

17 MR. POMEROY: And I would like to ask you what 18 consensus you developed, because most of the people that 19 I know classify that as intensity 8.

MR. BRUSEY: We consulted with Dr. Ballenger. He was one of the consultants on that study. He originally had written -- classified that as a 7-8. His opinion today may be an 8, but at that time it was a 7-8. We also consulted with Dr. Timothy Long of Georgia Ecch, who also fid an independent assessment; and a

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

number of other consultants, particularly TVA, who had 1 2 peen involved in many studies in the area. But as I 3 say, it is guite likely that Dr. Ballenger has perhaps changed his opinion now. 4 MR. CARBON: I am sorry. I can't heat you. 5 Would you repeat your last statement? 6 7 MR. BRUSEY: That Dr. Ballenger may have changed his mind relative to the time when we did this 8 study, which was back in '75, '76. 9 MR. CARBON: And you are saying he may now 10 believe it was an intensity 8? 11 MR. BRUSEY: Well, I am just assuming from 12 what you just said. 13 14 MR. POMEROY: I believe he has published in the Seismological Society of America to that effect. 15 Can I make another comment here? 16 17 MR. BRUSEY: Sure. MR. POMEROY: I also noticed in your listing 18 of earthquakes that you list the Charleston earthquake 19 as an intensity 9 event; and that is based, according to 20 the references in the PSAR, on a telephone conversation 21 with Leonard Murphy who at that time was at NOAA, who is 22. now deceased of course; yet everything that is published 23 on that particular earthquake indicates that the 24 intensities were intensity 10. Would you comment on 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 that, please?

2	MR. BRUSEY: We have used intensity 10 in our
3	computations for determining what the historical
4	intensity would be for the Charleston at the site; but
5	intensity 10 was used.
6	MR. POMEROY: So then you don't believe what
7	is written in the PSAR?
8	MR. BRUSEY: Well, that will be modified.
9	(Slide.)
10	On this vu-graph, we have a number of
11	acceleration intensity relationships which were reviewed
12	in order to establish the basis for defining the SSE and
13	the resulting accelerations. As I mentioned earlier,
14	based on our studies, we had concluded that an intensity
15	7-8 would be satisfactory for the Giles County; and the
16	NRC indicated that in their opinion an 8 was the correct
17	classification. So that is the number we have used in
18	order to come up with an SSE, and also the resulting
19	acceleration value.
20	Also looking at the various relationships, one
21	can see that a number of them these have been used
22	for licensing of other nuclear power plants, including
23	Goltavor on the Rhine and Guttenberg-Richter, and
24	others however, the most conservative relationship has

25 been selected, which is Trifunac-Brady, or also Coulter,

1 Waldron and Devine, or Neumann. And based on this 2 relationship here on intensity 8, the maximum acceleration was defined at .25. 3 Initially of course .18 G is the number that 4 had been selected originally, and this was raised of 5 6 course to the .25. MR. ZUDANS: In terms of calendar time, when 7 was this changeover made from .18 to .25? 8 MR. BRUSEY: I would say around '76. 9 MR. ZUDANS: That was prior to completion of 10 the design of the structure and components? 11 MR. BRUSEY: Right. But the .25 was 12 incorporated in the actual seismic design and in fact 13 the OBE controls in many cases, particularly with 14 respect to structural design. And as I point out here, 15 we did select the OBE of approximately a one-half SSE, 16 which is of course a very conservative approach. There 17 have been a number of sites licensed that were evaluated 18 less than one-half SSE. The OBE has selected at less 19 than half che SSE. We could have adopted that approach 20 also I Helieve in the Clinch River project, but it was 21 decided to stay with the conservative approach of 22 one-half SSE. 23 MR. ZUDANS: So if I read your comment 24

24 MR. ZUDANS: So if I read your comment 25 correctly, the basic design of all the components was

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

done at .25? 1 2 MR. BRUSEY: Right. MR. ZUDANS: In other words, you did not have 3 4 the design completed already before the change was 5 discussed? 6 MR. BRUSEY: That's right. MR. MARK: In '76, when you say the number was 7 chosen, you indicated on the slide you had up that it 8 was done in collaboration to some extent at least or in 9 antagonism with the NRC? 10 11 MR. BRUSEY: Yes, right. MR. MARK: Is that to be taken that the people 12 in the NRC in 1976 agreed that .25 was big enough? 13 MR. BRUSEY: Yes, yes. That is also the value 14 that has been used on a number of other nuclear power 15 plants in the area, primarily plants presently being 16 constructed by TVA and in fact in operation by TVA. 17 That .25 is the number that is actually being used. 18 So, just to sum up then, we have done 19 extensive geologic, geotechnical, and seismologic 20 investigations over the past ten years, in order to 21 arrive at the data that you have seen here today. It is 22 believed that there is inherent conservatism because we 23 still feel that intensity 7-8 is appropriate for Giles 24 County. We have elected to use a rather intensive 25
acceleration relationship, and of course the OBE has also been selected at one-half SSE.

3 That more or less completes the presentation,4 if there are no more questions.

5 MR. TRIFUNAC: There are some questions. What 6 is the conservative intensity acceleration relationship?

7 MR. BRUSEY: I think one has to go over the 8 background and precedent, in that a number of nuclear 9 power plants have been licensed with extensive 10 acceleration relationships, not quite as conservative as 11 the ones that I showed on the vu-graph, such as the 12 Coulter, Waldron and Devine upper rock line.

13 MR. TRIFUNAC: How conservative is that 14 relationship?

MR. CARBON: Excuse me, Mr. Brusey. Could you
move your microphone up closer? I am having great
difficulty hearing you.

18 MR. BRUSEY: Basically on background and 19 precedent, as I mentioned, you are probably familiar 20 with a number of these relationships that have been used 21 in the past. Plants have been licensed successfully 22 using these relationships.

23 MR. TRIFUNAC: I don't disagree that they have 24 not been using those relationships. You made the 25 statement that they are conservative, and I would like

to know now much. Can you tell, for example, what data been used by Coulter, Waldron and Devine? What is the data base for that relationship?

MR. BRUSEY: They did establish three curves related to rock conditions at the site. Basically, low strength, medium strength, high strength rock. So data obviously --

8 MR. TRIFUNAC: They have established the 9 curves, but have they demonstrated where the data for 10 those curves came from?

MR. BRUSEY: I am not sure. I would have to
 check on that.

MR. TRIFUNAC: I am not sure either. That is why I would like to know, because in all the years I have never seen the data, and if you say those are conservative, I think we should be able to demonstrate that. I have not seen the data ever before, so I think we should look at that. You have used the curve by Trifunac and Brady. Have you read his paper?

20 MR. BRUSEY: Yes.

21 MR. TRIFUNAC: Did you read the statement that 22 the authors suggest that this curve should not be used 23 in this work?

24 MR. BRUSEY: Yes.

25 MR. .RIFUNAC: And you think it should still

1 be used?

(Laughter.) 2 MR. BRUSEY: As you probably saw, there are 3 three curves. They all happen to fall on the same line, 4 the Trifunac, Brady, and Neumann, and also the Coulter, 5 Waldron and Devine. So all three curves indicated that 6 a conservative approach could be taken. 7 MR. TRIFUNAC: What is the conservative 8 9 approach, then? 10 MR. BRUSEY: Well --MR. TRIFUNAC: If at least one of the three 11 authors suggest that this curve should not be cited, if 12 Neumann's curves recognize that virtually no data was 13 available and Coulter, Waldron, and Devine being a set 14 of curves for which the data was never published, what 15 is so conservative about this kind of procedure? 16 MR. BRUSEY: Well, obviously, there may be 17 some scarceness of data, particularly for rock site. We 18 obviously have to do a little bit of checking to 19 establish what Coulter, Waldron, and Devine used to 20 develop those curves. I'm not sure, but we can 21 obviously check on that. 22 MR. TRIFUNAC: Don't you think we should 23 actually check if we are going to base our judgment on 24 25 that?

MR. BRUSEY: Yes, sure.

1

15

25

2 MR. TRIFUNAC: Could we see some of the data?
3 Could you check into that?

4 MR. BRUSEY: Yes, we will check into that and 5 let you know.

6 MR. TRIFUNAC: You do remember reading the 7 statement that the Trifunac Brady should not be used in 8 this work? You do remember that? So that is assumed 9 not to be conservative, right?

MR. BRUSEY: Well, the data that was used, of course, was soil data primarily, as to how that is applied to the rock site, but based on, as I say, the hard rock data that presumably Coulter, Waldron and Devine has, this curve could be used.

Are there any more questions?

MR. POMEROY: Yes. Could I ask a question 16 with regard to -- there is a statement in the PSAR work 17 that I read having to do with the depth of some of the 18 earthquakes in the area, which establishes the depths at 19 49,000 to 69,000 feet. Could you give us some idea of 20 the uncertainty that is associated with those depths? 21 For example, because you have used that as an argument, 22 that that seismicity could not be associated with the 23 nearer surface faulting? 24

MR. BRUSEY: Well, there has been a lot of

speculation as to whether or not some of the seismic 1 2 activity has occurred in the sedimentary rocks rather 3 than the basement rocks, but my understanding is that no 4 legitimate data has been presented that one would reach the conclusion that this seismic activity is occurring 5 at the shallow depths. In fact, the preponderance of 6 7 evidence is that it is a suppression peak in the basement. I think that is still the present consensus 8 9 of opinion for that area.

MR. POMEROY: Could you outline what that preponderance of evidence is?

12 MR. BRUSEY: Primarily geologic opinions by 13 consultants who have worked in the area for many, many 14 years, people like, I believe, Dr. Malichi and others.

15 MR. POMEROY: There are some other seismic 16 networks operating in the area. There have been some 17 recent instrumentally located events, and those events 18 have a certain depth associated with them and some 19 uncertainty. And what I am trying to explore is the 20 amount of uncertainty and whether some of that activity 21 could have been occurring at shallower depths.

22 MR. BRUSEY: I believe it is still in the 23 speculation stage. I don't believe any data have 24 actually been produced to demonstrate activity, as I 25 say, at the shallow depths.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHI^AIGTON, D.C. 20024 (202) 554-2345

MR. POMEROY: And they have been produced at 1 deeper depths by definition. Is that correct? 2 MR. BRUSEY: Well, that is still the 3 4 prevailing opinion, certainly, that all activity is 5 occurring in the basement. MR. POMERCY: Again, and I do have a question 6 about prevailing opinion, because I do not know that 7 that is necessarily the prevailing opinion of the entire 8 community, in view of the fact that there is really --9 you are correct, there is very little data, and given 10 that lack of data, there is a great uncertainty as to 11 the actual depth of occurrence. 12 MR. BRUSEY: Yes. Obviously, the answer is, 13 more data on microseismic networks would help in this 14 15 area. MR. POMEROY: Are there any plans to do that 16 at all in this area? 17 MR. BRUSEY: Nothing definitive. This is 18 still a subject for discussion amongst ourselves. It is 19 quite likely that something like this might evolve in 20 the near future. 21 MR. MARK: I would like to ask, Pomeroy, would 22 you educate me just a little bit on this possible 23 significance of these things really being at 25,000 feet 24 instead of 60? 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. POMEROY: Well, yes. There is a statement 2 in the PSAR that it is generally accepted that there is 3 a so-called thin-skinned tectonics in this area, and 4 that most of the ancient faulting that we are observing 5 here, such as the thrust faults that were described, are 6 associated with or are what they call listric faults, 7 that are associated with a large-scale structure at a rather shallow depth. 8

9 If all the earthquakes are occurring deeper 10 than that, then they are not associated probably with 11 these nearer surface faults; that they could have 12 occurred at shallower depths, and they may be associated 13 with these nearer surface faults, and there may be some 14 movement occurring on these faults, which then has some 15 implications for what we are talking about here.

MR. MARK: Thank you.

16

17

18

19

20

21

22

23

24

25

1 MR. POMEROY: Speaking of that, though, can I 2 then ask a question of where that statement came from, 3 again, that it is generally accepted that that 4 thin-skinned tectonic approach is the correct approach? 5 Again, I know people that are violently opposed to 6 that.

MR. BRUSEY: Well, we have used a number of 7 consultants in this area. I believe, Law Engineering 8 and their geologists were in consultation with people 9 like br. Kouchi, and that was based on discussions with 10 someone like Kouchi that this conclusion was reached. 11 And also, of course, TVA has done extensive work in this 12 area, and their geologists also have reached similar 13 conclusions. 14

MR. KASTENBERG: I have a general question.
MR. BRUSEY: Sure.

17 MR. KASTENBERG: If Burns & Roe were to 18 construct a plant on this site which did not require an 19 NRC license such as a chemical plant or an oil-fired 20 plant, what would be your design parameters in terms of 21 accelerations? How would you arrive at them?

22 MR. BRUSEY: Well, we would probably use the 23 Uniform Building Code approach which may result in 24 values perhaps on the order of .1g or .12 g, that kind 25 of number.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. KASTENBERG: And that would be sufficient
to protect the investment in the plant?

3 **HR. BRUSEY:** Right. This would be an approach 4 used at, say, for fossile plant design or industrial 5 plants where you are generally speaking on a different 6 order of magnitude when we have to design for a nuclear 7 plant.

8 MR. POMEROY: I have another question related 9 to that. I am not sure you are the proper person to 10 address it to, but I will. You mentioned the upstream 11 dams. Could you tell us what the design of the seismic 12 design criteria for those dams is?

MR. BRUSEY: I believe analyses were conducted by TVA. They really handled that particular aspect of the work. I understand that they did the analysis for both OBE and SSE, combined with the various flood stages, but I am not really familiar with the details of the analysis.

19 MR. POMEROY: Could we ask, Mr. Chairman, to 20 have somebody from the TVA to give us that information, 21 as to the design criteria that went into those?

22 MR. CARBON: Yes, we certainly can. I suspect 23 that information will be presented to us at the 24 so-called site suitability meeting which is later this 25 month. But I see no reason why we cannot ask for it

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

earlier, if you have the information. Is it available 1 2 at this time?

3 MR. BRUSEY: I think the information is available I think it is just a matter of content. 4 5 MR. GAESER: We would have to get hold of that. I don't know whether we could have it today or 6 not, but we will try to get it and get back to you. 7 8 MR. POMEROY: Would it be correct to assume that at the site suitability hearing that we would also 9 hear about possible effects of a failure of that 10 11 structure, if indeed there were more criteria applied to 12 that structure? 13 MR. BRUSEY: That is right, yes. MR. TRIFUNAC: Could I ask one more question, 14 please? Could you put on the viewgraph, I believe, 15 number 13? It is the one that has regional earthquakes 16 with intensity exceeded for MMI. It has a 50-mile 17 radius and a 200-mile radius. 18 (Slide.) 19 I think the copy I have is a little bit better 20 than the viewgraph, but working with that difficult, is 21 it reasonable to say that the 50-mile radius over there 22 of the first site appears to have more circles in it 23 than some areas, meaning that more earthquakes have 24 occurred there?

25

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. BRUSEY: Intuitively, perhaps, yes. The 2 actual rate is a little bit --3 MR. TRIFUNAC: It is a little bit higher? MR. BRUSEY: Yes. 4 MR. TRIFUNAC: Would it be reasonable to say 5 that it is higher than perhaps the region where the 6 Giles County earthquake occurred? 7 8 MR. BRUSEY: Probably. MR. TRIFUNAC: I am sorry? 9 10 MR. BRUSEY: Probably, I think, yes. MR. TRIFUNAC: Now, if you ask -- how many 11 years did we have the historic record for, 100, 200, 300? 12 MR. BRUSEY: Roughly 150, 200 years, yes. 13 MR. TRIFUNAC: If we have, by some miracle, 14 500 years, would you still think that 7 to 8 would be a 15 good number? 16 MR. BRUSEY: Most of the events that have 17 occurred in that area have been very small. 18 MR. TRIFUNAC: I am aware of that, I agree. 19 But I am asking about your judgment. 20 MR. BRUSEY: Yes. Obviously, a design basis 21 has to be arrived at, and the approach that has been 22 suggested and the one we followed that is obviously in 23 the Reg Guides and so on, is to select the maximum 24 historical earthquake in the province, and the 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

historical record, of course, was known when that 1 2 particular approach was suggested. 3 MR. TRIFUNAC: Does Appendix A say that the 4 largest historical earthquake should be taken as the 5 maximum earthquake to be considered at a site? Or does 6 it say that it should be considered in the selection of 7 the largest earthquake? 8 MR. BRUSEY: Considered is the word, but in actual practice that is what has been used in nuclear 9 power plant design. 10 11 MR. TRIFUNAC: Do you believe this is a good 12 approach? MR. BRUSEY: Yes. 13 MR. TRIFUNAC: And you are not disturbed by 14 the fact that this 50-mile radius appears to have a 15 higher seismicity than some other regions on the map? 16 MR. BRUSEY: No. As I mentioned earlier, the 17 number of events are quite small, and there are 18 obviously many areas where you can have a considerable 19 amount of microseismic activity and get design values 20 less than the SSE that are still lower than the values 21 22 that we are --MR. TRIFUNAC: Is this some microseismic 23 activity on the map? 24 MR. BRUSEY: No, this is obviously not. But 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

it is in the range of low values, 3's, 4's and 5's.
 MR. TRIFUNAC: Does that exclude the

3 possibility?

MR. BRUSEY: No, it doesn't exclude it, no. Then you are getting into the probability area, and right now we have we have not done any studies in that particular area that particularly relate to the SSE.

8 MR. TRIFUNAC: Are you suggesting that taking 9 the largest historical earthquake is not the 10 probabilistic statement? I mean, the way you put it, it 11 appears as though I am not supposed to get into the 12 probabilistic area. Are you saying that taking the 13 largest historic accident for the design basis is not a 14 probabilistic approach?

15 MR. BRUSEY: Well, it is an approach that as I 16 mentioned before, background and precedence indicates 17 that people should follow, and that is what we have 18 done. Are you indicating that we should arbitrarily go 19 higher because we have some seismic activity that 20 indicates a number of events, small events perhaps, a 21 little more frequently than in another area?

22 MR. TRIFUNAC: I am not trying to suggest 23 anything in particular. I am trying to understand the 24 distinction between the precedent, historic approach and 25 to me what appears to be the physics of the problem, and

I am trying to see how you reconcile the two. You do 1 feel comfortable with the 7 to 8? 2 3 MR. BRUSEY: Yes, yes. MR. TRIFUNAC: If you do take a probabilistic 4 approach, if you have a pesallia sequence of 5 earthquakes, what is the expected value of the largest 6 number, if you have the largest historical value? Would 7 it be still 8? 8 MR. BRUSEY: Right. Well, you get into a 9 whole historical area: how many events constitute a 10 data base. 11 MR. TRIFUNAC: Have you done this? 12 MR. BRUSEY: No, we have not done any 13 probabilistic studies to the SSE. 14 MR. TRIFUNAC: Thank you. 15 MR. CARBON: I would like to ask a couple more 16 questions along that same line. 17 MR. MARK: I have a very simple one. An 18 earthquake of intensity 4 to 5 -- at what distance can 19 that thing be imagined to be recorded in the last 150 20 years, or is it only with instruments that you can pick 21 those up anyway, intensity 4 to 5? 22 MR. TRIFUNAC: Four to five is at the limit of 23 perceptibility. Level 4 is near perceptibility for 24 California; I guess for this part of the country, 3 is 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 nearer that level.

2	MR. MARK: I am imagining that part of the
3	lack of earthquakes in western Tennessee across the last
4	150 years is that there was nobody that close to a
5	magnitude, or an intensity 4.
6	MR. TRIFUNAC: That could be.
7	MR. MARK: This is Oak Ridge and Knoxville
8	that is in that 50-mile area, and there we will know
9	everything that happened for the last 40 years.
10	MR. TRIFUNAC: That is quite possible, yes.
11	MR. CARBON: I would like to inquire a little
12	further on Dr. Trifunac's question of probability. You
13	pointed out that we do certain things a certain way with
14	LWR's and we do something there that I would like to
15	inquire if we are already doing it here.
16	We do not design on the basis of probability,
17	but nevertheless, there is some consideration that if
18	the return frequency leads us to some acceleration value
19	and then something quite a bit less likely gives us
20	quite a bit higher acceleration, we can take some
21	comfort in the fact that we have a fair amount of safety
22	built into the structure, perhaps, of an LWR plant.
23	I think it would be appropriate for us to be
24	taking somewhat the same kind of view here, the same
25	kind of guestion, and then this guestion of return

1 frequency becomes of importance in that.

2 Can you -- maybe this is the same question Dr. 3 Trifunac asked you to reply to -- can you give me any 4 feeling at all for what sort of return frequencies we 5 might get into with the magnitude of the acceleration 6 you have assumed here, and then how it would vary as we 7 go to higher intensity or higher acceleration?

8 MR. BRUSEY: I can't really because as I 9 mentioned, we have not really done any probabilistic 10 studies at all related to the SSE. So I really cannot 11 answer your question.

12 MR. CARBON: You stated on many of the other 13 things that it has been a matter of people's judgment 14 and beliefs. Would you have any judgment on this 15 question?

MR. BRUSEY: Well, numbers like one times 16 return period, on that order would perhaps be a 17 10 number that one might arrive at, going through the 18 probabilistic analysis. But as I say, that is just 19 speculation. We have not done the work ourselves yet, 20 and there has been some discussion about doing some 21 study like that but we have not reached any firm 22 conclusion on that. 23

24 MR. CARBON: Would your judgment give you any 25 suspicion as to what accelerations you might have with a

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

return frequency of 10 or 10 ? How much more severe would it be?

3 MR. BRUSEY: Well, probably higher, but I
4 cannot give you any numbers on that.

5 MR. CARBON: May I ask, Dr. Trifunac, when you 6 were asking for the As and Bs in the equation, which I 7 do not appreciate, was that aimed at that guestion?

8 MR. TRIFUNAC: That would be included there, 9 but this is the basic information on the seismicity of 10 an area. From A and B I can calculate what the return 11 period is, I can calculate how many earthquakes of 12 different sizes one can expect through a given period of 13 time.

14 It is not really only a probabilistic question; it is a general question of seismicity in the 15 16 area, and I think this will be very valuable information, especially because usually, intuitively, I 17 do see a lot of little circles in there, perhaps more 18 than in some other places. So it would be good to see 19 how much larger seismicity may be there than the overall 20 uniform average over the entire 200 mile radius. 21

22 But yes, you could answer your question if you 23 had As and Bs, definitely.

24 MR. CARBON: And I guess you indicated you 25 would provide those?

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. BRUSEY: Yes. 2 MR. CARBON: What kind of timescale did you 3 mean? Did you mean today? MR. BRUSEY: I am sure for the site 4 5 suitability meeting. What date is that particular 6 meeting? MR. BOEHNERT: The 24th and 25th of June. 7 8 MR. BRUSEY: Is that an acceptable date? 9 MR. CARBON: Yes. 10 MR. POMEROY: Can I bring up one other question, just following along your question? I would 11 12 like to see some statement of the amount of uncertainty 13 associated with those determinations, because of the questions regarding the intensities and the basic 14 seismicity information that goes into the calculation of 15 16 those values. 17 MR. BRUSEY: Okay, okay. 18 MR. CARBON: Any other questions? Bill? MR. KASTENBERG: Yes. In the PRA that is 19 going to be done for the plant, will you be considering 20 the earthquake as an accident initiator in a 21 probabilistic sense? 22 MR. BRUSEY: I think perhaps I could give this 23 to DOE to answer. 24 MR. GROSS: We are in the process of 25

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 establishing what scope we will have for that PRA right 2 now. We haven't finalized that, but certainly that is 3 one of the things we would consider in seismic as an 4 initiator, obviously.

5 MR. CARBON: It was my understanding in 6 something that I read that perhaps your PRA study would 7 be broken into maybe three or four phases, and that you 8 have committed to phase one, and perhaps it did not 9 include in phase one anything on seismicity. Am I 10 correct, or do I have things mixed up?

11 MR. GROSS: We have broken it into several 12 phases, if only from a contractual standpoint. Phase 13 one is preparation based on fault trees and event 14 trees. Seismic is part of that. But phase two is more 15 detailed analysis of the detailed scope for that.

16 MR. CARBON: And will the seismicity aspect be 17 part of phase two?

18 MR. GROSS: We haven't finalized that yet. I
19 am sure it would be considered.

20 MR. CARBON: I guess you're saying you don't 21 know at this time?

MR. GROSS: At this time I don't know. I feel confident that seismic analysis will be a part of the PRA. To what extent we have not finalized yet. MR. CARBON: Are there any other guestions?

(No response.)

1

Thank you, Mr. Brusey. Mr. Dajani?
MR. DAJANI: Good morning, my name is Ash
Dajani, I am with Burns & Roe. I will describe this
morning the procedures that we used in the seismic
anlysis and the design of the Clinch River plant.
(Slide.)

First, let me describe to you the outline of 8 the presentation. I will first recap some of the 9 pertinent site characteristics that influence the 10 seismic analysis, the applicable codes and standards 11 that we used in the seismic analysis and design, the 12 seismic classifications for the various structures 13 within the plant, then a description of the seismic 14 analysis of the nuclear island, the category 1 15 structures and the category 3 structures as well. Then 16 an overall summary of conservatisms or margins in the 17 overall situation. 18

19 (Slide.)

You saw a viewgraph earlier of the site that showed we have inclined layers of siltstone and limestone. We described on this occasion as well as last week that the finished grade elevation is 815 feet, and the sound rock elevation varies. However, the deepest point is approximately 80 feet below grade.

The nuclear island is founded on a mat that is on elevation 715. The SSE zero period acceleration as we have heard earlier was selected at .25g and the OBE at .125g, half the SSE.

(Slide.)

5

The codes and regulatory guides that are used 6 7 are things that you have seen before, I am sure. We 8 used the design spectra from Reg Guides 1.60 damping values, the combination of modes and the rules for that 9 10 in the response analysis, and the development of the response spectra to be used by equipment from Reg Guide 11 1.122, NUREG-75-087. Sections 3.7.1 and 3.7.2 are also 12 applicable in this area, as well as Appendix 3.7(a) of 13 14 the PSAR.

15 (Slide.)

First, so that we get our definitions in line, 16 just let me describe to you briefly the seismic 17 classifications, seismic category classifications. 18 Seismic category 1 are those structures that either 19 contain and perform a safety function and they are 20 designed for both SSE and OBE. Seismic category 2 are 21 primarily designed for OBE to protect plant investment, 22 and category 3 are those that do not perform a safety 23 function. However, a part of those category 3 24 structures that are adjacent to category 1 structures 25

and whose failure could jeopardize the integrity of
 category 1 structures are analyzed and designed for the
 SSE, and I will describe that a little bit later.

(Slide.)

4

5 The main structure that I will cover is first, 6 the nuclear island. I will be coming to that very 7 shortly to describe to you what the nuclear island is 8 comprised of. The other category 1 structures are the 9 emergency cooling tower and the diesel generator 10 building.

11 The category 3 structures that I will address 12 that are adjacent to the category 1 structures are the 13 turbine generator building and the radwaste building.

14 (Slide.)

First, a description of the nuclear island. First, a description of the nuclear island. The nuclear island is the one that I will be passing this marker on. It is the reactor service building, the containment building, the steam generator building, the control room building, and the electrical equipment building as well as the steam generator building. This is the nuclear island.

22 (Slide.)

A cross-section. This would be the nuclear island (indicating). As you can see, the nuclear island is founded on a common foundation mat, and the mat width

and length are as shown here, and the mat thickness is 1 as we described last week, about 15 feet. 2 3 (Slide.) MR. KASTENBERG: Before you go on, where do 4 5 the steam lines come through? MR. DAJANI: I beg your pardon? 6 MR. KASTENBERG: The steam lines from the 7 intermediate heat exchanger, from the steam generator. 8 MR. DAJANI: In this cross-section we show one 9 of the evaporators and a super heater, so it goes from 10 what is not shown here -- here is the steam drum. So 11 12 the steam flow goes through the evaporator into the steam drum, back into the super heater, from the super 13 heater to the turbine generator. 14 MR. KASTENBERG: When you say the turbine 15 generator building is seismic 3 and you have a pipe that 16 runs through that building, how do you characterize --17 MR. DAJANI: The pipe is anchored at the 18 interface between the two buildings. 19 MR. KASTENBERG: How do you characterize that, 20 21 seismic 1 or 3? MR. DAJANI: The steam line itself, there is 22 an isolation valve that is seismic category 1 up to the 23 first isolation valve; seismic category 3 beyond that; 24 similar to the pressurized water reactor where you have 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. KASTENBERG: Then where do you find the 2 aux feedwater system?

3 MR. DAJANI: The aux feedwater system is in 4 this area, I think, on the other side, and there is a 5 tank, protective water storage tank, and three pumps 6 that pump the water into the steam drum. Then you have lines between it and the auxiliary heat removal 7 8 equipment, which is the protective air cooler condenser 9 and the return line to the pumps. MR. KASTENBERG: What would that seismic 10 category be? 11 MR. DAJANI: One. All this equipment in this 12 nuclear island is all seismic category 1. 13 14 (Slide.) The input motions that were used for the 15 seismic analysis are three; three statistically 16 independent artificial accelerations that were 17 synthesized to envelope the design response spectra that 18 19 is found in Reg Guides 1.16, normalized at the zero period to .25g for the SSE. 20 The overall duration of the input motion --21 and this is just an example of what it looks like --22 (Slide.) 23 -- is 20 seconds digitized at the .01 second 24 intervals. There is a one-second buildup for strong 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 motion, to get to the strong motion, and three seconds 2 for decay.

I have said before that the time histories are such that when you get a response spectrum out of it, it envelopes the NRC response spectrum, and as you can see, generally does that. I will describe now the methods of seismic analysis in the various buildings.

8 (Slide.)

First, the nuclear island. We used the lumped 9 mass method for direct integration of equations of 10 motion. We characterized the foundation springs and 11 dampers through an analysis first of a static finite 12 element anaysis of the rock/soil characteristics. We 13 used the finite element analysis as well as we checked 14 it against the half-space theory and the results were 15 very much in agreement. The reason we used the static 16 finite element analysis was primarily to take into 17 consideration the inclined layering underneath the 18 19 plant.

The directional effects were combined by the square root of the sum of the squares, and the degrees of freedom at the response points included translations and rotations in all three directions.

24 MR. TRIFUNAC: Question. If I understand 25 correctly, you used the finite element program to get

the compliances for the foundation materials because 1 2 there is this inclination of the layers going down, 3 right? MR. DAJANI: Yes. And --4 MR. TRIFUNAC: How was the inclination 5 included in the arrival of seismic waves' program? Was 6 that considered? 7 MR. DAJANI: How were the waves included? 8 MR. TRIFUNAC: Let me repeats How was this 9 inclination of the layering included in the analysis of 10 the wave arrival? 11 MR. DAJANI: It was not. As I said, what we 12 did was to characterize the -- to get the compliance 13 functions, we used the static finite element analysis. 14 That was, in turn, coupled with the lumped mass model. 15 MR. TRIFUNAC: I understand. That was guite 16 clear to me. But that tells us what the reasonable 17 values are, numerical values, for compliances. 18 MR. DAJANI: Yes. 19 MR. TRIFUNAC: But what I am getting at is the 20 input motion. The input ground motion is obviously also 21 influenced by the fact that these layers are not 22 horizontal, that they are at some angle. What I was 23 trying to find out was whether this was included in the 24 analysis. 25

Lana.

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. DAJANI: No, it was not.

1

2 MR. TRIFUNAC: Do you think this might be an 3 important thing? You obviously considered it for 4 compliances. Why didn't you consider it for input 5 motion?

6 MR. DAJANI: Primarily because the tools and 7 the methods available to us were available to come up 8 with a characterization of the soil characteristics, 9 including the inclination through the static finite 10 element analysis. We did not have the tools to go any 11 further in the area that you are commenting on.

MR. TRIFUNAC: Well, I understand the imitation of the tools, but do you think that this should be considered? Do you think it may be important?

MR. DAJANI: Well, I can say this. We have, 15 in addition to having done it with the lumped mass 16 approach, analyzed in response to one of the staff's 17 questions the entire nuclear island through the finite 18 element analysis using FLUSH, in which we did include 19 the layering -- not at an inclined angling; as you know, 20 the code does not allow for inclusion of 21 inclinations -- but we did include the layering, and the 22 results were shown to be very much in agreement; and in 23 fact, the lumped mass approach was a little bit more 24 conservative. 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. TRIFUNAC: Well, recognizing the limitation of the tools, LUSH is also limited in telling 2 you a number of other things as well. You are still not 3 4 answering my question, but perhaps it is not possible. MR. DAJANI: It is not possible. We haven't 5 done it. You asked me the question how do I feel about 6 7 it. I do not think it is sensitive, because we have done it through a completely different method and the 8 9 results were guite close. MR. TRIFUNAC: Which other method? 10 11 MR. DAJANI: The FLUSH. MR. TRIFUNAC: The FLUSH cannot handle that 12 13 either. How does FLUSH handle that? MR. DAJANI: We included the layering of the 14 soil. We included the horizontal. Instead of inclined, 15 we included them as horizontal layers for the different 16 soil properties, so that was included. 17 MR. TRIFUNAC: Could you please explain? 18 MR. DAJANI: In the FLUSH analysis, let me see 19 if I can find a backup Vu-graph. 20 MR. TRIFUNAC: If this is coming later, maybe 21 we can postpone that. 22 MR. DAJANI: No, it is not coming later. It 23 is just that in order to answer your question, I said in 24 the case of the lumped mass we did not consider the 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

effect of the inclined layers on the response, so I
 cannot give you a direct answer.

You asked me whether I felt it would be 3 significant or not and 1 said I don't pelieve it would 4 be significant, and the reason I say that is because we 5 did model the nuclear island through a finite element 6 analysis using a completely independent method which 7 included the layering effect of the substructure 8 although not the inclination, and the results were very 9 much in agreement in the responses between the two 10 11 methods.

12 That is the basis for my saying that I do not 13 believe the inclinations inherently or intuitively would 14 have a big effect.

15 MR. TRIFUNAC: I understood that perfectly. 16 My question is this: How do you know that they do not 17 have an effect, given the limitations of the tools that 18 you have? That is really what I am getting at.

19 MR. DAJANI: I do not know.

20 MR. TRIFUNAC: Does FLUSH handle that? 21 MR. DAJANI: No, it does not handle inclined 22 layers.

23 MR. TRIFUNAC: So how do we then conclude that 24 they are not important in determinating the input 25 motion?

MR. DAJANI: You asked for my opinion. I gave 1 you my opinion. You apparently disagree with the way I 2 3 arrived at the conclusion. MR. TRIFUNAC: No, I don't. I am just trying 4 5 to see what the logic is. MR. DAJANI: That is the logic. 6 MR. TRIFUNAC: So then, is it reasonable to 7 say that we can't tell, because the tools don't let us 8 9 decide? MR. DAJANI: We can't tell but I hate to leave 10 it like that. We can't tell but we don't believe it is 11 sensitive is my judgment. 12 MR. TRIFUNAC: Can we make judgments about 13 sensitivity if the tools are not capable of telling us 14 whether this is important or not? 15 MR. DAJANI: I understand you can't. 16 MR. TRIFUNAC: Thank you. 17 MR. ZUDANS: Could I bother you with a few 18 19 more? MR. DAJANI: Sure. 20 MR. ZUDANS: You said that the static finite 21 elements analysis was done. Was that a two-dimensional 22 model? 23 MR. DAJANI: Correct. 24 MR. ZUDANS: That included the layers. And 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 how did you orient the two-dimensional model on this 2 one, relative to the layers? MR. DAJANI: The same angle as the 30 degree 3 dip, basically. 4 MR. ZUDANS: In other words, you made the 5 plane perpendicular to the layer? 6 MR. DAJANI: Perhaps I can show you a picture 7 of it. 8 MR. ZUDANS: Yes, because those layers are 9 very steep inclinations, not negligible. 10 MR. DAJANI: They were at basically a 30 11 degree dip, if I am not mistaken. Walter, you mentioned 12 13 that earlier. 14 (Slide.) MR. ZUDANS: This is the model, right? 15 MR. DAJANI: Yes, this is the one direction. 16 The other direction, we have a similar configuration 17 although the reason I picked this one is to hopefully 18 respond to your question of how we modeled the area 19 which has the inclinations. In the other direction, you 20 don't have this kind of an effect. 21 MR. ZUDANS: Did you have another model 22 transverse to this model? 23 MR. DAJANI: I beg your pardon? 24 MR. ZUDANS: Did you have another codel that 25

ALDERSON REPORTING COMPANY, INC.

1 was 90 degrees to this model?

MR. DAJANI: Yes. Would you like to see that? 2 3 MR. ZUDANS: No. Just yes or no. MR. DAJANI: Yes. And we have another one for 4 5 the torsion. MR. ZUDANS: Do you have another model that 6 does not include inclination on the static analysis? 7 MR. DAJANI: Not with the static analysis. 8 MR. ZUDANS: Just layers? That is what would 9 have given at least some support for your intuition. 10 MR. DAJANI: I am going to perhaps give you 11 something that is equivalent. While we did not do it 12 with the static finite element analysis, we did another 13 check by assuming homogeneous material, removing the 14 15 area above the foundation, in other words assuming a half space, and calculated the compliances, and checked 16 those against a half space approach, and the answers 17 were very close and in fact not that different from the 8 one that resulted from the inclined layers. 19 MR. ZUDANS: Now are these materials 20 properties differences in layers between 6, 7 and 11 21 great, the differences? 22 MR. DAJANI: Well, the 11 I believe is 23 siltstone which had a modulus of elasticity of 1 1/2 24 million. Which other layers? 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. ZUDANS: Six or seven. 1 MR. DAJANI: Seven is the limestone unit A 2 which had a modulus of elasticity of 3 or thereabouts. 3 4 MR. ZUDANS: Three? MR. DAJANI: And I am not sure about 6. It is 5 6 siltstone, the same. MR. ZUDANS: What about the 5? 7 MR. DAJANI: The 5 is 3 million. 8 MR. ZUDANS: So you have a stiltstone 6 and 9 11, connected by a stiffer layer which is 7? 10 MR. DAJANI: Slightly stiffer, although as we 11 found, the primary compliance really came from the 12 effect of the stiltstone, which is intuitively obvious 13 14 since it is sitting on it. MR. ZUDANS: Now, the portion 10 probably 15 wouldn't affect you anyway. That is outside the scope. 16 MR. DAJANI: That is right. 17 MR. ZUDANS: So there might be a way to 18 conclude what you concluded intuitively. 19 Now the other direction -- there is another 20 question. You said you had three statistical 21 independent artificial earthquake time histories, 22 north-south, east-west, and vertical. 23 MR. DAJANI: Yes. 24 MR. ZUDANS: How are those oriented to this 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

cross-section? What is the east-west here? How is this 1 cross-section oriented to east-west? 2 3 MR. DAJANI: It is east-west. MR. ZUDANS: Exactly east-west? A MR. DAJANI: Yes. 5 MR. ZUDANS: This is how you will apply these? 6 7 MR. DAJANI: Yes. 8 MR. ZUDANS: What would happen if you rotated 9 the earthquake input at different angles? MR. DAJANI: Well, what we do is we input the 10 motion individually to each of the three models. Then 11 we would calculate the responses and add them up by the 12 square root of the sum of the squares. 13 MR. ZUDANS: I guess the way you did it 14 wouldn't matter because you assume a homogeneous 15 foundation in this instance. 16 MR. DAJANI: For this area, right. 17 MR. ZUDANS: So in reality, it would be 18 different because the layers were affected. 19 MR. DAJANI: But as I said earlier, it seemed 20 from the calculations and from the results the basic 21 effect is from the siltstone layer which is directly 22 underneath, and the others modify very slightly those 23 24 results.

MR. ZUDANS: Thank you.

25

MR. TRIFUNAC: Could I have the same viewgraph 1 2 back? 3 MR. DAJANI: This one? MR. TRIFUNAC: Yes. 4 5 (Slide.) Just so that we don't take the static analysis 6 too far, the dynamics perhaps, you would have the 7 earthquake waves coming from east towards the site. 8 9 MR. DAJANI: Yes. MR. TRIFUNAC: We have made earthquake waves 10 coming from the west over the site. Would the motion be 11 qualitatively the same, do you think? 12 MR. DAJANI: The motion I would think would 13 not be qualitatively the same because the angle of 14 incidence is different depending on the direction. If 15 we are coming down from this direction it is hitting an 16 oblique line; if you are coming from this direction 17 (indicating), so I would expect reflections and 18 transmission would be somewhat different. But whether 19 or not the results -- which is what we are really 20 after -- after all, the responses would be that 21 different I really cannot tell --all I am saying is that 22 based on the fact that we did it through two different 23 ways, we came up with generally the FLUSH analysis now I 24 am talking about, and the lumped mass approach, we 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
generally came out with the similar responses, very
 similar responses. In fact, lumped mass was a little
 bit more conservative.

So I think the effect of the inclination is not that significant. I don't think we are going to necessarily reach a convergence on the answer, because we have not done it; therefore, we don't really know.

8 MR. TRIFUNAC: Well, using your good 9 engineering judgment, would you be concerned if you 10 looked at this picture and saw that there is a 11 possibility that the incident seismic waves might be 12 focused by the geometry that you have? Wouldn't you be 13 concerned? Wouldn't you want to find out about this?

14 MR. DAJANI: It depends. To be honest with 15 you, I think, using my good engineering judgment, as you 16 said, I think the approach from A to Z is so full of 17 conservatisms including the analysis and design of the 18 structures that things like that may be nice to find out 19 what the effect would be, but I do not believe that it 20 will affect the final answer in any way, form or fashion.

I will be describing later on some of these consevatisms that are not only found, as you heard previously, in the selection of the earthquakes, but also in the approach of the design of the nuclear structure.

MR. TRIFUNAC: Let me ask you a question about 1 2 conservatism. I think we are using that word too frequently and in a too liberal way. Do I understand 3 that something is conservative if something is a little 4 bit larger than perhaps it should be? 5 6 MR. DAJANI: A little bit larger? 7 MR. TRIFUNAC: A little bit larger than perhaps it is. 8 9 MR. DAJANI: Not a little bit larger; guite a bit larger, I would say. 10 MR. TRIFUNAC: Is it conservative not to 11 consider something at all? How conservative is 12 something that I do not consider at all? 13 MR. DAJANI: I really can't answer that 14 question. It becomes very philosophical. I think you 15 cannot draw a conclusion whether it would be 16 conservative if you do not consider it. For example, 17 simplified methods tend to be conservative. 18 MR. TRIFUNAC: Let me ask a question. You 19 have an engineering structure. Is it conservative not 20 to analyze the stresses or deformations of the forces in 21 that structure that may be physically there? You 22 totally exclude the forces. Is that a conservative 23 action from an engineering point of view? 24 MR. DAJANI: If your general approach has 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

enough conservatism in other areas, such that such 1 things will not be important, I think we won't 2 categorize it as conservative, but does it make a 3 difference becomes the question. As I said before, we 4 did not analyze the situation. I really do not wish to 5 give you an answer beyond what I just said. You asked 6 me for my opinion and I just gave you my opinion. 7 MR. TRIFUNAC: I am not looking at this 8 picture at all; I am just trying to find out: is it 9 conservative not to consider something and then argue 10 that because other things are conservative, that 11 something we have not considered is not going to be 12 importnat. Is that a conservative factor? 13 MR. DAJANI: I can think of many situations 14 where what you said would not mean it is conservative. 15 I can think of other situations where what you said does 16 mean it is conservative. I don't think there is a 17 general answer to that kind of a question. 18 MR. TRIFUNAC: So then we cannot conclude that 19 this might be conservative, right? 20 MR. DAJANI: Maybe yes. 21 MR. TRIFUNAC: Would you agree with that? 22

23 MR. DAJANI: I cannot conclude positively that 24 this is conservative or unconservative. I cannot 25 conclude either.

MR. TRIFUNAC: Thank you.

2 MR. ZUDANS: I am sorry, you won't get away 3 that guickly.

(Laughter.)

1

4

5

25

MR. DAJANI: Go ahead, Dr. Zudans.

6 MR. ZUDANS: If you now would have been able 7 to represent this foundation as a continuous foundation, 8 I assume that when you talk about lumped structure 9 analysis, you have just lumped the point of support to 10 the soil. That single point of support for the soil 11 assumes the mat is rigid, and therefore it has its 12 compliances derived from this analysis.

Now if you look from the left corner to the
right corner, because of the proximity of this layer
number 7, that big piece of foundation might be stiffer
than the other corner which is strictly on the
siltstone.

Now are you concerned in any way whatsoever
about the fact that the mat sees different stiffness
foundations that are along the plans?

21 MR. DAJANI: I don't think that we found that 22 there is a difference, but I can ask the question of 23 George Siegal, from Burns & Roe. Do you know the answer 24 to that?

MR. SIEGAL: When we calculated the functions

we considered the properties of all the layers. We 1 found that the effect of the limestone was not 2 significant. The predominant difference was the 3 stiltstone that is immediately under the foundation. 4 MR. DAJANI: So whether it was here or there 5 6 (indicating) --MR. ZUDANS: Looking at your model that you 7 are showing there and seeing that you only have a single 8 element at that corner, or at least I assume that is the 9 finite element layouts that you are showing me? 10 MR. DAJANI: Right. 11 MR. ZUDANS: You couldn't really have any 12 decent resolution. If you go steeper in the left corner 13 you only have a single element through layer 7; right? 14 MR. DAJANI: I am not really sure if this 15 16 viewgraph --MR. SIEGAL: Yes, that represents that. 17 MR. ZUDANS: Okay, so you really do not have 18 any detailed resolution around that corner. 19 MR. SIEGAL: You are not looking for detailed 20 stresses. What you want is the overall stiffness. 21 MR. ZUDANS: That is exactly what I am talking 22 about. The 6 and 11 are essentially the same. You have 23 a single element that is much more rigid which connects 24 these. Maybe you get good enough information for all 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 the response. I am not so sure. We will have to look 2 at your numbers.

What you are trying to tell me is there was no 3 variability of foundation conditions from left to right. 4 MR. DAJANI: To my knowledge, that is right. 5 MR. ZUDANS: I still have to say that Dr. 6 Trifunac is right. Things that you did not investigate 7 you cannot talk about as being conservatisms. 8 MR. CARBON: Let's pause at this point and 9 take a break, and at the end of the break, let's 10 interrupt Mr. Dajani's presentation. The staff has 11 seismology and geology people here, both from the staff 12 and from the USGS. Let's address any questions that we 13 have to them at that time, and then they probably will 14 leave by noon and will not be available this afternoon. 15 So if you would, be thinking of your questions 16 during the break. 17 (A short recess was taken.) 18 19 20 21 22 23 24 25

MR. CARBON: Mr. Stark, I wonder if you could
 comment on who of your people you have here.

MR. MARK: What would be fair questions? MR. STARK: We have representatives of the geolog" and seismology review, Mr. Rothman, and McMullen, and I guess they both can kind of make a status report right now very briefly, and then also speak very briefly, Mr. McMullen first.

9 MR. MC MULLEN: My name is Dick McMullen. I am a staff geologist. I am responsible for reviewing 10 the geology of the Clinch River site. Also here is Mr. 11 Delvicki and Mr. Robert Dowl of the U.S. Geological 12 Survey. We are right in the middle of our review right 13 now, and as part of that review, we are making a site 14 visit tomorrow and for the rest of the week, focusing on 15 during that site visit looking at some of the features 16 in the subregion, looking at some of the core from the 17 site and reviewing the status of the solution 18 verification program around the site. 19

20 We will also be looking at some of the high 21 level terraces which may show some sort of relationship 22 with the sheer zones and faults in the area. We have a 23 number of questions which are still outstanding which 24 the applicant is preparing answers to now. These 25 questions mainly are about some of the things Dr.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

Pomeroy brought up a while ago updating the PSAR to
 reflect some of the geologic and seismic work that has
 been going on in the southeast since publication of the
 PSAR.

The Geosciences Branch has a great deal of 5 experience in this part of the southeast in the valley 6 and ridge province. We have reviewed at least four 7 other sites there, Phipps Bend, Sequoyah, Watts Bar, and 8 9 Belafonte. Back in the middle seventies, the staff 10 wrote a limited work authorization report for site suitability report, and we have just completed updating 11 that in the last few weeks. There is still a lot of 12 information out, but based on what we know now there is 13 no reason to believe that the site is not suitable at 14 the present time. 15

16 MR. CARBON: Questions?

17 MR. MARK: In connection with reviews of
18 Sequoyah, I believe the governing earthquake would again
19 have been the Giles County?

20 MR. ROTHMAN: I am Robert Rothman. I am the 21 staff seismologist reviewing the site. We also have Mr. 22 David Berkens of the U.S.G.S. here to answer questions. 23 We are very early on in our review, but you asked the 24 guestion about the Seguoyah site.

25 MR. MARK: I am thinking, not early on the

1 Sequoyah review.

2 MR. ROTHMAN: No, we are early on now on the 3 Clinch River.

MR. MARK: But was Giles County not the 4 5 governing earthquake for Sequoyah? MR. ROTHMAN: Yes, that was. 6 MR. MARK: What is its intensity? 7 8 MR. ROTHMAN: Intensity 8. During the Sequoyah review, the earthquake was also characterized 9 as a magnitude of 5.8 body wave magnitude and a site 10 specific spectra were used for the Segucyah site, rather 11 than using the intensity 8 as the design for the site. 12 Actual records were obtained from a magnitude 5.8 13 earthquake, plus or minus a half a magnitude unit, and 14 these were -- the actual strong motion records were used 15 to compare the design of the site with the ground motion 16 which we believe is expected from an earthquake of that 17 size. 18

MR. MARK: So it would be consistent with what has happened at Sequoyah and perhaps at a couple of the other plants we mentioned, to define Giles County as an intensity 8?

23 MR. ROTHMAN: Yes, that's right.

24 MR. POMEROY: Then would you comment on the 25 guestion of what the effective design acceleration was

1 for Sequoyah, given the fact that it is a site specific
2 spectrum?

MR. ROTHMAN: The staff compared the design 3 spectra for Sequoyah with the site specific spectra that 4 was obtained, and although there was some excedence at 5 certain frequencies of the design spectra, the staff 6 made a judgment that it was acceptable, and the Seguoyah 7 design was accepted. I believe the Sequoyah spectra was 8 a -- I don't remember the spectrum, but it was less than 9 the Reg. Guide spectrum and it was anchored at at .18 10 G. It was a modified neumark spectrum, and it was 11 anchored at .18 G, and that was almost equivalent to the 12 site specific spectra as .18 as determined by the TVA. 13

14 MR. POMEROY: Could you comment on whether the 15 staff has done any of the calculations that Dr. Trifunac 16 was talking about earlier, specifically return periods 17 and that sort of thing?

MR. ROTHMAN: The staff has not done 18 anything. There was a probability study done during the 19 Sequoyah review, and I am not totally familiar with that 20 because we just ion't use probability for determining 21 SSE's. We do use them in a confirmatory manner, but we 22 do not use the probability itself. But I believe, if I 23 remember rightly, the results of the probability study 24 showed that the Sequoyah spectrum was somewhere on the 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

-3 -4
order of 10 to 10 . In that range, we looked at
it plotted on the same curve with the uniform hazard
spectra that was developed under the probabilities.
Those are the kind of numbers that stick in my mind.

5 MR. POMEROY: Is the staff generally in 6 agreement with the listings of earthquakes? Has the 7 staff reviewed those earthquake listings in the PSAR, 8 and are they in agreement with the intensities and 9 completeness of the list?

10 MR. ROTHMAN: No, the staff has a question 11 outstanding right now about the seismicity to the 12 applicant. We have asked them to update it and look at 13 more recent studies that have been done. We have also 14 asked them to look at some recent work that was done by 15 Professor Ballenger on the Giles County earthquake, and 16 those are still outstanding.

17 MR. POMEROY: Perhaps this is a question for 18 Dick McMullen, but is the staff in agreement with the 19 structural interpretation that is presented in the PSAR 20 as it is at this time?

21 MR. MC MULLEN: Yes, generally. Of course, 22 the PSAR has not been updated to reflect the latest 23 information there, including the studies that went on 24 around Charleston, but it essentially comes to the same 25 bottom line.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 NR. FONEROY: And would they be in agreement 2 then with regard to the depths of earthquake occurrence 3 and the possible significance of those depths of 4 occurrence as they are outlined in the PSAR? That is 5 probably a question for Bob Rothman.

MR. ROTHMAN: I am not convinced how good the 6 depths are of the earthquakes in that region. I have 7 been talking to some of the people at the U.S.G.S. who 8 have been relocating some of those events, and there is 9 not a local network in that area, so they do not have 10 very much control on the depth. They don't have very 1 : much confidence in their depth, so that is the way it 12 stands right now. 13

14 MR. POMEROY: So how are you proposing they 15 pursue that question of whether or not the earthquakes 16 maybe associated with the shallower structures on such 17 sonambulistic faults that are drawn in the cross 18 section, or are you questioning that?

19 MR. ROTHMAN: I haven't raised a question on 20 that. What we have done is asked them to update their 21 seismicity, providing all the information they can, 22 including the best depth estimates on that, but we 23 haven't particularly addressed the thin skin tectonics. 24 MR. POMEROY: Would you think that association 25 might be significant, though, Bob?

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. ROTHMAN: Yes, I think it would be, but I 1 am not convinced that we can tie it down just on the 2 data that is currently available. I think we will have 3 to wait until we see the latest relocations to see if 4 they are that way. If we are getting depths on the 5 order of tens of kilometers, then it is on the order of 6 two or three kilometers. It is not clear yet what we 7 are going to see. 8

9 MR. MC MULLEN: It might be helpful to add 10 that many of these faults which you are talking about 11 which come to the surface of the valley and ridge 12 province have been dated radiometrically, and at least 13 at the surface where the outcrop there doesn't seem to 14 be evidence of movement, at least since the late 15 paleozoic.

16 MR. POMEROY: In general, I am aware of that, 17 that there is no surface faulting observed anywhere in 18 this area, but of course we have examples of large 19 earthquakes with significant ground motion, without 20 significant breakage.

21 Does the staff have any information with 22 regard to another question I raised earlier, with regard 23 to the Norris Dam site, the design criteria for that? 24 MR. MC MULLEN: No, not directly. I 25 understand that those dams were looked at during the CP

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

review for Watts Bar. The hydrological engineering
 group, I believe, did an evaluation for the staff, not
 on the seismic integrity, but on what would happen if it
 would fail.

5 NR. POMEROY: Again, could we ask the staff to 6 provide us some further information with regard to what 7 has been done, if there are -- if there is any 8 information on the seismic design? Could that be made 9 available to us?

MR. MARK: Is Norris Dam actually relevant?
11 It is on the Tennessee River not on the Clinch.

12 MR. KNIGHT: Just as a general answer, my 13 recollection is a little foggy. We may well, as we have 14 sometimes, simply assume that the dam failed and looked 15 at flood protection at the plant. I don't know if that 16 is the case. I will check, however. If the information 17 is available to use, we will see that it is made 18 available to the committee.

MR. MARK: Isn't the dam upstream of the site?
MR. GROSS: Yes, it is.

21 MR. MARK: There was reference to the 22 Charleston. Now, I don't think there has been much 23 change in the estimate of the intensity of the 24 Charleston earthquake, but there has been a new question 25 of whether it should not be cut loose from its moorings

and be allowed to wander around the province. That still does not bring it within much closer distance of the site than where it is now, does it?

MR. MC MULLEN: Well, one of the theories 4 about the cause of that earthquake 's that it was 5 related to the measure of the sole thrust which there is 6 no evidence that it goes under the Charleston area yet, 7 and these faults that outcrop in the valley and ridge 8 province are related to that master thrust, but that is 9 where the interest with regard to the Clinch River comes 10 11 in.

12 MR. MARK: So it is not just that it will 13 wander up and down the coast and plague New Jersey, but 14 it might also run inland?

15 MR. MC MULIEN: That's right.

16 MR. MARK: Wow.

17 (General laughter.)

MR. KNIGHT: This is Jim Knight again. In 18 some additional response to Dr. Pomeroy's question, I 19 have just been handed a page out of the site suitability 20 report. Just for your information, the design basis 21 flood for the proposed site has been determined by the 22 applicant to be caused by the assumed partial seismic 23 failure of the Norris Dam of 62 miles upstream from the 24 site coincident with the standard project flood with 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 attendant failure of the Milton Hill and Watts Bar 2 dams. So, as I say, as many times it is the case we 3 have assumed -- in this case, I am not sure what the 4 word "partial" means. We will have to explore that more 5 fully with the hydrologic folks.

MR. POMEROY: I guess that would be my 6 7 immediate question, because I have heard that before, and I was concerned about the question of partial 8 failure. Oftentimes structures don't do exactly what 9 you want them to do, and I am curious as to how the 10 partial failure might occur and what happens if a full 11 failure should occur, because of the quirks of nature. 12 MR. KNIGHT: Yes. That is something we will 13 have to explore. 14

MR. LIPINKSI: Let me amplify on that. I 15 believe it was about 1977 or so, there was an ACRS 16 subcommittee meeting down at the site, and the 17 presentation was made on the failure of Norris Dam, and 18 the assumption at that time was that the central section 19 for the dam failed, and it simply toppled forward, so 20 that the face of the dam became the base and the base of 21 the dam became an interface, and then Lake Norris went 22 past the structure and ended up downstream, but it was a 23 large segment failure of the dam that just toppled 24 25 forward.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

The gentleman making the presentation said he thought he was being overly conservative in assuming that type of a failure of the dam structure.

4 MR. CARBON: I would like to go back to the 5 Sequoyah question for a second. The return frequency, I 6 think you are saying there, as best your memory served -3 -4 7 you, was 10 , 10 ?

8 MR. ROTHMAN: That is back in my memory. I 9 wasn't the reviewer for Sequoyah. I just happened to 10 look over some of the work that was done on it briefly, 11 but it seems to me if I remember seeing the Sequoyah 12 spectra plotted on a probabilistic curve with the 13 uniform hazard spectra, it fell somewhere between 10 -4 14 and 10 . That was the best of my memory.

15 MR. CARBON: Just offhand, could you venture 16 an estimate? Would it be about the same as you expected 17 in the CRBR site, or higher, or lower?

18 MR. ROTHMAN: The .25 G Reg. Guide, which is 19 the SSE for Clinch River, is higher than the Seguoyah 20 spectrum, so it would have a -- it would be a more 21 conservative or longer return period for Clinch River 22 than Seguoyah.

23 MR. CARBON: A longer period of time between 24 the recurrence?

MR. ROTHMAN: Yes.

25

ALDERSON REPORTING COMPANY, INC.

MR. CARBON: Any other questions of the staff 1 people? I think it is appropriate for us to agree for 2 them to leave when we get our questions out of the way. 3 4 (No response.) MR. CARBON: Well, I am sure we will have some 5 about five minutes from now, but I guess that does it. 6 7 We thank you. I guess then we will return to Mr. Dajani. 8 MR. DAJANI: Okay. To continue in the 9 discussion of the method of alalysis for the nuclear 10 island, seismic analysis, that is. 11 12 (Slide.) MR. DAJANI: We did an independent analysis 13 for each of the three directional earthquakes. We had 14 four main sticks in the lumpe mass model. There is a 15 16 picture of it in your handout. We also presented major equipment such as polar crane and the reactor vessel 17 model, and we have accounted for the flexible ties 18 between the confinement building and the adjacent 19 reactor service and steam generator building at all the 20 elevations. We did that. We came up with the 21 compliance matrix, if you will, through a separate 22 finite element analysis to determine what those 23 flexibility springs are, and we included them in the 24 lumpe mass analysis. 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

The mass points were located at the centers of mass. The massless members were located at the center of rigidity. We did two separate analyses. The first analyses considered the upper bound rock properties. We got the responses. We also did another analysis using lower bound rock properties, and we got another set of responses, and we then enveloped the two. We also generated time histories at the various mass points, and the spectrum, the design spectrum were then widened by plus or minus 10 percent at the peaks, in accordance with the applicable Regulatory Guide.

I guess then we return to Mr. Dajani.

1

MR. DAJANI: To continue with the discussion of the method of analysis for the nuclear island seismic analysis, we did an independent analysis for each of the three directional earthquakes. We had four sticks, main sticks in the lumped mass model. I think there is a picture of it in your handout.

8 We also represented major equipment such as 9 the polar crane and the reactor vessel in the model. 10 And we have accounted for the flexible ties between the 11 confinement building and the adjacent reactor service 12 and steam generator buildings at all the elevations.

13 We did that. We came up with a compliance 14 matrix, if you will, through a separate finite element 15 analysis to determine what those flexibility springs 16 are, and we included them in the lumped mass analysis.

The mass points were force located at the centers of mass. The massless members were located at the center of rigidity. We did two separate analyses. The first analysis considered the upper bound drop properties, and we got the responses.

We also did another analysis using lower bound properties, and we got another set of responses. We then enveloped the two. We also generated time histories at the various mass points. The design

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

spectra were then widened by plus or minus 10 percent at the peaks in accordance with the applicable regulatory guides.

To account for the further moment arm for components that are located away from the center of mass, we have a procedure to account for the additional translations that result from that eccentricity.

(Slide.)

8

9 MR. TRIFUNAC: Would you describe upper bound 10 and lower bound drop properties?

11 MR. DAJANI: Yes. Earlier you heard in the presentation that we boiled down the various data to 12 characterize the site in terms of the modulae of 13 elasticity, and there was a recommendation that we use a 14 certain number of, for example, the siltstone 1.5 15 million p.s.i. and that we consider a plus or minus 25 16 percent variation on that. The 25 percent variation is 17 what I am talking about here for the upper bound and 18 lower bound. 19

In the evaluation of the nuclear island structures we find that, first of all, the load combinations are in accordance with the applicable code for steel and for concrete. We find that, in general, the structures are controlled not by the SSE but rather by the OBE.

We also further find that many of the 1 structural elements of the various buildings are 2 controlled by conditions other than seismic. Last week 3 we talked about the thermal margin beyond the design 4 base. That in many areas controls the design of the 5 rebar. The amount of concrete shielding is another one 6 that controls the thickness of walls, not seismic, as 7 well as the sodium spills, what I call the design-basis 8 accidents in the various cells that contain radioactive 9 10 sodium.

11 MR. TRIFUNAC: A question. Was the OBE 12 selected as one-half of SSE on a conditional basis, or 13 was there some kind of probabilistic loss assessments 14 included to see that this is a good number to take?

15 MR. DAJANI: As was described earlier, it was 16 selected at one-half of SSE based on precedents, but I 17 think the statement was made that we believe that was on 18 the conservative side.

19 Walter, maybe you want to elaborate on that20 point.

21 MR. BRUSEY: Probabilistic analyses were 22 conducted but were not submitted to the NRC. The 23 conclusion was reached that the designer reached the 24 stage at that time that really it was not feasible to 25 change and it was decided to proceed with a half SSE 1 value, which was, of course, .125 g.

2 MR. ZUDANS: Were you going to plan to show us 3 this model or not?

4 MR. DAJANI: I had it out of phase in my 5 yuegraphs since we left, so I did not show it.

6 MR. ZUDANS: Maybe that is the beginning of 7 it.

8 MR. DAJANI: This is just an example of the--9 I have mentioned that there were four sticks and I 10 mentioned that the confinement is connected through 11 flexible ties to the reactor service building and the 12 steam generator building.

13 This shaded area represents that kind of tie 14 between the appropriate nodes at all elevations. Both 15 the polar crane and the reactor vessel were modeled.

16 MR. ZUDANS: Where is the polar crane on this 17 one?

18 MR. DAJANI: It is not shown on this section. 19 I think it is shown -- No, I am sorry, the polar 20 crane -- the polar crane, George Siegal, do we have the 21 polar crane on this one? I'm not sure which nodes are 22 represented, but I think the reactor vessel is this one 23 here (indicating).

24 MR. ZUDANS: That is a good substitute for the 25 polar crane.

1 MR. SIEGAL: The polar crane in one direction 2 was rigid in that particular model. In the other 3 direction, the polar crane was flexible and was 4 represented by a mass on the spring that was equivalent 5 to the first moment.

6 MR. ZUDANS: The way that you support the 7 interpolar crane, since you have a stick model, in the 8 other direction how did you model the polar crane in 9 terms of where the wheels sit on the rail? It is 10 supported at the ends? It spans the entire containment 11 building. How do you --

MR. SIEGAL: We have a simplified 12 representation of the polar crane. We have a complete 13 model of the polar crane, and we found that there was 14 one mode that was predominant, the first mode. So we 15 determined the generalized mass stiffness for that mode 16 and we represented the crane with one mass and one 17 spring attached to the node that represents the polar 18 crane support. 19

20 MR. ZUDANS: Okay. Actually, all you 21 considered in this model for the polar crane was its 22 mass. 23 MR. DAJANI: That is correct.

24 MR. SIEGAL: Stiffness, too.
25 MR. DAJANI: It was not intended for the

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

design of the polar crane; it was simply intended to 1 2 include the major equipment as it may affect the response of the nuclear island. I believe the effect 3 was very small in either case. 4 MR. SIEGAL: In addition, there was an 5 inalysis of the polar crane by itself. 6 MR. ZUDANS: I would believe that. 7 MR. SIEGAL: We determined those weir 8 reactions and those weir reactions were imposed in the 9 crane to find the stresses. 10 MR. ZUDANS: Now I would like to understand 11 this cross-hatched area. In terms o, what you said, a 12 separate finite elemental model was made for those 13 buildings and there were appropriate stiffnesses 14 developed between different nodal points. Would then in 15 this model the cross-hatched area be an equivalent 16 super-element? Are there cross-couplings between all 17 the nodal points listed on the boundary? 18 MR. DAJANI: I am getting a nod that that is 19 yes. 20 MR. ZUDANS: So this is a fully developed 21 matrix between all those nodes connecting the 22 cross-hatched area? 23 MR. DAJANI: Right. That is why we didn't 24 show them exclusively, but we showed it. shaded. 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. ZUDANS: And that is the mat matter is 1 2 rigid; right? 3 MR. DAJANI: Right. And the foundation spring is not shown. 4 MR. ZUDANS: 326-foot long mat, 15 foot thick; 5 6 right? 7 MR. DAJANI: Something like that. 15 foot, yes. I am not sure about the other number. 8 MR. ZUDANS: That is about a ratio of length 9 to thickness of 20. Now are these stick models attached 10 to the mat at different proper locations where they 11 12 are? MR. DAJANI: Correct. 13 MR. ZUDANS: Well, I guess I understand what 14 you did. 15 MR. TRIFUNAC: A question on the mat. 16 MR. DAJANI: Yes. 17 MR. TRIFUNAC: This was a two-dimensional 18 slice? Or a three-dimensional mat plate? Or what? 19 MR. DAJANI: For the lumped mass, George, how 20 did we eventually lump the mat in the model here? 21 MR. SIEGAL: It is three-dimensional. The 22 actual coordinates of the mass points and of the members 23 were taken into consideration. 24 MR. TRIFUNAC: Okay. And then at the points 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

indicated in the sketch about structural four stick 1 2 models were attached to the mat? 3 MR. SIEGAL: As Mr. Dajani said, the location of those members that are supported from the mat 4 5 coincide with the center of the rigidity. MR. TRIFUNAC: Then the stiffness matrix of 6 7 this entire package on this picture included what 8 degrees of freedom? MR. SIEGAL: The stiffness matrix included the 9 cross-cut between the different nodes for 60 degrees of 10 11 freedom. MR. TRIFUNAC: My question was for the mat and 12 13 for everything above. MR. SIEGAL: Well, the mat is rigid. So on 14 15 the mat there was not such a problem. MR. TRIFUNAC: I thought the mat was 16 17 flexible. MR. DAJANI: No, the mat is rigid. 18 MR. TRIFUNAC: So that means, for example, 19 that in reality part of the foundation under stick-1 20 moves differently than the part of the foundation of the 21 stick-2. So this is not included in the analysis; 22 right? 23 MR. SIEGAL: We do not believe that will 24 happen, because first of all --25

MR. TRIFUNAC: I am not suggesting it would 1 2 happen. I am asking, if it were to happen. MR. SIEGAL: In the model it is assumed it is 3 4 rigid, so they move the same. MR. ZUDANS: Now, hold on. I thought that you 5 had one spring constant attached, say, to node 59. Is 6 that a correct statement for soil? 7 MR. DAJANI: That was soil, but the question 8 was relative to the mat. 9 MR. ZUDANS: That means the mat rotates and 10 11 translates; and therefore, the points that are different distances from node 59 moves differently. Was that the 12 13 assumption? MR. SIEGAL: Well, they move differently, but 14 15 consistent with the assumption of a rigid plate for the foundation. 16 MR. DAJANI: Well, that is all right. In 17 other words, the points of the --18 MR. SIEGAL: Obviously if you have a torsion 19 they will not move exactly the same. But if you make 20 the assumption that the plate is rigid, then you would 21 22 have consistency. MR. DAJANI: They move consistent with the 23 24 rigid foundations. MR. ZUDANS: And the mass and moments of 25

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 inertia at the foundation were all lumped at point 59? MR. DAJANI: For the mat? 2 3 MR. ZUDANS: For the mat, yes. MR. SIEGAL: Yes. All that was lumped at 4 5 point node 59. MR. TRIFUNAC: What is the horizontal extent 6 7 of the mat, the horizontal size? MR. SIEGAL: The dimensions of the mat? I 8 think that is on one of the vuegraphs. 9 MR. DAJANI: 320 feet, I think. Dr. Zudans 10 just mentioned that. 11 MR. KASTENBERG: Before you leave that 12 vuegraph, how do you account for damping in the 13 structure? 14 MR. DAJANI: We have a damping matrix for each 15 of the elements. 16 George, maybe you can elaborate on that. 17 MR. SIEGAL: The damping of the structures are 18 in accordance with Reg Guide 1.61. That means for the 19 SSE in concrete it is 7 percent and for the OBE the 20 concrete is 4 percent. Now, on that basis, the 21 structural damping is considered. 22 MR. TRIFUNAC: These are the largest 23 allowables. 161 gives the largest allowable for 24 25 damping; it does not give the recommended highest for

the damping. You are to determine the best engineering 1 judgment what the best values are but not to exceed 2 those. Is that correct? 3 MR. SIEGAL: It says the SSE values are 4 associated with stresses or strains and yields and the 5 6 OBE values are associated with stresses and strains about one-half of that. 7 8 MR. TRIFUNAC: Yes. MR. DAJANI: These are the values that we 9 believe. Therefore, I believe what George is saying is 10 that they are the reasonable values to be used. 11 MR. TRIFUNAC: So you are using the largest 12 13 values allowed? MR. SIEGAL: We are using the values that we 14 thought were appropriate for our problem. 15 MR. TRIFUNAC: If you allow me just one brief 16 question, coming back to the mat question, what is the 17 -- for the metal frequency of either of the four stick 18 models? 19 MR. DAJANI: I don't remember. 20 George, do you remember the fundamental 21 frequencies of the four stick models, or any of them? 22 MR. SIEGAL: The fundamental frequency, I 23 would say, is about 5 Hz. 24 MR. TRIFUNAC: In the range of 5 Hz. 25

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. SIEGAL: In the range of 5 Hz. 2 MR. KASTENBERG: I just wanted to ask one more 3 question on this. MR. DAJANI: Yes. 4 5 MR. KASTENBERG: Please excuse me, I am not a structural engineer; I just want to learn something. 6 7 Basically, when you go to solve for the motion, you are solving a typical matrix equation, like 8 an RLC circuit analog, presumably? 9 10 MR. DAJANI: It is not within -- we employ the method of direct integration. We just directly 11 integrate the equations of motion, which include both 12 stiffness and damping. 13 MR. KASTENBERG: Stiffness and the damping and 14 the mass measures. 15 MR. DAJANI: Correct. 16 MR. ZUDANS: Your assumption was right. 17 MR. KASTENBERG: I see. And you do not use 18 some kind of an IGAN vector modal analysis to do this? 19 20 MR. DAJANI: No. MR. ZUDANS: I think you just misstated your 21 22 answer. MR. DAJANI: Tell me how I should have stated 23 it. 24 MR. ZUDANS: You have your model set up. You 25

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

ignore the damping, you compute natural frequencies in
 what shapes, which is an analysis.

MR. DAJANI: Oh, I see. You are right. 3 4 MR. ZUDANS: Then you go back and combine your IGAN values and get the approximate response. 5 6 MR. DAJANI: In the method of direct integration there is a part where you look at the modes 7 and use the modes rather than as the primary way of 8 heading your responses. But the reason I said what I 9 said, Dr. Zudans, is because there is something else, 10 called, of course as you know, the modal analysis 11 technique, which uses --12 MR. ZUDANS: Also uses the natural frequency 13 mod shapes because you have to the chart and pick up the 14 accelerations. 15 MR. DAJANI: True. 16 MR. ZUDANS: So I would like to ask one more 17 question on this node 59 that seems to be the item that 18 everything else hinges on. You had some damping values 19 for the soil, too. I did not get those. 20 MR. DAJANI: I mentioned earlier we did the 21 static finite element analysis, which established the 22 compliance values, the stiffness values. We then used 23

25 which then, an equivalent shear modulus, which then used

24

the relationships we derive from that the shear modulus

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

the half-space equations to derive the damping values. 1 MR. ZUDANS: I was just going to knock you 2 down on static analysis using damping valuves, but you 3 have got just the soil property from that analysis. 4 MR. DAJANI: That is correct. 5 MR. ZUDANS: Then you went back to half-space 6 and computed your damping values. 7 MR. DAJANI: Correct. 8 MR. ZUDANS: That would be correct. How did 9 you derive the damping values for each of the mode 10 shapes that you analyzed for, because your different 11 structures have different damping levels. Steel 12 structures have certain and concrete others and soils 13 other ones. Which would you use for mode shape in the 14 15 analysis? MR. DAJANI: Do you know the answer to that? 16 MR. SIEGAL: To determine the damping matrix 17 for the structural feet space we used a weighted average 18 by the strain energy. That means for the different 19 fixed modes, thick-spaced modes, we determine an average 20 damping considering the different elements in the 21 structure. And that way we formulated the damping 22 matrix for the fixed-base structure. Then we combine 23 that with the damping coefficients for the soil 24 dampers. And in that way the complete damping matrix 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 was formluated.

2 MR. ZUDANS: How did you "combine"? How did 3 you do the last combination soil damping matrices with a 4 fixed-base structure?

5 MR. SIEGAL: We have a complete formluation of 6 the model. The placement of a node, in general, is a 7 summation of two displacements: one, of the structure 8 by itself, assuming the base is fixed; and plus those 9 displacements that come from the action of the soil in 10 the dampers.

11 So the whole formulation of the equation of 12 motion was based on that assmumption. Based on that 13 assumption, you could formluate the complete mass 14 stiffness damping matrix for the structure with the soil 15 effects. And that was integrated directly.

MR. ZUDANS: Now you are telling me you did 16 two analyses: one was a foundation with everything 17 assumed to be rigid sitting on it, and that determined 18 certain rigid-body motion on the foundation; then you 19 did another analysis where you fixed the foundation 20 plate and computed the frequencies and watched for the 21 rest of the structure. Is that a correct statement? 22 MR. SIEGAL: I am saying we did one analysis, 23 but in formulating the model of the structure for the 24 structure itself we developed the fixed-base mode. 25

MR. ZUDANS: Okay.

1

2	MR. SIEGAL: And that way we could represent
3	the structure by the modes instead of in the degree of
4	freedom in the particular modes which is what is
5	normally used to save a lot of computational time.
6	MR. ZUDANS: That is okay. Yes.
7	MR. SIEGAL: In addition to that, we coupled
8	the effects that come from the rotation and translation
9	of the base.
10	MR. ZUDANS: But you had then another model
11	which consisted of rigid-body modes for the base plus
12	the more flexible structure relative to the base.
13	MR. SIEGAL: We developed the questions
14	accounting for this.
15	MR. ZUDANS: This is where you had to combine
16	this coming from soils and structures.
17	MR. SIEGAL: Yes.
18	MR. ZUDANS: Did you use something referred to
:9	as "equivalent modal damping technique"?
20	MR. SIEGAL: Modal damping was only for the
21	fixed-base structure. For the other it would be the
22	damping coefficients as calculated by the half-space
23	theory.
24	MR. DAJANI: So we had one matrix that
25	included the damping coefficient for the structures as

1 well as the soil.

2 MR. SIEGAL: We have the equations available. 3 That is a method that was proposed for the first time to 4 discuss that formulation.

5 MR. ZUDANS: I am not trying to discredit what 6 you did. I am just trying to understand it.

7 MR. DAJANI: For the other nuclear Category 1 structures -- we have not completed this analysis, by 8 the way yet -- but for the emergency cooling tower we 9 intend to use the lumped-mass analysis and use the same 10 approach of providing for a range of rock and soil 11 properties. And since there is a basin within that 12 emergency cooling tower with water in it, we will 13 include the effect of the fluid within that basin using 14 Hausner's theory. 15

16 The diesel generator building is another 17. Category 1 structure. It is supported on soil. And we 18 will utilize FLUSH to determine the response of that 19 structure. And we will also use a range of soil 20 properties.

21 (Slide.)

22

I mentioned earlier that --

23 MR. TRIFUNAC: Can I ask a question? How is 24 the ground motion coming into FLUSH or the other model? 25 MR. DAJANI: Which other model?

ALDERSON REPORTING COMPANY, INC.
MR. TRIFUNAC: I thought you were going to do 1 this calculation using FLUSH and also a lumped 2 three-dimensional anlysis. Am I incorrect in that? 3 MR. DAJANI: Yes. To find the foundation 4 response, we will use FLUSH, and then after that we will 5 take that foundation input motion that we would 6 calculate from FLUSH and apply it to a 7 8 three-dimensional, detailed three-dimensional lumped model, which is a standard way of doing it. 9 MR. TRIFUNAC: But then for FLUSH you are 10 going to get only the translational out of the surface 11 motions where surface is in the plane of the 12 13 two-dimensionality of the FLUSH. What are you going to do about the other components of FLUSH? How do you get 14 15 torsion into the FLUSH? MR. DAJANI: That will be included in -- how 16 do we get specifically the torsion from FLUSH? 17 MR. SIEGAL: FLUSH does not give torsion. We 18 determine rocking motion, and we get translation motion 19 for FLUSH. But torsional effects will be just 20 considered by representing the masses, the proper center 21 of mass, and the members of the model at the center of 22 23 the rigidity. MR. TRIFUNAC: I suppose what you are 24

25 referring to is accidental-type percentage-type

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 eccentricities?

MR. SIEGAL: Not percentage. Actual. 2 3 MR. TRIFUNAC: 5 percent, 7 percent, so-called accidental eccentricities. So you are going to ignore 4 torsion, essentially. 5 MR. SIEGAL: There will be torsional degree of 6 freedom, but there will be no torsional inputs. 7 MR. TRIFUNAC: Exactly. That is what I 8 9 meant. Thank you. MR. ZUDANS: One more question. The 10 soils/structure interaction by FLUSH, is that a 11 time-history analysis or -- and what do you use? Do you 12 use the synthetic time histories? 13 MR. DAJANI: Correct. We go through the 14 deconvolution process, and then the convulsion. 15 MR. TRIFUNAC: This input comes from where? 16 MR. DAJANI: Which input? 17 MR. TRIFUNAC: The ground motion. Where does 18 it get into the FLUSH? 19 MR. DAJANI: In the FLUSH we are going to put 20 it at the -- for which guestion? For which building, 21 first of all? 22 MR. TRIFUNAC: For all of them. I thought 23 that this is rigid; so the question applies to all of 24 them. 25

ALDERSON REPORTING COMPANY, INC,

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. DAJANI: No, but I mentioned that FLUSH will be used for the diesel generator building, which is on soil properties. I am not sure, where do we start our input motion, at the surface or at the top of the fock, George? For that we have not done it, so I am not really sure.

7 MR. SIEGAL: We are going to put the input 8 motion in this particular analysis at the foundation 9 layer. It is near the surface. There is no embedment.

10 MR. DAJANI: There is a requirement in the new 11 Standard Review Plan, NUREG-0800, which we intend to 12 follow for this analysis, that the input at the 13 foundation level envelope the design response spectra in 14 the reg guide. So that is what we will eventually have 15 to do.

16 MR. TRIFUNAC: I understand that. But FLUSH 17 needs to get input somewhere. Where is it going to be 18 put in if you are going to use it?

19 MR. DAJANI: I am not sure the criterion is to 20 put it at the position at the control point such that we 21 will envelope the design response spectra at the 22 foundation level of that building, which is not yet 23 designed.

24 MR. TRIFUNAC: Can you answer that question?
25 MR. SIEGAL: We are planning to put it at the

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 foundation level. That is, we are going to put the 2 input motion at the foundation level.

3 MR. TRIFUNAC: Does that mean that you are 4 going to take that motion back down to the bottom of the 5 box in which FLUSH is sitting and calculate the motion 6 there and send it back up?

MR. SIEGAL: Yes.

7

8 MR. DAJANI: And it has to be at the 9 foundation level such that it envelopes the design 10 response spectra.

11 MR. TRIFUNAC: That is a consequence of the 12 requirement. But I am trying to understand the physics 13 of the calculation. Are you going to consider the 14 motion coming from one side of the box of the FLUSH? 15 Are you going to consider the input motion coming from 16 one side of the box of the FLUSH?

MR. SIEGAL: No. FLUSH does not allow for 17 that. FLUSH considers vertically propagating motion, so 18 they are going to put the motion -- we will start with 19 the control motion at the foundation level. It will go 20 to the base of the model to the horizontal boundary, and 21 it will solve the problem with that motion. That means 22 that at the site we are going to have energy absorption 23 bounds at both sides of the model. 24

25 MR. TRIFUNAC: So you are going to consider

1 only vertically inputting seismic energy?

MR. SIEGAL: Yes.

2

3 MR. TRIFUNAC: Do you feel comfortable with 4 that in light of the layers we were talking about 5 earlier?

6 MR. SIEGAL: I think in this particular case, 7 where we have a rather deep layer of soil, it is very 8 alequate in this case.

9 MR. TRIFUNAC: Is it possible that the waves 10 coming from below would show up smaller on the surfaces 11 because of the layering? Is it impossible that this 12 inclined layering would scatter a lot of energy out of 13 the structure?

MR. SIEGAL: I would say there are a lot of 14 possible variables. It is a very complex topography, 15 and I do not think you will be able to model perfectly 16 regardless of the method of calculations that you use. 17 So I think we have to try to do a simplified analysis, 18 as simple as we can, but try to create a seismic 19 environment that would be consistent with the area that 20 we have. And we believe that using this method, we will 21 be able to achieve that. 22

23 MR. TRIFUNAC: I thought that there were some 24 other later generations of FLUSH. Some of them are 25 called LUSHs and PLUSHs.

> ALDERSON REPORTING CC MPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. SIEGAL: I do not think that they have
 been introduced or released yet.

3 MR. TRIFUNAC: They have been released for 4 years. Do either of these allow other types of input so 5 that you might get a better view of the effect of these 6 inclined layers?

7 MR. SIEGAL: I understand there is a new 8 version of that type of program that considers wave 9 propagation in direction, but I understand they have not 10 been officially release?.

11 MR. DAJANI: For the seismic Category 3 12 structures adjoining Category 1 structure and whose 13 failure could challenge the integrity of the Category 1 14 structure, the turbine generator building and the rad 15 waste building, we also did a pretty detailed seismic 16 analysis on those two buildings for the SSE.

17 (Slide.)

In summary, I will go over the points of 18 conservatism that we have in the seismic analysis. The 19 first two were discussed earlier. The third bullet 20 relates to the fact that the design response spectrum 21 covers a wide band of frequencies, that the fourth 22 bullet relates to the time that the artificial 23 earthquake in general is higher than the design response 24 spectrum when you put it in the frequency domain. 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

The fifth bullet relates to the fact that the seismic analysis considers linear properties and does not take into consideration or account the nonlinear properties of the structural elements. The fifth bullet is that there are pretty conservative safety factors required by the codes.

7 The sixth bullet relates to the fact that we 8 are using minimum material properties and as strength 9 properties. And we find that the actual yield strength 10 is actually higher. The second sub-bullet relates to 11 the fact that we use the strength properties of young 12 concrete, 28 days, and we do not take into consideration 13 the substantial increase of that strength with time.

14 (Slide.)

15 We also know the dynamic properties, the response of the properties under dynamic conditions 16 yield higher strengths than the ones that we used, which 17 are based on static strength properties. We typically 18 have simplifications in the design itself, the 19 structural design itself, such that we would use similar 20 configurations, equal member sizes even though they are 21 not absolutely needed. Something smaller would be 22 sufficient, but we do that as part of the prudent 23 engineering and standardization of the design. 24 The next bullet talks about the fact that, in 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

general, the structural sections are controlled by the OBE and not the SSE. And many other sections, as I mentioned earlier, are controlled by things other than seismic altogether. The difference is guite significant.

6 The last bullet relates to the picture I 7 showed last week. In the containment, for example, 8 below 816 where the cells underneath the operating floor 9 are all interconnected, you have many redundant paths to 10 transmit the loads, and it is not conditional or 11 dependent on one particular load p th.

- 12
- 13
- 14
- 15
 - 16
 - 17

18

19

20

21

22

23

24

25

ALDERSON REPORTING COMPANY, INC.

That is the end of the summary and the
 presentation I have.

MR. ZUDANS: I thought this last statement, that you already told us in the model that all these structures were analyzed by a separate model, and the conductivity of various degrees of freedom was included in the basic structure. So that should not as a consequence represent any other hidden conservatism.

9 MR. DAJANI: What I am referring to here, Dr. 10 Zudans, is, since you have many paths for the loads, if 11 one of those walls, for example, cracks or gives way, it 12 does not mean a catastrophic consequence. You have many 13 other load paths that will transmit that load.

14 MR. ZUDANS: That is, of course, correct. I 15 would like to return back to the cooling tower. You 16 said that you would model it as a stick. What kind of a 17 structure is it? Is it a cylindrical vessel?

18 MR. DAJANI: It is cylindrical. The 19 superstructure is, I think, rectangular, because the 20 fill has to fit, and the basin is the volume that has 21 the inventory water that is required.

22 MR. ZUDANS: And the superstructure is 23 rectangular?

24 MR. DAJANI: Yes.

25 MR. ZUDANS: The crane type structure?

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. DAJANI: I really don't recall. I thought
 the outside walls were concrete; inside it is framing, I
 believe.

MR. SIEGEL: It is more of a shear wall type
of concrete structure.

MR. CARBON: Bill

6

MR. KASTENBERG: I just have a question. Do 7 you ever find that you have conflicting requirements in 8 your bullet? You say many structural elements are 9 controlled by other than seismic, such as the TMBDB or 10 the structural margin beyond the design basis. Do you 11 ever come into conflict where you have a problem 12 satisfying two different requirements, or does one 13 always subsume the other? 14

MR. DAJANI: It is more the latter than the 15 former. I cannot think offhand of something that says, 16 because of the thermal margin here is what you should 17 do; because of something else here is what you should 18 do, and that those two things are in conflict. 19 Typically, one envelopes the other, and you just have to 20 design for the response that is coming out from the more 21 severe environment, which in many of the cases, as I 22 mentioned here, is not coming from an earthquake from a 23 seismic event. We are talking about a substantial 24 amount of difference between the two. . 25

MR. KASTENBERG: What is the thing that is always controlling in some of these other areas, such as in the thermal margin, that would subsume the earthquake as the seismic consideration?

5 MR. DAJANI: The thermal moments that are 6 generated that affect the cavity wall, for example, 7 determine how much rebar you are going to have in there, 8 and not the seismic.

9 MR. KASTENBERG: And questions relating to 10 your ability to take up thermal capacity due to 11 expansion is never in conflict, say, with trying to make 12 a system more stiff or thicker to meet a seismic 13 requirement?

MR. DAJANI: I think the way I will answer 14 that is to say that we have to factor in any 15 requirements for thermal expansion within the range or 16 within the domain, the regime of me trying to design the 17 structure to satisfy several conditions. In that sense, 18 yes, there will be requirements that are perhaps 19 apparently in conflict or one thing requires expansion, 20 21 the other thing requires rigidity.

A perfect example of that is, of course, the seismic snubbers, but I would not consider those as being fundamentally any different than any other situation we have on any other design. In this case, if you are asking me, does one set of accidents result in
 configurations that are required that are in direct
 conflict, that degrade the effectiveness of that
 structure for another load combination, the answer is no.

MR. ZUDANS: I think it is probably too strong 5 an answer, because I think I could think of a couple of 6 ways you have a definitive conflict. Let's take the 7 containment shell coming into concrete at a certain 8 level. It sits on the concrete there. Whatever the 9 upper part of the shell wants to do the concrete stops 10 it from doing. Suppose you heat up the upper shell. 11 You have a definite conflict. You go deeper where the 12 shell is embedded in the concrete. Then you heat up the 13 compartments and you start pushing the cell out or 14 preventing it from expansion. That is another 15 conflict. There are many places where you do have a 16 17 compromise solution.

18 MR. DAJANI: I thought I answered that in 19 terms of this is the normal stuff, is there anything in 20 this particular situation that is coming uniquely out of 21 TMBDB? That is what I was trying to address. The 22 answer is no.

23 MR. ZUDANS: I would like for you to qualify 24 also that in general structures are controlled by OBE. 25 It is not the OBE by itself, but it is the way you have

1 to combine it with the other loads.

2 MR. DAJANI: And the allowable. 3 MR. ZUDANS: That is right. So it really 4 creates a misconception that OBE is more dangerous that the SSE. That is not the case. It is a code 5 requirement as to how to combine that result and the 6 allowables associated with it. 7 MR. DAJANI: Let me clarify what I meant. If 8 you designed a structure, you find that the rebar or the 9 amount of concrete you must have is controlled by the 10 OBE requirements, because it has lower allowables and it 11 is combined with other conditions. If you took that 12 structure and challenged it with the SSE, you would find 13 that it has a substantial amount of margin because that 14 desicn was controlled by the OBE. 15 MR. ZUDANS: Because the SSE allows you to go 16 higher with stress levels. 17 MR. DAJANI: Yes. 18 MR. ZUDANS: That is why a higher stress 19 level, of why the OBE controls, and that is not 20 unusual. That is pretty much just a standard type of 21 22 view. MR. DAJANI: Right. 23 MR. POMEROY: I had one further question. 24 Perhaps I misunderstood your last two slides, but I have 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

always had this question, I think. We have often been 1 told that the earthquakes do not need to have additional 2 conservatism built into them because of the additional 3 conservatisms that are built into the structural 4 analysis and structural elements. Not here, other 5 places. Would I interpret your last two slides to tell 6 me that in fact you believe that the analyses that you 7 have done would allow the structure -- or that the 8 resultant structure would actually withstand a greater 9 acceleration spectrum than the one that the design 10 spectrum is made up of? 11 MR. DAJANI: Yes. 12 MR. POMEROY: By what kind of a factor? 13 MR. DAJANI: It is very hard to tell or to 14

generalize, because as you know, some of these apply in 15 certain areas, others apply in different areas, but I 16 would say it is by a substantial factor. If you look at 17 -- one of the elements I mentioned before is, the design 18 basis accident controls the rebar in many areas, and 19 there is a significant difference between the density of 20 that rebar and the density of rebar found in other areas 21 where you don't have that condition. 22

23 MR. POMEROY: Could you give me an order of 24 magnitude perhaps?

25 MR. DAJANI: Only if you will not quote me on

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 it. (General laughter.) 2 MR. ZUDANS: You could answer the question 3 differently in a critical combination where the SSE was 4 the most significant contributor. What fraction of the 5 total allowable did it take? 6 MR. DAJANI: I think I would rather answer it 7 8 the first way. MR. POMEROY: I think I would like to hear the 9 answer to the second one. 10 MR. DAJANI: I don't really know. 11 MR. ZUDANS: Maybe Mr. Siegel knows, or he 12 13 should know. MR. SIEGEL: I would say that probably the 14 structures will stay standing at least for twice the 15 value we use for the SSE of .15. 16 MR. ZUDANS: Because of the fact that they 17 take just a little fraction of the total available 18 19 stress? MR. SIEGEL: No, because once you consider 20 that they will be cracking and you have some inelastic 21 action, then you see the structure can take a much 22 higher value than you normally assign when you do your 23 analysis, because you have to have the number of 24 redundancies. 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. DAJANI: George, let's not digress. I
 just want to try and answer the question to the best of
 my ability.

MR. CARBON: We weren't digressing, Mr.
5 Dajani. Go ahead, Mr. Siegel.

6 MR. ZUDANS: I would like to ask a further 7 question. You are giving the right answer. That's the 8 way it is. You do have the margin at that point, but do 9 you offhand remember the worst case where an SSE's 10 contribution was identified quantitatively compared with 11 other loads if you applied the same thing?

12 MR. SIEGEL: I would say that perhaps the
13 containment vessel would be one case.

MR. ZUDANS: The buckling mode was a key for contributor?

16 MR. SIEGEL: Yes. Even so, I think the OBE 17 was the controlling mode, but that margin was less for 18 the SSE, if I remember.

19 MR. ZUDANS: When you calculate the free 20 standing shell buckling mode, what other loads induced 21 the compression that you had to live with? Was it 22 seismic alone?

23 MR. SIEGEL: It was seismic plus the dead load
24 and the external pressure.

25 MR. ZUDANS: That is three. .

MR. SIEGEL: Point five psi. 1 2 MR. ZUDANS: Then I guess in this condition seismic probably dominated, right? 3 4 MR. SIEGEL: Yes. 5 MR. ZUDANS: So if you look at that 6 containment --7 MR. SIEGEL: I think the containment pressure is a significant factor, considering the buckling 8 strengths of the shell. Perhaps it is not as 9 significant as the SSE, but it is not negligible. I 10 11 think it is an important parameter. MR. ZUDANS: So at any rate an SSE produced 12 compressive stress because of the bending mode. 13 14 MR. SIEGEL: And also due to the actual load. MR. ZUDANS: That was significantly higher for 15 any other load than this failure mode. 16 MR. SIEGEL: Yes, except for the external 17 18 pressure. MR. ZUDANS: But that also means that your 19 margin is based on inelastic behavior code by concrete 20 cracking disappeared in this failure mode, and therefore 21 you would be in a worse position in terms of allowing 22 higher SSE accelerations, right? 23 MR. SIEGEL: Well, but then we can go into the 24 conservatisms that are involved in the design analysis 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 of the containment vessel.

2	MR. ZUDANS: But that is a different
3	conservatism. I think the key conservatism in the SSE
4	is that in most locations it is not a dominating load,
5	but you can single out few structures and few failure
6	modes which are really dominated by SSE, such as this
7	containment buckling mode, and that kind of
8	determinants, how far you can go, because it doesn't
9	matter how much you can have elsewhere. It matters how
10	much you can have in the weakest link, so to speak.
11	MR. SIEGEL: But even under the SSE we have
12	conservatisms in the containment vessel. That means we
13	can have an SSE, and even when we meet the allowable
14	limits under SSE, I would say we still have plenty of
15	conservatism in the containment vessel.
16	MR. ZUDANS: Are we going to hear more
17	specific detail from Bob maybe on how the containment
18	was analyzed, or from somebody else? Have you planned a
19	discussion of this particular buckling mode of the
20	containment today?
21	MR. DAJANI: Not in my presentation.
22	MR. GROSS: No, we don't plan on covering
23	that.
24	MR. ZUDANS: I think the containment shell in
25	my opinion is what I would like to hear. about. How did

you handle the buckling? What are your allowables there? What design criteria did you use? And what are your so-called design values? Not necessarily going into how much conservatism you have. What safety factors do you use? How do you do the calculation? This is what I would like to hear if it is possible at all.

8 MR. GROSS: We covered the containment design
9 last week.

10 MR. ZUDANS: We said we would discuss the 11 details today, because it was seismic. We didn't really 12 discuss the calculations of the containment 13 free-standing steel shell. I don't know who on your 14 team analyzed it.

15 MR. DAJANI: That's correct. We did not
16 discuss the structural analysis of the containment
17 vessel.

18 MR. LONGENECKER: We will attempt to treat
19 that on June 24th.

20 MR. ZUDANS: Who did that analysis? Did Burns 21 and Roe do it?

MR. DAJANI: Chicago Pridge and Iron.
MR. ZUDANS: I would like to hear that,
because I think this is a weak link in terms of the SSE.
MR. CARBON: Let's do, Mr. Longenecker.

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 Harold?

.

.

2	MR. ETHERINGTON: I have often heard that
3	argument that there is conservatism because the strength
4	of the material exceeds the specification. I think that
5	advantage is far more than offset by the defects we
6	expect to find in a gross product which you do not have
7	in the test specimen. I think that is a spurious
8	argument, although it is a very common one.
9	MR. CARBON: Yes?
10	MR. TRIFUNAC: I have a guestion that deals
11	with this dilemma of exceeding SSE. I thought we just
12	heard that not speaking about general modes of failure,
13	but in general that we might be able qualitively to
14	support forces perhaps a factor of two larger than SSE.
15	Was that what you were saying essentially, not in detail?
16	MR. SIEGEL: Well, rather than force this, I
17	would say if you do an analysis for a .5 G and consider
18	those effects that are not included in our analysis,
19	non-linearities, things like that, I think you would
20	prove that the structures will not collapse, they will
21	keep the structural integrity at that level.
22	MR. TRIFUNAC: Yes. Now, in light of that, I
23	think we were talking a little earlier about damping.
24	How do we then justify using the largest allowables,
25	just for the sake of discussion now, 25. percent G,

rather than maybe considering 7 percent damping for 50
 percent G, and perhaps 5 percent G for 25 G?

MR. SIEGEL: If we had 25 G, we would go much higher than 7 percent and 4 percent damping, because you would be well into the plastic trends. You would have substantial cracking of the concrete and I think the losses of energy under those conditions would be much highier, so I would say 7 percent damping would be quite low.

10 MR. TRIFUNAC: Well, would you expect that the 11 damping is a -- how can I ask this? -- a linearly or 12 monitonically linearly light increasing of the 13 non-linear response, or would you expect it to be 14 changing slowly while you are in the linear range and 15 then going up around the non-linear range?

16 MR. SIEGEL: Yes. I think once you get into
17 the non-linear range, you will have a sharp increase.

MR. TRIFUNAC: Now, if you take this list from 18 the summary of conservatisms here, a lot of things are 19 stronger than they are calculated for. Would that not 20 suggest the possibility that we will never reach the 21 strains that would support our selection of damping, 22 like 7 percent? If everything were right, we would 23 perhaps reach 7 percent, but because everything is so 24 much better, we say, are we not having too much damping 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 in the system?

2	SR. SIEGEL: I think the numbers you have in
3	the Regulatory Guide for damping are quite
4	conservative. At that level, you probably can expect
5	more than 7 percent even in the linear analysis.
6	MR. TRIFUNAC: What is the basis of that
7	statement? Is this a hypothesis, or is this
8	experimental, or a factual observation?
9	MR. SIEGEL: Well, I don't have any data
10	readily available, but in general I understand the
11	values specified by the NRC are conservative values.
12	MR. TRIFUNAC: So you are actually working on
13	the confidence that their numbers are good? You don't
14	want to explore that a little bit further, the
15	engineering plactice of whether those numbers are too
10	engineering practice of whether chose humbers are too
16	large?
17	MR. DICKSON: Excuse me, Dr. Trifunac. We are
18	going to get into that, the damping values on some of
19	the components, during Mr. Moroni's classification of
20	criteria a little later.
21	MR. TRIFUNAC: That is fine. Thank you.
22	MR. CARBON: Are there any other questions of
23	either of the gentlemen?
24	(No response.)
25	MR. CARBON: I guess the agenda calls for our

ALDERSON REPORTING COMPANY, INC.

1	break at noon, and we might as well take it at this
	break at noon, and we might us well cake it ut this
2	time, in deference to Dr. Mark. we will come back at
3	1:00 o'clock.
4	(General laughter.)
5	(Whereupon, at 12:00 noon, the meeting was
6	recessed, to reconvene at 1:00 p.m. of the same day.)
7	
8	
9	
10	
11	
12	
13	
10	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	방법을 통하는 것 같아? 방법을 가지 않는 것 같아요. 이번 것 같아?

ALDERSON REPORTING COMPANY, INC.

AFTERNOON SESSION

1

2	(1:00 p.m.)
з	MR. CARBON: Mr. Dickson, are you all set?
4	MR. DICKSON: Yes. Tony?
5	MR. MORRONE: Good afternoon. My name is Tony
6	Morrone, from the Westinghouse Advanced Reactor
7	Division, and I will be discussing the seismic design
8	criteria for systems and components.
9	(Slide.)
10	MR. MORRONE: This consists of the seismic
11	classification and gualification, the seismic input
12	development from the building to the system, and from
13	the system to components, damping valves, basic load
14	combinations, and seismic test requirements and
15	procedures.
16	(Slide.)
17	MR. MORRONE: For seismic classification
18	MR. CARBON: Mr. Morrone, could you step back,
19	please, so we can see?
20	MR. MORRONE: For seismic classification, we
21	classify the systems and components in accordance with
22	the importance of their function. These are seismic
23	category 1, seismic category 2, and seismic category 3.
24	Seismic category 1 system and components are
25	designed for both the SSE and OBE and consists of those

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

safety related systems and components necessary to
 ensure the integrity of the reactor coolant pressure
 boundary, provide capability for reactor shutdown, and
 provide capability to prevent or mitigate consequences
 of accidents.

6 Seismic category 2 systems and components are 7 designed only for the OBE, and they are required to 8 permit continued reactor operation and to protect plant 9 investment. Actually, this is an optional 10 classification, and these components may be put with the 11 seismic category 1 safety related components or in the 12 seismic category 3.

The seismic category 3 components are designed to meet local design criteria, standard building codes, and they are required to maintain support of normal operations. Actually, the seismic category 2 and 3 components are comparable to the non-seismic category use in LWR plants.

Additionally, these components must be designed for no gross structural failure under SSE loads to protect the seismic category 1 components.

22 MR. ZUDANS: Are you sure that that applies in 23 all the cases, or in some cases that you may just 24 separate them from the others?

MR. MORRONE: When applicable.

25

ALDERSON REPORTING COMPANY, INC.

1MR. ZUDANS: So if you design them to a2standard, you will be category 1 then.

MR. MORRONE: Not category 1, but with the
4 loads for category 1, not to the criteria category 1.
5 (Slide.)

MR. MORRONE: Okay. The seismic gualification, 6 7 is performed by either or both analyses and testing. 8 For seismic category 1 and 2 components, a detailed dynamic analysis is required. This consists of either 9 response spectrum method or the time history method of 10 analysis, and also with conservative simplified 11 methods. This would include designing for a constant 12 acceleration of one and a half times the peak on this 13 response spectrum, which is quite conservative. For 14 15 seismic category 3, it is only a static analysis, 16 although in many cases they are also designed with 17 response spectra.

For qualification by testing, we have multiple 18 frequency tests, single frequency tests at resonance. 19 We can use either one or both, and I will discuss later 20 how we qualify our components for testing, and the basic 21 criteria is that the test response spectrum must 22 envelope the required response spectrum. Now, the test 23 response spectrum is the spectrum of the shake table 24 motion that is input to the item during. testing and the 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

required response spectrum is the spectrum of the motioncalculated at the mounting of the equipment.

3

(Slide.)

MR. MORRONE: I would like to -- I don't know 4 which way to stand here, but I would like to discuss the 5 seismic input that is used for the design of our 6 components. This is obtained from the building analysis 7 which gives responses at nodes located at the center 8 mass of the applicable floor. This figure shows a 9 typical plan view of the nuclear island buildings. Of 10 course, these nodes are not at the same elevation. The 11 responses are obtained from the building analysis in 12 three independent directions. 13

Now, each node in the building model has three degrees of freedom in the horizontal direction, that is, translation, torsion, and rotation, and in the vertical direction each node has one degree of freedom, translation. Therefore, we obtain seven responses, spectra, and time histories for each node, three translation, two torsion, and two rotation.

Now, when we consider the OBE and the SSE and the upper and lower bounds of soil moduli, we will end up with 28 responses. Now, in accordance with combining the directional effects by the square root of the sum of the square, we must apply for a response spectrum

analysis these spectra individually in each of the three
directions, apply two spectra in each of the two
horizontal, and three spectra in the vertical direction,
and basically they consist of direct and cross spectra,
so we can keep track of which earthquake causes which
effect, and then we can combine the effects by the
square root of the sum of the square.

8 MR. ZUDANS: Could I ask a couple of questions 9 at this point? I assume then that your models for each 10 of the directions in the horizontal direction are 11 two-dimensional or are they three-dimensional?

MR. MORRONE: They can be either two or three.
For example, our reactor system model is
three-dimensional, but we perform three separate

15 analyses.

16 MR. ZUDANS: And you perform these three 17 analyses on the same model?

18 MR. MORBONE: They are different models. In
19 the horizontal direction they are basically the same
20 model. The vertical model would be different.

21 MR. ZUDANS: So you don't really have a 22 three-dimensional model, even -- if you had a 23 three-dimensional stick model for this system sitting on 24 the map, you can analyze it for a three-dimensional 25 earthquake, but it would remain the same, and you would

have in that case still six degrees of freedom per node in principle, but what you are telling me now is that in each of these planar analyses, in essence, you only have two translations, not upper plane, and you also have rocking and the other rotation.

6 MR. MORRONE: That is the building model that 7 has these freedoms. Our system model has six degrees of 8 freedom. They are basically the same models, except 9 some little variation where we model an important element, a response more in a vertical direction than in 10 a horizontal direction. This is the only basic 11 difference between, in this case, for the reactor system 12 13 model.

You see, I was going to show you this model 14 later on, and I will tell you that in that case, we 15 would have to input eleven time histories. We have 16 these seven spectra, plus then we have pure rotation and 17 18 translation, so we have eleven histories input. MR. TRIFUNAC: Excuse me. But you are 19 essentially ignoring the coupling, right? You are 20 assuming there is no coupling? 21

MR. MORRONE: Coupling between what?
MR. TRIFUNAC: Say, two horizontal components
of excitation. You are assuming that coupling is not
there.

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. MORRONE: Yes, but this will be taken care 1 of by the square root of the sum of the square. 2 3 MR. TRIFUNAC: Not entirely, because the coupling would equal the differential equation. 4 5 MR. MORRONE: Perhaps, but this is the 6 standard methodology to input one earthquake at a time. MR. TRIFUNAC: Yes. 7 MR. MORRONE: We can also do it the other 8 way. Our criteria stipulates you can do either, and 9 this is also in accordance with Standard Review Plan and 10 Regulatory Guides. 11 MR. ZUDANS: That is why I asked you if you 12 used the same model. If you use the same model, you are 13 doing linear analysis, so you can take individual loads 14 seismic in one direction, analyze the results, take the 15 other individual load seismic in the other direction, 16 and then and up with the results either way you want, 17 whether SSR or some other method. But you told me that 18 the models are not quite identical, so I am just 19 wondering how you can combine models that are not 20 identical if they don't represent the same constant 21 system necessarily and they do not represent the same 22 structure. 23

24 So, I guess we will have to see your models to 25 have a better understanding.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. MORRONE: As I mentioned before, the 2 difference is very small. For example, in the vertical 3 model, the sodium mass is treated a bit differently than 4 in the horizontal model, but we still have the same 5 elements, so that we can combine the effects on a 6 particular element.

7 MR. ZUDANS: Supposing you modeled sodium in 8 one case with the capability to perform slashing motion, 9 and in the other case you ignored that, and as the 10 vertical motion you took it as the mass and simply 11 anchored it at that nodal point. I don't know. Did you 12 model sodium with a slashing degree of freedom in this 13 system or not?

MR. MORRONE: We have fluid coupling elements.
MR. ZUDANS: Of some kind.

16 MR. MORRONE: In the model, yes. The elements
17 are given in the answers to the computer program.

18 MR. ZUDANS: But you did not model sodium as a19 finite element, not in this model.

20 MR. MORRONE: Not with finite elements, no. 21 MR. ZUDANS: Perhaps we will get a clearer 22 picture as time goes on.

23 (Slide.)

24 MR. MORRONE: Since it is difficult to have to 25 perform seven spectra analyses, we give the analyst an

option to use a more practical, simplified, and 1 conservative method whereby the seven spectra are 2 3 reduced to three spectra. Now, this is done by initially combining the spectra by the square root of 4 the sum of the square. We combine the two horizontal by 5 6 the square root of the sum of the square to give us a combined translational and torsional. When we do this, 7 8 of course, we have to combine the resulting responses by 9 the absolute sum, since we have used up the square root 10 of the sum of the square.

11 This method has been proved mathematically to 12 be always conservative, and the conservative sum, of 13 course, depends on the effect of the cross coupling 14 concerns. If they are very small, the conservatism 15 would be that which is obtained if we were to add the 16 directional effects absolutely instead of the square 17 root of the sum of the square.

18 MR. TRIFUNAC: Could you explain this,
19 please? Could you explain the second and the third
20 steps? You have seven spectra. You combine what?

21 MR. MORRONE: Perhaps I can show you on 22 another vu-graph here. I know it is sometimes difficult 23 using words.

24 (Slide.)

25

MR. MORRONE: Okay. First of all, here we

1 have the translation. This --

2 MR. CARBON: The superscript represents the 3 direction of the earthquake, the subscript represents the direction of the spectrum input as you see here. 4 5 This is a node, the center of mass. This is the 6 location of our equipment (indicating). In the next direction we have input the translational component plus 7 8 the torsion times the distance Y. Then we also input 9 the torsional component given by the Y earthquake, okay, and we go through this. 10 11 Now, as far as the combination. 12 (Slide.) MR. MORRONE: Here we go. We take this here, 13 which is given by the X earthquake, as you have seen 14 15 before (indicating), added directly, because they are both given by the same earthquake, and then add to that 16 the horizontal component given by the torsion. Now, 17. since this is given by the Y earthquake, then we add 18 them by the square root of the sum of the square. 19 20 Similarly for the Y and the Z. So --MR. TRIFUNAC: What then do you operate on 21 22 with the absolute sum? That is what I do not 23 understand. MR. MORRONE: When we apply these spectra to a 24 component, you see, now, these are pseudo-earthquakes, 25

okay, so we apply the X earthquake and get responses,
accelerations, displacements, whatever. We do each, X,
Y, and Z, and then we add them absolutely. Rather, now
by the square root of the sum of the square again.

5 MR. TRIFUNAC: A , , is now your X Y Z 6 condensed representation of the X, Y, and Z components 7 of spectral acceleration at the point where you want to 8 analyze something.

MR. MORRONE: Yes.

9

10 MR. TRIFUNAC: And then you analyze that 11 something for the absolute sum of these? Is that what 12 you are saying?

MR. MORRONE: We analyze the something with 13 the spectrum input. Let's say we do an analysis in the 14 east-west direction of the component. We input this 15 response spectrum. Then we do an analysis north-south 16 input, vertical, we input this. Now, the response 17 18 accelerations or whatever that we get from each of these three spectra at a particular node are combined 19 absolutely. You see, this is a conservative method, but 20 it results in three analyses rather than seven. 21 MR. TRIFUNAC: I understand. Thank you. 22 MR. ZUDANS: I would like to ask a little bit 23 more. Now I see. What happened to the rotation of 24 25 inputs at that particular point where this is

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 connected? You just lift them out completely?

2 MR. MORRONE: The rotation goes into the 3 vertical.

4 MR. ZUDANS: What you have generated here are the linear accelerations on that point. It is at that 5 point they were connected by a rigid link to your node. 6 1 The translations are computed correctly this way, but the node or the connecting point also sees the 8 9 rotations. They transfer in space without any transformation, so you would have to have another three 10 11 spectra for three rotations identical to the rotations 12 at that particular node, and those seem to be ignored.

Now if you have a flexible joint connection,
that would be all right. In other words, this accounts
for motion, but it doesn't account for point rotation of
the attachment and that could be significant.

17 MR. MORRONE: You can't input a rotational18 spectrum.

19 MR. ZUDANS: Why not?

20 MR. TRIFUNAC: You have it right there.

21 MR. ZUDANS: You are using it here to generate 22 that translation. The rotation moves directly to that 23 point. The rotational vector is unchanged. You can 24 move it in space. So at that point you have thetas of 25 X, thetas of Y, and thetas of Z computed, which you

1 didn't. Those rotations are ignored.

2 MR. MORRONE: They are put in here by 3 multiplying by the moment arm.

MR. ZUDANS: That's correct, but that generates only linear motion. I have a rotation here in a translation (drawing on the chalkboard). This rotation creates additional translation in here.

8 MR. CARBON: Better use white chalk. 9 MR. ETHERINGTON: Is that green chalk he is

10 using?

11 (Laughter.)

MR. ZUDANS: I have a rotation here and a 12 translation. This translation, see, moves this point 13 like that, and the rotation brings it back a little 14 bit. You accounted for this. That is your A , but 15 you forgot the fact that this is identical to that 16 rotation at that point. So that point of conductivity 17 sees the same rotation, and that vector moves in space. 18 It is unchanged. If you go back to your cartoon that 19 you had before. 20

21 MR. MORRONE: I don't see how you can put a 22 pure rotational spectrum input unless --

23 MR. ZUDANS: It is a boundary condition, if
24 you analyze it after that.

25 MR. MORRONE: It is a time history. Let me

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
1 show you. Perhaps this might explain. 2 MR. DICKSON: Mr. Morrone, did you not state 3 at the outset that it has been proven mathematically 4 that the resultants of doing it this way are greater, 5 always conservative accelerations and always 6 conservative displacements? 7 MR. MORRONE: Yes. 8 MR. DICKSON: If so, I don't think we want to 9 go through that derivation today. MR. ZUDANS: We do not have to go through the 10 11 derivation. You cannot prove it mathematically, because 12 you are missing components of motion. It depends upon 13 what you hang on that point. If your equipment is 14 flexible, you don't care. If you have something large 15 and rigid, that rotation might be the critical one. 16 Your displacements may be very small. You just ignore certain components of relative motion. 17 18 MR. DICKSON: Could you refer us to the paper in which that is proven? 19 MR. MORRONE: Certainly. 20 ME. CARBON: I think we will go ahead with the 21 questions that Dr. Zudans is raising. We would like to 22 understand the physical aspects of this. 23 MR. DICKSON: I think they are valuable 24 25 questions, and we need to provide him with the

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

information he needs. I just thought it was a direction 1 where Tony was not going to be able to explain it and 2 3 derive it this afternoon. It was far too deep. 4 MR. CARBON: It is not a matter of derivation 5 at the moment, however. 6 MR. MORRONE: The paper, for the record, is Combination of Torsional, Rotational, and Translational 7 Responses in The Seismic Analysis of A Nuclear Power 8 9 Plant. This is by me and Mr. Siegel. 10 MR. ZUDANS: If you, being one author, and the other author, being here, cannot explain it successfully 11 12 to me now, then it just --13 MR. MORRONE: Sir, there is no torsional spectrum as such. Now, for time histories, I think this 14 is what you are talking about, isn't it, the pure 15 torsion and rotation? You see, for the time history 16 analysis, then we do input the three equivalent 17 translations plus now a pure torsion and a pure rotation. 18 MR. ZUDANS: Supposing my rigid arm to that 19 point was zero lens and I had equipment that touched 20

21 right to that node. Would you ignore rotations of that 22 node to calculate equipment stresses?

23 MR. MORRONE: Then if I were concerned about 24 that, then I would ask for different spectra from the 25 building analyst, but because the way they are

1 designed --

2 MR. ZUDANS: Wait. You have the translations 3 or a rotation in the translation. You use them in the 4 model. I am trying to make sure that you understand 5 what I am asking. 6 MR. MORRONE: The torsional and rotational 7 spectra are G's per foot of length. Now, if I have zero 8 I cannot use those spectra. 9 MR. ZUDANS: The thetas are the angles of 10 acceleration at that point. 11 MR. MORRONE: Yes. 12 MR. ZUDANS: They are angles of 13 accelerations. And As are linear accelerations. You 14 now connect something by a rigid link to that point 15 where you have thetas and As computed. If you multiply what are the lens of rigid link the thetas which are 16 17 angles of accelerations, you get linear accelerations at 18 that point. The problem is that that point still sees the 19 same rotations, the same angle of rotations. Physically 20 21 if I have a node here, a node like this, and I have a spectra for this point which consists of angle of 22 23 accelerations and linear accelerations, that point will 24 see that rotation. That is a moment input rather than a 25 force input at that point. It is a bending moment input

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

that will result from it, and it is not necessarily -it may not be significant in these structures, but you cannot a priori ignore it and tell me that this is always conservative.

5 MR. MORRONE: I can. I can, because, first of 6 all, the effect of rotation and torsion is extremely 7 small.

8 MR. ZUDANS: That is different.

9 MR. MORRONE: Very small. One percent, one
 10 and a half percent, based on that.

11 MR. ZUDANS: That is a different argument. I 12 am not going to contest that argument until I see the 13 numbers, but the other one is not.

14 MR. MORRONE: Number Two, the way the building 15 analysis is performed, we cannot input the pure 16 rotational spectrum, because they are given in per foot 17 of length, but for the time history analysis we do 18 consider it.

19 MR. TRIFUNAC: Excuse me just a minute. How 20 do you mean, you cannot when they are right there? You 21 have included them already. The question that Mr. 22 Zudans is asking you is simply what do you do about the 23 dynamic equilibrium equation for a rigid body which has 24 the forces equal to a mass times linear acceleration, 25 but which also has the moment is equal to the mass

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 moment of the inertia times angular acceleration. That 2 is what he is asking you.

3 MR. ZUDANS: That is exactly correct. MR. MORRONE: Did you understand or did I 4 5 explain what these spectra looked like, the ordinates? They are in G's per foot, okay? These are the spectra 6 7 that are produced from the building analysis. MR. ZUDANS: That is a correct dimension. 8 9 MR. MORRONE: Okay. Now, if I have a certain 10 distance Y. So I multiply that spectrum by this Y to 11 get an equivalent translation. Now, how can I input a pure rotational spectra that is given in G per foot 12 withcut a length? How can I convert it? 13 MR. ZUDANS: Well, I think your difficulty I 14 think I do understand, but my difficulty is as follows: 15 If you analyze the structure and you have a 16 two-dimensional model, sometimes you say that model is 17 three-dimensional, but you input one directional 18 earthquake. That is all fine. As a result of that 19 calculation, you came up with the time history of 20 displacements and rotations at different nodes. 21 Wherever you allowed for in-plant rotation, that 22 23 rotation showed up as a time history. If you take those rotations, they are really physical rotations. The 24

things move, and get rotating. That is, what you

25

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 compute, and you just cannot ignore that, unless you can 2 prove that they are 1 percent or so.

3 MR. MORRONE: You see, even when we multiply these rotational spectra by the distance, the 4 5 eccentricity, even so, the increase in the combined spectrum is very, very small, 1, 2 percent. Really, the 6 contribution of these torsional and rotational spectra 7 is not great until you get, for example, in reactor 8 service building or the steam generator building where 9 you have a moment arm of about 100 feet. Then it 10 becomes guite important. 11

12 MR. ZUDANS: I don't see how you can have 100
13 feet moment arm and assume it to be rigid.

MR. MORRONE: No, the equipment is located, for example, on the floor 100 feet away from the node at the center of the mass of the floor, okay? Then we say, since it is not right at the node, we have to give a component of translational motion which results from the torsion.

20 MR. ZUDANS: Mr. Chairman, may I remark? I 21 think this is such detail that we should have done it in 22 Dr. Shewmon's subcommittee, which is supposed to be 23 structures and components, because this is not a 24 satisfactory -- at least not a completely satisfactory 25 answer. At any rate, one more question along these same

lines. When you turned around and did the component 1 analysis, did you consider relative motions of different 2 3 support points and different spectra --4 MR. MORRONE: Yes, sir. Yes, sir. 5 MR. ZUDANS: You did? Would you explain what 6 you did then? 7 MR. MORRONE: We do a response spectrum 8 analysis, and then we superimpose on the results of the 9 response spectrum analysis those obtained from the differential motion between the two spectra. We add 10 11 them absolutely. MR. ZUDANS: And then that means that you took 12 the time history results and scanned through the entire 13 time history to analyze for differential motions, or did 14 15 you just take the peak? MR. MORRONE: Sometimes we just take the 16 absolute sum of the peaks. You can't get any worse than 17 18 that. MR. ZUDANS: That would be all right, then. 19 20 That is okay. MR. MORRONE: As a matter of fact, this is 21 22 part of our criteria in our criteria document. MR. ETHERINGTON: May I clarify my own 23 thinking a little bit here? From a simple mechanics 24 point of view, a motion of a point in space is 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 determined by three components of translation, and three components of rotation. That is correct, isn't it? 2 3 MR. MORRONE: Yes, sir. 4 MR. ETHERINGTON: And for purposes of 5 analysis, these three components of rotation get divided 6 up into two torsional and two rotational components? Is that how it stacks up? 7 8 MR. MORRONE: Yes, sir, because in building a 9 model, each node has three degrees of freedom in the horizontal direction: translation, torsion, and 10 11 rotation. You see, there are three different 12 independent analyses. 13 MR. ETHERINGTON: You get one extra component of motion. From a mechanical point of view, there are 14 just six components of motion, aren't there? 15 MR. MORRONE: Seven all together. 16 MR. ETHERINGTON: A point in space. Isn't 17 this motion governed by three dimensional? 18 MR. MORRONE: A three-dimensional point in 19 space, yes. 20 MR. ETHERINGTOM: Three translations and three 21 22 rotations. MR. MORRONE: Yes. 23 MR. ETHERINGTON: So we get an extra one in 24 25 the analysis.

151

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. MORRONE: Well, you could look at it this way, because we have three planar models, you see. MR. ETHERINGTON: Oh, I see. MR. MORRONE: And we have a torsion and a rotation along with the translation with each of the two horizontal models. If they were fully three-dimensional, then yes, we would get six.

ALDERSON REPORTING COMPANY, INC.

MR. CARBON: Dr. Trifunac, did you get your
 questions answered a while ago?

MR. TRIFUNAC: Yes.

(Slide.)

3

4

5 MR. MORRONE: Additional conservatism is 6 employed by driving design spectra from the computer 7 developed spectra that we have been discussing. This is done, of course, by enveloping the upper and lower 8 9 bounds of soil moduli by widening the peaks for 10 uncertainties and frequencies of the building, and by smoothing the spectra to eliminate valleys and various 11 12 spectral fluctuations.

13 These now are the spectra that we use for design and result in conservative design spectra. I 14 will show you an example of how these design spectra are 15 derived. We see the lower bound soil modulus spectrum, 16 the upper bound and then the design curve. This valley 17 18 disappears altogether with this line, and just as an example, at 4 1/2 hertz will have over 15 percent 19 conservatism by using the design spectrum. 20

21 (Slide.)

Now for time histories, we also believe we have to do something rather than just using the raw computer drive time history, because of any uncertainties in the frequencies of the building. So

one way of doing this is to vary the delta t, the time at which the accelerations are given in the time history. That would be analogous to compressing and expanding the history.

5 The question here is how much: <u>+</u> or 10 6 percent, and is the time history at <u>+</u>10 pecent, -10 7 percent the optimum, or we may have to search within a 8 10 percent variation to find an optimum time interval. 9 But with any of these methods here given by this bullet, 10 you can understand that this would result in many time 11 history analyses which, as you know, are very costly.

So to eliminate the need to perform all these time history analyses, we developed spectra-consistent synthetic histories. What this means is we produce a motion whose response spectrum envelops the design response spectrum, a synthetic history.

17 These next two figures will show you the 18 derivation of this design history. First, this happens 19 to be the spectrum at the reactor vessel supports SSE, east-west horizontal. This is the response spectrum the 20 the original time history by Burns and Roe shown 21 superimposed on a design spectrum. You can see right 22 now how much margin we have between the raw spectrum and 23 24 the design spectrum.

Then we take the history that gives this

25

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

spectrum and input it to computer programs, and by a process of amplification and suppression, we obtain a time history which envelopes even this design response spectrum, as shown on this next figure.

(Slide.)

6 You see, we necessarily have to increase the 7 DBA, increase the peak and the various frequencies. We 8 have guite a bit more.

9

5

(Slide.)

10 Okay. So far we have been discussing the 11 input, the seismic input, for systems or components 12 supported on buildings. For components supported on a 13 system, for example, the drive line, not supported on 14 the reactor system, then we have to go through the same 15 process that is done with the building. We have to make a model and analysis of the system, input the design 16 17 histories and then output response histories and 18 response spectra for a dynamic analysis of confidence. 19 Then, the resulting spectra are again widened and smoothed to give component spectra another 15 percent or 20 21 so of valleys eliminated and so forth.

We also do response spectrum analysis on the system model for those components which can be modeled in sufficient letail so that we get seismic loads such as forces and moments, such that we can design the

1 components.

.

2	(Slide.)
3	This is just an example of our system model.
4	As I was mentioning before, it is a three-dimensional
5	model, 6 degrees freedom of movement per node, and
6	consists of many parts, the vessel, the core assemblies,
7	primary control rod system. The response time histories
8	from this system analysis for the primary control rod.
9	Six of them are used as input to a drive line model to
10	perform the scram analysis for that system.
11	(Slide.)
12	I would like to discuss damping values.
13	MR. ZUDANS: Could I ask you to go back to
14	that model a little bit?
15	MR. MORRONE: Yes, sir.
16	(Slide.)
17	MR. ZUDANS: In this model, where do you apply
18	your inputs?
19	MR. MORRONE: At the reactor vessel support.
20	MR. ZUDANS: That is the support?
21	MR. MORRONE: Yes.
22	MR. ZUDANS: And you only have now three
23	translatons there.
24	MR. MORRONE: That depends upon which
25	histories we put in. If we put the design histories in,

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

4

.

156

. .

1 then we have those 11 that I have shown. 2 MR. ZUDANS: Don't look them up; I remember 3 them. 4 MR. MORRONE: All the 11 histories that are 5 synthetic that envelop this. 6 MR. ZUDANS: This model is actually -- the 7 reactor vessel is a cylindrical shell, in essence? 8 MR. MORRONE: It is a stick. These are all 9 stick models. MR. ZUDANS: The others are -- ? 10 11 MR. MORRONE: They are all represented by 12 sticks and springs like for the plugs, mass springs. 13 MR. ZUDANS: They all end up being supported 14 against the vessel node? 15 MR. MORRONE: Yes, sir. MR. ZUDANS: Did you verify in your own mind 16 that the stick model for a reactor vessel is adequate? 17 MR. MORRONE: It is adequate for a systm 18 model. Now, for the vessel itself, then, the vendor 19 does a full-blown finite element analysis. This is a 20 system model to obtain -- mainly to obtain spectra and 21 histories to design the components. You see, now for 22 the vessel itself I believe Babcock & Wilcox has the 23 vessel analysis and they take the input that we provide 24 them and do a full finite element analysis of the vessel 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 with their own computer program.

2	MR. ZUDANS: That would be all right if your
3	attachment points were with some kind of a radial stiff
4	member that prevents the point attachment to the vessel
5	wall which can deflect locally. I would assume you
6	have, of course, a work plate that stretches across the
7	entire vessel. That is a reasonable point of support.
8	Is everything that is attached to the vessel here
9	those are the dashed lines you have here, right? You
10	have two of them. One dashed line attaches the core
11	support and the other one higher up attaches the thermal
12	liner.
13	MR. MORRONE: Yes.
14	MR. ZUDANS: How is the thermal liner attached
15	on the upper node? It is not attached.
16	MR. MORRONE: Over here?
17	MR. ZUDANS: Yes.
18	MR. MORRONE: No.
19	MR. ZUDANS: Where is the sodium? Is the
20	sodium represented in here?
21	MR. MORRONE: Yes, it is. It is represented
22	I don't have a viewgraph to show you all of that. I
23	didn't come prepared to go through this presentation,
24	but basically, we use trapped sodium and non-trapped
25	sodium with fluid coupling elements to take care of the

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 hydrodynamic mass effect.

2 MR. ZUDANS: This model is simply added to the 3 vessel as a mass?

4 MR. MORRONE: As mass for the non-trapped 5 sodium. For the trapped sodium, there is a fluid 6 coupling element along with the mass.

7 MR. ZUDANS: You don't show it here? MR. MORRONE: No, because this is just the 8 schematic of the reason for -- the reason for showing 9 10 you this is to show that we have a system that we do an analysis to get the load spectra and histories. If I 11 12 wanted to go through a presentation on our system analysis, I would have much better viewgraphs that would 13 show all these details. 14

15MR. ZUDANS: But at any rate, you do have16sodium included in this model in some fashion?

17 MR. MO. RONE: Oh, yes, sir. Yes, sir.
18 (Slide.)

Okay. Damping values. Remember, there was a quite a bit of discussion earlier. These are the values that we used for our equipment; 2 percent OBE, 3 percent SSE for our system model. Now, these values are quite conservative. They are not maximum permissible; they are values that we can use without justification. Besides, if we have test data that shows higher damping

values, we will use the higher damping values. The 4
and 7 percent for the structure are also guite
conservative. I have test data that show that these
values are smaller than they should be.

5 Our Westinghouse Water Reactor Division, for 6 example, they use 4 percent for the damping for the SSE 7 for their equipment. Why? Because we wrote a report, a 8 Westinghouse report, on damping values of nuclear power 9 plants' components, and this report justified this 4 10 percent of critical damping as being a very conservative 11 value. But we still use 3 percent.

12 This mode says reduced damping value should be 13 used when combined stresses are below one-half yield. 14 We pay quite a bit of attention to that. Also, we use 15 the OBE damping values for the SSE for active 16 components. But these are not maximum, but we believe 17 they are very conservative.

18 (Slide.)

Just to give you -- you all know this, but Just to show the effect on our system design if we were to use 4 percent instead of 3 percent. This is over a Percent increase on peak that we are using now.

23 (Slide.)

I would like to discuss very briefly the basic seismic load combinations. Of course, the seismic loads

or stresses must be combined with all of the other applicable loadings. Generally, the OBE is classified as an upset condition or service level feed condition, and the SSE is classified as a faulted or service level D condition.

6 For seismic category 1 vessel piping and 7 inactive pumps and valves, the OBE load combination 8 basically consists of dead load, plus live, plus 9 operating, plus thermal, plus upsets and normal 10 transients, plus the OBE.

For fatigue evaluation, we would consider 5 OBEs during the life of the plant; each OBE producing 10 maximum peak stress cycles. The SSE load combination includes basically the same loads, except the faulted transients and also a dynamic system loading.

16 Then, for the active components, we upgrade 17 the faulted condition to an upset condition to allow for 18 more margin.

19 (Slide.)

Now we come to seismic testing. We are through with analysis. Of course, testing is performed for complex equipment which cannot be analyzed, but most important for that equipment whose function cannot be assured by structural integrity alone. Now, this basically consists of instrumentation and electrical

equipment. The qualification is to the IEEE standard
 344-1975. We are preparing a new version of this.
 Basically, the same criteria are given.

Again, the main criteria is a comparison between the test motion and the required motion, which is defined by a response spectra, required response spectra, and test response spectra. There are two main categories of tests single frequency test and multiple frequency test.

As the name implies, in the single frequency test there is a wave form containing one frequency, but this is the frequency of a component. I will explain later on resonant testing. Whereas, with the multiple frequency test, the wave form has many frequencies reproduced.

Now, the single frequency tests are very much applicable when the seismic motion has been filtered by the building soil system. And since these tests are performed at resonance, I believe that they constitute a very severe test where the equipment is most vulnerable at its natural frequency.

Hultiple frequency tests are applicable when the seismic ground motion has not been strongly filtered such that it retains its broad band characteristics. However, our criteria on the CRBR stipulates that when

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

single frequency testing is used, we must also test with the multiple frequency motions basically to satisfy the IEEE 344 criterion on full spectrum enveloping; whereas, the single frequency does not develop over the whole spectrum.

6 When multiple frequency testing is used, it is 7 recommended that it be followed by single frequency 8 testing, but it is not a requirement since the multiple 9 frequency testing fully satisfies IEEE 344.

10 (Slide.)

Okay. For single frequency testing, we use 11 sine beat motion. This is to limit the resonance 12 13 amplifications to reasonable values as opposed to 14 sinusoidal or steady state motion. We usually use a 15 trail of five beats with a time between beats, typically 16 two seconds, so that there is no super-position between one beat and the other. The cycles within the beat are 17 10, and the frequency is made to coincide with the 18 frequency of the equipment to be tested. This happens 19 to be the ZPA on the response spectrum, which is the 20 peak sine beat acceleration. The basic seismic test 21 22 procedure is shown here.

23 (Slide.)

24 The single frequency sine beat tests perform a 25 frequency search from one to 33 hz. Then we do SSE sine

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

beat tests at each natural frequency, and from the
frequency search, and also at one-half octave intervals
in case we missed a frequency. We use five beats of
motion with ten cycles per beat. The shaketable motion
maximum acceleration should be equal to the ZPA of the
required response spectrum, but in practice, it is
usually two or three times as big.

8 The test response spectra maximum response 9 acceleration is greater than that on the RRS. As a 10 matter of fact, it is one and a half times as large. We 11 performed one OBE lest preceding the SSE test at each 12 frequency, and we used independent direction input. 13 Sometimes an item will respond more vigorously to one 14 direction input than three.

Then we follow up with the multiple frequency the tests. The procedure for those is basically the IEEE standard 344 with five OBEs preceding one SSE random motion biaxial direction input, horizontal-vertical, and the criteria to envelop the RES with the TES.

20 MR. TRIFUNAC: Could I ask a question?
21 MR. MORRONE: Yes, sir.

22 MR. TRIFUNAC: This is sort of a general 23 question based on some past experience. Where, for 24 example, we have a plant designed for maybe 15 percent g 25 or 20 percent g and it turns out we have a very small

type earthquake in here of very short duration, the small magnitude maybe has a 30 percent g acceleration, so it would be like a very high frequency burst of energy, having frequencies in excess of 30, maybe even 40 hertz, but only one excursion.

6 Now, do we have here a test that would
7 possibly model that type of an environment?

8 MR. MORRONE: First of all, this high 9 frequency will be filtered by the building so you do not 10 see it at the location of the equipment.

11 MR. TRIFUNAC: Well, yes. If the equipment
12 were high up in the building. But if the equipment were
13 somewhere on the foundation.

MR. MORRONE: Well, if it were on the foundation, no, but as I will show you later on, we do, because it is very difficult to synthesize a shaketable motion that envelopes the required response spectrum without increasing the ZPA two or three times. In that case, you see, it would take care of this particular example.

Of course, our earthquake is designed --MR. TRIFUNAC: Try to bear with me. I am not trying to talk within the defined earthquake. I am trying to go beyond that. I am saying what if we had a number of cases where we saw a type of a small

1 earthquake that is not of concern to the civil
2 engineering part of the system? It is a very short
3 length of high acceleration type of event, and from the
4 structural point of view, it really doesn't contribute
5 much.

6 But I am asking about a piece of equipment 7 that may be founded in such a fashion that it will not 8 be filtered through the building.

9 MR. MORRONE: If this equipment is mounted on 10 a foundation and you have this type of earthquake that 11 you described, first of all, this is a non-damaging 12 earthquake. It is just an impulse.

13 MR. TRIFUNAC: It is not damaging from, say, 14 the point of view of a containment structure, but it has 15 maybe like five or six or maybe 20 cycles of 40 hertz 16 type of --

MR. MORRONE: Not much amplification if you
were to derive a response spectrum.

MR. TRIFUNAC: Right. But it might have a
20 peak acceleration of 20 percent g.

21 MR. MORRONE: What we are concerned with there 22 is the ZPA, the peak acceleration.

23 MR. TRIFUNAC: Well, maybe there is a piece of 24 equipment that has a natural of 45 hertz, say, and it 25 would be in the frequency range of that shortlived

earthquake from the civil engineering point of view, but 1 maybe not shortlived from the equipment point of view. 2 MR. MORRONE: Of course, for this non-linear 3 equipment this would be important because the ZPA is 4 important for non-linear equipment. Now you see that 5 the frequency search is done only from one to 33 hertz, 6 but I believe that -- I want to show you some 7 comparisons of TRS and RRS. I believe from that 8 comparison I hope -- to answer your question -- to show 9 you how much bigger the ZPA of the test response 10 11 spectrum is. MR. TRIFUNAC: So this is coming out a little 12 13 bit later? MR. RAY: Before you leave that diagram, what 14 determines the span of the frequency from 1 to 3 hertz? 15 MR. MORRONE: That's the magic number here, 16 but I believe the genesis came with the period of .03 17 gives you 33 hertz -- that is really the frequency, the 18 amplifying power of the earthquake, that beyond 33 hertz 19 it does not produce any amplification. 20 Now you can see this from the regulatory guide 21 response spectrum, from the criteria response spectrum 22 that goes to 33 hertz and that is ZPA which is the peak 23 in the time history. So the typical earthquakes do not 24 have amplifying power beyond 33 hertz. But 33 seems to 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 be a magic number and it came from the .03.

MR. RAY: What you are saying is this is a natural law, is that what you're saying, a natural phenomenon?

5 MR. MORRONE: Well, more or less, because a 6 lot of earthquake motions have been analyzed and have 7 shown that beyond 33 hertz they do not have any 8 amplifying power, yes. I guess you could consider it as 9 a natural law.

10 MR. ZUDANS: It is not the earthquakes that 11 don't have the natural power; it is the structures that 12 do not respond to those high expectations. The 13 structure determines what gets amplified and what 14 doesn't get amplified, not the earthquake.

MR. MORRONE: You wouldn't see very high
frequencies above 33 hertz.

17 MR. ZUDANS: That is correct, because if you
18 don't have the frequencies in that, then there is
19 nothing to respond to.

20 MR. MORRONE: There are usually not high
21 frequencies in ground motion.

22 MA TRIFICNAC: Could I comment on this, 23 because you around the question I was sort of -- there is 24 no physical law here. Historically, we did not have 25 instruments that were able to record much beyond 20 to

25 hertz. The instrument properties themselves were
 filtering out the input motion, number one.

3 Number two, for years, we did not have the 4 ability to digitize those data beyond those frequencies. We had techniques that were, by their very 5 6 nature, filtering out the motion that may have been 7 there. Thirdly, we never had enough instruments to be really very close to a small earthquake; therefore, just 1 9 by statistical fact of observation, we didn't record 10 small earthquakes or large earthquakes at close distance. 11 But nowadays that we can do all or these 12 things, we are discovering that there are very high 13 frequencies with high acclerations for even small earthquakes if we come very close to the source. It is 14

15 not a physical law; it is just a traditional coincidence 16 of facts.

17 (Slide.)

MR. ETHERINGTON: Are these very high
frequencies of concern from a practical point of view?
MR. TRIFUNAC: Are you asking me a question?
MR. ETHERINGTON: I said are these very high
frequencies important in actual structures and
instrumentations.

24 MR. TRIFUNAC: I guess they are not really 25 important for the structures. They are important in the

1 way that they do suggest that the shape of Regulatory Guide 1.60 spectra is not capable to handle that 2 situation. We have had a number of cases in the past 3 that clearly pointed that out. The shake that we are 4 5 using for 1.60 is not capable of handling that situation 6 from the damage point of view. It may not be important for structures but it may be very important for certain 7 8 types of equipment, high frequency equipment.

9 MR. ZUDANS: The kind of building and 10 containment structures we have where all of this equipment is attached do not amplify frequencies beyond, 11 12 say, 33 hertz roughly. Therefore, you get whatever the 13 rigid body motion of the seismic event is. And if there is equipment like -- I guess that is what Mike is trying 14 15 to say -- that has natural frequencies, maybe 60 cycles, and gets that excitation, that may be significant. 16

MR. ETHERINGTON: Yes, I understand that. I
was asking really whether there is any such equipment
that is important.

20 MR. ZUDANS: There is lots of equipment that 21 has that natural frequency, but ZPA amplitudes are so 22 small that you don't really care, because what is .25g? 23 It kind of disappears in the noise.

MR. CARLON: Go ahead.

25

MR. MORRONE: I would like to show an example of a comparison of the TRS, the RRS for tested 2 3 equipment. This is reactor shutdown on isolation 4 equipment, such as comparators, buffers. These items are housed in cabinets and the whole cabinet is 5 6 shake-table tested both sine beat unidirectional. And 7 multiple-frequency biaxial motion was employed in these 8 tests. After the test was made in one direction, the cabinet was rotated 90 degrees and rotated in that 9 10 direction.

11 The function, the items is a function properly during and after testing, and the test response spectrum :2 conservatively enveloped the required response 13 14 spectrum. Plus, there was additional conservatism by enveloping the horizontal part of the response spectra. 15 16 What I mean here is that we have a north-south and east-west required response spectra, so we envelop both 17 of them t provide one horizontal spectrum. 18

Then there is an additional conservatism given
by horizontal RRS 10 percent IEEE 323. And, of course,
use of the design spectra.

22 (Slide.)

The plots are shown on the next two figures. First, for the horizontal motion the solid lines is the required response spectrum; the dashed line the test

> ALDERSON REFECTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

response spectrum. You can see that the ZPA of the response test spectrum is three times as much as the ZPA of the required response spectrum. And it goes along the peaks, 4.4, for example, versus 2.85 Gs, the same comparison shown for the vertical motion here, where the ZPA again is three times as much. I think this should take care of that small

8 earthquake, Dr. Trifunac, that you were talking about.
9 Peak, this is more than twice as much.

10 So these are very conservative tests, and 11 besides, they were done at resonance and with 12 multiple-frequency motion.

MR. ZUDANS: Except for in the case of
resonance, you did not look at frequencies beyond 30
cycles.

16 MR. MORRONE: No, sir.

MR, ZUDANS: That means any frequencies beyond
30 Hz, as you show here, might be different than you
would with your PRS.

20 MR. MORRONE: For sine B, right. But we take 21 care of this with the multiple-frequency motion. So we 22 really catch it both ways.

I would just like to summarize our
presentation by showing the conservatism on our seismic
criteria. Under simplified spectra we have a

conservatism which approaches that given by the absolute
 sum versus the square root of the sum of the square of
 directional effects. We have conservatism when we do
 simplified analysis of 1.5 times the maximum peak.

5 Under the design spectra we develop the upper 6 and lower bounds of the sound moduli. We eliminate 7 valleys, we widen and smooth the spectra. For design histories we develop the design spectra consistent 8 9 histories. We conservatively envelop the design 10 spectra, and we combine the translational and torsional design spectra even before we synthesize this design 11 12 history.

- H

13

(Slide.)

For a component spectra we additionally widen and smooth the component spectra which were derived with conservative input to begin with. Also, in most cases, we envelop three operating conditions: the normal; preparation for refueling; and refueling conditions.

19 Under damping we have quite conservative 20 damping values of systems and components. We believe 3 21 to 4 percent should be more applicable than the 3 22 percent we are using for seismic testing. We use both 23 single-frequency and multiple-frequency testing, both 24 unidirectional and biaxial, ZPA and peak responses of 25 TRS higher than that of the RRS, as a matter of fact,

1 much higher in the case of the ZPA.

We use the design spectra RRS broadband 2 spectra. We envelop the north-south and east-west RRS, 3 and we have the 10 percent IEEE 323 margins. 4 5 Thank you. MR. ZUDANS: You stated in answer to my 6 question, but I did not see here any place the treatment 7 of relative attachment point displacements. I also did 8 not see what you do if you have piping or something like 9 that that has two points of attachment in different 10 11 spectra. MR. MORRONE: We envelop those two spectra. 12 MR. ZUDANS: Then you do take into account the 13 differential? 14 MR. MORRONE: Yes. This is part of our 15 criteria in the PSAR. 16 MR. DICKSON: Most of those are coming later. 17 MR. CARBON: Are there other questions of Mr. 18 Morrone? 19 MR. ETHERINGTON: Is there any class of 20 component that comes close to the design limit of the 21 other classes? 22 MR. MORRONE: Could you repeat that, please? 23 MR. ETHERINGTON: Is there any class of 24 25 component that comes closer to the design limit than

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 others?

2 MR. MORRONE: I do not know. You are giving a 3 margin?

4 MR. ETHERINGTON: The margin, yes. Is there 5 some that gives no problem at all and others --

6 MR. MORRONE: Well, yes, but I cannot give you 7 a specific example. There are some components that are 8 so structurally sound that we do not even bother doing a 9 dynamic analysis. We take 1.5 times the maximum peak.

10 MR. ETHERINGTON: What about the components 11 that are sine beat tested, the cabinets and so on, do 12 some of those create a problem?

MR. MORRONE: To my knowledge, none of them
have created a problem. They have all passed the tests
with flying colors.

But perhaps Mr. Kraueter, who is going to give the next presentation, can give you some information on that.

MR. CARBON: Thank you, Mr. Morrone.(Pause.)

21 MR. KRAEUTER: My name is Gary Kraeuter. I am 22 here this afternoon in the place of George Macrae, who 23 was unable to attend. I would like to give you a little 24 elaboration on how the electrical equipment was tested. 25 (Slide.)

3

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

Essentially, we are governed by IEEE 344. It simply says that we have to demonstrate an equipment's ability to perform its required safety performance during and after an SSE.

5 How did we relate that to our equipment 6 specification. As Tony pointed out to you a little bit 7 earlier, the equipment specifications allow us through 8 the IEEE 344 to do testing, and we have used both sine 9 beat and random multiple-frequency. We are allowed to 10 use analysis plus some testing, or analysis.

11 (Slide.)

A typical list of the equipment that has to be tested looks something like that. We have various sensors out throughout the equipment. We have various signal conditioning electronics, logic components, and actuators.

To date, some of this equipment has been
tested. That equipment that has been tested appears on
that list.

20 (Slide.)

We have elected to do type-testing or proof-testing on all of it. To give you an example of what that kind of looks like --

24 MR. CARBON: Excuse me. What does it mean, 25 "type-testing," again?

ALDERSON REPORTING COMPANY, INC.

MR. KRAEUTER: Proof-testing. We have taken 2 it up and provided it to the required test spectrums as 3 opposed to fragility testing where you might take it out and destroy it. We have only taken it to a given 4 5 limit. 6 MR. ZUDANS: When you say that, that means you plan to 7 use the same tested components in the plant? 8 MR. KRAEUTER: By and large; I will not say 9 all across the board. We have used prototype equipment 10 for this. MR. ZUDANS: And that component, after having 11 12 been subjected to this test, will be used in the plant? 13 MR. KRAEUTER: In most cases, no. In some 14 cases, that will be. 15 (Slide.) The next piece of equipment, which is the 16 primary reactor shutdown system equipment, that is 17 18 prototype equipment. Okay. It was mounted on its base and then that base was mountd on sort of a steel 19 20 channel. It was bolted to itin the same fashion it 21 would be used in teh plant, and then that steel channel 22 was welded to the shake table and then the test 23 proceeded from there. In this case it was oriented to it was a 24

In this case it was oriented to it was a front-to-back motion and vertical motion. Then it was

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345.

1 turned 90 degrees, and that was repeated. 2 MR. ZUDANS: And this cabinet will be used in 3 the plant? MR. KRAEUTER: These will not. These have 4 5 since been shipped to storage. In the case of one, for 6 instance, that was done that way, it is a containment 7 isolation system --8 (Slide.) 9 -- which is that one. This is plant 10 equipment. It was mounted in much the same fashion, 11 however. Everything is much the same way. 12 MR. ZUDANS: Duringthis test you monitored the 13 functionality of all the pieces that are in this box? MR. KRAEUTER: During this testing or just 14 15 before this equipment was fired up electrically, it was tested. Then during each phase of that test, both the 16 sine beats and the random multiple-frequency, it was 17 functionally tested. 18 This has a scram breaker on it, for instance, 19 logic circuits. Those were functionally operated during 20 21 that time. Now, as the sine beats progressed, the number 22 of sine waves that you got in the beat, the time frames 23 kept getting a little bit smaller and smaller. So we 24 25 ran out of being able to do this switch to do that.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

But essentially, every sine beat and
 throughout the entire random multiple-frequency they
 were tested electrically.

4 MR. ZUDANS: Your sine beat test really tests 5 the structure of this cabinet nicely. It tests the 6 relative motion of different pieces of your hardware 7 within it.

8 But when it comes to the natural frequencies 9 of individual components mounted in it, those 33 Hz are 10 probably far and away from their natural frequencies. 11 So your multiple-frequency load testing becomes very. 12 very important for its functionality.

Are you also testing functionality during that portion of the test?

15 MR. KRAEUTER: Yes. We ran five OBEs and one 16 SSE on this equipment during the random multi, and 17 during each one of those it was functionally tested.

We also monitored and recorded all of the
outputs that are associated with this relay contact
voltages, state of the breakers, things like that.

21 MR. RAY: Can you tell me how closely the 22 equipment was welded to the shake table and conforms 23 with the way it is going to be welded to the channels of 24 the floor of the plant?

25 MR. KRAEUTER: I think the other slide shows
1 it to you a little better. In the plant this surface 2 right through here is where it will be bolted to the 3 floor in the plant. There are embedmets on the floor in 4 the floor. This particular channel that we welded on, 5 it only actually adds a little bit more to the height of 6 this thing, which, in effect, makes it just a hair more 7 conservative. MR. RAY: How is the cabinet fastened to those 8

9 channels, relative to the table?

10 MR. KRAEUTER: It was bolted to it in the 11 same fashion in the plant.

12 MR. RAY: So you are really checking the 13 installed condition -- the anticipated installed 14 condition of the cabinet?

MR. KRAEUTER: That is correct. They were
torqued to that same value. The manufacturer's
specified value.

18 MR. CARBON: Mr. Kraeuter, what are your 19 criteria for using some of the equipment in plant and 20 some of it just testing prototypes and not using it 21 further?

22 MR. KRAEUTER: This one was a prototype 23 equipment. At the time it was decided, I cannot tell 24 you that I know who made the decision on that. I was 25 not a part of that decision. I really cannot answer

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 that question, I guess.

MR. CARBON: Is there any general type
 3 criteria that you are aware of?

4 MR. KRAEUTER: No, there are none, as far as I
5 know of.

6 MR. ETHERINGTON: In sine beat testing, you 7 tested the frequency of the most vulnerable component; 8 is that right?

9 MR. KRAEUTER: In the sine beat testing?
10 MR. ETHERINGTON: Yes.

MR. KRAEUTER: I guess I do not understand
 your question. What we did was we --

MR. ETHERINGTON: How do you pick your frequency?

15 MR. KRAEUTER: We ran a resonance search on 16 this equipment, found several points that for instance 17 that one had two on it, that were other than the octave 18 points, the partial octave points that are normally done 19 in sine beat, added those to it, and then ran the sine 20 beats including those.

21 MR. ETHERINGTON: Do you run the sine beat 22 test frequency at two different frequencies to 23 correspond to the two that you found?

MR. KRAEUTER: Yes.

24

25 MR. ZUDANS: But those were actually below 33

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345 1 Hz?

MR. KRAEUTER: Yes. All of the testing was
 3 below.

4 MR. ZUDANS: These are the frequencies of the
5 testing rather than the octave?

6 MR. KRAEUTER: I can't remember the exact 7 number, but there is on the order of 15 accelerometers 8 throughout this cabinet structure on various shelves and 9 other points. If any of those showed a resonance point 10 above an amplification factor of 2, it was added. That 11 point was added if it was a point other than what was 12 ordinarily planned for, we ran it.

MR. ZUDANS: Those accelerometers were mounted on the cabinet?

MR. KRAEUTER: Yes. That is one there, and
there were others throughout the interior of the cabinet
also.

18 MR. ETHERINGTON: What I was getting at, in 19 the sine beat testing, is there any chance that you 20 undertest some component which has a frequency widely 21 different from the test frequency?

22 MR. KRAEUTER: I do not think so, not to the 23 33. Not to the 33 Hz.

24 MR. LIPINSKI: On relay system, do you ever 25 analyze a relay independently for its maximum G forces

ALDERSON REPORTING COMPANY, INC.

and resonance frequency with respect to the preferred
 direction for the armature and the holding force?
 MR. KRAEUTER: No, I have not.

4 MR. LIPINSKI: So you do not really know how 5 far the relay could go or what the resonance forces 6 would be. Two cases: One, energized where I could pull 7 the thing open and reclose it; the other one where it 8 was deenergized, and I could bounce it and cause those 9 contacts to close.

10 MR. KRAEUTER: In this case, two of the 11 frequencies we tested and to the amplitudes we tested, 12 we had relays that were both energized and deenergized. 13 And because of the nature of the way it was turned, they 14 were at least changed in both horizontal directions.

MR. LIPINSKI: You get your choice of the X, MR. LIPINSKI: You get your choice of the X, Y, and Z, but that depends on the way your seismic excitation hits those cabinets. But it certainly seems like it would be nice to know what the limits are for these components independently such that you know whether you are a factor of 10 away or you are only 25 percent off.

MR. KRAEUTER: I suppose that would be true.23 I cannot answer that.

24 MR. LIPINSKI: Do you propose to do anything
25 to evaluate the relay independently? .

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. KRAEUTER: There are no plans to do that 2 as far as I know. 3 MR. LIPINSKI: So you do not know what your 4 margins are, you only know that during these tests your tests were satisfactory but what the margin may be as to 5 6 whether you have an error in the test or not? 7 MR. KRAEUTER: No, we did not take any of this equipment to a failure mode. 0 9 MR. LIPINSKI: What about the big scram circuit breakers? You have to trigger those to 10 deenergized and then have them drop open; right? 11 12 MR. KRAEUTER: Yes. 13 MR. LIPINSKI: And those operate in the vertical direction? 14 15 MR. KRAEUTER: Yes. MR. LIPINSKI: And what do they do when they 16 are excited with a vertical excitation? How much do 17 they dance? At what particula: frequency? 18 MR. KRAEUTER: Again, to the frequencies we 19 20 tested them, there was no vibration or no contact 21 shatter associated with those scram breakers. MR. LIPINSKI: They did not reclose once they 22 23 were there? MR. KRAEUTER: No. 24 25 MR. LIPINSKI: Do you card how much they move

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 or do you just observe them electrically or just 2 observe? 3 MR. KRAEUTER: We do not record the vertical motion of that contact opening. We only know it 4 5 opened. 6 MR. ETHERINGTON: Is sine beat testing 7 proprietary Westinghouse procedure? 8 MR. KRAEUTER: Not that I know of. 9 MR. ETHERINGTON: It was developed by 10 Westinghouse, was it not? 11 MR. KRAEUTER: I cannot answer that question. 12 MR. MORRONE: It is the method given in IEEE 344. It is a recognized method. 13 MR. LIPINSKI: Getting back to the scram 14 circuit breakers, you could do an analysis without 15 necessarily a test to try to get some feeling for what 16 17 that mass spraying system takes in order to get the thing to bounce enough for a reclosure. Have you done 18 an analysis to try to fit it? 19 MR. KRAEUTER: Not to my knowledge. 20 ER. LIPINSKI: Do you plan to do it? 21 22 MR. KRAEUTER: Not to my knowledge. MR. LIPINSKI: You do not know what your 23 margin is. 24 MR. KRAFUTER: As I said before, we did not do 25

ALDERSON REPORTING COMPANY, INC.

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

any testing to failure er, in this case, a closure that 1 2 would constitute a failure. MR. LIPINSKI: It seems like that analysis 3 would be relatively simple for that type of a 4 5 structure. MR. ZUDANS: And the test is even simpler. 6 MR. LIPINSKI: These scram breakers they have 7 for their control rods fit in cabinets of that size are 8 9 relatively large masses. MR. ZUDANS: Well, unfortunately, the sine 10 beat does not go beyond 33 cycles. And if the 11 12 frequencies go higher than that --MR. TRIFUNAC: What is the frequency if you 13 take the mass and frequency? What are we talking 14 15 about? MR. LIPINSKI: That is what I am asking, and 16 they do not know. That would be relatively simple. You 17 know what the masses are, you know what the springs 18 are. You could get a relatively quick determination. 19 MR. TRIFUNAC: Do we need to know the range? 20 Is it 50, 150 Hz? 21 MR. KRAEUTER: I do not know. 22 MR. LIPINSKI: And then with the small relays, 23 that is another guestion. They have their orientation. 24 That is why the clabbers are going to have to --25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. DICKSON: Could we add something from back
here, please?

MR. MORRONE: Tony Morrone from Westinghouse.
We do not have frequencies of the floor motion
in excess of 33 Hz where these devices are located.
There is none of that high frequency.

7 And I must also add that sine beat testing is 8 only done by Westinghouse as an additional test. I do 9 not know other organizations that have performed this 10 test. Sine beat testing was developed by Westinghouse, and we believe that it really proves the capability of 11 our equipment because we test the resonance. But it is 12 13 not required by IEEE 344. Other organizations do not perform it. So it is something additional to give us 14 15 more margin, and there are no frequencies beyond 33 Hz on the top floor of the control building where most of 16 17 this equipment is located.

18 MR. ETHERINGTON: Is it in all cases 19 additional?

20 MR. MORRONE: Yes, sir, it is always 21 additional, just to prove the capability of our 22 equipment even more so.

23 MR. ZUDANS: The statement then that there are 24 no frequencies higher than that floor, of course, has to 25 be gualified with a level of acceleration of amplitude.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

There are low amplitudes; whatever comes up from the foundation gets transmitted as a rigid body except it does not get magnified.

MR. MORRONE: It is nonconsequential.
MR. ZUDANS: If you run the sine beat at 150
or 200 Hz with nonconsequential amplitude, prove to
yourself that the relay context stay there nicely, then
that is it, you would have proven your point.

9 MR. MORRONE: We basically do that by
10 inputting the very high ZPA.

11 MR. ZUDANS: Talking about that, the sketches 12 that you showed on the spectra TRS and RRS, you broke 13 them off at some frequency of 100 Hz or so. That is 14 because you just did not plot them further. Were these 15 components excited by higher frequencies?

16 MR. MORRONE: We were not even required to go 17 to 100 Hz.

18 MR. ZUDANS: If you had drawn the actual
19 input, analyzed it for higher frequencies, would you
20 have excitations higher than ZPA?

21 MR. MORRONE: The ZPA would start at 22 approximately 33.

23 MR. ZUDANS: Not on these that you showed.
24 There is a tremendous amplification on the ones that you
25 showed.

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. MORRONE: Well, there is not that much. 2 What is it, RRS, 50? That is where the ZPA starts. 3 MR. ZUDANS: Well, look at your 4 beyond-100-Hz. You have three times your ZPA; right? 5 MR. MORRONE: Yes. But you have to look at 6 what frequency the ZPA begins. 33 or so, you see for 7 the horizontal motion, so you can draw that to infinity, 8 if you want. 9 MR. ZUDANS: That is not what I am trying to say. I am trying to help you. Let me just see whether 10 I can manage it. I am saying that if you run your tests 11 12 and took the input motion an analyzed that input motion for the spectrum beyond 100 or 200 Hz, what level 13 acceleration would you find in that test? 14 MR. MORRONE: The ZPA. 15 MR. ZUDANS: It would exist there? 16 MR. MORRONE: Yes. There is no -- it is 17 18 beyond amplification. MR. ZUDANS: That ZPA depends on your input. 19 MR. MORRONE: And exactly at the input, let us 20 say, there is a not very high frequency content that 21 would cause any amplification. 22 MR. ZUDANS: Okay. Would that mean that your 23 test was actually performed at ZPA level of acceleration 24 25 for very high frequencies?

ALDERSON REPORTING COMPANY, INC.

1 MR. MORRONE: Yes. You could say that, yes, 2 sir. 3 MR. ZUDANS: So then if you could say that, 4 you test the equipment. 5 MR. DICKSON: This takes away from the curve 6 you are talking about. 7 MR. MORRONE: When the motion is synthesized, 8 they do not try to put in very high frequencies, to 9 begin with. So the ZPA ten is constant. 10 MR. TRIFUNAC: That is right. But I think 11 that the discussion is beyond the present regulations. 12 The present regulations only go beyond 33. I think the 13 question is what if there is an excitation that has 14 frequencies up to 40 or 50 Hz; I think that is the 15 question. 16 Obviously -- obviously -- if low-pass filter your excitation function, there is no doubt that they 17 18 should look like this, because the energy is not 19 available for frequencies higher than 33 Hz. But the question is, as I understand it, what if there was an 20 excitation that did have frequencies maybe 40 to 50 Hz? 21 22 MR. MORRONE: Then the RRS would not be 23 correct. MR. TRIFUNAC: Absolutely. There is no 24 question about that. But the question is what can you 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 say about the equipment using these tests? 2 MR. MORRONE: What I could say in that case is 3 due to the high level of the ZPA, that would take care of the high frequency. 4 5 MR. TRIFUNAC: If the ZPA were represenative 6 of the high frequency. But the ZPA is very much 7 dependent on the high-frequency spectrum. So if you 8 low-pass filter the function, you decrease the ZPA; 9 right? 10 MR. MORRONE: Right. 11 MR. TRIFUNAC: So the ZPA that you have is not 12 really "opresentative of the hypothetical case we are 13 talking about. MR. MORRONE: If there is that case, then as I 14 said, the RRS would be incorrect. But I still believe 15 16 the test would be a good test. MR. TRIFUNAC: Well, the test is good only as 17 long as it contains frequencies of excitation that are 18 19 in the pass band of the system you are testing; right? MR. MORRONE: You are saying if the motion at 20 the floor level of the mounting of the equipment has 21 22 high frequency and besides if this high frequency matches the frequency of an item --23 MR. TRIFUNAC: Yes. 24 MR. MORRONE: -- then you are saying you may 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 be missing it.

2 MR. TRIFUNAC: That is right. 3 MR. MORRONE: If that were the case. But I do not see the case as being very probable, because that 4 5 motion is highly filtered when it gets to those levels. MR. TRIFUNAC: That is a hypothesis. 6 7 MR. MORRONE: Analysis hypothesis plus some 8 test analysis data shows that. MR. LIPINSKI: What is missing in this 9 10 discussion is the components, the relays and the breakers that have spring mass systems that can be 11 bounced around, should be gualified in their own right 12 so you would know what their limits are in terms of 13 frequency and acceleration along that path that would 14 15 cause them to activate. Unless we know those numbers, there is no way 16 to tell whether you are equipment-sensitive to the 17 18 assumptions that we are hearing. MR. TRIFUNAC: And I think it is not a 19 question of that equipment being damaged; is it a 20 question of whether that equipment would perform what it 21 is designed to do, because it might close or open in a 22 completely elastic response range so the function would 23 be interrupted and there is no damage involved at all. 24 25 MR. LIPINSKI: In certain cases, you want to

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

drop a relay out, but if it is bouncing around it may be making intermittently. In other cases, you call for a breaker to go in, and once it is pulled in and locked, and also if the seismic event is in place and you call for it to go, the thing may not want to lock in, it may want to just sit in there and bounce for you.

7 MR. MORRONE: In all those cases that it was
8 tested, all the relays and that breaker --

9 MR. LIPINSKI: Yes, based on the assumptions 10 for your excitation. But I don't know what the limits 11 are for the device and what your margin was, whether if 12 you went to 50 cycles you would run into trouble.

MR. MORRONE: But I did the required response
 spectra.

MR. LIPINSKI: Yes, based on what somebody else told you. Okay. And if what they told you is wrong, you may find you are in trouble when the real event comes along.

19 MR. TRIFUNAC: That is right.

20 MR. ZUDANS: Besides, you told yourself when 21 you did the sine beat and you increased the frequency 22 there was not enough time for you to check the 23 functionality.

24 MR. MORRONE: That is true.
25 MR. ZUDANS: So you may not eyen know in this

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 test range that your contacts are closing or opening. MR. CARBON: I wonder at this point whether we may want to hear from the Staff. Can I ask -- I do not want to break up your caucus, but I think we have carried our point through, and I guess you have heard all of our discussion on it. And I would like to sort of refer to you in the future.

ALDERSON REPORTING COMPANY, INC.

MR. ETHERINGTON: I expect these concerns are
 not unique to the fast breeder reactor. I think they
 apply equally to lightwater reactors. I do not know
 whether they are valid or not.

5 MR. LIPINSKI: Let me make a comment. There 6 is a big discussion on qualification of Class 1.E 7 equipment, but the seismic testing got divorced from 8 that particular specification so it did not come up in 9 any of our subcommittee meetings until today.

MR. RAY: That is to be developed later as a
 separate requirement. And the seismic electric
 qualification Class 1.E mechanical or electrical.

13 MR. CARBON: Well, I guess we can move ahead
14 here, can we not?

MR. STARK: I guess I was going to make a quick comment. We are certainly aware of some of the conversation that is taking place, and I am not sure we an answer all the questions here today. But the items that the Applicant is talking about in the requirements are the current Staff requirements right now.

What they have presented satisfies the Staff requirements. The Staff requirements are always being looked at, and I cannot shed any light on that right now.

25

MR. CARBON: Yes. We do not ask it right

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 now. But we would ask you to take a look at it. 2 Go ahead then, Mr. Kraeuter. 3 (Slide.) MR. KRAEUTER: Just quickly, Tony showed you 4 5 one of these curves earlier. We will show you a couple 6 of ther. These were taken from the actual test report 7 from the vendor showing you the required response 8 spectrum in the test response. That is for one piece of 9 equipment. 10 (Slide.) 11 For its redundant second part, secondary 12 system --MR. ZUDANS: The TRS is the table motion? 13 MR. KRAEUTER: Yes. This is the table motion 14 15 located at the base of the cabinet. And then we have another one for the containment isolation system. 16 17 And then finally just to wrap it up, all of the equipment that has been tested to this date that we 18 know of has passed its seismic test and has been able to 19 20 perform its function during that test to the requirements that we have imposed on it. And it has 21 22 also retained its structural integrity. 23 That concludes my presentation. 24 MR. DICKSON: Could I ask a question for 25 clarity, because I am not sure what was going on fully.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 It seems to me we did this testing of, I guess, light 2 noise out to about 300 Hz. Are the consultants to the 3 ACRS suggesting that it requires a test of a simusoidal 4 motion out beyond 300 Hz as opposed to a white noise 5 motion?

6 MR. ZUDANS: I do not think we are asking 7 that. I think the simplest answer to whatever questions we asked is you have to know the limitations of the 8 pieces of equipment that came out in that cabinet. If 9 they are critical at high frequencies, I do not know 10 11 that -- I am certainly not asking you to modify any of the tests. I am trying to find out whether your tests 12 adequately test the piece of equipment as Dr. Lipinski 13 described, the relays closing and opening at high 14 15 frequencies.

I am sure you adequately tested the cabinet.
I am sure that you adequately tested the functionaoity
where you had time to switch on and off.

19 MR. TRIFUNAC: Just a comment along the same 20 lines. As far as I can see, there is no question that 21 you have performed the tests that were required. There 22 is no question about that. The question is really are 23 the regulations that we are living with adequate to look 24 at all the possibilities?

25 Basically, I think, what you find is that

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 those of you who work with equipment sometimes have your hands tied by the methodology that is imposed on you by 2 the structural engineers, and the methodology for 3 structural engineers may be adequate as far as 4 5 structures are concerned, but because of some low-pass filtering equipment for the equipment excitation, it may 6 7 not be realistic in all cases. So this sort of goes beyond, I think, the 8 9 present requirements. MR. DICKSON: Thank you both for that 10 11 clarification. MR. ZUDANS: It is certainly not unique to 12 13 CRBR. 14 MR. ZUDANS: Thank you, Mr. Kraeuter. This might be a good time to take a break 15 before we start the next presentation. 16 (Brief recess.) 17 MR. PITTERLE: I am Tom Pitterle. I will be 18 describing the testing being performed in support of a 19 control rod system that is seismically related. In 20 particular, the emphasis in the testing is that in 21 support of scram insertion. 22 (Slide.) 23 To help a little bit in understanding the type 24 of tests. it is probably best to visualize the scram 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

functioning in terms of the unlatch function or the mechanism releasing the translating assembly and then followed by the insertion function or the motion of the translating assembly and the control rod into the core.

5 In particular, in the insertion function, an 6 area of particular concern that the testing is 7 emphasizing is the ability to predict the normal forces 8 of the drag forces that would retard the insertion 9 motion in the seismic event.

10 So the testing that has been done and future 11 testing in support of the control rod systems is a 12 dynamic friction tests, the PCRS seismic tests, and an 13 SCRS scram value and cylinder assembly test.

The dynamic friction test is the specific 14 15 objective of obtaining the effective coefficient of friction in the seismic impact type condition. The test 16 was conducted by dropping a simple rod in three bushings 17 under a vibrational input by measuring the impact forces 18 at the bushings, the normal forces meausuring the drop 19 times, and there is very little hydraulic resistance in 20 this particular test. We are able to extract then an 21 effective coefficient of friction as a combination of 22 the drop times and the normal forces. 23

The testing was done in air, argonne, water, and sodium. We looked at material couples 304 to 718

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

The primary emphasis in the testing was done with 718 to
 316, and 718 to 718. Inconnel 718 and 316 stainless
 steel.

Cylindrical and hexagonal test rods were tested with the emphasis being on the cylindrical test rods for the efficiency of testing. The result of the testing gave us the design coefficient of friction that envelopes all the data at a two-signal level of about .45 for all the materials. I will describe the results of this test in considerable detail.

Our specifications would have said we used a value of 1 in the absence of any test data and to use test data that was basic objective was to obtain the test data to be the friction coefficient of unity.

15 The dynamic friction test also helps us to 16 develop test experience for our more complex seismic 17 testing, which I will describe. The friction 18 coefficients, the dynamic friction test provides 19 friction coefficient for use by both the primary and the 20 secondary control rod systems. So it is supporting both 5 of the Clinch River shutdown systems.

The PCRS seismic test is to test the scram performance under dynamic input conditions. The primary objective is to validate the seismic scram analysis methods. It uses completely prototypic hardware, full

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 control rod drive mechanism, control drive line, and 2 control assembly. We use water as a test medium. And 3 the testing will be starting in calendar year 1983. In 4 particular, this test helps to support the unlatch 5 function of the primary control rod drive mechanism.

6 The validation of the insertion methods helps 7 to support both the primary and the secondary system 8 because we both key off of the finite element analysis 9 of the normal forces, and that will be validated by 10 comparisons of predictions with this test.

11 The secondary seismic testing is the testing 12 of the scram valve and cylinder asssembly as done per 13 IEEE 344.

14 (Slide.)

To describe the facility, this is a picture of the facility for the dynamic friction test. It shows the test vessel and the support structure, big I-beams, a single lateral shaker applied to the I-beams, vibrating the whole structure, media bearings which are barely visible at the bottom of the picture.

You can see at least a little bit in the picture of the three bushings, the strain bolt locations for the three bushings, release of the drop rod occurred in the upper end of this test vessel, and that released the rod to drop down through the bushings while it is

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 vibrating back and forth and impacting the bushings. 2 The drop, in addition to measuring the normal 3 forces, we have position versus time displacements and 4 accelerometers to measure impact levels and give us any indications of abnormal behavior. 5 6 MR. LIPINSKI: Are the scram valves electrical 7 solonoids? 8 MR. PITTERLE: The scram valves were not a 9 part of this test. The scram valves for the secondary, 10 which I will describe a little bit later, are on the mag 11 electrically solonoid. MR. LIPINSKI: There is an electrical solonoid 12 13 valve? MR. PITTERLE: Yes. 14 15 MR. LIPINSKI: That is to be sseismically qualified? 16 MR. PITTERLE: That is correct. 17 MR. LIPINSKI: That is another spring mass 18 friction with some damping coefficient? 19 MR. PITTERLE: Yes. 20 MR. LIPINSKI: So you would know basically 21 what that valve had for its own resonance frequency? 22 MR. PITTERLE: Some work was done to locate 23 the frequencies, but the testing did emphasizse the 24 similar response spectra-type testing that was 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 previously identified.

2

(Slide.)

In addition to obtaining friction coefficients from the dynamic friction test, it also provides us with some preliminary verification of the scram analysis methods. Again, the scram analysis methods are the scram insertion part of the scram analysis.

8 The key, as I mentioned, is calculating the 9 normal forces. Given the normal forces, the friction 10 coefficient attains a drag force, and we can calculate 11 the hydraulic resistance to motion off of codes and then 12 verify it substantially against nonseismic testing.

13 So we use the ANSYS code for the finite 14 element analysis for the primary control rod system. We 15 are using three withdrawal elevations in the plan 16 modeling as well as this test so that we can account for 17 the effects of normal forces on heights and shifting 18 from one model to another at midpoints between the 19 elevations for which they are calculated.

Impact stiffnesses are calculated with the Herztzian contact method. We found impact damping to be not particularly important. Structural damping was taken at .3 percent based on some general survey work done in the testing for the very rigid test facility for this test.

> ALDERSON REPORTING COMPANY, INC. 400 VISGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

Fluid coupling is accounted for in the water and sodium testing using the concentric cylinder model of the ANSYS code.

4 Applying this modeling to the dynamic friction test, we can verify it again and look at the checks 5 6 against tests in two ways. One is to analytically 7 calculate the normal forces, use those calculated normal 8 forces and contrast it to the test normal forces to 9 extract an effective coefficient of friction. Or we 10 could use those normal forces to calculate an effective coefficient of friction. 11

So we have really looked at it both ways. We are correct for the hydraulic forces by normalizing through zero G test data so that we are confident of making reasonable corrections for the very small hydraulic forces that existed.

17 Then we did obtain U by adjusting the 18 calculated normal force calculations against drop times 19 and compared that with the U derived from measured 20 normal forces. We have also compared the average normal 21 force between the analysis and the test.

22 (Slide.)

23 This shows some of the comparisons that we 24 have obtained from this test in terms of the friction 25 coefficient and the average normal force analysis and

1	tests.	For	the t	three	test	condit	tion	s whic	h we h	ave
2	emphasi	zed,	this	parti	icular	type	of	compar	ison.	
3										
4										
5										
6										
7										
8										
9										
10										
11										
12										
12										
13										
14										
15										
16										
17										
18										
19										
20										
21										
22										
23										
24										
25										

1 This was a test in air, inconnel 718 bushings, 2 this should be 22.8 Hz rather than 28 Hz, 1.5 Gs, .5 Gs, 3 then compare it in a water medium in the same conditions 4 as 1.5.

5 Using the calculated normal forces, you 6 measure drop times. We have obtained what I call the 7 anaylsis, and that yields a .32 coefficient of friction 8 which shows excellent agreement with that derived from 9 the measured normal forces.

We went down to half a G. The analysis of fitting the drop times was very insensitive because there was not enough load to particularly retard the rod motion. You can fit off of a wide range, and we really cannot do an adequate fit in that case.

15 Under test conditions, we could fit over areas, local areas of the drop time to get an estimate, 16 but with a considerable higher error. We also obtained 17 good agreeement with test in the water medium and as 18 typical of some of the other data I will show you for 19 the impact friction, you find that there is very little 20 difference in the coefficients of friction between air 21 and water. 22

23 Comparing the average normal forces, we 24 obtained relatively good agreement at 1.5 G. We did 25 slightly underestimate at .5 G in this particular case.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2000

The instrumentation sensitivity is not as good, and 1 2 there may be somewhat higher errors in the test value. 3 MR. ZUDANS: A couple of questions. How did you measure normal forces? 4 5 MR. PITTERLE: The srain bolts, three strain 6 bolts, mounted on cylindrical bushings. 7 MR. ZUDANS: Did I hear you correctly, they had three bushings? 8 9 MR. PITTERLE: Yes. Three vertically located 10 bushings.. 11 MR. ZUDANS: How accurate was the alignment of 12 these bushings, or how sensitive would the results be to

13 the alignment of the bushings?

14 NR. PITTERLE: We looked at it in the early 15 phases of the test. We looked at the alignment of the 16 bushings and even a complete tilt of the vessel with the 17 dynamic conditions, it was not found to be that 18 particularly sensitive.

We looked at it. Compared drop times, for instance, were not very sensitive to that alignment. We did optically align the bushings at the start of testing for this particular test. We knew where they were. But it just has been found experimentally and analytically that this was not very sensitive.

25 MR. ZUDANS: Was this rods relatively flexible

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 and bending?

MR. PITTERLE: This rod the test rod in here, Was -- yes, relatively a little more stiff than a normal drive line would be because we had done some work to embed it with additional instrumentation. But yes, basically, in the plant the drive line is long and very easily moved.

8 In the test it was easily moved, but we could 9 get some indications of the top part. There was a mass 10 at the top for the coupling, and that was wavering more 11 than the bottom parts.

12 (Slide.)

13 So what we have concluded as this preliminary 14 check of the scram analysis methods has emphasized that 15 he complete scram test of the control rod system will 16 provide us with some overall and more complete 17 verification of our methods. We did obtain good 18 agreement on the analytical and test Mu or the drop 19 times.

If we use the test Mu in the analysis, we get a good agreement on the average normal forces. When we looked at it in more detail, we found that the force and impact frequency dependence on rod position. We used an R-3 model; also gave the general benavior of the test as a function of axial height.

So we fid feel that the three-elevation modeling disposition for the test was anticipated to be sufficient for the plant. The test, in fact, should have been more sensitive to axial position because of the mass at the top of the rod than we had anticipated the plant performance supports. We have general support for the methods and the three-elevation model.

8 We did not see -- and I will show the more 9 direct data in a minute -- but we did not see any strong 10 difference between fluids, air, argonne, and water. And 11 to some extent, we found something in sodium.

Looking at it analytically, with the fluid coupling model, ANSYS, we did not see much difference on the normal forces, and the test did not show much difference.

16 So what we have recommended from the test is 17 they use Mus of .45 for fluids and .41 for gas. And the 18 seismic scram insertion analysis.

19 To show you more directly the type of test 20 data that we have obtained, this shows each of the data 21 points in this case is an average of 10 drops. We fit 22 each drop to fit a Mu versus -- based on the normal 23 forces versus position curve average that obtained drop 24 feature of the data point represents an average of 10 25 drops.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

We have looked at in this particular case, comparing the effective rod environment and rod velocity. To get the rod velocity effect, we ran with and without a spring assist. So the speed of the rod going through the bushings would be somewhat different. So the spring/no spring is to look at the velocity effect.

8 But in general, we found the data was more 9 accurate at 1.5 G and, in fact, tends to show by 10 drooping of the spread of the data there is no 11 identifiable effect of G level insertion of the G level 12 of the excitation when we consider that the standard 13 typical deviation of this data is on the order of about 14 .04 and friction coefficient which would flip us 15 essentially almost one of these lines would be one standard deviation to the test. 16

17 We found no identifiable difference between 18 water and air, although the average does tend to be like that .04 identified. We did find in our sodium testing 19 that we found consistently lower coefficients of 20 friction. What we believe part of that is, as much as 21 the medium, is the peculiarity of the way we had to 22 23 instrument the rod or had some guide rods along the rod 24 so that the top of the rod would not break off of the 25 instrumentation. That limited the top rod motion.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

When we ran the sodium, we took the bushing out of that rod, and that allowed somewhat more motion without impacting the guide rod. So if you did not impact the guide rod in this type of testing, you get more normal force at the bushings and, in fact, that increased normal force has led, we believe, to the lower coefficient of friction rather than the sodium effects.

8 In fact, most likely, although we are not 9 trying to develop the argument to lower the coefficient, 10 the friction at this time, that the guide rod effect is 11 probably the reason that these values are much higher 12 than the sodium values.

13 We also looked at the effect of bushing14 material and frequency of impact.

15 (Slide.)

16 We again found no difference. 22.8 Hz and 15 17 Hz, stainless-steel and inconel bushings, again within 1 18 standard deviation. We could not distinguish any effect 19 of the bushing material or environment.

20 MR. ZUDANS: Did you establish what were the 21 natural frequencies of this rod in different positions?

22 MR. PITTERLE: Yes, we did, at the start of 23 the test. A series of sine sweeps. We did some sine 24 sweeps at, I believe, three vertical elevations similar 25 to the three that we have looked at. These two

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345.

1 frequencies were picked to give us substantial 2 response.

MR. ZUDANS: So these are close to free-free?
 MR. PITTERLE: Away from the rod and away from
 the structure of the facility.

6 MR. POMEROY: Again, another question on that 7 same line. What would happen if you had 40 Hz and 10 8 Hz, say?

9 MR. PITTERLE: Keep in mind for this test the rod is not prototypic for this test. It is not plant 10 hardware. It is just a rod to give us the effective 11 drive of coefficient of friction. The question may 12 13 apply validly to the other testing where we tested the complete system and prototypes other than beyond the 14 15 sine sweep, where plans are to sweep up to the order of 16 about 33 Hz.

17 (Slide.)

Now I would like to describe the control rod
system or the primary control rod system prototype
seismic test. This is a picture of the facility.
Basically, we are using the silo to keep the weather
out.

But then we mount the shakers and control rod to a reaction mass, which is 140 tons, 50-foot elevation. We are using a triaxial shaker table, shown

here, which simluates the closure head of the reactor vessel for purposes of the test. That has two directions, X, Y, and vertical input capability. And the control rod drive mechanism is mounted on that much like it would be mounted on the closure head in Clinch River.

7 The three different triaxial shaker table was 8 emphasized to test the unlatch or scram release part of 9 the mechanism. It is a collapsable rotor roller 10 mechanism, so the rollers are relaxed out, pushed out 11 away from the lead scoon, and you drop the lead scoon in 12 the control rod system.

13 That permits us to test our design basis for 14 designing that release function against triaxial input. 15 For the insertion function, the scram motion is 16 dominantly a one-dimensional effect. And that would be 17 -- the testing for that would emphasize one dimensional effects, and that is for these additional five shakers 18 here together with the one shaker as a part of the 19 triaxial table, which gives us a total of six shakers to 20 input for the scram insertion function. 21

Now, we can get some idea of coupling between X and Y directions in a limited sense when we change from X to X and Y on the table. So at some low level of excitation we will get some checks on the additional

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 summations of the X and Y direction effects.

Basically, it does test the mechanism control 2 rod drive line, and the in-core control assembly. The 3 4 location of the shakers are such that they represent typical locations for input from the balance of the 5 reactor system. For example, the control assembly has 6 an input through the core support structure at the inlet 7 nozzle through the core restraint system through the 8 load path and the top load path. The drive line, the 9 shroud tube which envelopes the drive line, the 10 excitation comes through the upper internal structure, 11 and these two shakers simulate that type of input, and 12 the triaxial shaker mocks up the closure head input. 13

14 (Slide.)

So in the testing we will do sinusoidal and time-history input at acceleration levels which are typical of OBE and SSE levels. But I do want to mphasize that the purpose, the primary objective of the test is verification of the design and analysis method.

This shows a picture of the triaxial shaker table partially assembled. Here is the shaker. This shows the X direction motion. You can clearly see across here one of the Y directional shakers. The mechanism then is mounted on this table. It does not show the vertical direction in this

1 particular picture.

Now I would like to describe the secondary control rod system, scram valve testing. In testing the scram valve for the pilot valve part of that is part of the plant protection system falling within the IEEE Class 1.E definition.

7 The applicable reg guide IEEE requirements are 8 here (indicating). The reactor system seismic analysis, 9 as previously described, provides a response spectrum 10 input, and it is obtained at the location of the scram 11 valve.

MR. LIPINSKI: This is the electrical solonoid
you are talking about now?

14 MR. PITTERLE: Yes.

25

MR. LIPINSKI: I would like to emphasize again
you do not know its basic characteristics based on its
spring mass damping.

18 MR. PITTERLE: To a complete extent, that is 19 true. There have been in prototype some sine sweep 20 type-testing done to look at the response frequencies up 21 to 100 Hz, and there has not been anthing particularly 22 alarming from that. But the predominant part of the 23 verification testing is still consistent with that which 24 you have heard today.

MR. LIPINSKI: Because you did actually take

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
1 the single component and subject it to a test? 2 MR. PITTERLE: And the prototype. 3 MR. LIPINSKI: Okay. But as a component 4 alone? 5 MR. PITTERLE: As a component of a valve 6 assembly. 7 MR. LIPINSKI: But you did not put this as a 8 component on the shaker table and excite it and its 9 vulnerable axis to determine what it could take. 10 MR. PITTERLE: No, not to the limits, no. No 11 test to failure. 12 (Slide.) 13 The scram valve seismic test, I will show a 14 picture of what was actually the typical hardware 15 tested. The valve and cylinder subject to the requirement of five OBEs and one SSE simulation 16 multi-axis excitation. I will describe that in more 17 detail. It was functionally tested during and after 18 each OBE and SSE simulation, and I will describe the 19 test results in more detail, that basically it has met 20 all functional and strutural requirements. 21 (Slide.) 22 23 To give you an idea of what is meant by the scram valve and cylinder, this shows a picture of one of 24 25 the prototype units. The cylinder is shown at one end

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-7 45

1 which is a pressure pneumatic piston. The tension rod 2 shown coming out of the cylinder comes across here, 3 actually connects with the latch and the control 4 assembly part of the reactor that releases the rod for 5 scram. 6 So the solonoid and pilot valves are the part 7 that trigger the release of the pressure that permits a 8 tension rod which is downward-loaded to release by 9 venting the pressure from the piston. 10 Three solonoids can be approximately 11 visualized as one here, one here, and one behind 12 (indicating). The pilot valves, pocket valves are shown 13 here (indicating), as well as opening and close instrumentation for the pocket valve. 14 15 That was just meant to give you some idea of 16 what we are talking about with this type of testing. 17 (Slide.) 18 19 20 21 22 23 24 25

ALDERSON REPORTING COMPANY, INC.

217

400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

To give somewhat more detail on that test, the methods are pretty straightforward. Let me emphasize the test sequence. The preseismic test was functionally tested before the event. Then given five OBEs -- and, in fact, the way the prototype was tested was really ten OBEs -- five and then it was rotated 90 degrees and given five more OBEs.

8 This statement is slightly misleading in the 9 sense that it was really repeated twice. So there are a 10 total of ten OBEs, counting the rotation of the 11 equipment. There is going to be scram during and scram 12 after each OBE.

The SSE was then simulated in a manner with 13 three earthquakes, three SSE inputs. The first one was 14 30 seconds followed by two five-second SSE simulations. 15 16 During each of these simluations, two out of the three logic trains of the cylinder was tested in 17 different sequences. This particular bullet here 18 (indicating) should really be above this post-seismic 19 test. So two SSEs then were done in one reference 20 21 equipment on a biaxial shaker vertical and horizontal shaker, and the third one had the equipment rotated 90 22 23 degrees.

Then again after the seismic testing, another
functional verification test was performed.

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

(Slide.)

2 The criteria for this test was that the scram 3 time for the control rod movement occurred within the control rod release delay time of .1 seconds. And there 4 5 would be no visible or functional "shage to the 6 component. The results of the prototype test showed no 7 damage. The actual test values range betgen a minimum 8 of 50 milliseconds to 62 milliseconds, and exceeded the 9 criteria and were not really significantly different 10 from nonseismic earthquake times that had been 11 measured.

12

1

(Slide.)

13 So just to summarize a little bit what I have said and what we use this type of data for and the 14 application of these results, the dynamic friction test 15 provides the friction coefficient for use in the primary 16 control rod system and the secondary control rod system 17 18 seismic scram insertion analysis. So it is supporting both systems in the use of that dynamic friction 19 20 coefficient.

21 Similarly, the prelimi ary verification of the 22 scram insertion analysis methods that I described 23 supports both systems. This is the key to the finite 24 element analysis. The overall PCRS seismic test 25 provides a confirmation of the unlatch basis for the

mechanism and also will be used to validate the insertion times against prediction. And that again is time-history type methodology that is used for both the primary and the secondary control rod systems in terms of its validation.

6 The secondary scram value test is unique to 7 the verification of that scram actuator and is 8 gualitatively in general terms roughly equivalent to the 9 unlatch test function of the primary control rod 10 system.

- 11
- 12
- 13
- 110
- 14

15

16

17

18

19

20

21

23

25

ALDERSON REPORTING COMPANY, INC.

(Slide.)

1

2 For conclusions from what we have done to date in terms of the completed tests, they show that we have 3 satisfied all of our design requirements for what has 4 been completed to date. In the dynamic friction test we 5 6 take the test coefficients of friction, perform the seismic scram insertion analysis, and the seismic scram 7 speed requirements would be met for both the primary and 8 9 secondary control rod system.

For the secondary prototype scram valve test, 10 the functional requirements have been satisfied, and in 11 place for plant testing in the primary total prototype 12 system, plus the test of one of the valves of the 13 14 secondary -- the plant's unit group -- we feel that we do have the tests plans in place to define confirmation 15 for both the primary and secondary seismic scram 16 17 capability.

MR. LIPINSKI: I have a question on your
primary systems. It's a roller nut design, right?
MR. PITTERLE: Yes.
MR. LIPLINSKI: What drives the nut apart when
you take the power off? Are the springs internal?
MR. PITTERLE: Yes. There are segment arm
springs. It's very similar to -- it's virtually

25 identical to the FFTF and very similar to the Naval

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 reactor program.

2 The segment arm springs force the segment arms out from the -- the rollers of the segment arms out from 3 4 the lead screw. MR. LIPINSKI: There is a pair? 5 6 MR. PITTERLE: There are four pairs. Upper 7 and lower pair on each side of the lead screw. 8 MR. LIPINSKI: Are they all all on the same axis, or are they rotated 90 degrees with respect to 9 each other? 10 MR. PITTERLE: They are all driving two 11 12 segment arms, all on the same planes. MR. LIPINSKI: They may have a spring mass 13 system. What's the resonance frequency for those 14 segment arms with their springs? 15 MR. PITTERLE: We will in the test, through a 16 sweep of -- we haven't defined the upper magnitude yet, 17 but I am thinking in terms of 50 hertz. We are going to 18 have an accelerometer mounted on the segment arms. 19 MR. LIPINSKI: This is a paper exercise I'm 20 talking about. You know what those nuts weigh, you know 21 what those spring forces are and you can come up with 22 the resonance frequency rather quickly. 23 MR. PITTERLE: I am nor sure whether it has or 24 has not been done. I think it may have been done but I 25

1 can't cite any values.

2 NR. LIPINSKI: Once again, if that comes out 3 to be a couple of kilohertz you know you are well out 4 there, and your testing would just verify statistically 5 what you want to observe.

6 MR. PITTERLE: That is basically -- we do not 7 have a strong reservation on it, but I don't recall 8 whether we have calculated the natural frequency of the 9 segment arms by its support. I suspect so.

10 MR. LIPINSKI: It would be nice to have that 11 number.

12 MR. PITTERLE: We can look.

13 MR. KASTENBERG: Do you worry at all about the 14 core itself being distorted in an earthquake so that the 15 rod can't go in, in terms of any of these tests?

16 MR. PITTERLE: Not in terms of any of these 17 tests. There have been separate tests done in support 18 of the core assembly designs where there have been 19 looked at the loads required to deflect and to form 20 ducts.

For this type of testing I think the only thing that would be relatively relevant would be if there was significant deformation that could add to the misalignment. We can simulate in this test facility moving the components laterally analytically, and in a

few scoping analyses it really does not make a whole of differences. You have a less sensitive scoping analysis and then you are in the normal scrams just because the thing is flopping back and forth as you go in.

5 But the core assemblies are designed for 6 sufficient margin. They really lock themselves up. 7 They really can't deflect very much. You push them over 8 to one side, you've got a solid mass of hex assemblies, 9 so that deflection is pretty small.

10 MR. KASTENBERG: I notice that so far in none 11 cf the presentations, and I guess not on the agenda, a 12 discussion of the core and reactor internals with regard 13 to seismic. Is that to be covered somewhere else, or is 14 that not important or --?

MR. PITTERLE: The modeling is similar to that 15 of -- well, at least for the internals -- to that of 16 Tony Morrone, using a combination of time history and 17 18 response spectra. That is used on many components, both, but no, there has been no planned specific agenda 19 item because we felt it fell under the general 20 methodology that was talked to by Morrone before. 21 MR. KASTENBERG: Is it something we should be 22 looking at in detail under seismic? 23 MR. PITTERLE: Are you addressing that to me? 24

25

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 200 (202) 554-2345

MR. KASTENBERG: Yes. I guess going back to

1 one of our earlier meetings, we were talking about 2 design basis and events beyond the design basis, and one 3 was a reactivity excursion caused by a seismic event in 4 which you have 60 step reactivity.

5 MR. PITTERLE: And that dictates feed of 6 response.

7 MR. KASTENBERG: And somewhere along the line 8 we would hear about how one arrives at reactivity 9 insertions as a result of core motion due to the 10 eachquake. And I thought today was the place we would 11 hear it and I have been waiting to --

MR. DICKSON: This is Paul Dickson of 12 Westinghouse. I believe we are planning to do that as 13 the core restraint design, and I don't know when it is 14 scheduled. But Tom is not prepared to talk to it. Do 15 you recall when it's scheduled? I don't recall, but I 16 do think we discussed having a meeting at sometime in 17 which we would discuss the reactivity input as a result 18 of seismic and other events as part of a core restraint 19 meeting. 20

We certainly cover it if you wish. We are prepared to do so. It was just not a part of this meeting.

24 MR. CARBON: You mean you're prepared to cover 25 it some other time?

MR. DICKSON: Yes.

1

2 MR. CARBON: Well, I'm not sure where it fits 3 in our schedule. I guess we are going to have to get back to you on that because we are very much interested 4 5 in that. 6 MR. DICKSON: That was my understanding, that 7 it was planned to be inserted. MR. CARBON: Let's be sure to do that. 8 9 MR. DICKSON: It was suggested that I should 10 give you the bottom line, that it is physically designed so that it cannot input more than 60 cents, which is the 11 design basis event. But that's a whole day's story 12 13 before you believe that. (Laughter.) 14 MR. CARBON: We will welcome that whole day's 15 16 story. (Laughter.) 17 MR. LIPINSKI: Your roller nut system operates 18 in a gas, is that right? 19 MR. PITTERLE: Yes. It's an argonne fill gas, 20 not separated from the cover gas by bellows. 21 MR. LIPINSKI: The point I would like to make 22 is the spring mass system has very little. All I have 23 to do is hit the excitation frequency and I get full 24 amplitude of that response. That goes back to the 25

1 conversation before. All you have to do is find out 2 what the excitation force is.

3 MR. ZUDANS: I would like to continue that 4 line. I do not visualize exactly how the details fit 5 together, but I assume those springs preload the balls, 6 right?

7 MR. PITTERLE: The springs will push it apart
8 upon loss of magnetic field.

9 MR. ZUDANS: The magnetic field pretty well
10 loads the balls against the magnetic springs.

MR. PITTERLE: The preload collapses the springs.

13 (Slide.)

This is a picture of the basic features. 14 Mounted externally to the rotor part of the mechanism is 15 the motor tube and then the stator outside that. You 16 have the picture right there. A motor tube and a 17 stator. You apply electrical power to the stator, 18 providing that magnetic pull that is pulling the upper 19 end of these two segment arms, pivoting about these 20 pivot pins and engaging these rollers into the lead 21 22 screw.

The segment on springs that we are talking about are shown here. There are two pairs, then there are another two pairs on the back side, so that you have

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

the -- and each of them is a pair of springs so there is a total of eight springs capable of pulling it apart. It will, in fact, not seismically test it, but in the normal scram it will scram even without the segment on the springs.

6 MR. ZUDANS: So there is actually a positive 7 compression because of the magnetic item?

8 MR. PITTERLE: Yes. If you lose power, you 9 will push the lower ends of the segment arms and you 10 push the rollers out from the lead screw.

11 MR. ZUDANS: You actually then could not 12 develop anything like a free vibration if it is not 13 free. You would have to overcome the compressive force 14 before it gets free to begin with.

15 MR. PITTERLE: Right.

16 MR. ZUDANS: Except that for the upper portion 17 of those arms that have some elasticity about the pivot 18 point.

19 MR. PITTERLE: Not really very much. They are 20 pretty massive. I don't know exactly the size. This is 21 pretty rigid about these pivot points. I agree with you 22 in principle but I do not think they are very sensitive. 23 MR. ZUDANS: It is not a high frequency? 24 MR. PITTERLE: It is pretty well a hollow 25 cylinder of some five inches in diameter hollowed out,

1 and it is a pretty massive structure.

2 MR. ZUDANS: At any rate, the arms don't touch 3 anything; they are sitting in a magnetic field free, so 4 that is your spring mass system. And the other is 5 essentially rigid at that point in time.

6 MR. PITTERLE: That is correct, with this 7 being a very stiff member and held out against -- there 8 are some stops. It is pulled out as -- I forget the 9 terminology for it, but there is like guides that will 10 bring the two segment arms into synchronous positions so 11 that they do collapse and move out synchronously with 12 each other.

So you are really holding them out against the flange and the stop up at the upper end, and you are holding it against that. It is not really hanging there loose to flap around. You are pulling it out until you engage in that synchronous bearing at the top, so it is not free to flap per se.

19 MR. LIPINSKI: What happens if you have a 20 porous excitation in the direction of the axis label 21 magnetic pull? One-half goes out and one-half goes in? 22 Are they mechanically interlocked so that they have to 23 be out and in togethe, or can I have them synchronously? 24 MR. PITTERLE: That is the purpose of the 25 synchronous bearing. They are free to rotate if I

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 release a field.

MR. LIPINSKI: What you just described was a 2 limit stop of out and in. When they come in, they are 3 touching each other effectively. When they go out they 4 are separating, so you don't have that mechanically 5 interlocked to synchronize them, to separate and come in 6 7 together. MR. PITTERLE: I am not sure we are quite 8 9 picturing it the same way. MR. LIPINSKI: Can I have one pushed in and 10 one out simultaneously? 11 MR. PITTERLE: No. 12 MR. LIPINSKI: How do you prevent one from 13 14 going in while the other is coming out? MR. PITTERLE: Well -- okay. I guess in 15 theory it is possible, yes. But the fact is the springs 16 are tending to push both of them out, and then they are 17 both guided so that they come in. I can't guite see the 18 failure mode that would have coming in and one going out. 19 MR. LIPINSKI: The excitation along that 20 21 magnetic pull axis. MR. PITTERLE: I don't believe if the design 22 basis is right, this is going to overcome this 23 excitation, even if it were along this direction. You 24 are saying along this direction? 25

MR. LIPINSKI: Right.

1

5

2 MR. PITTERLE: The springs are design basis so 3 that they will take account of any of that excitation 4 and then force them out with time to spare.

MR. LIPINSKI: At what frequency?

6 MR. PITTERLE: That I don't have the answer to 7 right off, as to what frequencies have been looked at.

MR. LIPINSKI: Because again, you don't have 8 any damping in that system. It is strictly spring mass. 9 If I get the excitation frequency it will take very 10 little force to get those halves to slam back and forth, 11 unless there is something in there that prevents them 12 from being non-synchronized. And I don't know what is 13 14 in your mechanism that would cause them to have to be synchronized or separated or pulled in together. 15

16 MR. PITTERLE: Yes, except that with that 17 force -- it is a pretty rigid system. I don't know the 18 answer, but I suspect the frequency is high enough that 19 it is not of concern. But I am speculating.

20 MR. TRIFUNAC: What is the strength of the 21 magnetic pull? Do you know the force level?

22 MR. PITTERLE: No, I don't know offhand. I 23 don't have that number.

24 MR. ZUDANS: Could you describe how it 25 functions normally? What drops? The lead screw drops?

1 NR. PITTERLE: Yes. When you scram, you are 2 pushing the rollers out from this lead screw. The lead, 3 screw, which is in this point, is located above the top 4 of the reactor head. The lead screw of that drive line 5 connects it to the in-core control rod, and all of that 6 is scrammed in the primary system.

7 MR. ZUDANS: When you want to move it out, 8 what do you do?

9 MR. PITTERLE: You engage the rollers and then
10 you pulse the fields of the stator.

11 MR. ZUDANS: This is what rotates them? 12 MR. PITTERLE: Yes. The lead screwup, and 13 that is key to the that is it is all rigidly modeled 14 into the mechanism part. I will briefly give you a 15 picture of the overall part of the mechanism.

16 The upper mechanism -- what we were looking at 17 before is essentially just this bronze-colored section 18 (indicating).

19 (Slide.)

This extension nozzle is mounted rigidly to the closure head. The motor tube shown coming down in here is mounted by a hold-down ring. The nozzle and the stator is mounted over that, and clamped to the nozzle with the hold-down clamp. So this is the part you are releasing when you are reacting your forces through the

1 nozzle.

2 MR. ZUDANS: That means that the flat part can 3 go in in any position when it is rotated? It can stay 4 in any unknown position?

5 MR. PITTERLE: Yes. It is 15 degrees, I think 6 15 degrees position is possible to get the time to steps 7 that we are trying to get. It is a very small step, 8 .025 inches per step vertical motion. I think it 9 corresponds to 15 degrees stator rotation. Field 10 rotation.

11 Are there any other questions?

12 MR. ZUDANS: Do you have similar pictures for13 the other systems?

14 MR. PITTERLE: Only to show how the -- well,
15 let me perhaps give you a general schematic of the other
16 system first.

17 (Slide.)

Althoug, it is in the cartoon type pictorial. 18 This is a core assembly, the reactor closure head. Then 19 everything that is between the reactor closure head and 20 the bottom of the upper internal structure is cut away. 21 It is a twin ball-nut drive mechanism. The carriage and 22 then the solenoid that we just pictured, the piston and 23 valve solenoid is shown schematically here, mounted to 24 that carriage. We have over-simplified it here. 25

There is a very slight motion of this piston, about a quarter inch motion of this piston where the rod releases the latch in the secondary system which is located within the control assembly itself. It is contrasted to the primary, where the whole translating assembly is going its full 36 inches.

During the scram the latch function here 7 releases the latch and the whole control assembly 8 travels 36 inches. The assembly is designed to give a 9 10 fluid or hydraulic assist to the downward motion to assist the scram insertion into the core. The latch is 11 12 shown in somewhat more detail over here. It shows the tension rod coming down the middle. A sensing tube that 13 indicates coupling to the structural member of the drive 14 15 shift.

16 This piston then permits loss of pressure to 17 the piston and permits this latch to open up and release 18 the control rod coupling head and lets the assembly 19 scram into the core. So all the 36-inch stroke of the 20 core is within the core region itself.

Just to orient you a little bit now with that upper mechanism part, the scram valve cylinder -- this elevation here --

24 (Slide.)

25 -- is about elevation 80 above the top of the

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

head. We have the shielded seismic support that comes 1 2 in, gives the general location would go up to on the order of 70-some inches. The cylinder is located here 3 4 (indicating). The three solenoid valves. And this shows the tension rod. This piece through here is what 5 we had the actual picture of, previously shown. It is 6 7 supported off the carrier rod, rotor tube, and the support rods are shown here. It is off the support tube 8 from the carriage up to the location of the cell. 9 That is about all I have in terms of detail. 10 This at least gives you a general orientation of where 11 12 it is in the reactor. MR. ZUDANS: It gives an idea of the level of 13 14 complexity. MR. PITTERLE: Any other questions? 15 MR. SWITICK: Thank you, Dr. Pitterle. 10 17 18 19 20 21 22 23 24 25

ALDERSON REPORTING COMPANY, INC.

1 MR. MALLETT: Mr. Pitterle has talked. I am 2 Bob Mallett. I am going to address that same topic more 3 specifically for the case of the heat transport system 4 components.

5 These are the questions that I will address. 6 (Slide.)

7 The first is: what is the arrangement of the HDS? Here I will remind you of what it contains and 8 mention some of the parameters of the heat transport 9 system. Then I will identify some of the conventional 10 conservatisms that are in the seismic design process 11 that Mr. Morrone spoke about earlier today. Then we 12 will consider a review of a portion of the information 13 that is on the docket on seismic margin capability. 14 Then I will turn to the two sost important ones here, I 15 believe. We will consider some of the differences, some 16 of the specific attributes of the CRBR plant. And 17 last, the development, the verification, the 18 coordination that has been done to be sure that there 19 are no oversights. 20

Based on the review of this material, it is our judgment then that the seismic safety levels for the Clinch River plant and the light-water reactor components are comparable. This is based on the observation that where things are common, they are

1 handled similarly, and where things are different, that 2 difference tends to be one of strength rather than of 3 weakness.

(Slide.)

4

5 This is from the design lab showing of the 6 plant. It shows a plant inside the three-loop for 7 containment. This is the reactor vessel with a 36-inch 8 diameter pipe that goes around the loop to the primary 9 pump in the hot leg.

Here is what we call the crossover leg that goes from the pump to the IHX and the cold leg then returns the coolant back through a check valve in the cold leg back through the reactor vessel.

14 Two additional runs of ppe that you see here 15 are the cold leg, which brings the coolant in through 16 the IHX and the hot leg, which takes it back through 17 containment penetration.

18 (Slide.)

19 The equipment that is inside containment is an 20 inerted cell. I have included this vuegraph because it 21 gives a clear indication of one of the principal effects 22 of temperature on the arrangement of the plant. What 23 you see here along the edge is where the coolant exit 24 containments in the hot leg, it comes down here, it has 25 one expansion loops, three expansion loops, goes into

the steam generator building, and another expansion loop there where the corresponding cold leg which is bringing the coolant back to containment has a single expansion loop.

5 So there is, as I say, a clear indication of 6 an effect of temperature of the plant where the 7 temperature ranges are large pipe thermal piping 8 expansion loops are long.

9 These are parameters for a typical loop in the10 plant.

11 (Slide.)

12 Temperature is about 1000 degrees for 13 structural evaluation. This is about a temperature that 14 brings creep into play in a substantial way. Creep 15 begins to play a very important role.

16 You can also see a 24-inch diameter 17 half-thickness is the size of the pipe. In fact, the 18 size of much of the pipe that we have in the main heat 19 transport system is 24-inch diameter pipe with about a 20 half-inch wall.

That half-inch wall is thin. It is permitted to be thin by the fact that the plant is a low-pressure plant. That again is a key attribute or charcteristic of this plant relative to, say, a light-water plant.

(Slide.)

25

1 The low-pressure condition gives us a low 2 sustained primary stress. Low pressure comes into play 3 also in connection with the components, not just the 4 piping. Here is a long, slender component about 12 feet 5 in diameter and about 50 feet long. Normally, the wall 6 thickness in this component is about an inch and a 7 half.

8 The component is top-supported type supports 9 to the building, carefully engineered, down through this 10 cone to the shell. The design of the support is for 11 stiffness, and one thinks of the available margins for a 12 strength-type loading.

It is useful to observe here the nature of the 13 seismic-induced response under seismic loading. One can 14 imagine a wag-type motion of this component. When that 15 happens, two things come to mind. One is that the way 16 the component is challenged is by a buckling, bending, 17 buckling type load in this upper cone. In this 18 particular configuration, it is a failure mode that is 19 not particularly catastrophic. 20

Another noteworthy aspect of that wagging-type behavior would be the nozzle motion. So you have displacement imparted from the nozzle to the piping characteristic of the top-mounted component.

25 (Slide.)

Let us look more at the piping. One's reaction in looking at this piping as it, say, exits the reactor vessel here for the pump, it is not a short straight run, it is a long and circuitous run. In order to provide the thermal expansion loop.

6 Given that the piping is 24 inches in diameter 7 and a half-inch thick and it is relatively long, one's 8 first impression can be that the piping is a vulnerable 9 component in this type of a plant. Because of that first impression, in going through here, I will use 10 11 piping principally as the example in illustrating that, 12 in fact, that is not the case, that the flexibility in 13 that piping is a beneficial attribute because it is 14 long, though the supports of the piping become very 15 important. We have more of them because the piping is 16 long, and the response of the piping system is very much an integral response of the supports in the pipe. 17

In view of that importance of the supports, they very carefully engineered items on this type of a plant. You can see here a typical support configuration for main piping. The pipe itself is a cross-hatch part.

The green I colored in is a load-bearing installation. It is kind of a pad between the pipe and the clamp. The clamp itself runs cold. The two halves

of the clamp are held together by Bellville washers.
 They are springs essentially to hold the two halves
 together.

So the stiffness design component and it, too,
has reserve strength.

One of the aspects that is interesting is 6 illustrated by this load displacement plot in this upper 7 corner under extreme loadings, one can see that this 8 curve bends over at events beyond the design basis. 9 There is a softening here that corresponds to a pulling 10 away of one clamp half of the other under extreme 11 loading. Under all design bases conditions, the pipe 12 clamp stays snug to the pipe. Actually, we have gotten 13 pretty good at designing clamps like that. 14

We then tested them to the point where theGerman reactor were designed here in this country.

Based on that overview, a reminder of what the components in the plant look like. It is our conclusion that the seismic design problem is essentially the same except for the differences due to higher temperature and pressure. Due to higher temperature we see longer piping runs. We see top-mounted components. Due to lower pressure we see thin wall.

24 (Slide.)

25 Let us move to the second question that I

indicated we would address; that is, do the seismic 1 2 methods and criteria that we use include the 3 conventional conservatisms? To illustrate that they do, we will look at models. We will look at the methods and 4 5 at the criteria. 6 MR. ZUDANS: Bob, before you finish the talk, may I ask you a question? You showed those clamps. You 7 8 said they showed the load displacement diagram. That 9 was intended to be for the clamp motion, the 10 displacement diagram, where it gets softer as it goes 11 by? 12 MR. MALLETT: Yes. 13 MR. ZUDANS: At what point will the pipe wall 14 collapse? MR. MALLETT: Pipe wall will not ever 15 collapse. 16 MR. ZUDANS: It probably will buckle it, say? 17 MR. MALLETT: Well, we can overload it, 18 certainly. What we do is we design the wall of the pipe 19 like we were designing a vessel. We take care of the 20 detailed stress distribution under that clamp. And it 21 is that detailed design according to the stresses and 22 strains under the clamp that set the load gradient for 23 24 the plant.

So we have designed it essentially like it was

25

1 a vessel wall, and then we go test it at SSE levels. MR. ZUDANS: So you have tested it at SSE 2 3 levels? 4 MR. MALLETT: Yes. MR. ZUDANS: So your plant would be the one 5 that would open -- reach the design limit before the 6 pipe begins to collapse inward? 7 MR. MALLETT: That is true. Beyond the SSE, 8 beyond clamp load ratings, what you would find is the 9 forgiveness of the springs and bolts, yes. 10 11 (Slide.) This is the portion on the conventional 12 conservatisms. What I have shown here is the seismic 13 model. What you see when you look at this one is one 14 just like every other one you ever looked at for 15 piping. The piping model is constructed of a string of 16 finite elements, straight and elbow elements, that make 17 up the piping system itself. It is connected on its 18 ends to STIKK model, the components, and it is supported 19 along its length by seismic snubbers or elastic rods at 20 21 various locations. In fact, we use the same computer program for 22 Westinghouse that is used in the design of our 23

25 elbows that you see and the thermal expansion loop in

24

light-water plant. So the differences in the number of

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 the pipe perhaps and the number of supports. MR. ZUDANS: Bob, on this model, where the V 2 model, the pipe connects the RV model. What do you do 3 for that local load? This is relatively hard pipe in 4 5 that direction. MR. MALLETT: That is right. We have a local 6 flexibility for the shell. 7 MR. ZUDANS: You have it? 8 MR. MALLETT: Yes, we do. We pay a lot of 9 attention, Dr. Zudans, to the supports in this piping. 10 These are springs and local shell flexibilities. There 11 are other things because it is such an integral part of 12 13 the response. 14 MR. ZUDANS: So it is really not necessarily a linear model completely? Or is it linear? Or you do 15 not go to high deformations? 16 MR. MALLETT: Generally, it is linear. 17 MR. ZUDANS: I presume that this pipe goes 18 into a vessel. The vessel is what is threatened, not 19 20 the pipe. MR. MALLETT: Oh, no, no. 21 MR. ZUDANS: Not so? 22 MR. MALLETT: No. 23 (Slide.) 24 Elbows in the pipe do not permit you to 25

ALDERSON REPORTING COMPANY, INC.

1 exercise a vessel nozzle.

2 MR. ZUDANS: And supports do not stop the pipe 3 from moving; right? At least that is an assumption that 4 the support allows the pipe to move axially at that 5 point?

6 MR. MALLETT: That is true. It is engineered 7 that way, and ther are things like guard vessels around 8 many of the components that require that the supports be 9 backed off behind an elbow.

MR. ZUDANS: And these legs are short, the legs next to the vessel are short?

12 MR. MALLETT: Yes. Especially in the primary 13 system where there is a guard vessel, you have to come 14 out and go up.

Continuing on the conventional conservatisms 15 motion, here is one I call to your mind. The actual 16 data carries you around a curve such as is indicated in 17 green here, and the area inside that curve is a measure 18 of the damping in the design of the piping we wash that 19 damping out in design and neglect that damping, adding 20 then into the process a conservatism that is especially 21 important for the LMFBR plant where we tend to have a 22 lot of snubbers on the run of pipe. 23

24 (Slide.)

25

That was a review of the models. This looks

at loads. Here again it is a very familiar process.
There is a calculated response spectra, say, at the
center of the building up at the support elevation.

4 Now, in the case of piping where the supports for that piping are at different elevations and at 5 6 different locations from the center of the building, we 7 would superimpose on a plot like this the spectrum that 8 applies at each of those snubber supports and then the 9 spectrum used in the design and applied at every support 10 is the envelope spectrum. So there is another conservatism that is customarily embedded into the 11 12 piping design analysis.

MR. ZUDANS: Do you really believe that that 13 is strictly conservative? I do not know the answer, so 14 15 do not be too hesitant. If you take different point 16 supports and have their own spectrum generated, do you turn around and say, I am going to use single-input 17 spectrum now for all support points because that is what 18 is simpler to do in terms of analysis? And even if you 19 took the envelope, I am wondering whether that would be 20 a conservative result. It has never really been proven, 21 but that is the way it has always been done. And it is 22 23 bigger, but it is the same at every point.

24 MR. MALLETT: Yes. But you are not using time 25 phasing in the sense that you took a time-history

1 analysis and made them all the same in phase. Then 2 perhaps this might not be conservative.

3 MR. ZUDANS: Maybe we will talk about that
4 some other day.

5 MR. MALLETT: Yes. We worry some about that. 6 There are various things a person does from the 7 selection of the snubber down through preoperational 8 testing, in-service testing, and additionally at this 9 stage, some evaluations. And we have done some. What 10 we find is some snubber failures can be postulated 11 fail-free.

12 The integrity of the pressure boundary is not 13 really challenged. That is a beyond-design base 14 condition using nominal limits rather than lower-bound 15 allowables. But for a nominal evaluation for that 16 nominal condition, it is not catastrophic; we can 17 accommodate it. I will show some things a little later 18 that will tend to explain why that is the case.

19 (Slide.)

In addition to those things on loading, we followed the practices mentioned by Mr. Morrone for accumulation of the various modal contributions and accumulation of the directional responses as well. This is the third leg of the thing of the things to review under the conventional conservatisms notion.

1 This is one that was mentioned this morning 2 that is worthwhile repeating here. What we are looking 3 at here is a table where for the OBE limit enough snubbers have been placed on the pipe to bring the 4 primary stress on this 36-inch hot leg in under the 5 allowable. Here is the allowable 19.44. Enough 6 7 snubbers are in place to bring it down to 5 percent 8 below its allowable.

9 Once you have done that, in satisfying the OBE 10 stress limit condition, you can look across here on the 11 other pair of columns and see what that has done for you 12 regading the SSE. A 5 percent margin embedded in the 13 design here results in a 45 percent margin for the SSE 14 level of earthquake. So here is the specific numerical 15 illustration.

16 MR. ZUDANS: Is that 15? Is that a yield
17 point at that temperature?

18 MR. MALLETT: No, that is above. That is19 above. That would be room temperature.

20 MR. ZUDANS: Room temperature.

21 MR. MALLETT: But this is not a room
22 temperature calculation.

23 MR. ZUDANS: It is above the fuel point?
24 MR. MALLETT: It is above the fuel point.
25 This is where we have come to with the

ALDERSON REPORTING COMPANY, INC.

1 conservatism. We have said components. We have had 2 components that were not strange. We have used methods 3 that were customarily used, and here the methods and 4 criteria include the conventional conservatisms to the 5 point of using the same computer programs.

Now, the next area that I would like to suggest that we step past, what it says is this. The question is: do we have inherent size margin capability? The components are familiar, the methods are the same.

What we have on the docket is a generic type 11 of evaluation that says nominal yield stress is 25 12 percent above minimum yield stress, and considerations 13 such as that lead us to a -- we step to a process that 14 leads us to a conclusion that we should have about the 15 same margin from this type of evaluation that any other 16 structure designed using the same methods and criteria 17 18 would have.

19 (Slide.)

20

21

22

24

25

ALDERSON REPORTING COMPANY, INC.

If I do step past that question, because it 1 really does not add any light on what has been said here 2 previously today or add any information on the docket 3 4 either, then that will bring me down to the guestion what are some of the things that are peculiar to the 5 LMFBR type of plants that warrant mentioning in 6 considering the tolerance of this plant for extreme 7 seismic events? 8

9 Here I would like to look at three things,
10 look at loadings, flexibility, and consequences.

11 (Slide.)

MR. MALLETT: This is a viewgraph that I have 12 included to make the point with respect to loading. The 13 point is that there are other loads in the plant that 14 often are the determining basis for design. In the case 15 of the piping, we look here at the intermediate heat 16 transport system piping. The basis for design of this 17 piping for this type of a dynamic event is more the 18 sodium-water reaction, SWR, than it is the SSE. To 19 illustrate that, what I show here is a number of support 20 loads on the intermediate heat transfer system, hot leg 21 piping. What is noteworthy here is this: at the -- in 22 the first row, a snubber which happens to have a 201 has 23 the maximum reaction of any support location on that 24 piping, 60,000 pounds. At that location the 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 corresponding SSE load is 21,000 pounds.

If we look down at a different point along that same leg of pipe, the maximum SSE load that occurs anywhere is, say, 30 pound load at that point, the sodium-water reaction load is 45,000 pounds. So it is the nature of the plant and its conditions that lead to loadings other than the SSE to be the determining factor in the design of much of the equipment.

9 Now, this happens to be the intermediate heat 10 transport system. Essentially the same thing is true in 11 the primary heat transport system where in that case the 12 water hammer type of event that is evaluated is the 13 HCDA, or water we call the SMBDB. The water hammer 14 event meets the larger loads than does the SSE.

15 (Slide.)

MR. MALLETT: Now, this is the point that I 16 found difficult to say, but it is a very important one 17 and it is worthwhile, my having a go at it. It has to 18 do with the flexibility that is inherent in this piping 19 and the capacity of that piping to accommodate 20 deformation. I have to begin here. Remember, in the 21 ASME code we had what is called a primary stress which 22 is the type of stress that can fail with one application 23 of the load. And we often also talk about the secondary 24 25 stress where it is not a single application but it is

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
1 cyclic loading that causes a problem.

2 I have illustrated that here below. Here is the primary stress case on the left. Suppose we have a 3 beam. Suppose that stress on that beam is about the 4 yield stress. So there is a primary load situation. 5 The secondary load situation would be where you push the 6 tip of the beam down one inch. You do the same 7 analysis, you calculate that you have a reaction that 8 9 would rise. It would be ten kips, and the stresses here on the beam would be the same. This is a load control 10 11 situation. It is a dead weight. It leads to a primary stress. It is just a displacement control situation 12 that leads to a secondary stress. 13

The difference is when you are asked the guestion what if you are wrong? Suppose you are 50 percent wrong? If you are 50 percent wrong in this case, the load is actually 15, then you can go to collapse. If you can go to immediate collapse of this beam.

20 Over here, if you are 50 percent wrong in what 21 that displacement was and it is actually down an inch 22 and a half, the reaction is up a little bit, but you 23 really have no failed the beam.

Inelastic deformation in the structure does not relieve a primary stress. It does relieve the

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

secondary stress. The significance of this is that the seismic stress limits that we design to in the ASME code are set assuming seismic stresses are primary stresses. You see, the stress limit, you can go to collapse in a single application. The fact of the matter is it does not really work that way, especially in the LMFBR case where the piping is a very highly redundant structure. (Slide.)

MR. MALLETT: This kind of illustrates the 9 same point. I think it is worth showing it also. This 10 says this is a load versus displacement type plot, but 11 you could think of it as stress versus strain. Let's 12 say the material is initially elastic. We will take it 13 right past the elastic limit, and we come up here. Once 14 we arrive at this point, then we can see this is due to 15 the fact that the material is really nonelastic. It 16 exhibits inelastic behavior, plasticity. 17

18 We could move off in this direction, then we 19 see it is very important to provide a substantial margin 20 here because the primary stress would be carried to 21 failure. If we admit to plasticity, we come down that 22 line, that is what happens if it is a displace. 23 control situation or secondary stress.

24 This is the kind of thing that happens in the 25 LMFBR pipe. It tends to come down in this direction due

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

to an inelastic deformation in the piping. Don Landers 1 of Teledyne mentioned in a report recently that in his 2 experience he has seen cases where elastic calculations 3 would carry you to five times the design limit and yet 4 on inspection of the pipe, after the event, there is 5 6 only moderate inelastic deformation. The redundancy of the pipe and its flexibility gives it a remarkable 7 capacity for shedding load from the high load region to 8 9 the low load region.

Let me carry this a little bit further. This
11 is test data for an elbow of the type that we used.

12 (Slide.)

MR. MALLETT: In our piping, an elbow is about 13 20 times more flexible -- that's not always the case. 14 15 Let me take a specific leg. The 36 inch hot leg out of the reactor vessel, the length of the pipe and the 16 elbow, what that means is that all of the deformation 17 occurs -- all of the deformation occurs essentially in 18 the elbows. The straight sections aren't challenged. 19 They are not severely stressed. So the way the 20 deformation takes place, then, we collapse a single 21 elbow in the test here, versus a change in the angle of 22 the elbow. 23

24 Here is the OBE limit. Here is the SSE 25 limit. Up here is the actual collapse load. So there

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

is this enormous margin that is built into the process
 because it is a primary stress.

If you look up here at the collapse load, what you find is the strain, even at that level, is only about a 1 percent strain. The nature of the deformation is a relatively benign deformation. Here we have taken an elbow that we have collapsed. This is a 16 inch diameter, I think. We have collapsed this elbow.

(Slide.)

9

25

10 MR. MALLETT: You can see the way the piping 11 system performs is that the cross section of the elbow 12 is ovalized. The straight pipe really doesn't get bent 13 a lot. The flexibility is in the elbows.

14 (Slide.)

MR. MALLETT: The important thing is that an 15 elbow like that be able to accommodate a lot of strain, 16 and in fact, it can. As I said, here at the peak this 17 is only about 1.2 percent strain. It is already at a 18 change in angle of 4 degrees, so you must imagine you 19 have two long straight sections of pipe. The elbow is 20 changing four degrees, or out to the right 8 degrees. 21 There is implied in that enormous motion down at the 22 other end of the straight section, and it really can't 23 happen that way. 24

When you get into large motions like that and

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., 'ASHINGTON, D.C. 20024 (202) 554-2345

these beyond design basis accidents I am imagining here, you will run to the limit on travel in snubbers and hangers and such things. So for the beyond the design basis accident, there are mechanisms there that provide for shedding of loads.

6 MR. CARBON: Would you put the other elbow 7 back up there?

8 I didn't have time to really study that. 9 Would you go through again what I should get 10 out of that picture?

11 (Slide.)

24

MR. NALLETT: What I would like to have you 12 understand from this is that the fairly benign nature of 13 the deformation that has to take place in the piping 14 system, it is not a question of bending the straight 15 16 piping section. What large displacement of this piping 17 system leads to are simply polarization of the cross 18 section, and in this case it is a complete collapse, 19 ovalization for purposes of illustration, but even at 20 OBE levels for dead weight stress, the nature of the 21 deformation of these piping systems is one of 22 essentially ovalization of the elbows in order to accommodate the motion from straight pipe. 23

24 MR. ZUDANS: Bob, the other picture that you 25 showed, the low angle curve, it really didn't mean that

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

the walls collapsed, just that the load capability in
 bending reduced because of the ovalized cross section.
 MR. MALLETT: Yes.

4 MR. ZUDANS: You still had the low passage in
5 the elbow. It wasn't closed off.

6 MR. MALLETT: Oh, yes. This is after the test 7 of what we call an elbow collapse. This is what it 8 looks like. This is far removed from any actual design 9 basis type load.

MR. KASTENBERG: I have a question.

10

The comment you made before about the long run of pipe, does that argue then for having a more flexible piping system with less snubbers in it and letting piping take up in a large earthquake, taking up energy via an elastic deformation?

16 MR. MALLETT: We have a very flexible piping 17 system here, and the nature of the behavior is one which 18 shedding loads to snubbers which are down in the 19 straight sections and that works well. I think that is 20 a beneficial process.

21 MR. ZUDANS: I think your advantage is derived 22 from the fact that you have large diameter, thin wall 23 pipe. If you took the large diameter PWR pipe, there 24 are much thicker diameters. While they still have the 25 same tendency to ovalize, but they are much thicker, so

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

in response to your question, this is correct. It is reasonable for more flexible piping, and it is not unreasonable to think of that for LWRs as well.

MR. MALLETT: I had some points I wanted to 4 make here on special attributes. The load 5 flexibility -- this was one I have called consequences. 6 Here the attribute I want to talk about here for a 7 minute is the failure of the piping is not 8 catastrophic. We have done testing such as that 9 indicated here. This is a straight section, an elbow 10 and a straight section. We have applied a moment to 11 12 that elbow by changing the length here, and we got an initial defect in that elbow, and then we pump up the 13 internal pressure to cause a failure to occur. 14

Now, I will show you next the figure for the 15 failure looks like for the case of the 16-inch diameter 16 elbow. This is the most highly stressed region. We cut 17 a through-wall crack there equal to the length of about 18 the diameter of the pipe, a 16-inch diameter pipe, a 19 16-inch through-wall pipe. We put a bladder through 20 that pipe and then pressurized it up to a pressure that 21 is twice the design pressure present, and the cross-over 22 leg in this piping, this is what the failure looks 23 like. 24

(Slide.)

25

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. MALLETT: That is, it is such a low energy 2 system that it is just not possible even for these thin 3 wall pipes to open up the crack. This is the initial 4 crack. No extension of the crack occurred, and we could 5 not get it open more than about that much and still keep 6 it sealed at twice the design pressure.

7 So the low energy system does not give a 8 violent destruction with the failure and of course does 9 not leave any system dryout because it is below the 10 flash point of the coolant.

11 (Slide.)

MR. MALLETT: We have studied that process a 12 good bit. We have been here before and presented what 13 we called our piping integrity activity. It included 14 the tests I just showed you, and it included the three 15 tier process. First we looked at ASME type evaluation 16 of the piping. Then we postulated flaws in the piping, 17 worse case location, orientation, such things. We tried 18 to see what would happen to that flow when the duty 19 cycle was applied to the plant. The answer is almost 20 nothing. The cracks don't grow for the combination of 21 conditions that we have and the material that we use, 22 23 almost negligible cracks.

Then we add a third layer on this evaluation of the integrity of the piping where we set aside the

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

duty cycle of the plant and force the crack to grow.
When we did that we found that the crack penetrated the
wall at a fairly short length of pipe. A part of this
last activity here was a test that I just showed you.
Even when we took the pipe, put a very long crack in it,
tried to open up an abrupt, large hole, it just does not
happen. The energy is just not there.

8 So from the picture that I showed you and your 9 arguments that are on the docket with respect to these 10 activities, we conclude that abrupt gross failure of 11 this piping is not credible, and that is a noteworthy 12 attribute of this type of system.

(Slide)

ALDERSON REPORTING COMPANY, INC,

For this segment, then, I conclude that the
 Clinch River plant is designed to beyond the design
 basis.

4 MR. ZUDANS: Bob, did you ever experience an 5 indication of buckling collapse in the compression zone?

6 MR. MALLETT: The pipe is not that thick. It 7 is thin compared to the light-water plant, but if I 8 would bring a piece here --

9 MR. ZUDANS: It is half an inch thick. We can
10 visualize it, right? So it is not paper thin.

MR. MALLETT: That's right. It is heavy. You
saw reaction loads of 60,000 pounds of pipe out of this
strong pipe.

MR. ZUDANS: You do have strong relative motion. Supposing you just inconveniently selected support that froze up on you, and you had to go several inches. Did your test reach that kind of arrangements, or do you have such geometric configurations?

19 MR. MALLETT: We tested the geometry, both 20 short-term loads and in fact creep tests. The only 21 buckling that occurs for the parameters that are 22 relevant here is the ovalization. That is all we see. 23 They are just not thin enough to get us down to the 24 interesting piping problems.

25 (Slide.)

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. MALLETT: What special things have we done 1 in view of the fact that this does not have the 2 3 extensive prior operating history of a reactor? Well, we have done a number of things. We have done things in 4 the development area, in the verification area, and in 5 the coordination area, and let me mention some of 6 those. I have come back here to the clamp case again 7 because supports are so important. This is a plan view 8 of the section of pipe. This is a 24-inch diameter 9 pipe. It is full scale tests where we put a piece of 10 clamp on the pipe. We insulate the pipe. We snub it to 11 ground, and put three thrusters against it. This is 12 really all the horsepower we had to put against that. 13

We took that to temperature and seismic 14 loadings, and simultaneously we took it through 15 temperature changes and seismic loading. This is an end 16 on view of essentially what the plant looks like. I 17 have a photograph of the test setup that takes this 18 view. From such developmental programs as this, various 19 kinds and many in number in this program, we have 20 established the integrity of the important pieces. This 21 we took through a number of SSE's. We took it apart, 22 inspected it for damage, and it wasn't damaged, and that 23 has helped us to qualify the clamp. This is looking 24 back over the three thrusters. This is a pipe and here 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 is the plan.

2

7

(Slide.)

3 MR. MALLETT: This is an example of the type 4 of developmental testing that had been done as a part of 5 this program. It has been done not only on the large 6 clamp, but also on the small clamps.

(Slide.)

8 MR. MALLETT: This is more of the same development type confirmation of what we are doing. 9 This is representative of a one scale third of the cross 10 over pipe between the pump and the IHX. We have been 11 very careful in this test to design prototypic supports 12 along this piping, and have a prototypic thinness in the 13 pipe. We will be subjecting this this summer to a 14 seismic load to confirm that what we are doing in 15 representing this thin wall pipe and its associated 16 piping hardware is an adequate model and an adequate 17 18 method.

Now, with respect to -- I guess the difference between verification and in the actual plant, this is the HDRD contamination project that led to a number of seismic -- a number of vibration studies of the piping. We have pulled these two results from that too as an additional confirmation that the methods we are using are getting the job ione. If we look at frequencies for

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

one of the legs in this plant, for one of the three modes I have shown here, what is measured in the field is in the same ball park as what is protected, or vice versa, perhaps I should say.

So, for these loads down at these frequencies, 5 6 the correlation between analysis and test is pretty good. If you look in terms of peak acceleration 7 8 response at a place along the pipe due to this excitation, this particular case was a charge set off 9 outside the reactor in the ground. We have ordered here 10 the test measurements along this piping leg from the 11 maximum value to the smallest value, but what you want 12 to look at is in this region where the response is the 13 highest. How is the correlation between the analysis 14 and the test? It is pretty good. 15

Here, where the responses are strong, the 16 correlation is good, and where the correlation is less 17 accurate, plates out here, plates out here, the analysis 18 is usually more conservative than the test. The 19 analysis is conservative relative to the test, I should 20 say, so this is a confirmation of an actual light-water 21 reactor hardware. The methods that we used are 22 23 reasonable.

Now, this is a verification that has been done for the FFTF plant on the cross over pipe, that is, the

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

pipe between the pump and the IHX. The excitation in this case is the pump itself. The question, of course, is whether or not the natural frequencies that are predicted are close to those that are observed in the plant. Well, for the zone of pump speed that is shown across here, one can see a peak of 12.4 and another peak down here at 12.0, and 15.0.

8 The frequencies predicted for that pump are 9 very close to the frequencies actually observed in the 10 plant. This is for the FFTF.

MR. CARBON: These analyses were done with the
pipe filled with some fluid? Because you have to have
that.

MR. MALLETT: Yes, yes, you have to have
that. The accuracy in that case was better than you
would expect.

17 (Slide.)

MR. MALLETT: We have an extensive program of 18 technology exchange with other countries, especially the 19 Japanese. This vu-graph shows a test that is being run 20 by the Japanese. This is their Monju hot leg where it 21 comes out of the reactor here, off the ground here, up 22 around, and back into their IHX. It is a test very much 23 like the test that I showed you earlier in blue, which 24 is the test being run in this country. They have run 25

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

this particular piping through thermal expansion type 1 testing. They have run it through seismic testing, and 2 3 they are also going to be doing water hammer testing 4 with this piping. It is an example of the type of 5 program where we have stayed in touch with the Japanese 6 to follow what they are doing. They follow what we are doing, because neither of us wishes to have any 7 8 important oversights.

9

(Slide.)

MR. MALLETT: This is a specific quantitative 10 11 benefit from that exchange. They have done in situ 12 verification of Joyo piping dynamics. This is done by 13 shaker siting force in three places, X, Y, and Z, from a piece of pipe that runs from their IHX out to their : 14 penetration. What you see from these in situ test 15 results are here, the first four test frequencies are 16 shown here, the corresponding analysis frequencies are 17 18 shown here. The two differences and analysis results 19 here. One case they run with the rigid, assume a rigid support. That is the way we used to do analysis in this 20 country, the way they used to do it. We don't do it 21 that way any more, we do it with spring. With springs 22 the correlations on these loads are very good for tests 23 against the installed piping in the Joyo plant. 24 25 I have tacked on the end here just for your

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

information damping that has been measured in these 1 tests. They say the damping is quite high. The first 2 3 load is up to 17, 18 percent, down to the fourth node, 4 higher frequency. The damping is down four to five. This is just an indication of our interest in what is 5 going on elsewhere in the development of these LMFBR 6 7 reactors. This is where I have come to from this 8 presentation.

9

25

(Slide.)

MP. MALLETT: The methods we used are the 10 conventional methods and have conventional 11 12 conservatisms. I didn't go through the inherent margin business. It is on the docket, and there is nothing 13 special to the LMFBR. We ran through the special 14 attributes that reduce the risk associated with high 15 16 seismic events, and finally, I pointed to in a summary fashion the number of activities that we have in place 17 to help verify the designs. 18

19 It is our judgment based on activities and 20 evaluations such as these that seismic safety levels for 21 LMFBR and light-water reactor components are 22 comparable. We have done them similarly where they are 23 different, we see strengths in the features of the LMFBR 24 plant.

MR. TRIFUNAC: I have a guestion regarding

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

your loop that you showed very early about the snubber 1 resisting force. If I look at, say, a complicated 2 3 three-dimensional regiment of the pipe I can envision a situation, and if I suppose it is attached to a 4 relatively rigid structural system, I can imagine a 5 6 situation where the deformation of the pipe is such that 7 in one case the snubber is pushed in and in other cases 8 it is pushed out, so if I don't have the linear 9 approximation of the spring, equivalent spring for the 10 snubber, but rather look at the actual force that is in the snubber, that I could have one snubber somewhere 11 12 lagging, and in the other case advancing relative to the 13 force that it should be experiencing from the 14 deformation of the support points. Are you with me so 15 far?

16 MR. MALLETT: I think so.

17 MR. TRIFUNAC: So with this hypothetical case, 18 then I am getting into a situation where I can envision 19 that the forces that go into that three-dimensional pipe 20 arrangement have essentially introduced phased delays by 21 virtue of the fact that not only in the area of the 22 snubber response. Do we consider that?

23 MR. MALLETT: Let me answer it this way. The 24 snubber is quite a complicated device. It differs from 25 a linear spring in several ways. One is the damping.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

Another is, there are small gaps, and impacts in 1 snubbers. So we have undertaken to study it a great 2 3 deal. It continues, and we are going to carry it so far as to actually run piping systems like that that I 4 showed, where we have designed a piping system with 5 prototypic supports and characteristic thinness in 6 7 piping to confirm what we are doing, but so far we have done it analytically. We have run very careful time 8 histories with one type of model, and another we have 9 run with small gaps and we have run with different 10 11 stiffnesses.

12 Frankly, it doesn't turn out to be the problem 13 that we thought it might be. What we are finding is 14 confirmation that the simplified linear response motions 15 that we use are pretty good, pretty good.

MR. TRIFUNAC: I am not sure you can find out, 16 because, for example, in this case, the geometry is so 17 simple, and the length is relatively short. It is 18 difficult to imagine the experimental vibration that you 19 would see that would even bring what I am talking about 20 as a possibility. If you have a long pipe, a real pipe, 21 could you not get a somewhat enriched vibration spectrum 22 mode that you don't see because you impose linearity on 23 the snubbers? 24

25

MR. MALLETT: I say again, not as significant

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 as we thought, because the pipeline I showed you there 2 really isn't terribly simple. That is a 3 three-dimensional pipeline. It will be given a complex seismic excitation. We have already run complicated 4 5 situations and analyses, and I showed you this one from the Joyo actual plant. These complexities are actually 6 there, but apparently really are not all that 7 8 significant.

9 MR. TRIFUNAC: How would we test that? This 10 we cannot test in the framework of my hypothetical 11 question. We would have to have the supports of the 12 snubbers moving the way they would, say, during an 13 earthquake, and creating those out of phase motions. 14 How would we test this except perhaps during the 15 computer simulation?

16 MR. MALLETT: The snubbers are out of phase. 17 We use various models. I think the complexities that 18 you are interested in are already in analyses we have 19 done and test results we have, and we are pleased to 20 learn that they really are not as complex as one might 21 hypothesize as significant.

22 MR. TRIFUNAC: I thick what I am getting at 23 is, I am wondering whether there are some 24 three-dimensional shapes of vibration. I am not using 25 the word "node" intentionally, but we eliminate the

> ALDERSON REPORTING COMPANY INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

phase of the real snubber by linearization. 1 MR. MALLETT: I can say again we have done 2 analyses of the various snubber models. 3 MR. TRIFUNAC: Non-linear models? 4 MR. MALLETT: Absolutely. 5 MR. TRIFUNAC: Not damping, gaps, theoretic 6 delay, all the complexities that we can imagine might 7 actually be there we have looked at, and it is in the 8 open literature at this point. It is published. 9 I am talking about histioratic delay. The 10 damping is just going to be a 90 degrees out of phase 11 thing. The stoppage is going to change the stiffness. 12 I am talking about the delay with which the force of the 13 snubber responds in a non-linear fashion. 14 MR. MALLETT: We have been through that. I 15 say again, we have very complicated snubber models to 16 test the sensitivity to such things. I say again, it 17 has turned out it is not a problem. 18 MR. TRIFUNAC: You don't find a case where the 19 delay would bring about an unexpected distribution of 20 forces and an unexpected form of vibration? 21 MR. MALLETT: I can give you some general 22 comments. If the gaps get too big, they are a problem. 23 That is one of the things that happens. I can also say, 24 when you work with such things as the damping that you 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 talk about, you can change the response. Usually you do 2 not have much effect on the largest response. The 3 smaller response, the peak boundary.

4 MR. TRIFUNAC: I am not talking about 5 damping. I am talking about phasing of the forcing 6 function.

7 MR. DICKSON: Could I rephrase it, possibly, 8 Bob? I think he is worried about snubber 1 getting hit 9 with a force and snubber 2 getting hit an instant 10 later. Then when snubber 1 is coming back snubber 2 is 11 going forward on the same length of pipe. I think that 12 is what is his concern.

13 NR. TRIFUNAC: What I am looking at is a 14 situation where they are not all in phase because they 15 are non-linear, so one is pushing, one is pulling. That 16 may be 90 degrees out of phase, or 180 degrees out of 17 phase. So in linearization in the dynamic model 18 eliminates that. That is what I am looking at.

MR. DICKSON; Is that eliminated, or is that 20 factor accounted for?

21 MR. MALLETT: Every study we have done to look 22 at these interesting aspects of how responses may be 23 replaced have indicated they are not as important as 24 they would be --

25 MR. ZUDANS: The kind of analysis you did by

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345 taking all the response spectra and adding them to the response supports, the kind of question Mike is asking you cannot answer without analysis. It is really a question of, can you really excite the motion parametrically, so to speak, by this fact that they do not linearly react to the portion of the ends.

7 MR. MALLETT: I do not know what it takes to 8 be helpful. We do a nozzle excitation where one end 9 moves, the other doesn't. So that is a case where the 10 supports aren't all going similarly.

11 MR. TRIFUNAC: Let me explain why I am asking the question. I have done analyses of bridge type 12 structures where in the response moving phase I get one 13 response, but I just slightly change the phase of the 14 support motion, then I can excite vibrations you have 15 never seen before, and I was wondering if you have ever 16 seen historatical. That is why I am asking the 17 18 guestion.

19 MR. MALLETT: We have excited snubbers with 20 the non-linear historatic. Our time history seismic 21 analyses have all had similar motion and support. Our 22 nozzle has not.

23 MR. TRIFUNAC: That is a limiting factor.
24 MR. DICKSON: The sodium/water reaction for
25 the intermediate heat transport is time phased, so that

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 is time phased and when a nozzle is excited, that is 2 time phased.

MR. MALLETT: The structure is very complex.
A bridge is more susceptible to being excited in a way
so that it has a response particularly to the
excitation. The modes in this three-dimensional piping
to participate from -- they all participate from any
directional.

9 MR. TRIFUNAC: I was thinking about that, but
 10 mechanically it was the same thing.

I just had one other question. You had a table. You showed some very long time pegs. Is that like I take the pipe experimentally and I displace it and I let go and I see how it dies out? How was this actually done?

16 MR. MALLETT: The Joyo test that showed very 17 large damping, I think it is very large pipe that was 18 excited at the location shown. The question is whether 19 that was a sinusoidal excitation or whether it was a 20 snapback. I don't know. I don't know.

21 MR. ZUDANS: That damping included all the 22 snubbers as well.

23 MR. MALLETT: The supports, yes.
24 MR. TRIFUNAC: That is why I was asking the
25 question. In the first mode it is higher than the

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 higher frequency, so you are more or less structural 2 damping. 3 MR. TRIFUNAC: So perhaps the fourth or the fifth mode might be representative of the damping in the 4 5 pipe. MR. ZUDANS: Oh, yes. 6 7 MR. TRIFUNAC: And the second mode is indicative of the energy absorption of the snubbers. 8 9 MR. ZUDANS: There is no question about that. MR. TRIFUNAC: That is why I asked the 10 11 question, MR. ZUDANS: It is 17 percent. 12 MR. TRIFUNAC: So using 17 percent would be 13 misleading in the analysis of the structural model of 14 15 the pipe. MR. MALLETT: Clearly, I wasn't recommending 16 17 that we use 17 percent. 18 MR. CARBON: Are there other questions? MR. KASTENBERG: Max, I have a general 19 question for the group of speakers, but it is brought on 20 by this particular presentation. Suppose you find in 21 the PRA that you are about to do that external events 22 such as seismic is the dominant risk contributor which 23 would lead you to core disruption or core melt, and you 24 had some systems which you may rely on, and are either 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

not seismic category 1 or just seismic category 1, and you want them to function in the case of this large accident.

The one I thought of was the one we were 4 5 presented with at our last meeting, which was the 6 containment event and purge system, which I think goes out into the auxiliary building. Would such a system 7 hold up in a large earthquake? Have you looked at 8 9 that? Are there other systems that you might rely on in 10 a large earthquake that might not hold up, but you would 11 like to have available?

12 MR. MALLETT: I would like to ask my spokesman
13 back there.

MR. GAESER: If your question is, having done 14 the analysis and finding that seismic as an example is 15 the dominant risk contributor, and then finding that 16 there is some link within the chain of connection that 17 is weak against that in the higher range, particularly 18 weak, think about the draining lake analyses, you have 19 got something sticking up, then I suspect the project 20 would take some action with respect to that without 21 22 knowing what the weakness was, how much it was. It would be difficult to predict in advance what you would 23 do about it. 24

25

Clearly, the PRA would provide an indicator of

ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

where you are headed, and I used the term earlier, a weak link in the chain of protection, and then you would have to evaluate that. Right now, those features that we are counting on are all designed to ride through the seismic event, and all of those, one would expect to have some margin beyond that, and present at least in my mind, not each one individually cuantified.

8 MR. KASTENBERG: Is that system we saw last 9 time seismic 1, the purge system that went out into the 10 aux building?

MR. GAESER: The purge system, the filters,
the cleanup system, and the purge system, the buildings
those are located in are all seismic 1.

14 MR. CARBON: Carson?

MR. MARK: This is totally out of ignorance. 15 16 I have heard that snubbers are one of the main sources of snubbers. That is, they seize up or they lose their 17 fluid or something goes wrong. Inspection is a great 18 pain and not very eliable. You have spoken of needing 19 to restrain these pipes, and yet these pipes are a 20 little more something like an earthworm that I think 21 needs to be restrained at many points. What would be 22 the consequence of just slinging this thing in a hammock 23 and attaching the continuous hammock to beams at a 24 suitable number of points and letting the pipe ride away? 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. MALLETT: It is true, to fail something you need to tie it down some place. If it is not tied down any place, you can't hardly fail it. Once you begin to tie it down to a nozzle of the component and then another nozzle at the component of the other end, then --

7 MR. MARK: I could see that that would be true
8 for maybe the last half dozen feet or something.

9 MR. MALLETT: It is a good idea to have 10 flexible systems. You won't find snubbers like this in 11 fossil plants, old plants.

12 MR. MARK: You are saying that the snubbers 13 you are proposing to use are going to be less affected 14 by the traditional problems that you would buy from the 15 guys who now make and sell snubbers?

MR. MALLETT: We are going to buy mechanical 16 snubbers which are -- for this piping we talked about 17 here today, which are very well studied items in recent 18 years. That is true. I do not have some of the failure 19 modes and some of the hydraulics numbers handy. We have 20 used vendor data, and we have developed our own data. 21 We have spent a lot of time trying to engineer those 22 supports, trying to get them right, and as you know, we 23 will be involved in inspections and confirmations later. 24 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. ZUDANS: Typically, what kind of thermal expansion motion do the scrubbers allow, in inches? 2 MR. MALLETT: You can specify what you want. 3 4 MR. ZUDANS: What do you need, for example, in 5 the piping that you discussed? MR. MALLETT: We will buy ones that are 6 frequently, say, six-inch travel. 7 MR. ZUDANS: Six inch travel for slow motion? 8 9 MR. MALLETT: Yes. MR. ZUDANS: The leg that comes up on the 10 reactor vessel goes up a couple walls and goes up. 11 Where is the first snubber located on that line? On the 12 13 vertical leg someplace? MR. MALLETT: No, we have no snubbers in the 14 reactor cavity. It is up, out, over and through the 15 wall and then it is over there (indicating). 16 MR. ZUDANS: And then you have a great number 17 of elbows, at least two more elbows before you hit the 18 first snubber. So that means the reactor vessel expands 19 six inches, you really don't care. You can fully 20 accommodate it. It is not a single support that would 21 freeze up on you and stop the wall from expanding. 22 MR. MALLETT: Yes. We have done beyond design 23 basis accident analysis, so to say we can withstand 24 25 circumstances like that.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

MR. ZUDANS: Does the compartment head up in the case of spill? I guess you really don't care; when you spill, you spill. Okay, that's a superfluous question.

5 MR. CARBON: Thank you, Dr. Mallett. Mr. 6 Thornberg?

7 MR. KNIGHT: I guess the next item on the 8 agenda is the status of the staff review, and I can be 9 very succinct at this point. In addition to the -- this 10 is Jim Knight from the staff.

In addition to the report that we had this 11 12 morning from the people in geology and seismology, we are in the midst of our review in our areas, and in 13 particular, the structural people will be performing an 14 15 audit at Burns & Roe on June 22nd and 24th, in which we will be looking at a number of the areas discussed here 16 17 today, such as modeling and various parameters used in 18 the seismic analysis.

19 And we have the mechanical people looking at 20 piping and components that are being assisted in this 21 particular case by EG&G, partially because of the 22 shortage of personnel available to perform the review 23 and partially because we were looking at -- for 24 additional expertise. Not so much in the seismic area, 25 although we will be benefiting by the EG&G personnel

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

there, too, but also in the area of high temperature technology in the application of the high temperature code cases and the code.

There we have a subcontract that makes Dr. O'Donnell available to us as the staff consultant and assists us in our review. I would hope we would have a draft SER on the mechanical side probably mid-July. That will be the first item we will set forth as areas where the staff has concerns and expand on that in the question and answer process.

That pretty well is the status of the staff
review at this moment.

MR. CARBON: Questions of the staff?
MR. MARK: Will the staff probably have
solidified its conclusions on the acceptability of some
number for SSE and OBE by the site suitability meeting
time?

18 (Pause.)

MR. KNIGHT: I would characterize the staff's present posture as one of working at this moment to assure ourselves that the conclusion we reached some years ago still holds, and I don't believe as of this moment we see any strong influences that would have us tend to change our mind. We may not -- by the time of the site suitability meeting.

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

I would presume we would like to reserve a little bit of flexibility to look at some other information that might be available, but by and large, I think we are already at the point where, as I said, barring some unique piece of information, we are satisfied with the seismic design level.

7 MR. ETHERINGTON: Does this mean that starting 8 today you would reach the same numbers?

9 MR. KNIGHT: I think that is a fair characterization at this time. We do reach the same 10 11 numbers. We do have guestions that are outstanding, and 12 I do not want to disarm the applicant. We do have questions that are outstanding. They wouldn't have been 13 14 asked whether they were serious questions, and it is the type of question I think we need to update, our 15 understanding of the geology of the area and to assure 16 ourselves and the applicant that there are not factors 17 that would cause us to change our minds. But it is an 18 attempt to give you the best feeling I can for the 19 20 moment.

I thin we are not, at this moment,
anticipating a significant change.
MR. MARK: A thing that could make a

23 MR. MARK: A thing that could make a 24 significant change in principle would be the 25 redefinition of the locale, within which the Madrid

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

earthquake structure exists. Now, I presume that has been looked at and it does not make a change, it does not make Madrid controlling. The boundary of that rift or fault or whatever you call it has been expanded within the last, what, year or two years from what it was when this was first looked at.

7 If it came far enough in the right direction, 8 then it could become controlling, and that would change 9 your SSE numbers in principle. It could potentially. 10 The same thing would happen if Charleston were allowed 11 to migrate 100 miles inland; then it would be at the 12 200-mile distance.

MR. KNIGHT: Yes. I guess certainly, if what 13 I would consider significant events of this type were to 14 occur -- and one might even say if we had another event, 15 significant event somewhere closer by -- it could 16 change. But we have put a fair amount of effort into 17 reviewing the work that we have done over the past, and 18 at this point, with the exceptions of the questions 19 which are now outstanding, we have not felt the need to 20 modify our position. 21

22 MR. MARK: That is likely to be rather a 23 central point, is it not, in site suitability 24 discussions ultimately, if not this month? Certainly it 25 is the basis of all we have heard today, that this is

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 the SSE and this is the response.

*

.

2	MR. CARBON: I don't know whether Mr. Check
3	might want to respond to that comment or not.
4	MR. CHECK: I don't know how much more can be
5	said. There is always an element of risk. If it is
6	important, do things happen, they are going to be
7	accounted for, up to an including changing the game.
8	But if things hold together, right now there is a
9	growing confidence that the conclusions we have reached
10	before about the capability of this site for a reactor
11	of this general size and type are going to hold up.
12	MR. MARK: I couldn't ask for more.
13	MR. CARBON: Are there any other questions?
14	MR. KASTENBERG: Yes. I would ask the staff:
15	in what context will the staff handle earthquakes more
16	potentially severe than the SSE?
17	MR. KNIGHT: That is a very significant and
18	difficult question. I cannot give you a prescription of
19	what the staff will do. Our response in the past and
20	this is a subject which is occurring with increasing
21	frequency has been that we believe that the process
22	that is now in place, the designation of the SSE and the
23	OBE, leads us to an adequate design basis with margin
24	that gives a significant, I believe, degree of
25	confidence in an ability to withstand an earthquake

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

greater than that for which we have explicitly designed. 1 As a matter of fact, I think everytime we look 2 at it, it is virtually impossible for us to design just 3 up to some level. We always end up with capacity 4 greater than our design. Even when we go back and 5 retrofit a plant, we end up with something greater than 6 what we retrofit for. It is just the state of the 7 engineering technology. 8

Once you decide that you want to enter this 9 question -- and this may or may not have been this type 10 of a guestion -- once you decide you want to enter the 11 sphere of a discussion on larger load capability of 12 greater magnitude events, the engineer has a rather 13 significant problem, and the regulator along with him, 14 in that if one were to say: I want some definitive 15 response here, it seems to me that the next thing you 16 want to do is define that larger event, define it in a 17 way that you can enter the standard methodology with it. 18

Having done that, now I should decide on perhaps acceptance limits for stresses and this kind of thing. So one possible avenue seems to be opening an entirely new branch of progress, I might say. The other is to perhaps look more closely at the question of margin and where it exists and what confidence we have in it.

> ALDERSON REPORTING COMPANY, INC, 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 There has been a suggestion, I believe, from 2 time to time that perhaps we should increase the level 3 of seismic input just to gain some of this additional 4 confidence. I have, I know, a very personal feeling and 5 it is shared by others of the members of my staff, that 6 this may be just the very wrong way to go.

7 A lit of things we are talking about here today, adding stiffeners, snubbers, complicating 8 systems, it would seem to me that a very careful study 9 would be in order before we decide that we really have 10 made a net gain in safety by somewhat arbitrarily 11 increasing the level of seismic input, either because we 12 really are convinced that we have not defined an 13 adequate -- unless we are convinced that we have not 14 defined an adequate seismic basis initially. 15

16 NR. KASTENBERG: Let me see, does this mean 17 that during the next year before issuing the CP, you 18 will try to arrive at some resolution, or will you just 19 discuss it over coffee and let it go at that? I am not 20 asking for exactly what the answer is going to be, but 21 just in the context of how you will approach it, because 22 I am sure the question will come up again.

23 MR. KNIGHT: You are certainly right. The 24 direct answer is that the staff at this time has no 25 plans -- we have no activity underway to either redefine

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

1 the seismic design basis or, in some way, I suppose you 2 might say come to grips with that question, other than 3 to look at it from the standpoint of the so-called 4 traditional standpoint: are we, in fact, correct that 5 significant margin exists beyond our significant design levels, and are there soft points, are there areas where 6 that thinking is faulty if something of this type is not 7 a rigorous program or misleading. 8

9 But there is no formal distinct plan in
10 progress, then, to address that guestion other than by
11 coming back to the guestion of margins.

12 MR. CARBON: But coming back to that, will 13 you, as an example, be asking the applicant to carry 14 through analyses to find which are the weakest points in 15 terms of added or extra capacity?

MR. KNIGHT: I doubt, at this time, that we 16 would be asking the applicant to do analyses to 17 specifically -- to address -- I think your direct 18 question, to do unique analyses to particularly find 19 soft spots. We would certainly, in our reviews such as 20 the audits we are performing and the reviews that we 21 would be subsequently performing with the Branch, be 22 looking at the work that has been done, with the purpose 23 of assuring ourselves that at this point, -- I suppose 24 one might call it the contention offered by the 25

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345
1 applicant -- that the margins which exist in this plant 2 are comparable to those which we find in the light water 3 plants.

Whether or not at some point, based on what we learn, it becomes useful to ask for some particular piece of work is another question. I certainly do not know of any at the moment.

8 MR. ETHERINGTON: Do we have adequate data on 9 the cycle fatigue, elevating temperature? You can just 10 say yes or no.

11 MR. KNIGHT: Not really.

12 MR. ETHERINGTON: Thank you.

MR. POMEROY: I would like to ask a guick 13 generic question not directly related to this, but I do 14 remember that at a January meeting of Dr. Okrent's 15 Subcommittee on Extreme External Phenomena, we were told 16 that the Geological Survey was in the process of 17 re-evaluting its position on the Charleston earthquake, 18 and I believe at that time we were told that there would 19 be a report out in late March having to do with that 20 determination. 21

I wondered if the staff has any late word on when that determination might be available? MR. KNIGHT: I don't. We have been in communication with the USGS. All indications are now

> ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345

that that report will be delayed. It is not available now. It seems unlikely it will be available within several weeks, extending perhaps into several months. It is rather nebulous. That is the best we have.

5 MR. CARBON: Can you add anything further to 6 that? Does the reason for the delay have to do with big 7 uncertainties of a particular type, or -- ?

8 MR. KNIGHT: Well, it is still -- the matter is very firmly internal to USGS, but clearly, the reason 9 for delay is that there is -- and I may be guilty of 10 giving a flavor that is somewhat personal, but it seems 11 clear that the evidence necessary to change the present 12 position is certainly not overwhelming. I don't mean to 13 demean the efforts of those involved, but it certainly 14 was not sufficiently compelling to cause a change to be 15 made quickly, and in fact, is apparently -- the question 16 is sufficiently difficult and the information is 17 sufficiently vague that attempting to develop a 18 consensus, they have really been unable to do so. 19

20 MR. CARBON: Is your knowledge of that 21 situation such that it would appear that when they do 22 come to a consensus, it probably will not have any 23 bearing on the CRBR, or might there be a big enough 24 change?

25

MR. KNIGHT: Either it will not have any

ALDERSON REPORTING COMPANY, INC. 400 VIRGINIA AVE., S.W., WASHINGTON, D.C. 20024 (202) 554-2345 289

significant bearing on the CRBR, or it -- it is probably 1 not a very good answer to your question. Probably it 2 3 won't. I think the probabilities are reasonable that it won't or there will have to be rather significant 4 reconsideration for across the board. 5 I think the trend would seem to be at the 6 moment that we would not see a large impact. That even 7 if there should be some movement, as it were, that the 8 probability of a large event would be guite low. 9 10 (Pause.) MR. CARBON: Are there any other questions 11 anyone wishes to raise? 12 13 (No response..) MR. CARBON: I guess if not, I would propose 14 to adjourn the meeting and ask the subcommittee members 15 and the consultants to stay and talk for a little bit. 16 We will end the recording at this point. 17 We thank the people from the DOT and the 18 project for your time and effort here today, and we 19 thank the staff likewise. I guess with that, we will 20 adjourn. 21 (Whereupon, at 5:26 p.m., the subcommittee was 22 adjourned.) 23 24 25

ALDERSON REPORTING COMPANY, INC.

290

MUCLEAR REGULATORY COMMISSION

his is to certify that the attached proceedings before the

ACRS/Subcommittee on Clinch River Breeder Reactor

matter of: Briefing on Clinch River Breeder Reactor Geology and Seismology Date of Proceeding: June 1, 1982

Dacket Number:

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Jane W. Beach

Official Reporter (Typed)

Icial Reporter (Signature)



GEOLOGY AND SEISMOLOGY

Presented by

W.G. BRUSEY

Geotechnical Consultant CRBRP Project





OUTLINE

- SITE INVESTIGATION PROGRAMS
- DEVELOPMENT OF FOUNDATION DESIGN PARAMETERS
- EARTHQUAKE HISTORY
- SELECTION OF SSE ANL OBE





•

SITE INVESTIGATION ACTIVITIES

- LITERATURE STUDIES
- GEOLOGIC RECONNAISSANCE
- GEOLOGIC MAPPING
- AERIAL PHOTOGRAPHIC STUDIES
- BORINGS
- MONITORING WELLS
- GEOPHYSICS



GEOLOGIC AND PHYSIOGRAPHIC MAP

OBJECTIVES OF INVESTIGATION PROGRAMS

- DEFINE INTERBEDDED SILTSTONE AND LIMESTONE STRATA
- DEPTH OF WEATHERING
- RESIDUAL SOILS AND TERRACE DEPOSITS
- PREFERRED LOCATION OF NUCLEAR PLANT ISLAND STRUCTURES
- DETAILED EVALUATION OF FOUNDATIONS FOR CATEGORY I STRUCTURES

BORING PROGRAMS CONDUCTED AT SITE

DATE	PURPOSE	BORINGS
2/72 TO 12/72	SITE EVALUATIONS	24
6/73 TO 12/73	SELECTING OPTIMUM SITE LOCATION	42
12/73 TO 4/74	DETAILED FOUNDATION EVALUATION	40
11/74 TO 2/75	BALANCE OF PLANT INVESTIGATION	95
9/76 TO 6/77	LOCALIZED INVESTIGATION OF EAST FACE SOLUTIONING	23
1/81 TO 5/82	BEDROCK VERIFICATION PROGRAM	34
		258

DETAILS OF BORING PROGRAMS

- DEPTH OF BORINGS RANGED FROM 100-300'
- EVALUATION OF CORE (RQD DETERMINATIONS)
- GEOPHYSICAL STUDIES
- CATEGORY I STRUCTURES LOCATED ON UNIT A UPPER SILTSTONE



•



SIGNIFICANT INVESTIGATION PARAMETERS

- DEPTH OF WEATHERING
- INVESTIGATION OF POTENTIAL SOLUTION ZONES IN UNIT A & UNIT B LIMESTONES

#

SELECTION OF FOUNDATION BEARING ELEVATION



CROSS SECTION - NUCLEAR ISLAND

DETAILS OF TEST GROUTING PROGRAM

#

- CHECK REPRESENTIVITY OF BORING 55
- BORINGS SPACED AT 20' AND 10' INTERVALS
- WATER PRESSURE TESTS
- NEGLIGIBLE GROUT TAKE
- FOUNDATION TREATMENT NOT REQUIRED



•

DETAILS OF VERIFICATION PROGRAM

- DEPTH OF BORINGS EXTEND 100' INTO UNIT A LIMESTONE
- PROGRAM ONGOING
- RESULTS ANALYZED TO DATE INDICATE NO FOUNDATION TREATMENT REQUIRED



FAULTING INVESTIGATIONS

- IDENTIFICATION OF MAJOR NON-CAPABLE FAULTS
- GEOLOGICAL INVESTIGATION OF COPPER CREEK FAULT
- AGE OF FAULT DATED AT 280 MILLION YEARS



AREA STRUCTURE MAP

INVESTIGATION OF SHEAR ZONE

\$

- IDENTIFICATION OF SHEAR ZONE IN UNIT A LIMESTONE
- EVALUATION OF CORE FROM BORINGS
- CONSENSUS OF GEOLOGICAL OPINION THAT SHEAR ZONE FEATURE IS ANCIENT AND REHEALED

38.0

4



WASTE DISPOSAL AT ORNL SITE

- LOCATION OF INJECTION WELLS
- DEPTH OF INJECTION (≈800')
- ANALYSIS OF DATA INDICATES NO IMPACT ON SITE



AREA PLAN SHOWING INJECTION WELLS

EVALUATION OF PARAMETERS

STATIC

. .

4

BEARING CAPACITY AND SETTLEMENT

n. to 9

 GEOTECHNICAL INSTRUMENTATION TO MONITOR POTENTIAL HEAVE AND SETTLEMENT

#

ANTICIPATED MOVEMENTS WILL BE NEGLIGIBLE

DYNAMIC

- GEOPHYSICAL INVESTIGATIONS
- IN SITU VELOCITY MEASUREMENTS
- SELECTED DESIGN VALUES



DEVELOPMENT OF FOUNDATION DESIGN PARAMETERS

(A) STATIC

(B) DYNAMIC

-..... MICHI (T) 100 PENNSYLVANIA ----INDIANA 9 -----0 ----1 1 RENTUCKY ()----------1) ---------ORTH CAROLINA 111 -----17 130 CAROLINA (0) 100 ----------LOUISIANA -----() VI PLORIDA 5

100 0 100 MILES

REGIONAL EARTHQUAKES WITH MAXIMUM INTENSITY EXCEEDING IV MM



C

IMPACT OF REGIONAL EARTHQUAKES ON CRBRP SITE

- NEW MADRID AND CHARLESTON ATTENUATION WILL NOT IMPACT SITE GREATER THAN MAXIMUM HISTORICAL EARTHQUAKE
- NEW MADRID INTENSITY VI VII AT SITE
- CHARLESTON INTENSITY VI AT SITE
- GILES COUNTY EARTHQUAKE

EARTHQUAKE HISTORY

and the and the

.

-

69

.

· mil



- SELECTED PROVINCIAL BOUNDARIES
- DEFINE INTENSITY OF MAXIMUM HISTORICAL EARTHQUAKE
- MAXIMUM HISTORICAL EARTHQUAKE MOVED WITHIN PROVINCE
- SELECT S.S.E.
- DEFINE INTENSITY/ACCELERATION CORRELATION





TECTONIC PROVINCE MAP

INDEPENDENT ASSESSMENT OF GILES COUNTY EARTHQUAKE

- ISOSEISMAL MAP DEVELOPED BASED ON MODIFIED MERCALLI INTENSITY EFFECTS
- CONSULTATION WITH RECOGNIZED AUTHORITIES ON SOUTHEASTERN U.S. SEISMICITY
- CONSENSUS OF GEOLOGICAL OPINION THAT GILES COUNTY EARTHQUAKE SHOULD BE CLASSIFIED AS INTENSITY VII-VIII



SELECTION OF SSE AND OBE

- GILES COUNTY EQ. CLASSIFIED AS INTENSITY VIII BY NRC FOR THE SITE
- SELECTION OF ACCELERATION/INTENSITY RELATIONSHIP
- MAXIMUM GROUND ACCELERATION 0.25_{g} USED IN DESIGN FOR S.S.E.
- MAXIMUM GROUND ACCELERATION 0.125g USED IN DESIGN FOR O.B.E.


MODIFIED MERCALLI INTENSITY

ACCELERATION - INTENSITY RELATIONSHIP SELECTION OF SSE

FIGURE 16

SUMMARY

INHERENT CONSERVATISM IN DESIGN

- EXTENSIVE GEOLOGIC, GEOTECHNICAL, AND SEISMOLOGIC INVESTIGATIONS
- INTENSITY VIII EARTHQUAKE USED INSTEAD OF VII-VIII
- CONSERVATIVE INTENSITY/ACCELERATION RELATIONSHIP USED
- O.B.E. SELECTED AT 1/2 (S.S.E.)



BRIEFING FOR ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

SEISMIC DESIGN

Presented by

A.T. DAJANI

Assistant Project Manager Engineering and Design CRBRP Project



T3.75

OUTLINE

- SITE CHARACTERISTICS
- APPLICABLE CODES AND STANDARDS
- SEISMIC CLASSIFICATION
- NUCLEAR ISLAND
- OTHER MAJOR CATEGORY I STRUCTURES
- CATEGORY III STRUCTURES
- SUMMARY

SITE CHARACTERISTICS

- INCLINED LAYERS OF SILTSTONE AND LIMESTONE
- FINISHED GRADE ELEVATION 815 FEET
- TOP OF SOUND ROCK APPROXIMATELY 80 FEET BELOW GRADE
- NUCLEAR ISLAND FOUNDATION MAT BOTTOM AT ELEVATION 715
- SSE, ZERO PERIOD ACCELERATION: 0.25G
- OBE, ZERO PERIOD ACCELERATION: 0.125G



SEISMIC DESIGN APPLICABLE CODES AND STANDARDS

REGULATORY GUIDE 1.60

 DESIGN RESPONSE SPECTRA FOR SEISMIC DESIGN OF NUCLEAR POWER PLANTS

REGULATORY GUIDE 1.61

 DAMPING VALUE FOR SEISMIC DESIGN OF NUCLEAR POWER PLANTS

REGULATORY GUIDE 1.92

 COMBINATION OF MODES AND SPATIAL COMPONENTS IN SEISMIC RESPONSE ANALYSIS

REGULATORY GUIDE 1.122

 DEVELOPMENT OF FLOOR DESIGN RESPONSE SPECTRA FOR SEISMIC DESIGN OF FLOOR SUPPORTED EQUIPMENT OR COMPONENTS

SRP NUREG-75/087 SECTIONS 3.7.1 AND 3.7.2

PSAR APPENDIX 3.7A - CRBRP - SEISMIC DESIGN CRITERIA

SEISMIC CLASSIFICATION OF STRUCTURES SYSTEMS AND COMPONENTS

- SEISMIC CATEGORY I
 - REQUIRED TO PERFORM THEIR SAFETY FUNCTION FOR SSE MOTIONS
 - DESIGNED FOR OBE AND SSE
- SEISMIC CATEGORY II
 - REQUIRED TO PERMIT CONTINUED REACTOR OPERATION
 - TO PROTECT INVESTMENT AND ASSURE CONTINUANCE OF PRIORITY PROGRAMS
 - DESIGNED FOR OBE
- SEISMIC CATEGORY III
 - STANDARD BUILDING CODE, ZONE 2
 - TO PREVENT DAMAGE TO CATEGORY I STRUCTURES, THE ADJACENT TURBINE GENERATOR & RADWASTE BUILDINGS ANALYZED AND DESIGNED FOR SSE

MAIN STRUCTURES

STRUCTURE	SEISMIC	FOUNDATION
NUCLEAR ISLAND	1	ROCK
EMERGENCY COOLING TOWER	1	ROCK
DIESEL GENERATOR BUILDING	1	SOIL
TURBINE-GENERATOR BUILDING	III — ADJACENT TO CATEGORY I	SOIL
RADWASTE BUILDING	III - ADJACENT TO CATEGORY I	SOIL - ROCK

NUCLEAR ISLAND

- INTERCONNECTED STRUCTURES
- COMMON FOUNDATION MAT
- BUILDINGS IN NUCLEAR ISLAND
 - REACTOR CONTAINMENT
 - CONFINEMENT
 - STEAM GENERATOR
 - CONTROL
 - ELECTRICAL EQUIPMENT BUILDING
 - REACTOR SERVICE
- FOUNDATION MAT
 - LENGTH (MAXIMUM): 475 FEET
 - WIDTH (MAXIMUM): 360 FEET
 - THICKNESS: 15 FEET

CRBRP OVERALL LAYOUT



CLINCH RIVER BREEDER REACTC 3 PLANT (Overall Plant Layout - Section)



INPUT MOTIONS

- THREE STATISTICALLY INDEPENDENT ARTIFICIAL ACCELERATION TIME-HISTORIES: NORTH-SOUTH, EAST-WEST AND VERTICAL
- ARTIFICIAL ACCELERATION TIME-HISTORY SPECTRA ENVELOPE REGULATORY GUIDE 1.60 SPECTRA NORMALIZED TO A ZERO PERIOD ACCELERATION OF 0.25G FOR THE SSE
- DURATION OF TIME HISTORIES: 20 SECONDS, DIGITIZED AT 0.01 SECOND INTERVALS
- ONE SECOND BUILD-UP OF STRONG MOTION, THREE SECONDS DECAY



ACCELERATION

HORIZONTAL MOTION A SSE GROUND ACCELERATION TIME-HISTORY



NUCLEAR ISLAND METHOD OF ANALYSIS

- LUMPED MASS WITH DIRECT INTEGRATION OF COUPLED EQUATIONS OF MOTION
- FOUNDATION SPRINGS AND D&MPERS CALCULATED BY A STATIC FINITE ELEMENT ANALYSIS USING THE COMPUTER PROGRAM STARDYNE AND BY HALF-SPACE THEORY
- MAXIMUM DIRECTIONAL EFFECTS COMBINED BY SQUARE ROOT OF THE SUM OF THE SQUARES
- DEGREES OF FREEDOM INCLUDE TRANSLATIONS AND ROTATIONS IN THREE DIRECTIONS

NUCLEAR ISLAND SEISMIC MATHEMATICAL MODEL

- INDEPENDENT ANALYSIS FOR EACH OF THE THREE ORTHOGONAL DIRECTIONS
- FOUR MAIN STICKS: CONTAINMENT BUILDING, CONFINEMENT, REACTOR SERVICE BUILDING AND STEAM GENERATOR BUILDINGS
- POLAR CRANE AND REACTOR VESSEL REPRESENTED IN MODEL
- FLEXIBLE TIES BETWEEN THE CONFINEMENT, REACTOR SERVICE AND STEAM GENERATOR BUILDING CANTILEVERS AT ALL ELEVA-TIONS, CALCULATED BY FINITE ELEMENT ANALYSIS WITH STARDYNE. REACTOR CONTAINMENT BUILDING TIED AT FOUNDA-TION AND OPERATING FLOOR LEVELS ONLY.
- MASS POINTS LOCATED AT CENTERS OF MASS

NUCLEAR ISLAND SEISMIC MATHEMATICAL MODEL (Cont'd.)

- MASSLESS MEMBERS LOCATED AT CENTER OF RIGIDITY
- ANALYSES FOR UPPER BOUND AND LOWER BOUND OF ROCK PROPERTIES. RESULTS OF BOTH WERE ENVELOPED.
- RESPONSE SPECTRA AND ACCELERATION AND DISPLACEMENT TIME-HISTORIES PRODUCED AT MASS POINTS
- DESIGN RESPONSE SPECTRA PRODUCED BY ENVELOPING AND SMOOTHENING UPPER AND LOWER BOUND SPECTRA, WITH PEAKS WIDENED BY ± 10%
- TRANSLATIONAL AND ROTATIONAL SPECTRA COMBINED TO CALCULATE RESPONSE SPECTRA AT POINTS AWAY FROM MASS POINTS



EVALUATION OF NUCLEAR ISLAND STRUCTURES FOR SEISMIC LOADS

- LOAD COMBINATIONS IN ACCORDANCE WITH CODES AND GUIDELINES
- AISC AND ACI-349 CODES USED FOR STEEL AND CONCRETE STRUCTURES RESPECTIVELY
- IN GENERAL ALL STRUCTURES CONTROLLED BY OBE
- MANY STRUCTURAL COMPONENTS ARE CONTROLLED BY CONDITIONS OTHER THAN SEISMIC SUCH AS DBA's, SHIELDING, AND TMBDB (REACTOR CAVITY, CONFINEMENT)

SEISMIC ANALYSIS OTHER MAJOR CATEGORY I STRUCTURES

\$

- EMERGENCY COOLING TOWER
 - SUPPORTED ON ROCK
 - LUMPED MASS ANALYSIS
 - RANGE OF ROCK/SOIL PROPERTIES
 - FLUID STRUCTURE INTERACTION IN ACCORDANCE WITH HAUSNER'S THEORY
- DIESEL GENERATOR BUILDING
 - SUPPORTED ON SOIL
 - SOIL STRUCTURE INTERACTION BY FINITE ELEMENT (FLUSH)
 - DETAILED IN-STRUCTURE RESPONSES BY THREE DIMENSIONAL LUMPED MASS ANALYSIS
 - RANGE OF SOIL PROPERTIES

SEISMIC ANALYSIS CATEGORY III STRUCTURES ADJACENT TO CATEGORY I

- TO PROTECT ADJACENT CATEGORY I, STRUCTURES WERE ANALYZED AND DESIGNED FOR SSE
- TURBINE GENERATOR BUILDING
 - SUPPORTED ON SOIL
 - SOIL STRUCTURE INTERACTION BY FINITE ELEMENT (FLUSH)
 - FORCES IN STRUCTURE BY THREE DIMENSIONAL ANALYSIS
- RADWASTE BUILDING
 - SUPPORTED PART ON SOIL AND PART ON ROCK
 - SOIL/ROCK STRUCTURE INTERACTION BY FINITE ELEMENT (FLUSH)
 - . FORCES IN STRUCTURE BY THREE DIMENSIONAL ANALYSIS

SUMMARY CONSERVATISMS IN STRUCTURES

- LARGEST HISTORICAL EARTHQUAKE IN TECTONIC PROVINCE ASSUMED TO OCCUR AT CRBRP SITE
- SSE INCREASED FROM 0.18G TO 0.25G
- DESIGN RESPONSE SPECTRA CONSISTS OF SMOOTH WIDE BAND ENVELOPE SPECTRA BASED ON STATISTICAL STUDIES OF MANY PAST EARTHQUAKE RECORDS
- ARTIFICIAL ACCELERATION TIME-HISTORIES USED IN ANALYSIS ENVELOPED AND FOR MOST FREQUENCIES ARE ABOVE THE DESIGN RESPONSE SPECTRA
- LINEAR SEISMIC ANALYSIS USED DOES NOT CONSIDER SUBSTANTIAL RESERVE STRENGTH IN THE INELASTIC RANGE
- APPLICATION OF SAFETY FACTORS REQUIRED BY CODES
- USE OF MINIMUM TEST VALUES IN STRENGTH OF STRUCTURAL MATERIALS
 - ACTUAL YIELD STRENGTH VALUES FOR STRUCTURAL AND REINFORCING STEEL ARE, IN GENERAL, HIGHER
 - COMPRESSION STRENGTH OF CONCRETE AT 28 DAYS DISREGARDING SUBSTANTIAL INCREASE OF STRENGTH WITH AGE

2

SUMMARY CONSERVATISMS IN STRUCTURES (Cont'd.)

- USE OF STATIC STRENGTH OF STRUCTURAL MATERIALS IN LIEU OF THE GREATER DYNAMIC STRENGTH, WHEN ACTUAL SEISMIC LOAD IS DYNAMIC
- TO SIMPLIFY CONSTRUCTION, STRUCTURAL MEMBER SIZES ARE DUPLICATED RESULTING IN STRONGER THAN REQUIRED STRUC-TURAL SHAPES OR REINFORCED CONCRETE SECTIONS IN MANY AREAS
- STRUCTURAL SECTIONS IN GENERAL CONTROLLED BY OBE PROVID-ING ADDITIONAL MARGIN FOR THE SSE
- MANY STRUCTURAL ELEMENTS ARE CONTROLLED BY REQUIRE-MENTS OTHER THAN SEISMIC
 - SHIELDING, STIFFNESS, TMBDB, DBA
 - EXAMPLE, REACTOR CAVITY CONTROLLED BY SHIELDING AND TMBDB, CONFINEMENT BY SHIELDING, ETC.
- INTERCONNECTED STRUCTURES ON COMMON FOUNDATION MAT AND MULTIPLE INTERCONNECTED CELLS IN BUILDINGS TEND TO INCREASE OVERALL SEISMIC CAPACITY
 - REDUNDANT LOAD PATHS ARE PROVIDED

SEISMIC DESIGN OF SYSTEMS AND COMPONENTS

Systems And Components Seismic Design Criteria

- Seismic classification and qualification
- Seismic input development
- Damping
- Load combinations
- Seismic test requirements and procedures

morrone

SEISMIC CLASSIFICATION

Seismic Category I:

Designed to perform safety functions for the SSE and remain functional for the OBE

- Assure integrity of reactor coolant pressure boundary
- Provide capability for reactor shutdown
- Provide capability to prevent or mitigate accident consequences

Seismic Category II*:

Designed to remain functional for the OBE

- Permit continued reactor operation
- Protect plant investment

Seismic Category III*:

Local design criteria

Maintain support of normal operations

* Must be designed for no gross structural failure under SSE loads for protection of Seismic Category I components when applicable

SEISMIC QUALIFICATION

Analysis

Seismic Category I and II

Detailed Dynamic Analyses

- Response spectrum method
- Time history method

Conservative simplified methods

Seismic Category III

Static Analysis

- Standard building code, zone 2
- Local codes

Testing

Seismic Category I

- Multiple frequency tests
- Single frequency tests at resonance
- Envelop required response spectrum with test response spectrum



SEISMIC INPUT FOR SYSTEMS AND COMPONENTS

- Responses obtained from building analysis in three independent directions
- Seven spectra and time histories for each node (3 translation, 2 torsion, 2 rotation)
- 28 spectra and time histories for OBE, SSE and upper and lower bounds of soil moduli
- Input applied individually in each direction for combining responses by SRSS

SIMPLIFIED SPECTRA PROCEDURE

- Seven spectra reduced to three spectra
- Combine translational, torsional and rotational spectra by SRSS
- Combine resulting responses by absolute sum
- Always conservative
- Results in combining directional effects absolutely instead of by SRSS when cross coupling terms are small



DESIGN SPECTRA

- Envelop upper and lower bounds of soil moduli
- Peaks widened for uncertainties
- Spectra smoothed to eliminate valleys and spectral fluctuations
- Results in conservative design spectra

RESPONSE SPECTRA ENVELOPING PROCEDURE

ACCELERATION (G)



DESIGN HISTORIES

- Possible frequency variations of building
- Vary Δt, compress and expand history
- Develop spectra-consistent synthetic histories
- Results in conservative design histories

SSE E-W HORIZONTAL + TORSIONAL COMBINED – DESIGN AND ORIGINAL T.H. RESPONSE SPECTRA AT R.V. SUPPORTS, EL. 800 FT.

(3% CRITICAL DAMPING)

ACCELERATION (G)



SSE EW COMBINED HORIZONTAL AND TORSION-DESIGN AND SYNTHESIZED RESPONSE SPECTRA

(3% CRITICAL DAMPING)

ACCELERATION (G)



COMPONENTS SEISMIC INPUT

- Model and analysis of system
- Input design histories
- Output resonse histories and response spectra for dynamic analysis of components
- Again widen and smooth components spectra
- Input design spectra
- Cutput loads for components design
SCHEMATIC OF REACTOR SYSTEM SEISMIC MODEL



LEGE	NO:		
SRP	- SMALL ROTATING PLUG	CG	- CENTER OF GRAVITY
IRP	- INTERMEDIATE ROTATING PLUG	INTM	. IN VESSEL TRANSFER MACHINE
LRP	- LARGE ROTATING PLUG	EVTM	. EX-VESSEL TRANSFER MACHINE

SRP

DAMPING VALUES

Structural System	Damping Values ⁽¹⁾ (Percent Of Critical)		
Structural System	Operating Basis Earthquake	Safe Shuidown Earthquake	
Equipment and large diameter piping systems (> 12 in. nominal diameter)	2.0	3.0	
Small diameter piping system (\leq 12 in. nominal diameter)	1.0	2.0	
Welded steel structures	2.0	4.0	
Bolted or riveted steel structures	4.0	7.0	
Prestressed concrete structures	2.0	5.0	
Reinforced concrete structures	4.0	7.0	

(1) Reduced damping values should be used when combined stresses are considerably below 1/2 yield for the OBE and yield for the SSE.



BASIC SEISMIC LOAD COMBINATIONS (Seismic Category I Vessels, Piping And Non-Active Pumps And Valves)

Upset (Level B) Condition:

..

D + L + Operating + Thermal + Transients + OBE

Faulted (Level D) Condition

D + L + Operating + Thermal + Transients + SSE + DSL*

For active pumps and valves all loadings are upset condition

*Dynamic system loadings associated with pipe leak/rupture loads

SEISMIC TESTING FOR CLASS 1E EQUIPMENT

- Qualify to IEEE std. 344-1975
- Single frequency tests
- Multiple frequency tests
- Single frequency plus multiple frequency
- Multiple frequency and recommended single frequency



SINE BEAT INPUT FOR TESTING



BASIC SEISMIC TEST PROCEDURE

Single Frequency Sine Beat Tests

- Frequency search from 1-33 Hz
- SSE sine beat tests at natural frequencies and 1/2 octave intervals
- Five beats motion with 10 cycles/beat
- Shake table motion maximum acceleration equal to ZPA of RRS
- TRS maximum response acceleration greater than RRS
- One OBE test preceding SSE test at each frequency
- Independent direction input

Multiple Frequency Tests

- IEEE std. 344-1975
- Five OBE and one SSE
- Random motion
- Biaxial direction input
- Envelop RRS with TRS

EXAMPLE OF COMPARISON OF TRS/RRS FOR TESTED EQUIPMENT

- Reactor shutdown and isolation equipment
- Housed in cabinets and whole cabinet shake table tested
- Both sine beat unidirectional and multiple frequency biaxial motion
- Cabinet rotated 90°
- Functioned properly during and after testing
- TRS conservatively enveloped RRS
- Additional conservatism by enveloping horizontal RRS, 10% IEEE-323 margin and use of design spectra





PRIMARY REACTOR SHUTDOWN SYSTEM COMPARATOR/BUFFER CABINET AND LOGIC CABINET ASSEMBLIES



SUMMARY OF CONSERVATISM IN SEISMIC CRITERIA

Simplified Spectra

- Conservatism approaches absolute sum versus SRSS of directional effects
- 1.5 peak for static analysis

Design Spectra

- Upper and lower bounds enveloped
- Valleys eliminated
- Spectra widened and smoothed

Design Histories

- Design spectra-consistent histories
- Conservatively envelop design spectra
- Combine translational and torsional design spectra

SUMMARY OF CONSERVATISM IN SEISMIC CRITERIA (Continued)

Components Spectra

- Spectra additionally widened and smoothed with conservative input
- Envelop three operating conditions

Damping

- Damping values of systems and components
- 3% versus 4% of critical

Seismic Testing

- Both single frequency and multiple frequency testing
- Both unidirectional and biaxial
- ZPA and peak responses of TRS higher than RRS
- Design spectra RSS
- Envelop N-S and E-W RRS
- 10% IEEE-323 margin





SEISMIC REQUIREMENTS

IEEE 344

DEMONSTRATE AN EQUIPMENT'S ABILITY TO PERFORM ITS REQUIRED SAFETY FUNCTION DURING AND AFTER AN SSE

EQUIPMENT SPECIFICATION

- A. TESTING
 - 1. SINE BEATS AND
 - 2. RANDOM MULTI FREQUENCY
- B. ANALYSIS/TESTING
- C. ANALYSIS

•



TYPICAL PPS INSTRUMENTATION

Sensors	SIGNAL	LOGIC	TUATORS
Compensated Ion Chamber	FLUX DRAWER	ISOLATORS	Scram Breakers
FISSION COUNTER	FLUX DRAWER	2/3 LOGIC	SCRAM SOLENOID VALVES
PRESSURE DETECTOR	PRESSURE TRANSMITTER	1/4 Logic	CIS BREAKERS
PM FLOWMETER	MV/I TRANSMITTER	LATCH LOGIC	
THERMOCOUPLE	MV/I TRANSMITTER		
INDUCTIVE LEVEL PROBE	LEVEL DRAWER		
TACHOMETERS	D/A CONVERTER		

•

SEISMICALLY QUALIFIED

(To Date)

EQUIPMENT

QUALIFICATION METHOD

PRIMARY REACTOR SHUTDOWN SYSTEM SECONDARY REACTOR SHUTDOWN SYSTEM PRIMARY LINEAR FLUX DRAWERS SECONDARY LINEAR FLUX DRAWERS PRIMARY SCRAM BREAKERS Type Testing Type Testing Type Testing Type Testing Type Testing



COMPARATOR/BUFFER CABINET AND LOGIC CABINET ASSEMBLIES



SECONDARY REACTOR SHUTDOWN SYSTEM COMPARATOR/BUFFER CABINET ASSEMBLY

7193-3

C.



CONTAINMENT ISOLATION SYSTEM COMPARATORS, LOGIC AND BREAKER CABINET ASSEMBLIES



TOP

DAMPING 5%







SEISMIC TEST RESULTS

1 . . .

ALL OF THE EQUIPMENT TESTED PERFORMED ITS REQUIRED SAFETY FUNCTION DURING AND AFTER THE MULTIPLE SEISMIC TESTS AND RETAINED ITS STRUCTURAL INTEGRITY

MECHANICAL CONTROL ROD SYSTEMS DYNAMIC/SEISMIC TESTS

Dynamic Friction

- Determine "Effective Coefficient of Friction" for seismic scram analysis
- Simple rod in bushings, sinusoidal input
- · Test media air, Argon, H2O, Na
- Material couples 304/718, 718/316, 718/718
- · Cylindrical and hex test rods
- Coefficient of friction for design at 2σ level = 0.45 for all materials
 - design requirement is 1.0 except as supported by data
- Develop test experience for more complex seismic test

PCRS Seismic Test

- Scram performance under dynamic input conditions
- Validate seismic scram analysis methods
- Prototype test hardware
- · Water test medium
- Scram testing to start by early CY83

SCRS Seismic Test

- Scram valve/cylinder assembly
- Seismic response spectra test per IEEE-344



.

PRELIMINARY CHECK OF SCRAM ANALYSIS METHODS (Dynamic Friction Test Data)

Methods For Scram Retarding Normal Forces

- ANSYS finite element analysis with interface gaps (type 5-2D)
- Three rod withdrawal elevations-6, 18, 36 inch
- Impact stiffnesses-hertzian contact method
- Impact damping-ignored as shown negligible effect by sensitivity analysis
- Structural damping-.3% for test
- Fluid coupling-concentric cylinder model (ANSYS element \$11F38)

Application To Dynamic Friction Tests

- Analytically calculate normal forces
- Analytical correction for hydraulic forces normalized by Og test data
- Obtain µ by adjustment to test drop time
 - Compare with µ from measured normal forces
- Compare average normal force between analysis and test

PRELIMINARY CHECK OF SCRAM ANALYSIS METHODS (Dynamic Friction Test Data)

Analysia va Taat	Friction Coefficient		Average Normal Force	
Analysis vs Test	Analysis	Test	Analysis	Test
Air, I-718, 228 Hz, 1.5G	0.32	0.30±.04 (0.32±.02)	84.7	82.7
Air, 1-718, 228 Hz, 0.5G	Insensitive	0.28±.07	20.2	37.0
Water, I-718, 228 Hz, 1.5G	0.32	$0.31 \pm .02$ (0.36 ± .04)	~81	86.2

Note: Test values are average of 10 drops. values in parenthesis are repeat tests

PRELIMINARY CHECK OF SCRAM ANALYSIS METHODS (Dynamic Friction Test Data) General Conclusions - Test vs Analysis

- Good agreement on analytical and test μ or drop times using test μ in analysis
- Good agreement on average normal forces
 - Force and impact frequency dependence on rod position also generally predicted
 - Supports general methods and 3 elevation model assumptions
- Test and analysis do not show significant fluid coupling effect
- Analysis not strongly sensitive to impact stiffness
 - Factor of 10 reduction in stiffness increases test drop time by 8%
- Recommend design values of $\mu = 0.45$ for fluid and $\mu = 0.41$ for gas

DYNAMIC FRICTION TEST COEFFICIENT OF FRICTION EFFECTS OF BUSHING MATERIAL AND FREQUENCY



DYNAMIC FRICTION TEST COEFFICIENT OF FRICTION EFFECTS OF ENVIRONMENT AND ROD VELOCITY FOR ALLOY 718 ROD & BUSHINGS (22.8 Hz)







з,

SCRS SCRAM VALVE SEISMIC TEST

Requirements

- Scram valve (pilot valve portion) is part of the plant protection system and falls within IEEE class 1E definition
- Reg. Guide 1.89 and IEEE-323 require seismic qualification of class 1E components
- Reg. Guide 1.100 and IEEE-344 specify seismic qualification requirements
- Reactor system seismic analysis results provide required response spectra

SCRS SCRAM VALVE SEISMIC TEST (Continued)

Seismic Test Description

- Complete valve/cylinder assembly tested
- Subjected to 5 OBE and 1 SSE simulations (multi-axis excitation)
- Functional test during each simulation and after OBE and SSE simulations

Test Results To Date

- Completed seismic test of prototype valve/cylinder assembly
- Met all requirements

SCRS SCRAM VALVE/CYLINDER SEISMIC TEST

Method

- IEEE-344
- Response spectra based on 1% damping and for location within SCRDM
- Bi-axial, verticle and horizontal
- 90° equipment rotation for each OBE and the SSE
- 30 second minimum duration at each position
- Axial load applied to tension rod
- Tenson rod movement instrumented
- Each scram performed during seismic vibration with a single valve logic train (2 of 3) non-operational
- Room temperature in air

Sequence

- Pre-seismic test
- 5 OBE, with 90° equipment rotation
 - Two at reference position, three at 90°
- Scram after each OBE
- Three SSE, with 90° equipment rotation
 - One SSE for each logic train
 - Duration: 30 sec., 5 sec., 5 sec.
- Pest-seismic test
 - Two SSE's at reference position, 1 at 90° rotation

SCRS SCRAM VALVE/CYLINDER SEISMIC TEST (Continued)

Criteria

- Scram time (tension rod movement) occurs within control rod release delay time (.1 sec.)
- No visable or functional damage

Prototype Test Results

- No damage
- Tension rod movement time limit Criteria: ≤ .1 sec.
 Test values: .062 sec. max. .050 sec. min.

CONTROL ROD SYSTEMS DYNAMIC/SEISMIC TESTS

Application Of Seismic Test Results To Design Support

- Dynamic friction test
 - Friction coefficients used in PCRS and SCRS selamic scram analysis
 - Preliminary verification of scram insertion analysis methods
- PCRS seismic test
 - Confirmation of PCRDM unlatch design basis
 - Validate methods used for PCRS and SCRS seismic scram insertion analyses
- SCRS scram valve test
 - Verification of scram actuator performance under seismic conditions
CONTROL ROD SYSTEMS DYNAMIC/SEISMIC TESTS (Continued)

Conclusions

- Completed tests show satisfaction of design requirements
 - Dynamic friction test
 - Seismic scram speed requirements met using test friction coefficients in scram analyses
 - SCRS prototype scram valve test
 - Functional requirements satisfied
- Tests plans defined for confirmation of PCRS and SCRS seismic scram capability

7237-8

SEIGHIC RESIGN OF HTS COPPORATS

OUTSTICK NEWESSED

WAT IS THE AL TUBIL OF HIS COTTOURS?

DO THE CICLOP SEISHIC HETHODS AND CRITICALA INCLUDE THE CONVENTIONAL CONCERNALISES **C**3

DO THE FALOR CO. PUTATIS HAVE INTERTIT SEISMIC NAGIN CAPABILITY? -

WAT ARE SOVE OF THE SPECIAL ATTRIBUTES CONSIDERED IN RESIGN OF ORAN COMPONINS? 63

KAT STECHA. ACTICKS HAVE REDN TAKEN IN VIEM OF THE LIMITED PRICE UNER EXTERIENCE? .

1

NOISITIZADO

SEISHIC SVETY LEVELS FOR CLOP AND LAR OPPORTATE AT OUTWINEL 0

Mallett

*

ACRS CREAP SLEED WITTEL HET LINE

. SEIGNIC LESION 3

JUE 1 8 2, 1982

WIII

DIGOL

IV.B

SEISTIC RESIGN OF HEAT TRUESON SYSTEM OUTOURIES

ADVENTED PERCIPCION DIVISION

3 5

Partici Parti EUCLINE INST

REST N. DUETT Consider Eran















CONCLUSION

1

THE SEISHIC DESIGN PROMEN IS ESSENTIMELY THE SUTE DUTENT FOR DIFFERENCES DLE TO HIGHER TEPPERATURE NO LOAER PRESSURE. SEISTIC LESION OF HTS COPPORATS

GESTION

LE DIE CROP SEISMIC RETHONS AND CRITERIA INCLURE THE COMENTICIAL

CONSERVATIS'S?

- NUTLS

- NETICOS

- CRITERIA







SEISMIC RESIGN OF HIS COMPORENTS * *

9

SEISMIC ANALYSIS, RESULTS CRITERIA

EL. NO.	COE MAXIMAN STRESS	CONDITION. ALLOWBLE STRESS	IN MINIM
1		5% - 19.44	31.31
. 2	D. 15.67	19.44	27.33
3	PL.01	19.44	17.78
4	9.5	19.41	16.25
5	6.85	, 19.44	11./13
9	8.42	19.41	14.51
. 1	1.1	19.44	12.04
80	7.21	19.44	12.12

(P_+ + P_B) 35" Hor Lee

ALLOWALE STRESS 21 - 45 % -- 16.93 NOTTA SSE CONDITION 33

1.14

45.93 45.93 45.93 45.93 45.93 45.93 45.93

1

CRECE-SEISVIC DESIGN NETHODS AND CRITERIA INCLURE THE OCMENTIONAL SEISHIC DESIGN OF HIS COMPONENTS CONSERVATISHS, CONCLUSION

SEISHIC RESIGN OF HIS COMPORTNIS

.....

QUESTION

• THE MALOR COFFICENTS HAVE IN ENDING SEISNIC MARCIN CAPABILITY?

- RHERENCE LETTER

P3L:L:77-235, APRIL 21, 1977

SEISMIC DESIGN OF HIS COMPORENTS

SOURCES OF IMAGIN

也

CONSERVATIVE PREDICTIONS OF RESPONSE.

1

CONSERVATIVE DEFINITIONS OF STRUCTURAL AND PERFORMANCE LIMITS.

. CONSERVATISM INCORPORATED BY DESIGNER.



SEISTIC DESIGN OF HIS COMPONENTS

.....

LIMIT MUGIN SOURCE

- ASSURPTICH OF MINITUM STREAM MATERIALS FROTERTIES
- DAWAIC BUWADPEAT OF MATERIALS YIELD STIENGTH
- CONSERVATIVE SAFETY FACTORS BUILT INTO THE DESIGN LOAD &
 STRESS LIMITS

EQUERDAT STREAGTH MARGIN ~1.4

C Nominal Allowable Design Limit

STRENGTH MARGIN

22

18

112 - 3001





RESPONSE MARGIN SOURCE

O DEVELOPMENT OF GROUND ACCELEROGRYM

• USE OF CONSERVATIVE SYSTEM DAMPING COEFFICIENTS

SEISMIC DESIGN OF R COMPONENTS

P 4

RESPONSE MARGIN

5%

172

EQUIPMENT CONSERVATION = 1.05 x 1.17 = 1.23





SEISMIC DESIGN OF HTS COMPONENTS



SEISMIC DESIGN OF HTS COMPONENTS	
RESERVE STRUCTURAL STRENGTH	
· COLE AVERAGE TO MINIMUM YIELD STRENGTH	1.25
STRAIN RATE EFFECT ON YIELD STRENGTH	1.18
COLE SAFETY FACTORS	1.50
COMBINED EFFECT OF ITEMS 1, 2, AND 3	1.40
SEISMIC RESPONSE CONSERVATISM	·
• MARGIN BETWEEN THE CRORP ARTIFICIAL RESPONSE SPECTRUM AND CRITERIA RESPONSE SPECTRUM	1.05
• SYSTEM DWPING INCREASES FOR SEISMIC RESPONSES IN EXCESS OF SSE LEVELS	1.17
CONDINED EFFECT OF ITEMS 1 AND 2	1.23
COTBINED EFFECT	1.72

27 INTERDAT SEISMIC MARGIN IS AVAILABLE AND COULD BE USED WITHOUT SEISMIC RESIGN OF HIS COMPONENTS COMPROMISING RLANT SMETY. CONCLUSIONS 创



50

QUESTION

B MUT AVE SOVE OF THE SPECIAL ATTRIBUTES CONSIDERED IN DESIGN OF

CRERP COMPONENTS?

- LOADINGS

- REXIBILITY

- CONSECUENCES

COMPARISON OF SWRYSSE RESTRAINT LOADS

LOADING G

29

. IHTS HOT LEG PIPING DESIGNED FOR SEISMIC EVENTS.

	SMUEBER NUM	BER		SSE LOAD K	IPS		SHR LOAD,	KIPS
	S-201			21			60	
	S-202			20		•	5	
	S-204			17	•		18	
	S-206.			30		•	45	
:	S-207		•	12 .		•	22	
•	S-211	· ·		5			12	
	S-208			, 4			19	
	S-210			15.		•	. 22	
		· · ·	'					
	۹ .	幽	1			••		
					• • *	•		
•			•	1				
						•		

STRESS CATEGORIZATION












SEISMIC DESIGN OF S COMPONENTS

CONSEQUENCES

EVALUATION OF PIPING INTEGRITY

BASIC

- BASED UPON DESIGN SPECIFICATION

9 SPECIAL

- BASED UPON POSTULATED DEFECT

S EXTENTED

- BASED UPON FORCING CRACK GROWTH

CONCLUSION

0- ABRUPT GROSS LEAKAGE IS NOT CREDIBLE

SEISMIC DESIGN OF HIS COMPONENTS

CONCILISION

CREAP EMHIBITS SPECIAL ATTRIBUTES THAT REDUCE THE RISK ASSOCIATED

WITH-HIGH SEISMIC LONDS.

SEISMIC RESIGN OF HITS COMPONENTS

DESTION

. WAT STECIAL ACTIONS HAVE BEEN TAKEN IN VIEW OF LIMITED PRIOR LAFER

EXPERIENCE?

- . IEVELOFIEIT

- VERIFICATION

- COORDINATION

100000 000 000







PIPLUS NATIRAL F		
PIPING NATIRAL F	DENENCIES	이 이 같은 것을 알았는 것이 같은 것이 없다.
TI THO INTIDIAL I	NLOC_HUILD	
	for t	
XPERIMENTAL FRE	QUENCY, HZ	AVALYTICAL FREDLENCY, HO
PERIMENTAL FRE	CUENCY, HZ	AWALYTICAL FREDLENCY, H
2.40 2.75 - 2.9	S	AWALYTICAL FREDLENCY, HE 1.82 2.84











SEISMIC DESIGN OF HTS COMPONENTS .

CONCLUSIONS

- CRERP SEISMIC DESIGN METHODS AND CRITERIA INCLUDE THE COMMUNICUM. CONSERVATISYS. 1
- CREAP COMPONENTS HAVE INFERENT IMAGIN THAT COULD BE USED MITHOUT COMPROMISING THE SAFETY OF THE PLANT.
- · CRERP EXHIBITS SPECIAL ATTRIBUTES THAT REDUCE THE RISK ASSOCIATED WITH HIGH SELEVIC ENDITS.
- CRERP DESIGN PROGRAMS INCLUDE A WIDE RANGE OF ACTIVITIES TO VERIFY THE DESIGNS AND ANOID ONERSIGHTS.

OVERNIL - SEISMIC SHETY LENELS FOR CRUPP AND LAR COMPORENTS ARE COMPARIEL.