

ORIGINAL

**UNITED STATES  
NUCLEAR REGULATORY COMMISSION**

---

In the Matter of:                    )  
  )  
POWER ASCENSION TEST PROGRAM    )  
FINAL PHASE II                     )  
SELF-ASSESSMENT REPORT            )

Pages:    1 through 100  
Place:    King of Prussia, Pennsylvania  
Date:     September 18, 1990

---

**HERITAGE REPORTING CORPORATION**

*Official Reporters*  
1220 L Street, N.W., Suite 600  
Washington, D.C. 20005  
(202) 628-4888

9010260168 901016  
PDR ADOCK 05000443  
T PNU

## UNITED STATES NUCLEAR REGULATORY COMMISSION

In the Matter of:                     )  
   )  
 POWER ASCENSION TEST PROGRAM    )  
 FINAL PHASE II                     )  
 SELF-ASSESSMENT REPORT            )

Tuesday,  
 September 18, 1990

Building 475,  
 475 Allendale Road  
 King of Prussia, Pennsylvania

The Commission met, pursuant to notice, at 1:00  
 p.m., in the main conference room,

## PRESENT:

Neal A. Pillsbury, Director of Quality Programs.

Joe M. Vargas, Manager of Engineering.

D.E. Moody, Station Manager.

G.J. Kline, Technical Support Manager.

Ted C. Feigenbaum, Senior Vice President, NHY.

Bruce L. Drawbridge, Executive Director of  
 Nuclear Production, NHY.

Edward Desmarais, Independent Review Team  
 Manager.

James M. Peschel, Regulatory Compliance Manager.

Terry Harpster, Director, Licensing Services.

W. Hehl, Director, Regional Projects, Region I.  
 Ronald L. Nimitz, Senior Radiation Specialist.

Victor Nerses, Acting Director, Project Director  
 of 1-3, NRR.

Noel Dudley, Senior Resident Inspector.

Heritage Reporting Corporation  
 (202) 628-4888

Present: (Continued)

Ebe McCabe, DRP Projects Section Chief.

Jon Johnson, DRP Projects Branch Chief.

Tim Martin, Regional Administrator.

Jim Wiggins, Deputy Director, DRP.

Michael Case, Operations Engineer.

Karla Smith, Regional Counsel.

William Oliveira, Reactor Engineer, Operations  
Section, DRS.

P.K. Eapen, Chief, Special Test Program Section.

David Bessette, Chief, Operational Programs  
Section.

Peter Drysdale, Senior Reactor Engineer.

Lee Bettenhausen, Chief, Operations Branch.

## P R O C E E D I N G S

1  
2 MR. JOHNSON: Good afternoon. This is a meeting  
3 between Public Service Company of New Hampshire and the NRC.  
4 It is an open public meeting. It is being transcribed  
5 mainly for efficiency for us, for us to be able to document  
6 the summary of the meeting.

7 The purpose of the meeting is to discuss the New  
8 Hampshire Yankee assessment of the Power Ascension Test  
9 Program. What we will do is go around the table and  
10 introduce each other, and then what I will do is turn the  
11 meeting over to New Hampshire Yankee. I expect it to take  
12 probably no more than two hours. And I would hope that  
13 anybody that has any questions during the presentation, make  
14 sure we give you feedback and answer the questions.

15 MR. WIGGINS: Jim Wiggins, I am Deputy Director,  
16 Division Director of Projects here in Region One.

17 MR. JOHNSON: Regional Administrator Mr. Tim  
18 Martin is here. He stepped out for a moment; he will be  
19 back shortly.

20 I am Jon Johnson, DRP Projects Branch Chief.

21 MR. MCCABE: Ebe McCabe, DRP Projects Section  
22 Chief.

23 MR. DUDLEY: I am Noel Dudley, Senior Resident  
24 Inspector.

25 MR. NERSES: Vic Nerses, Acting Director of

1 Project Director of 1-3, NRR.

2 MR. NIMITZ: Ron Nimitz, Senior Radiation  
3 Specialist, Region One.

4 MR. HEHL: I am Bill Hehl, I am the Director for  
5 the Regional Projects, Region One.

6 MR. HARPSTER: Terry Harpster, Director of  
7 Licensing Services, New Hampshire Yankee.

8 MR. PILLSBURY: Neal Pillsbury, Director of  
9 Quality Programs, New Hampshire Yankee.

10 MR. VARGAS: Joe Vargas, Manager of Engineering,  
11 New Hampshire Yankee.

12 MR. MOODY: Don Moody, Station Manager, Seabrook,  
13 New Hampshire Yankee.

14 MR. KLINE: Gary Kline, Technical Support Manager,  
15 New Hampshire Yankee.

16 MR. FEIGENBAUM: Ted Feigenbaum, Senior Vice  
17 President and Chief Operating Officer, New Hampshire Yankee.

18 MR. DRAWBRIDGE: Bruce Drawbridge, Executive  
19 Director of Nuclear Production, New Hampshire Yankee.

20 MR. DESMARAIS: Ed Desmarais, Independent Review  
21 Team Manager, New Hampshire Yankee.

22 MR. PESCHEL: Jim Peschel, Regulatory Compliance  
23 Manager, New Hampshire Yankee.

24 MR. EAPEN: P.K. Eapen, Chief, Special Test  
25 Program Section.

1 MR. OLIVEIRA: Bill Oliveira, Operations Section,  
2 DRS.

3 MS. SMITH: Karla Smith, Regional Counsel.

4 MR. CASE: Mike Case, NRR.

5 MR. MARTIN: Tim Martin, Regional Administrator.

6 MR. FEIGENBAUM: Okay, good afternoon. My name is  
7 Ted Feigenbaum, and as I said, I am the Senior Vice  
8 President and Chief Operating Office of New Hampshire  
9 Yankee.

10 As most of you may already know, I will be  
11 assuming the position of President and Chief Executive  
12 Officer upon Ed Brown's retirement on October 1st.

13 On behalf of New Hampshire Yankee and our joint  
14 owners, we are pleased to provide you with this briefing  
15 today. As you may know, Seabrook completed its test program  
16 on the 17th of August, and the plant is currently operating  
17 at 100 percent power.

18 We have some presentations that should take,  
19 I guess, formally about 45 minutes. And please, if you have  
20 any questions, just stop us and we will try to address them.

21 First of all, Gary Kline is going to report to you  
22 on the results of the Power Ascension Test Program since we  
23 last briefed you at the 50 percent power plateau back on  
24 June 19th. He is also going to discuss some of the lessons  
25 we have learned during the Power Ascension Program, and that

1 we plan to carry forward into normal plant operations.

2 Bruce Drawbridge will discuss the areas where we  
3 believe we can improve through increased management  
4 attention. And he will brief you on some of the short- and  
5 long-term initiatives we are taking to strengthen ourselves  
6 as an operating company.

7 Ed Desmarais is going to talk about the  
8 self-assessment program, emphasizing the maintenance  
9 evaluation which we conducted as part of the overall  
10 self-assessment team evaluation.

11 So that we can maximize the effectiveness of the  
12 information exchange today, I have asked our speakers to  
13 concentrate on the things that we are doing to improve our  
14 organization, and not to dwell on the portions of the test  
15 program that we feel went smoothly and really do not require  
16 any further discussion.

17 From the beginning of the test program, we stated  
18 that we would manage it in a conservative manner, and not be  
19 driven by schedule. And that is exactly how we carried the  
20 program out. The Power Ascension Test Program lasted about  
21 155 days, a little bit longer than we expected. And that  
22 was essentially due -- the biggest delay was about a month  
23 to detune the turbine generator equipment, which we  
24 discussed at length when we met last in June. So we will  
25 not take the time to go into that this afternoon.

1           We also had two unplanned reactor trips, which  
2 Gary Kline will brief you on, apart from the turbine work.  
3 Other than that, the tests went pretty much according to  
4 schedule, and the results were as we expected. We believe  
5 the test program demonstrated the readiness for full power  
6 operations, not only of the equipment and the systems in the  
7 plant, but also the operators and the entire support  
8 organization.

9           I think the good results we had were a direct  
10 result of our careful and deliberate preparation for the  
11 test program. We reviewed and revised every test procedure  
12 to incorporate lessons learned. The lessons learned from  
13 our low power test program, from industry experience.  
14 From the lessons learned from NUREG 1275, which was the  
15 NRC's Operating Experience Feedback Report for New Plants,  
16 which was very valuable to us.

17           We made sure that the operation and test crews  
18 were thoroughly trained and briefed, and we had ample time  
19 on the simulator to practice complex procedures, which was  
20 very helpful as well.

21           We made sure the entire New Hampshire Yankee  
22 organization was properly focused on supporting the test  
23 program. But as a new plant entering commercial operation,  
24 I know from my own experience at other units, and my  
25 personal conversations with other senior managers in the



1 industry, and through meetings with them at NUMARK and INFO,  
2 that there are certain pitfalls following commercial  
3 operation that we need to be on the lookout for.

4 One is complacency, and the other is a loss of  
5 trained personnel.

6 As senior management, we are keenly aware of these  
7 potential concerns, and we will be closely watching for any  
8 signs of them. I do not, however, anticipate a problem in  
9 these areas.

10 We have a great many programs underway and  
11 initiatives in the planning stages or in progress at New  
12 Hampshire Yankee, and there would be no opportunity for our  
13 organization to let down. These initiatives include  
14 improvements we are going to be making to our maintenance  
15 program, that Bruce and Ed will be discussing; the  
16 completion of our INPO accreditation for our technical  
17 training programs.

18 We are also in the middle of preparations for the  
19 upcoming emergency planning biennial graded exercise, which  
20 will be held in December. And we are also deeply involved  
21 in preparations for our first refueling outage that will  
22 contain a fair amount of work and a whole lot of planning.  
23 Be ready for them.

24 As far as turnover of our staff, New Hampshire  
25 Yankee has generally had a low turnover rate, even during

1 the darkest days of the Seabrook Project. We provided  
2 opportunities for our licensed operators to advance their  
3 careers by transferring outside of the Operations  
4 Department. And we have really only lost from the company  
5 five licensed operators since 1984, despite the frustrations  
6 and the delays in getting the unit licensed and on-line.

7 Now, this may have something to do with the  
8 quality of life in New England, but I know there has been a  
9 strong sense of purpose among the people who work at  
10 Seabrook, a determination to license the plant and to show  
11 the public and our regulators that we can make it one of the  
12 safest and most efficient sources of energy in the country.

13 Also, our emphasis on open communications between  
14 our employees and the management of the company, and the  
15 importance we place on each individual employee, has also  
16 had an important factor in recruiting and retaining talented  
17 people.

18 Now, to get to the heart of the briefing today,  
19 I would like to turn the presentation, at this point, over  
20 to Gary Kline, who will brief you on the results of the  
21 second half of the Power Ascension Test Program. And after  
22 Gary, Bruce and Ed will speak. And then I will return for a  
23 few closing remarks.

24 Gary?

25 MR. KLINE: Thank you, Ted. Again, I am Gary

1 Kline. I am the Technical Support Manager. And during  
2 Power Ascension testing, I functioned as the Power Ascension  
3 Test Program Manager.

4 At our meeting on June 19th, we discussed the  
5 development of the program, including preparation, procedure  
6 development, and training, and testing activities up to that  
7 time. Today, I would like to concentrate on the testing  
8 that we completed since our 50 percent power meeting.

9 Since that time, we have conducted all or portions  
10 of 29 power ascension tests. And there are four in  
11 particular that I would like to discuss in greater detail  
12 today, and those are on the bottom of the second slide.

13 The first one that I will be discussing will be  
14 the large load reduction, ST-35. That is third from the  
15 bottom. That test was performed twice, once at 75 percent  
16 power, and once at 100 percent power. And that was run by  
17 initiating a set-back condition in the turbine, which  
18 decreases the plant power at about two percent per minute,  
19 down 50 percent.

20 During the test, the primary and secondary plant  
21 performed essentially in accordance with our projected  
22 response. After the second load reduction at 100 percent  
23 power, we delayed power ascension about 24 hours, in  
24 accordance with tech specs, for axial flux difference, to  
25 get our penalty minutes back in spec.

1           The second test that was on the slide, the inner  
2 trip from 100 percent power, ST-38, was performed by the  
3 plant transient response to a trip from 100 percent power,  
4 met our standard design requirements. Additionally, this  
5 test verified that the actual HUT leg RTD temperature  
6 response time is conservative, with respect to the values  
7 used in accident analysis.

8           ST-38 was initiated by tripping the generator,  
9 which in turn tripped the turbine, tripped the reactor.  
10 Once the trip took place, the shift operating personnel  
11 utilized their appropriate normal and emergency operating  
12 procedures to recover the plant to a stable HUT stand-by  
13 condition.

14           Selected plant parameters were monitored  
15 throughout the test, and the subsequent analysis of the data  
16 showed that the plant responded as expected.

17           Approximately one hour after the reactor trip, we  
18 entered natural circulation, ST-22. And that involved  
19 simultaneously tripping all four reactor coolant pumps.  
20 The purpose of this test is to verify that the plant can  
21 enter natural circulation conditions and adequately remove  
22 decay heat.

23           In fact, it took about 11 minutes to actively  
24 establish natural circulation conditions.

25           The last major test was the loss of off-site

1 power, ST-39. This test was initiated by simulating a loss  
2 of off-site power with the opening of the off-site power  
3 feeds to the plant, and tripping the turbine. The reactor  
4 was at approximately 20 percent power, and we were above our  
5 P-9 subpoint.

6 The test verified that the emergency diesel  
7 generators would start and reach their rated speed and  
8 voltage within 10 seconds, and also verify that the power  
9 sequencer would perform its designed function of sequencing  
10 our required loads on.

11 This test has also demonstrated that the plant can  
12 be maintained at a stable condition, which we verified for a  
13 30-minute time span after loading the diesels.

14 Our Power Ascension Test Program was essentially  
15 completed following the completion of ST-40, which was more  
16 commonly known as the warranty run. That was completed on  
17 Friday, August 17th.

18 I would like to discuss our review and analysis of  
19 the Power Ascension Test Program results. All of our tests  
20 that we performed have been reviewed by our Sort Committee  
21 and Management Oversight Committee. All test results and  
22 test exceptions have been reviewed and approved.

23 Our initial start-up report had been submitted on  
24 June 13th, and the first supplement was submitted last week  
25 on September 13th. Some of the results are included in

1 these reports, and the final report, the final start-up test  
2 report, will be published prior to September 30th.

3 With regard to test exceptions, during the program  
4 we had a total of 62. The majority of them were very minor  
5 in nature, and would include administrative details like  
6 receiving the final report from GE on our turbine torsional  
7 test results.

8 The three listed on the slide are three more  
9 significant ones. The first one had to do with power  
10 distribution measurements, ST-29, which was conducted at  
11 each plateau. Our planer peaking factor affects was  
12 slightly more than our limit at a given plateau, and per  
13 technical specifications we have performed our analysis and  
14 accepted the results.

15 During our LOP test, we concurrently ran ST-43,  
16 which is our computer test procedure. During the initiation  
17 of the test, the primary host on our computer -- we have two  
18 hosts -- was slowed down. The back-up host noted that the  
19 computer slowed down, and we had a fail-over during the  
20 test, and we lost about two to five minutes' worth of data  
21 during that test. That one is still under review.

22 ST-46, that basically is our ventilation system  
23 testing. During the test -- we did that in the middle of  
24 the summer -- we did have some high temperatures in the east  
25 and west pipe chases, and we had some temporary cooling in

1 there to maintain our technical specification limits.  
2 Therefore, we had an exception against the procedure at that  
3 point.

4 Overall, there are still, to date, there are only  
5 11 test exceptions left open. We all have them in our  
6 tracking system, and are working towards a final plant  
7 close-out.

8 The last time we were here, I showed a different  
9 version, an earlier version, of this slide that showed our  
10 unplanned trip results, up to 50 percent power. This slide  
11 has been updated to show completion through 100 percent  
12 testing. Our goal was zero plant trips. We did not meet  
13 that goal. However, I am very pleased with the results we  
14 did receive.

15 The first reactor trip that we did have, of the  
16 two, occurred on June 20th, while the reactor was at  
17 approximately 30 percent power and increasing. The trip was  
18 caused by an unexpected actuation of a relay in our  
19 generator protective circuitry. The relay is designed to  
20 protect the last 5 percent of generator windings from ground  
21 fault. This protective function, which is not required by  
22 the generator manufacturer, it is customer trip, initiated a  
23 turbine generator trip, when the production circuitry was  
24 activated at about 30 percent level.

25 The turbine generator trip, in turn, initiated the

1 reactor trip, because the protective circuitry actuation is  
2 related to set point adjustments that are based on assumed  
3 third harmonic voltages supplied by our vendor.

4 In actual operation, our third harmonic voltage,  
5 which is a noise over 60 hertz frequency, turned out to be  
6 lower than anticipated. Therefore, the set point was overly  
7 conservative.

8 Since this protection is not required, we have  
9 reviewed the functioning of the relay with the relay  
10 supplier and the vendor in detail, and we have initiated a  
11 modification to convert it to monitoring circuitry, and it  
12 is an alarm function only at this point.

13 The second reactor trip occurred on July 5th,  
14 while the reactor was at 75 percent power. This trip was  
15 caused by main steam low EHC oil pressure signal, and it was  
16 due to vibration. The switches were monitored on our main  
17 steam stop valves. There was excessive vibration at a  
18 particular point at 75 percent for those switches to be  
19 monitored in that location, causing contact closure.

20 At that point, we relocated the switches to an  
21 environment that did not exhibit vibrations, and the problem  
22 went away.

23 In the determination of this root cause, we did  
24 talk to other plants to determine if they had experienced  
25 the same problem, and we also worked closely with the



1 vendor.

2 In summary, the Power Ascension Test Program,  
3 I feel, was very successful. Despite the problems with the  
4 turbine, the actual performance of our tests were  
5 essentially in accordance with our test schedule and the  
6 results were very much as expected.

7 We, as a company, learned a great deal from power  
8 ascension testing. Two major areas that I feel we excelled  
9 at were in preparation and teamwork. The Power Ascension  
10 Test Program was a complete New Hampshire Yankee team.  
11 It was not just an operations and test personnel effort.  
12 Training, Engineering and Maintenance Departments, to name  
13 just three, worked very effectively with the operations and  
14 test crews to solve problems and make this an effective test  
15 program. And I think I am confident that you will see this  
16 same teamwork in the future.

17 With regard to preparation, there are three  
18 significant areas that we will be carrying over into  
19 permanent plant operation. I think that the procedures we  
20 developed for the test program were unique in nature, and  
21 very good. They have some features in it that we are  
22 already utilizing, and additional procedures, as we go  
23 through operation. Basically, background and briefing  
24 documents for complex evolutions are a key ingredient to  
25 have, I think. Training, the use of testing the procedures

1 on the simulator for complex evolution I think was key to  
2 debugging the procedures, and making sure that training for  
3 the test crews and the operations group was of high quality,  
4 and provided thorough knowledge of the evolution to people  
5 that are going to be doing these complex evolutions.

6 And finally, and even prior to entering the test  
7 program, we conducted pre-test briefings, pre-evolution  
8 briefings, right outside the control room. And we found  
9 that those briefings can be extremely helpful, and we are  
10 continuing to use that technique.

11 We have also identified some areas where we can  
12 improve. And at this time, I would like to turn the  
13 presentation over to Bruce Drawbridge, who will address  
14 these areas and other issues.

15 MR. DRAWBRIDGE: Thank you, Gary. My name is  
16 Bruce Drawbridge, and I am the Executive Director of Nuclear  
17 Production at New Hampshire Yankee.

18 I will discuss some of the events that occurred  
19 during the test program, and I will also discuss the use of  
20 the Power Ascension Test Program self-assessment results,  
21 and in particular, some areas where we are devoting  
22 additional attention.

23 I agree with Gary that the Power Ascension Test  
24 Program was very successful. Now, my conclusion is not  
25 based solely on my own observations, or the technical

1 results. It is also based on the observations and reports  
2 from various oversight functions, and from observations of  
3 other senior management.

4 The results of the power ascension self-assessment  
5 were submitted to you on Tuesday of last week. And before I  
6 discuss how management will use the report and  
7 recommendations, I would like to have Ed Desmarais, our  
8 Self-Assessment Team Manager, provide an overview of the  
9 assessment, and discuss the assessment of the maintenance  
10 program.

11 So I will turn it over to you, Ed.

12 MR. DESMARAIS: Thank you, Bruce. I am Ed  
13 Desmarais, the Independent Review Team Manager. And I will  
14 discuss the self-assessment team efforts.

15 Before I do this, I would like to highlight the  
16 role of self-assessment at New Hampshire Yankee.

17 First and foremost, self-assessments are a  
18 management tool, which they use to identify areas for  
19 improvement. In a general sense, these self-assessments can  
20 range from weekly reports or compliance inspections, to  
21 experience-based management evaluations.

22 New Hampshire Yankee has a number of diverse but  
23 well-coordinated groups which do these self-assessments on  
24 different aspects of the company's business. For the Power  
25 Ascension Test Program, New Hampshire Yankee set up a

1 special group called the Self-Assessment Team. This team  
2 was chartered with evaluating the conduct of the test  
3 program, as well as the functions that would ensure its  
4 success.

5 On June 19th, I described the scope of the  
6 self-assessment and the composition of the team, so I will  
7 not repeat that today. Instead, I will briefly discuss  
8 examples of the types of evaluations we have done, and how  
9 they resulted in recommendations and conclusions. After  
10 that, I will talk about the team's efforts on the  
11 maintenance evaluation.

12 Evaluating the conduct of the test program and  
13 plant operations was a primary focus of the team and the  
14 Management Oversight Committee. Throughout the entire test  
15 program, the team did this by attending the same initial and  
16 requalification training as the test group and the  
17 operators, by attending pre-shift briefings, by reading and  
18 reviewing all test procedures and their revisions, observing  
19 every test, independently reviewing all test results,  
20 observing the test result review and approval process, and  
21 by presenting the results of these efforts to the Management  
22 Oversight Committee.

23 Through these and other efforts, the team was able  
24 to conclude that the test program was conducted in a  
25 cautious and conservative manner, and the plant operates per

1 the design basis.

2 The team also evaluated activities that supported  
3 the test program and plant operation. As would be expected  
4 during a test program, a number of design and maintenance  
5 challenges occurred. As an example, we closely followed the  
6 engineering and technical support efforts to analyze and  
7 design fine-tuning adjustments to the feed water pump, the  
8 feed water regulator valves, the heater drain pump discharge  
9 valves, and the moisture separator reheater.

10 The team reviewed each design package and  
11 modification, and discussed the results with the Management  
12 Oversight Committee. The SAT, or the Self-Assessment Team,  
13 has recommended that technical support and engineering  
14 document and analyze the chronological history of the design  
15 revisions to the feed water and heater drain string for  
16 lessons learned.

17 The team also reviewed events surrounding the  
18 turbine setback on July 2nd. The setback occurred during  
19 the performance of a repetitive task involving the generator  
20 step-up transformer cooling fans. The potential for this  
21 event had been identified about a month earlier, and a  
22 revision to the repetitive task sheet was initiated.  
23 This event occurred before the revised repetitive task sheet  
24 had been issued.

25 The team recommended that station management

1 further review this event for generic implications on  
2 revising issued work packages.

3 The last example for the power ascension  
4 self-assessment involves performance indicators. During the  
5 first few months of the self-assessment, the team  
6 recommended to the Management Oversight Committee that  
7 New Hampshire Yankee adopt and develop INPO-style  
8 performance indicators in anticipation of plant operation.  
9 These indicators were initially issued in March of 1990, and  
10 have evolved over the past few months.

11 Our assessment indicates that management did use  
12 the work request, request for engineering services, surface  
13 contamination, and receipt inspection performance indicators  
14 to track and, where necessary, make mid-course corrections.  
15 Our evaluation also resulted in a recommendation to complete  
16 the outstanding performance goal and analysis information  
17 for some of the indicators.

18 These few examples typify the activities and  
19 observations that provide the basis for the recommendations  
20 and conclusions in the June and September reports.

21 Many of the areas for improvement that Bruce will  
22 discuss today began with recommendations that the team  
23 identified and reviewed with the Management Oversight  
24 Committee.

25 The team has looked at many different activities

1 during the past 10 months. Our maintenance evaluation is  
2 one example of the key area of focus. The first part of the  
3 evaluation looked at the ability of maintenance to support  
4 the test program and full power operation. The June and  
5 September self-assessment reports summarized the team's  
6 activities that led us to conclude that maintenance can  
7 support safe and reliable plant operation.

8 As we mentioned in our presentation on June 19th,  
9 the Self-Assessment Team was also doing a special evaluation  
10 using the proposed regulatory guidelines in DG-1001. This  
11 second part of the maintenance evaluation indicated that  
12 overall, New Hampshire Yankee has developed, or is currently  
13 addressing, the programmatic aspects contained in those  
14 maintenance elements.

15 Using the rating scheme from the draft guidance,  
16 we determined that most of the elements are satisfactory.  
17 Some of the elements were evaluated to be good, while others  
18 need additional attention.

19 These ratings reflect criteria which is aimed at  
20 fostering excellence in maintenance programs and practices.

21 The team's general conclusion is that, overall,  
22 our maintenance program and practices are satisfactory.

23 We were able to determine these ratings and  
24 conclusions through a series of different types of  
25 evaluations. The first involved a comparison of our

1 existing New Hampshire Yankee maintenance program with the  
2 proposed regulatory guidance.

3 To ensure an objective and independent review, we  
4 asked an experienced maintenance individual from another  
5 utility to make this comparison. His report, which is  
6 appended to our maintenance report, concludes that in  
7 general, the program documents have considered all the  
8 elements stated in the NRC inspection guidance in some form  
9 or location. The major weakness is in how the various  
10 documents relate and they demonstrate a smooth flaw.

11 The second type of evaluation involved comparisons  
12 of our maintenance program with maintenance programs at  
13 other nuclear power plants. At various stages in the  
14 evaluation, we either visited or contacted other nuclear  
15 plants. The team also contacted INPO to obtain a list of  
16 utilities noted for exceptional or superior performance in  
17 selected areas of maintenance. We have provided this  
18 information to our Maintenance Department.

19 The third part of the evaluation was based on  
20 direct observation of maintenance work. The team observed  
21 each part of the work process, beginning with the  
22 identification of a work activity, through retrieving  
23 archive work packages from the records center.

24 The first example of direct observation involves  
25 the installation of a design package on the heater drain



1 pump. This modification replaced the existing gland packing  
2 with a mechanical seal.

3 We attended the pre-work briefing, reviewed the  
4 work for proper authorization and work documents. At the  
5 work location, we verified tagging, foreign material  
6 exclusion, and the assignment of qualified workers.

7 During the actual performance of work, the team  
8 noted that some administrative aspects of the work could be  
9 improved. We also observed that maintenance inspectors  
10 inspected the work in progress several times, and that  
11 individual departments work well together.

12 The post-modification test was performed as  
13 specified. The data collected, reviewed, and approved.

14 Another observation example involves the feed  
15 water and steam flow calibration. We began by observing the  
16 pre-work briefing in the INC shop. The supervisor reviewed  
17 the work package, and the steps to be taken by the two teams  
18 involved in the calibration.

19 This work activity needed good coordination to  
20 ensure consistent communications and expectations between  
21 the two teams involved in the calibration. The work  
22 activity needed good coordination to ensure consistent  
23 communications and expectations between the team in the RCA  
24 and the team and the control room.

25 As part of observing this work activity, we

1 reviewed the work package for authorizations, the radiation  
2 work permit, tagging, documentation, and general adequacy.  
3 Throughout the calibration, procedures were explicitly  
4 followed, and the communications crisp and professional.  
5 This was particularly significant in light of rotating  
6 technicians into and out of the RCA.

7           The work package was properly completed, reviewed,  
8 and closed.

9           The third example of direct observation involves  
10 the diesel generator 18-month surveillance that occurred  
11 over several shifts. As in the previous examples, the team  
12 reviewed the contents of the work package and the  
13 availability of spare parts.

14           In the field, we also verified that assigned  
15 workers were qualified, a detailed log was maintained as  
16 work progressed, tagging was per the tagging order, and  
17 procedures were followed. The surveillance test was  
18 performed, and the test results reviewed and approved.

19           The team also took different slices of the  
20 maintenance process as a cross-check on our direct  
21 observation of work. One of these slices included a review  
22 of the procurement process for its impact on maintenance.

23           In the beginning of the test program parts  
24 availability was impacting the performance of work in the  
25 field. Management established the Materials Task Force to

1 analyze and correct this problem. Through the efforts of  
2 this task force, and a planning and scheduling group, parts  
3 ordering and expediting has been improved. Work requests  
4 are not released until all identified parts are cleared  
5 through receipt inspection, and parts availability for work  
6 scope changes is now at approximately 98 percent.

7 The team also reviewed a good-sized sample of the  
8 maintenance procedures for content, ease of use by the  
9 workers, inclusion in the work packages, the preparation and  
10 revision process, and the biannual procedure review.  
11 Our evaluation indicated that procedures are issued and  
12 controlled as specified by the programs.

13 We did find, in certain instances, that the  
14 content of procedures could be improved to clarify vague  
15 statements, such as "as required," or to provide more  
16 specific direction.

17 The last example of direct observation involved  
18 the maintenance training and qualification program.  
19 Our evaluation began with the Training Advisory Committee  
20 that establishes the content and scope of the training  
21 program. The evaluation continued by attending different  
22 training sessions, reviewing the training schedule and  
23 attendance, reviewing the initial qualification of workers,  
24 and verifying that qualified workers were assigned to work  
25 activities.

1           The team found that the Training and Qualification  
2 Program is working as designed.

3           In the fourth type of evaluation, we reviewed new,  
4 pro-active initiatives intended to improve maintenance.  
5 These activities are in the initial stages of development or  
6 scheduled for future action.

7           Our reliability-centered maintenance program is  
8 one of these efforts. Engineering has developed the first  
9 package using the diesel generator as a prototype. And this  
10 package is currently being reviewed by our technical support  
11 and maintenance groups.

12           Beginning in 1991, Engineering is scheduled to  
13 develop several reliability-centered maintenance packages  
14 each year until they are complete.

15           The team also reviewed the implementation status  
16 of the work-controlled data processing system. The current  
17 information systems for maintenance are essentially  
18 stand-alone systems that require multiple data entry and  
19 access. New Hampshire Yankee is currently at the two-year  
20 point in a five-year schedule aimed at implementing a single  
21 system for maintenance information.

22           Parts of this new system are now being used and  
23 approved on. When completed, the system will provide  
24 information on planning and scheduling, procurement,  
25 personnel, trending, documentation, measuring and test

1 equipment, and configuration control.

2 The final example I will discuss involves the  
3 performance monitoring program for plant systems. This  
4 program was initially reviewed by the Self-Assessment Team  
5 during the low power self-assessment program. At that time,  
6 the team reviewed the program outline and performance  
7 reports on the few systems it had operating history.

8 Since that first review, the only additional  
9 operating history has been due to the Power Ascension Test  
10 Program. The monitoring program, when fully implemented,  
11 will provide an analytical tool to improve maintenance by  
12 pro-actively finding and correcting equipment systems and  
13 problems.

14 From these four types of evaluations, the team  
15 identified areas of strength. These include the planning,  
16 scheduling of work, work package preparation, the actual  
17 performance of maintenance work, and the pro-active efforts  
18 which I just mentioned.

19 We also identified areas for improvement, which  
20 are cited as specific recommendations. Some of these  
21 recommendations include: better coordination and integration  
22 of maintenance support functions, establishing a dedicated  
23 procedure-writers' group, improving work history  
24 descriptions, and developing maintenance-specific  
25 performance indicators.

1           These, and a number of other specific  
2 recommendations for improvement, were discussed, accepted,  
3 and endorsed by the Management Oversight Committee.

4           We have documented this maintenance evaluation in  
5 a separate internal report, which we have made available  
6 on-site to the senior resident inspector and other NRC  
7 inspectors to review.

8           I will conclude by reiterating that this  
9 maintenance evaluation is an example of our self-assessment  
10 efforts. We believe that the endorsement of our  
11 recommendations by the company's top management team  
12 indicates that the assessments have proven to be a valuable  
13 tool for the company.

14           I will now turn the presentation back over to  
15 Bruce, so he can discuss how New Hampshire Yankee is  
16 addressing these recommendations.

17           MR. DRAWBRIDGE: Thanks, Ed. I think that reports  
18 such as the maintenance evaluation are very valuable  
19 management tools. We will be utilizing results of this and  
20 other internal evaluations, along with a total power  
21 ascension self-assessment report, as we implement  
22 initiatives for the enhancement of our operating  
23 organization.

24           We recognize that we must continually work to  
25 improve all aspects of our operation. That includes

1 maintenance, operations, engineering, or training.

2 We also recognize that it requires active  
3 management involvement. I want to assure you that senior  
4 management is involved as we implement our initiatives.

5 Some of the initiatives that we are currently  
6 pursuing include enhancement and streamlining of our  
7 programs and procedures, improvements in our facilities, and  
8 maintenance actions to improve reliability and  
9 maintainability.

10 We not only tested the plant, but have also tested  
11 our personnel, in our administrative control programs, with  
12 a great deal of emphasis on our work control and maintenance  
13 programs. We have determined that the programs are  
14 satisfactory; but, they could be streamlined and enhanced to  
15 better support plant operations.

16 One of our initiatives is to consolidate and  
17 streamline our work control program, and our maintenance  
18 programs, as well. I am working with key station managers  
19 to implement recommendations from the self-assessment  
20 maintenance evaluation, internal programmatic reviews, as  
21 well as comments received from NRC inspectors during the  
22 Power Ascension Program.

23 Now, Ed Desmarais has already mentioned the  
24 ongoing work to develop the reliability-centered  
25 maintenance, that is RCM program. And we will be including

1 RCM considerations in this implementation.

2 I am looking at the recommendations, and I am  
3 going to establish a master schedule for their  
4 implementation.

5 I have recently made some changes within the  
6 maintenance organization to facilitate the control of work.  
7 I made these changes to remove potential distractions so  
8 that maintenance personnel can concentrate on the day-to-day  
9 maintenance of the plant.

10 Changes that I made, to date, include the  
11 reorganization of the Maintenance Department to create two  
12 separate sub-organizations, Mechanical Maintenance and  
13 Electrical Maintenance. We feel this should facilitate the  
14 control of work. We have also reassigned a manager to a  
15 staff position, where he has responsibility for planning and  
16 coordinating long-term projects, also facility additions, as  
17 well as major turbine overhauls.

18 And finally, the responsibility for maintenance of  
19 our off-site siren system, we transferred from the  
20 maintenance organization to our site services organization.

21 Root cause determination is an ongoing initiative,  
22 and we will continue to work on it to improve our overall  
23 performance. At our last meeting, I mentioned an  
24 enhancement that we are developing to our root cause  
25 analysis process. Our new root cause determination



1 procedure was issued the end of July, July 30th.

2 Now, we have not had enough experience to date  
3 with a new procedure to really produce any evaluation of  
4 trends. However, this program will be continuing.

5 I would like to discuss another ongoing initiative  
6 that we introduced at the June 19th meeting. And this is  
7 our trip avoidance program.

8 As Gary mentioned, our trip avoidance program was  
9 very successful during the Power Ascension Test Program.  
10 We experienced only two unplanned reactor trips.

11 We did, however, experience an unplanned reactor  
12 trip on August 22nd. This was after the conclusion of the  
13 Power Ascension Test Program. This trip occurred with the  
14 unit at 100 percent power, while conducting some minor  
15 maintenance on the generator EHC circuitry.

16 We were aware that the industry had long  
17 experienced problems with unexpected EHC sy response  
18 during maintenance. We reviewed this work activity in  
19 detail prior to the implementation, and took all the  
20 precautions that we deemed to be prudent. Unfortunately, we  
21 still experienced the trip. And we have not determined the  
22 exact cause.

23 Now, our discussions with our vendor, GE, has  
24 indicated that other plants have experienced similar trips  
25 with unknown causes involving EHC circuitry.

1           In the future, we will continue to carefully  
2 evaluate EHC maintenance activities, performed at power to  
3 minimize challenges to plant systems.

4           We are currently evaluating our check valves as  
5 part of an EPRI project. The research portion of the  
6 project will determine the operating characteristics of each  
7 one of our check valves. Now, this data will subsequently  
8 be incorporated into surveillance procedures for these check  
9 valves to allow us to more accurately test the valves. Now,  
10 we anticipate that the program will be developed by the end  
11 of this year, and implementation will commence with our  
12 first refueling outage.

13           As you may be aware, we also have an extensive  
14 program to ensure the operability of motor operated valves,  
15 both during normal operation and also during transient  
16 situations. This program utilizes a unique technology,  
17 developed by NHY. And it involves the use of strain gauges,  
18 as well as personal computers to diagnose and assess the  
19 performance of each motor operated valve.

20           Now, the previous method, using Movat's equipment,  
21 required actuator disassembling, in some cases. That was  
22 during the performance of calibration. That was primarily  
23 for butterfly-style valves.

24           Our MOV strain gauge program will include all  
25 motor operated butterfly valves and rising stem valves,

1 whenever possible. The program has two objectives. One is  
2 to accurately measure the forces applied to the valve shafts  
3 by the valve operator. And second, to utilize strain gauge  
4 measurements to verify that the valve actuator switch  
5 settings insure valve operability under the design basis  
6 conditions, for the life of the plant.

7 We feel this is a creative approach to an NRC  
8 concern.

9 An additional area where we are devoting attention  
10 is the fine tuning of our secondary plant. In particular,  
11 the feed water and connosay system. We have experienced  
12 some secondary plant oscillations at power during the Power  
13 Ascension Test Program.

14 We have established a team of individuals to  
15 review the operational characteristics of the secondary  
16 plant, and develop additional design or procedural  
17 enhancements to ensure the reliability and the ease of  
18 operation of the secondary site.

19 I would like to very briefly discuss two plant  
20 facility enhancements. As you may know, we have a five-year  
21 major plan, an overall plant facilities plan. Plant  
22 facilities are included within this plan, so it goes over a  
23 five-year period.

24 The first project we are implementing is a direct  
25 result of our Power Ascension Test Program experience.

1 In order to enhance our chemistry capabilities, we are  
2 installing a half-million-gallon demineralized water storage  
3 tank. Work on the installation of the tank is in progress  
4 now, we just started. And we project that the tank will be  
5 in service by March of next year, the end of March of next  
6 year.

7 We are also completing design work on a building  
8 that will house our new decontamination facility, and a hot  
9 INC shop. And we expect that this work will be done by the  
10 last half of 1991.

11 I would like to address events that occurred  
12 during the test program. We had a series of LERs that  
13 occurred during the Power Ascension Test Program. As you  
14 can see, we have classified the LERs according to their root  
15 cause. There was one LER attributed to a weakness in our  
16 configuration control program; three due to equipment  
17 failures; and five classified as caused by personal error.

18 Now, the three equipment problems were the type  
19 that would be expected during start-up of a new plant.  
20 However, the remaining LERs were not expected, and our  
21 review of these LERs has provided additional input to our  
22 overall management assessment of operations to date.

23 At the June 19th meeting, I described an ongoing  
24 evaluation of configuration control aspects of our work  
25 control program. We have completed evaluation, and have

1 reached the following conclusions.

2 Existing station programs and procedures are  
3 satisfactory to maintain configuration control of installed  
4 plant systems and components. However, the administrative  
5 controls for a configuration control are fragmented  
6 throughout our station manuals and procedures.

7 The task team that performed the configuration  
8 review recommended that the existing configuration control  
9 documents and procedures be consolidated and simplified to  
10 provide a consistent, uniform configuration control program  
11 for all departments.

12 This recommendation is being implemented as part  
13 of the integrated program consolidation that I discussed  
14 earlier.

15 In regard to the personal error LERs, as far as I  
16 am concerned, one personal error is one too many. Last  
17 year, we implemented a human performance evaluation system,  
18 HPES. As part of the implementation of this program, we  
19 review events caused by personal errors to determine if  
20 there is a fundamental underlying cause. We have not  
21 identified a unique cause for these events, but we have  
22 identified several factors contributing to personal errors.

23 Attention to detail is always a concern with  
24 personal errors. We have identified two areas we will be  
25 addressing in order to increase attention to detail.

Heritage Reporting Corporation  
(202) 628-4888

1 These are self-verification, or self-checking if you will,  
2 and increased management supervisory presence and  
3 involvement in the field.

4 It should be noted that there is a lot of  
5 activities being performed during power ascension.  
6 And whenever there is a lot of activities, there is always  
7 the potential for personal errors. That notwithstanding, we  
8 are concerned about personal errors, and we will continue to  
9 work on eliminating them.

10 The two LERs involving unlocked high rad areas  
11 were unique in their ultimate cause, but could have been  
12 prevented by self-verification. These two LERs in  
13 particular I found very disappointing. In both cases, the  
14 doors appeared to be locked, but physical manipulation of  
15 the door would have revealed the problem.

16 Meetings have been held with the technicians  
17 involved to review the physical configuration of locks and  
18 doors, and to reinforce the need to physically check doors  
19 to verify their security.

20 I made it clear to station managers and  
21 supervisors that I would not tolerate these types of errors.  
22 It should be noted, I said it in a few decibels higher than  
23 I am talking to you today.

24 Finally, I would like to assure you that we will  
25 not forget the lessons learned during the low power and

1 Power Ascension Testing Programs. We are using the  
2 experience gained to enhance the operation of both the  
3 station and the company.

4 Now I would like to turn the presentation back  
5 over to Ted. Ted?

6 MR. FEIGENBAUM: Thanks, Bruce. Well, the  
7 presentations today have emphasized some of the ways that we  
8 are striving to establish and maintain a pro-active  
9 philosophy at New Hampshire Yankee. A key element of that  
10 philosophy is finding weaknesses before they manifest into  
11 operational problems.

12 Although the power ascension self-assessment has  
13 formally concluded the process of internal self-evaluation  
14 and critique remains very active at the company. Through a  
15 combination of line management self-evaluations,  
16 comprehensive root cause and event evaluations, formal  
17 quality program performance-based reviews, and most of all  
18 close tracking and follow-up of the corrective actions that  
19 come out of all these self-assessments and reviews, we  
20 believe that New Hampshire Yankee will remain ahead of the  
21 curve in identifying and addressing weaknesses in our  
22 programs and procedures and people.

23 I think Seabrook is off to a good start. Our  
24 testing program demonstrated the readiness of the staff of  
25 the plant systems and equipment for plant operations.

1 And as we enter the early years of commercial operation,  
2 I can assure you that safety will be utmost in our minds of  
3 management during all our decision-making processes. And we  
4 will continue to work towards ways to improve.

5 Now, interestingly, industry experience has also  
6 shown that the plants with good safety records, the ones  
7 with a few unplanned trips, few violations or challenges to  
8 safety systems, and with good maintenance practices, are  
9 also the reliable and the highly productive plants, as well.

10 And it is our corporate mission, and the mission  
11 of all of us here at the table, to achieve all of these  
12 goals and join the ranks of some of the more successful  
13 power plants in this nation.

14 That, essentially, Jon and Tim, concludes our  
15 formal remarks here this afternoon. If you have any  
16 questions that you would like to discuss on the  
17 self-assessment or the Power Ascension Test Program, we  
18 would like to respond.

19 MR. JOHNSON: Sure. I think we have quite a few  
20 questions. I will start off by asking, first of all,  
21 I guess, in the maintenance area and the technical support  
22 areas, you talked about annual reviews of maintenance  
23 requests, or backlog of maintenance requests, and an annual  
24 review of RESS, engineering service requests.

25 How do you envision that annual review to take



1 place? And what do you expect to get out of it? On the  
2 surface, it looked to me like it was not frequent enough to  
3 get some benefit out of it. But maybe I misinterpreted the  
4 purpose of it.

5 MR. KLINE: Well, actually, we have monthly  
6 reviews.

7 MR. DRAWBRIDGE: Why do I not jump in here?  
8 We review within my organization, within production, we  
9 review. We have a weekly report that comes out as to where  
10 we stand on backlogs, et cetera, as far as work requests are  
11 concerned. That has a wide distribution. I look at it on a  
12 weekly basis. Most of the other management within the  
13 company look at it on a weekly basis, too, as well.

14 It is also updated for particular items on a daily  
15 basis, on our plan of the day. And there is a plan of the  
16 day report that also comes out, along with hot sheets, et  
17 cetera, for work requests.

18 We also have a committee called the Smerk  
19 Committee that looks a little longer term as to items that  
20 we want to have Engineering look at, such as RESs,  
21 reprioritize those on an ongoing basis. In fact, we have a  
22 member of our engineering staff that sits in on Don Moody's  
23 morning meetings every morning. Every morning we have a  
24 meeting in Don Moody's office at 8 o'clock, where many of  
25 the plant managers and supervisors sit in on.

1           We have a member from Engineering who sits in on  
2 that meeting, too, as well. And if problems come up that  
3 were noted the previous day, or that evening, that we want  
4 Engineering to look at, we tell that Engineering  
5 representative. At that point, he goes back, and that  
6 becomes the top RES, if you will, right for that day.  
7 So there is a continual feedback for ongoing-type things.

8           And then on a periodic basis, we also look as to  
9 where we stand with the RESs.

10           The annual review, that is more of a sanity check,  
11 if you will, as to where we stand, where we want to go, et  
12 cetera.

13           MR. KLINE: That is really to adjust our goals,  
14 most of it.

15           MR. DRAWBRIDGE: Right, right.

16           MR. KLINE: To see whether you set the right goals  
17 for backlogs.

18           MR. DRAWBRIDGE: How we have done it in previous  
19 years, how we are looking this year or this past year, where  
20 we want to go, you know, in future years.

21           MR. JOHNSON: Have you had one of those yet?

22           MR. DRAWBRIDGE: For this year?

23           MR. JOHNSON: For any year. Have you had this  
24 annual review meeting or goal meeting?

25           MR. KLINE: Yes.

1 MR. DESMARAIS: It basically came off as part of  
2 start-up reviewing, everything we had out there, to make  
3 sure that nothing had fallen through the cracks.

4 MR. JOHNSON: What do you see as the big picture?  
5 Do you see yourselves able to manage the backlog?

6 MR. DRAWBRIDGE: Oh, yes, we have been managing  
7 the backlog right along. You mean as far as RESs and --

8 MR. JOHNSON: Let's just take engineering  
9 requests.

10 MR. DRAWBRIDGE: Oh, yes. Oh, yes. They have  
11 come down substantially. I do not have the numbers in front  
12 of me, but from previous years, they have gone down quite a  
13 bit. I do not know, can you --

14 MR. VARGAS: The program started in 1986.  
15 Basically, the RES program is a vehicle for all the  
16 departments to communicate with Engineering, not just the  
17 station. Since 1986, we have received about 4,000 RESs.  
18 To date, there are about 750 that are open.

19 Now, the annual review that you were alluding to  
20 is the annual review of the five-year plan. We take every  
21 RES that is scheduled, and put it into a five-year plan.  
22 We started this about a year-and-a-half, two years ago.  
23 And every year we update the five-year plan, such that the  
24 initiator of the RES now knows whether we are going to  
25 respond to his concern.

1           Now, there are a lot of forums, as Bruce has  
2 indicated, whereby the priority of a particular RES can be  
3 raised. Specifically, that is the daily Don Moody meeting,  
4 or the daily DOE meeting, or the weekly Smerk meeting, Smerk  
5 meaning, as Bruce indicated, is a Seabrook Modification  
6 Resource Committee, of which engineering participates, the  
7 station participates, Operations and Maintenance  
8 participates.

9           So there are at least three forums, in addition to  
10 the annual review of the five-year plan, whereby priorities  
11 of the RESs can be raised.

12           To date, we have no priority one RESs open.  
13 Priority one RESs are very high priority items, which we  
14 respond to within two or three days. Those are priorities.  
15 Most of the RESs that we have are priority three and fours,  
16 which are long-term enhancements. Those are factored into  
17 the five-year plan. And every year at this time, we get  
18 together and revise the five-year plan.

19           MR. JOHNSON: Okay.

20           MR. FEIGENBAUM: A lot of the priority three and  
21 four RESs have to do with efficiency enhancements, ways to  
22 make a job easier for the plant and more efficient, less  
23 time, less personnel. And we schedule those as we can get  
24 to them, and evaluate them on a routine basis.

25           The ones needed to support the plant, again

1 through the daily involvement of Engineering, at the station  
2 managers' meeting and a constant Smerk re-review of the  
3 priorities, the station is supported. So we will always  
4 have some backlog of good ideas that people have that we  
5 will be evaluating at one time, and putting into the  
6 schedule as we can handle them.

7 MR. JOHNSON: Okay.

8 MR. DRAWBRIDGE: And those RESs, I think as was  
9 noted earlier, are not only just station requests, they  
10 support the entire site, as well.

11 MR. WIGGINS: In your assessment report, the  
12 maintenance area, a couple of items of places where I guess  
13 you referred to as needing improvement, kind of intrigued  
14 me. Maybe you can give me a little bit more background as  
15 to what they are, and what their significance is.

16 I guess it looks like you think you need to do  
17 more work in rework, and root cause analysis, and  
18 maintenance history collection analysis and application.  
19 Tell me a bit about what you meant by that, or how bad the  
20 problem is.

21 MR. DRAWBRIDGE: Well, in the area of rework,  
22 right now, we are looking at a definitive way of defining  
23 what rework constitutes. Right now, we do not have an  
24 indicator where we can follow the amount of rework that  
25 occurs.

1 Right now, I have a maintenance manager looking at  
2 the INPO definition of rework. We are going to come up with  
3 a definition, and use that for the last quarter of this  
4 year. And what we want to do is, beginning of next year, we  
5 want to set a goal for -- a limit as to how much rework we  
6 want to shoot for. We want to first define, you know, what  
7 rework is, so we can put it into our data base so that when  
8 we have a work request that has rework associated with it,  
9 we can capture that information.

10 MR. WIGGINS: Is it your sense that there is a  
11 rework problem now? That you do not have the answer now, or  
12 just you want to make sure that --

13 MR. DRAWBRIDGE: My gut feel is we do not have a  
14 problem. But if you do not really look at it carefully, and  
15 really define what rework is, how can you -- I mean, it is  
16 just a gut feel. You have to really define what you  
17 consider rework, and then see what you have. And then go  
18 from there.

19 There is nothing that jumps out at me as having a  
20 problem, no. But I want to be able to define it, and be  
21 able to see where we really stand. Then we can start  
22 comparing ourselves with other plants that use the same  
23 definition. Hopefully other plants will be using the same  
24 INPO definition. And really see where we stand, and where  
25 we want to be. That is the important thing; where we want

1 to be.

2 MR. WIGGINS: How about for the root cause  
3 assessment in the maintenance area?

4 MR. DRAWBRIDGE: Yes. I mentioned it very briefly.  
5 We developed a procedure that just got out on the street the  
6 end of July. To define root cause, and how to use root  
7 cause methodology. This is more for things that are of a  
8 more minor nature, where you would not do a formal  
9 full-blown root cause, but you still want to capture that  
10 information so that you could put it back into your data  
11 base, along with the rest of your maintenance activities.

12 So if you have a problem with a piece of  
13 equipment, you can really define what that root cause is,  
14 and make sure you are really, really correcting it. That is  
15 why we wrapped it in with the rework, because if you do not  
16 define the rework and if you do not really find the root  
17 cause, obviously you could, in the future, cause more  
18 rework.

19 MR. WIGGINS: The improvements in maintenance  
20 history, data collection that you are shooting for, does  
21 that portend a problem with your documentation that exists  
22 so far?

23 MR. DRAWBRIDGE: That alludes to the data base,  
24 I believe. The unified data base.

25 MR. DESMARAIS: There are really two aspects to

1 that.

2 MR. DRAWBRIDGE: Yes, sure, go ahead. Go ahead.

3 MR. DESMARAIS: When we reviewed a good-sized  
4 sample of the work requests, we identified the fact that  
5 some of the documentation of the work history at the  
6 conclusion of the work efforts was lacking. It was there,  
7 but it was not sufficiently definitive to provide for later  
8 application and analysis and application of the history, so  
9 that you would be able to use it in a predictive sense.

10 So that area that we are identifying is to improve  
11 the existing practices for documenting work history, so that  
12 they can actually be applied in a more predictive manner.

13 MR. WIGGINS: So basically you have records that  
14 an activity took place, you are trying to improve the  
15 description of what the activity was. Your trying to guess  
16 what information you would need to have in there, say, if  
17 you are looking at it five years from now.

18 MR. DESMARAIS: That is right, that is right.

19 MR. WIGGINS: Okay. I had a couple of other  
20 questions that go outside of maintenance.

21 In your report you talk about your verification  
22 team looking at EOPs, and you identify a series of EOP  
23 discrepancies. Give me a feeling for the severity of those  
24 discrepancies?

25 MR. DRAWBRIDGE: Do you want me to hit that, or do



1 you want me to do it?

2 MR. DESMARAIS: Why do you not do it?

3 MR. DRAWBRIDGE: The EOP-type things were  
4 relatively minor type of problems that occurred. We did a  
5 complete re-review of our EOPs in preparation for actually a  
6 review that is occurring.

7 Whenever I am in this building, I am always  
8 worried about the roof coming off.

9 (Laughter.)

10 MR. DRAWBRIDGE: I am sorry, I lost my train of  
11 thought.

12 (Laughter.)

13 MR. DRAWBRIDGE: I can address that a little bit  
14 in technical support. As part of the independent process,  
15 we loan some of our more senior people to Operations for  
16 their effort for validation verification. And the majority  
17 of the effort has been to make sure there has been  
18 consistency throughout the procedures, to make sure the  
19 procedures are consistent in approach, in going from one  
20 generation to another or in referral back and forth between  
21 procedures. And it has been pretty much minor clean-up.

22 EOPs have been used on the simulator now for a  
23 number of years. And they have been in pretty good shape,  
24 overall.

25 MR. PILLSBURY: In the SAT report, it talks about

1 one technical discrepancy. And then a number of additional  
2 discrepancies, but those were administrative discrepancies  
3 of a minor nature, as opposed -- I believe that it is in the  
4 operations section of your report.

5 MR. WIGGINS: Okay, so basically your sense is  
6 these are minor discrepancies.

7 MR. PILLSBURY: Yes.

8 MR. WIGGINS: You indicated in the discussion on,  
9 I guess one of your events or trips, that the problem was a  
10 repetitive task procedure, was marked for change, but the  
11 change had not been made before that repetitive task was --

12 MR. DRAWBRIDGE: Yes. In that case --

13 MR. WIGGINS: I guess in reading the report, I got  
14 a different view. I guess maybe I am just captured by the  
15 words that indicated a note was made on the one, and then a  
16 month later, the procedure got issued in a note that  
17 followed along. And as a result, it repeats the same thing.  
18 That was the generator fan.

19 MR. DRAWBRIDGE: Okay, I was going to take it.  
20 That involved the package already being ready to go.

21 MR. WIGGINS: I guess the question I really had,  
22 and I guess you addressed it, I wanted to know what the  
23 outcome is. When you used your SAT, in my understanding of  
24 what you said, asked, is there a more generic problem in  
25 terms of how procedures are changed, revised? And I guess

1 that is what I was wondering, what you find when you looked  
2 at that.

3 MR. DRAWBRIDGE: In this case, they reviewed the  
4 repetitive task sheet, found the problem, corrected the  
5 problem. However, we did not take it one more step.

6 The repetitive task sheet, a lot of times we will  
7 pre-stage certain packages, ready to go into the field for  
8 use. We did not take that extra effort to verify the RTS  
9 when it was updated, that there was not already a package  
10 already formulated ready to go out in the field. In that  
11 case, that is what happened; there was a package ready to  
12 go.

13 So since we did not take that extra effort to make  
14 sure that there was not an old RTS ready to initiate, that  
15 package did go into the field, and we had a problem.

16 MR. WIGGINS: And what have you taken to address  
17 that problem?

18 MR. DRAWBRIDGE: Now what we will do, as a further  
19 step, when an RTS is updated, we will check to see if there  
20 is any packages there that are already pre-staged, ready to  
21 go out in the field.

22 MR. WIGGINS: Okay. It seems you would be  
23 susceptible to having that, if you pre-stage maintenance  
24 work, and have procedures in there --

25 MR. DRAWBRIDGE: That is right, that is right.

1 Same is true of RTSS or procedures, as well.

2 MR. WIGGINS: You could get a vendor document that  
3 comes in, that says, "Now, do not do it this way, you have  
4 got a pre-staged work package that references the old  
5 vendor's way of doing it."

6 MR. DRAWBRIDGE: Exactly.

7 MR. WIGGINS: That could trap you.

8 MR. DRAWBRIDGE: So what we do now is, if we are  
9 changing a procedure, or if we are changing an RTS, we would  
10 check and verify.

11 MR. FEIGENBAUM: Prepared work packages.

12 MR. DRAWBRIDGE: For a prepared work package, to  
13 make sure if there is a prepared work package out there,  
14 that we would pull that package, make a change to the RTS or  
15 the procedure.

16 MR. WIGGINS: That is more effective than the  
17 other way around? Verifying any procedure in the package as  
18 the up-to-date revision?

19 MR. DRAWBRIDGE: No, no, no, no. They are up to  
20 date. They are up to date at the time the package is  
21 developed. You have to understand that we will -- in the  
22 case, we used what we call a system week concept, where in a  
23 given time, you already have scheduled out certain systems  
24 that we are going to do preventative maintenance on.  
25 And that is scheduled out well, well, well in advance.

1           About six weeks before that system week comes up,  
2 we will prepare the packages for that system week. And what  
3 I mean prepare the packages, it is not only putting in the  
4 procedures, et cetera, et cetera, it is also verifying that  
5 we have spare parts available, depending upon what the RTS  
6 or the procedure says. So that the package is whole. We  
7 know when the individual takes that package and goes out on  
8 the street, he will have the spare parts, he will have the  
9 equipment, and he will have the procedure. He will have  
10 everything needed in order to do that process.

11           Unfortunately, you have this gap where you will  
12 have a package ready to go, but it might be a month or a  
13 month-and-a-half before the package is actually implemented.  
14 So it is for that time frame where a new procedure or a new  
15 RTS revision comes through that we have to guard to make  
16 sure that, when we make that change, we go back and pull the  
17 package.

18           MR. WIGGINS: The problem you are attacking, that  
19 you just discussed, would it be different then from let's  
20 say a surveillance test that is pulled out and is found to  
21 have a problem in it? And then a change request is made to  
22 the surveillance? And the methods that you have at Seabrook  
23 to make sure that next time you go through the surveillance,  
24 you will at least note that there is a change outstanding to  
25 it?

1           Most people that I have seen do it the other way  
2 around. Whenever they get their hands on a procedure, one  
3 of the things that the procedure user has to do is make sure  
4 he has in his hand the up-to-date revision, whatever kind of  
5 change paper is out against it.

6           MR. DRAWBRIDGE: We had this squared away for  
7 procedures. We have always had for procedures that you go  
8 back and check the package. We did not have it for RTSS.  
9 And that is where we fell down.

10          MR. WIGGINS: So this was the outlier.

11          MR. DRAWBRIDGE: This was the outlier, yes.

12          MR. WIGGINS: And then my last one.

13          MR. MOODY: I just want to echo, procedure-wise,  
14 that cannot happen, as far as a delay in the RTS. You first  
15 mentioned procedures issued for a period of hours. Anything  
16 that is out there is retrievable through the system, where  
17 that procedure exists in a pre-stated document. And it is  
18 changed at the time the procedure comes out.

19                So procedure-wise, it is, as I just mentioned  
20 before, when a procedure comes out with new change, all work  
21 associated with that change or planned to be associated with  
22 that change is changed at that time. The repetitive task  
23 sheet is a data sheet, if you will, and that is the open  
24 mark that Bruce mentioned.

25          MR. WIGGINS: And the last item is jumping to a

1 new area. I guess this is kind of an observation. I was  
2 reading through your performance indicators, and I was  
3 intrigued or taken aback at the licensee event reviewers.  
4 Mainly, I have no problem with a goal of reducing those LERs  
5 caused by personal error. But I was kind of intrigued by  
6 how you got to it. The statement says, "To maintain the  
7 total number of LERs as low as possible, the corporate goal  
8 is LERs caused by personal error to be less than or equal to  
9 five."

10 Now, it is the first part of the sentence that  
11 intrigues me, because if not properly communicated to your  
12 staff, they could get the view that you are trying to  
13 suppress LERs, or you are trying to hold down the number of  
14 them, which I do not think is what you really want to do.

15 MR. DRAWBRIDGE: No.

16 MR. WIGGINS: I think you really want to report  
17 everything that needs to be reported, and you would like to  
18 solve the underlying causes that precipitate the events that  
19 are being reported, so you lower them that way. I guess, I  
20 assume that is your view.

21 MR. DRAWBRIDGE: That is right, that is correct.

22 MR. WIGGINS: And your people understand that?

23 MR. DRAWBRIDGE: Oh, yes, yes. They understand  
24 that.

25 MR. MOODY: That has been discussed with all of

1 the organization, from the new mechanic or operator coming  
2 in to the top levels of management.

3 MR. JOHNSON: One of the events you had was a  
4 problem with valve line-up by instrument rack, a pressure  
5 transmitter. We found some extra valves that were not on,  
6 I guess, any kind of control system.

7 Your assessment of that problem describes going  
8 out and looking at the valves in the plant to see if you  
9 have any more problems like that. And it goes in and it  
10 talks about updating some instrument loop diagrams.

11 Could you give me a little bit more detail as to  
12 how confident you feel in your P and IDs, and your valve  
13 line-ups? But not just your valve line-ups. How about  
14 circuit-breakers and fuses? I mean, if this was a valve,  
15 but you know, how confident you are about the systems your  
16 operators and technicians have to operate the plant by.

17 MR. VARGAS: The PIDs have undergone various  
18 stages of revision. All the P and IDs have been redrawn  
19 from the old CP and IDs to the -- P and IDs. They have all  
20 been field verified, field walked out. And we feel very  
21 confident that they reflect the actual condition of the  
22 plant.

23 The condition of the valve through the PT-506,  
24 that would appear on the CWD ILD portion of the electrical  
25 schematics that we are generating right now.



1                   The engineering documents that depict that valve  
2 right now are on the old UEC drawings. Since that issue has  
3 surfaced, we have now undertaken the CWD ILD version of  
4 engineering schematics. It is, in essence, a three- or  
5 four-year plan to show all instrumentation valves on  
6 engineering schematics. We decided this on a system basis.  
7 We decided this on the CBS system. As we finish the system  
8 by system, we are going to walk these systems down such  
9 that, by the time we are through, by the time we are  
10 finished, all of the instrument valves will show on the  
11 electrical drawings.

12                   MR. FEIGENBAUM: And in the interim period, Joe,  
13 until that effort is --

14                   MR. JOHNSON: Yes, how do you control it now?

15                   MR. VARGAS: The way we control it right now, the  
16 valves are shown on engineering documents, okay?  
17 The problem that we have had was that they were not  
18 consolidated on drawings right now. They show on two  
19 fragmented drawings.

20                   In this particular case, in looking at the  
21 procedure, the procedure did reference the correct  
22 engineering documents. The drawings that the procedure had  
23 referenced were correct, and they were shown on those  
24 engineering documents.

25                   MR. FEIGENBAUM: Gary or Don, maybe you could talk

1 about the walk-down that was done.

2 MR. MOODY: We looked at the walk-down, these type  
3 of instrument racks that had a bulkhead valve, identified  
4 any other existing ones, had those bulkhead valves and  
5 identified them in procedures as such.

6 There is two mechanisms that control those  
7 instrument panels. One is what we call 4.5. They go up,  
8 and the valve out there in the instrument system that is not  
9 in the procedures that make up the 4.5. Which shows that  
10 they are operating that valve, and it also shows that they  
11 restored the valve to the original condition, following the  
12 evolution that it is going to go through.

13 And the 4.5 form is used for those valves that are  
14 not specifically identified in -- the 4.5 is normally a  
15 valve with a policy change position, be it a lifted -- 4.5  
16 may -- and in fact, the need has been terminated.

17 MR. JOHNSON: How do they know whether they can  
18 open this valve if it is not in the procedure?

19 MR. MOODY: Because it is an instrument valve, it  
20 is identified as an instrument valve, then the instrument  
21 people can open it. If it is an operation valve, you follow  
22 the operational --

23 MR. DRAWBRIDGE: Those valves, however, they were  
24 going to be -- the rack-mounted valves were going to be, or  
25 have been captured, as I recall, in the RTSS. And we are

1 going to lock-wire them either open or closed, depending  
2 upon what the situation was. Because it was not only what  
3 we call bulkhead valves, but it was also when we went  
4 through our walk-through, it was also drain valves. We  
5 wanted to make sure that were in the proper configuration.

6 MR. WIGGINS: On the racks?

7 MR. DRAWBRIDGE: On the racks. And we also did a  
8 walk-down of non-rack-mounted.

9 MR. WIGGINS: What is your boundary for  
10 responsibility, say on an instrument line? You got the  
11 process, then you got a root valve. And then all of a  
12 sudden, it gets in the instrument line, and you wind up with  
13 a bunch of instrument valves in the --

14 MR. MOODY: The operation is a general statement.  
15 Operation is taken to the root valve. IC has a valve  
16 downstream of that, manifold drain valves --

17 MR. DRAWBRIDGE: In this case, that particular  
18 valve was in the rack. It was in a different area; it was  
19 up higher than the rest of the, the manifold valves, if you  
20 will. But it was clear it was an INC valve.

21 MR. WIGGINS: Okay, so it was not a jurisdictional  
22 problem.

23 MR. DRAWBRIDGE: No.

24 MR. WIGGINS: It was just a valve on the rack that  
25 maybe had been missed.

1 MR. DRAWBRIDGE: Right.

2 MR. FEIGENBAUM: And now it is in the RTS.

3 MR. WIGGINS: Now it is in there, all right. That  
4 has happened before.

5 MR. DRAWBRIDGE: Oh, yes, yes. There was, in this  
6 case there was a root valve further up right near the  
7 turbine. In this case, it was clear that it was an IHC  
8 valve.

9 MR. JOHNSON: Okay, I guess I am a little  
10 confused. I thought this was a new set of valves that was  
11 not on, and valve line-up sheets, it was not on procedures,  
12 and it was --

13 MR. VARGAS: As I said before --

14 MR. JOHNSON: In other words, a missing set of  
15 valves.

16 MR. VARGAS: The engineering documents are  
17 correct. They have been correct.

18 MR. JOHNSON: Okay. Okay, now, I guess the  
19 question is, in this assessment report, what do you feel  
20 about your system for taking the engineering documents, and  
21 implementing them as an operational tool?

22 MR. VARGAS: The engineering documents that are  
23 existing today are accurate, and they reflect the condition  
24 of the plants. The ILD and CWD effort that we are  
25 undertaking is to enhance the maintenance capabilities of

1 the system. It is purely a maintenance tool for them to  
2 interpret our documents, but the documents that we have on  
3 the street today are correct.

4 MR. JOHNSON: Well, let's say you start up from  
5 your next refueling outage. What will you use to line up  
6 your systems?

7 MR. DRAWBRIDGE: We will use the revised RTSs for  
8 that particular equipment that -- let's say the INC person  
9 would be involved with. The RTS would include all the  
10 associated valves when he goes to align that particular  
11 circuit.

12 MR. JOHNSON: And does this RTS, if it has all the  
13 valves in it so it does not need to refer to these  
14 engineering documents.

15 MR. DRAWBRIDGE: That is right, that is right.  
16 Obviously, the individual can look at the particular  
17 drawing, too, as well, if he so desired. But the RTS would  
18 capture those valves.

19 MR. MOODY: Calibration procedures -- whether that  
20 is true -- verifications of the --

21 MR. WIGGINS: That is an intriguing question. As  
22 I said, I do not think this is the first plant that has had  
23 this problem. That there have been particularly  
24 instrumentation valves that exist, and they were not really  
25 captured on either operators or the INC text procedures or

1 line-ups. At least it seems to me I have heard of that  
2 before.

3 If that is true, if I am right that I have heard  
4 of that before, does something in your processes fail you  
5 that you were not keyed to go look out at Seabrook to see if  
6 you had exposure to that kind of a problem? Was industry  
7 experience telling you that? Or did you ask yourself that?

8 MR. FEIGENBAUM: Well, Jim, the way I understand  
9 your question is that a valve that is not shown anywhere.  
10 These were shown.

11 MR. WIGGINS: No, no, no. See, well, maybe I am  
12 wrong. What I think the man said is --

13 MR. DRAWBRIDGE: They just were not on the RTS.

14 MR. WIGGINS: These are not spurious valves.  
15 They are on engineering drawings. The plant is constructed  
16 the way the drawings say the plant should be constructed.

17 MR. DRAWBRIDGE: That is correct.

18 MR. WIGGINS: Well, that is fine. But usually  
19 people out that are task operating facility, INC operators,  
20 whatever, they do not carry a whole spectrum of engineering  
21 drawings with them. They have some drawings that they find  
22 particularly useful, and are controlled that way. And they  
23 have procedures. And they go out with one of the two to do  
24 what they do what they want to do.

25 And it has been, I think I heard before, where you

1 have, if you put the operating procedures about a line up  
2 here, and you put the instrumentation and control tech  
3 procedure here; you put the two together, and sometimes  
4 valves like these fall through the cracks. They are not on  
5 either. Okay, I have heard of that before; I have seen it  
6 at other facilities. Have you? And if not, why didn't your  
7 office assessment organization not alert you to that type of  
8 thing, before you got to this point?

9           Granted, it was an easy lesson to learn here.  
10 It was not exactly the most earth-shattering thing of  
11 importance. It is the best way to learn these kind of a  
12 low-impact thing. But was there something that you missed?  
13 Or you have not look at yet, maybe? That you might be able  
14 to get something out of assessing?

15           MR. DRAWBRIDGE: No, we certainly looked at it  
16 now, because we did the walk-downs of all those rack-mounted  
17 instrumentations. Basically, the RTS primarily looked at  
18 the configuration of the actual manifold itself. It did not  
19 include, not only these valves up here, what I call bulkhead  
20 isolation valve, it also did not include the drain valves,  
21 too, as well.

22           MR. WIGGINS: That was not the scope.

23           MR. KLINE: Jurisdiction was addressed on that,  
24 whether or not operations or INC had primary responsibility  
25 for position.

1           MR. WIGGINS: What I am getting to is, if you have  
2 an office assessment and you have people plugged into the  
3 industry, you know, should they have told you or warned you  
4 that there might be a problem? So you should have found  
5 this? You know, as you were getting operating procedures.

6           MR. DRAWBRIDGE: I see. I misinterpreted your --

7           MR. WIGGINS: Yes, I do not have a problem with  
8 what you did after you found it. That sounds fine, you  
9 know. Did something fail you? The elements of your  
10 organization that are trying to keep wired into what the  
11 other utilities developed, did that fail you?

12          MR. DESMARAIS: Jim, when we did the assessment,  
13 we did not uncover anything that would have led, through the  
14 office experience review program, would have led us to look  
15 at that problem.

16          MR. JOHNSON: I guess my final question, what  
17 about breakers, fuses? Have you taken this experience, and  
18 gone to the --

19          MR. MOODY: Hand slide lengths.

20          MR. JOHNSON: Slide lengths. You have got things  
21 that electricians operate, and things that INC technicians  
22 operate. And what about the things that are in the middle,  
23 that nobody is -- that somebody is missing right now?

24          MR. DRAWBRIDGE: I think we are in pretty good  
25 shape. I think I alluded to it when I spoke on the



1 configuration management control, that we think we have  
2 captured everything. The problem from my perspective is,  
3 the problem is that some of the departments are using a  
4 slightly different method from department to department.  
5 And we want to make sure we use the same standardized  
6 method, and that the configuration control for Seabrook  
7 station is streamlined, everybody understands what everybody  
8 else is doing. That way, there is no question in the  
9 future, if a new system goes in, for example -- skid-mounted  
10 system, or something like that.

11 If you have skid-mounted system with vendor  
12 supplied valves, for example, it will be clear whose  
13 jurisdiction those valves come under, and which procedures  
14 that they follow up on.

15 So what we want to do is, we think our  
16 configuration control program is decent. We want to improve  
17 upon it. We want to standardize it, and we want to make  
18 sure everybody understands what is what, across the  
19 organization. We do not feel we have a problem department  
20 to department; we want to make sure that everybody, the  
21 right and the left hand are talking to each other.

22 Did I answer your question?

23 MR. JOHNSON: I think so. I heard that you have  
24 looked at that. I just wanted to see if you took this  
25 problem with valve line-ups and went outside of that and

1 looked at the circuit breakers.

2 MR. MOODY: What about the other thing of -- we  
3 also set up a task force to work within, that involves other  
4 departments, be it INC, be it electrical, be it maintenance,  
5 be it operations, be it physical chemistry. On what they  
6 had in place, as far as configuration control, and how that  
7 narrows the base between the other organizations in the  
8 station.

9 We had each department identify how they  
10 interfaced back and forth across that line. In fact, there  
11 is some consistency -- the same way.

12 MR. DRAWBRIDGE: See, Jon, it is not only  
13 breakers, fuses, slide lengths, et cetera. It is also what  
14 the configuration of a particular piece of equipment is at  
15 any given time.

16 For example, you are probably well aware, at one  
17 point in time when we were at the beginning of power  
18 ascension, we were going to do some trouble-shooting in the  
19 turbine. And we had an open work request in order to do  
20 trouble-shooting on the turbine, as we were spinning the  
21 turbine. And we ran into a problem with the slide length  
22 not being in the proper configuration. That was because the  
23 work package itself was open.

24 We went back and looked at our configuration  
25 control process to assure that the work in progress for

1 outstanding work requests, where you might be doing  
2 trouble-shooting, that that package is properly reviewed to  
3 assure ourselves that we do not have something in a  
4 different configuration than what we want.

5 So it is not only just focusing on a particular  
6 piece of equipment. It is focusing on the timing on when  
7 that piece of equipment is being used, what you might be  
8 working on, and what that final condition of the equipment  
9 is.

10 Because the point I am trying to make is, we  
11 should not only just focus on what type of equipment, but in  
12 what situations you might be trouble-shooting or using that  
13 equipment. So it is a many-faceted issue.

14 MR. JOHNSON: I understand that. I was just  
15 concerned with the basic procedure, valve line-ups, and P  
16 and IDs, and circuit breaker line-ups. Whether you had all  
17 the equipment captured in a system to be used. I was not  
18 going to take it the next step in terms of during  
19 maintenance. I just want to make sure there is a system  
20 there, whether it be a line-up procedure or a P and ID, that  
21 is accurate and covers all the equipment.

22 Because for this cabinet or instrument rack,  
23 I thought there were some procedures or drawings being used  
24 that did not show them.

25 MR. DRAWBRIDGE: Which cabinet was that?

1 MR. JOHNSON: That is the turbine impulse  
2 pressure.

3 MR. DRAWBRIDGE: Oh, I see, yes.

4 MR. JOHNSON: The tools the people were using did  
5 not show, the RTS did --

6 MR. FEIGENBAUM: The RTS did not show that. That  
7 is correct. That is correct.

8 MR. DUDLEY: Also, the loop diagrams.

9 MR. DRAWBRIDGE: I have to go back and look, now;  
10 it has been a while, now. I am not sure. I do not think  
11 the loop diagrams showed it. However, the original document  
12 did show it.

13 MR. DUDLEY: You had to go all the way back to the  
14 engineering drawings.

15 MR. DRAWBRIDGE: Right. But correct me if I am  
16 wrong now, Noel, was there not a valve number that was A or  
17 B?

18 MR. DUDLEY: Yes. B-4.

19 MR. DRAWBRIDGE: Yes, there was like an A/B, yes.

20 MR. DUDLEY: It was a generic drawing for all  
21 racks.

22 MR. DRAWBRIDGE: Right, right.

23 MR. MOODY: A typical.

24 MR. DRAWBRIDGE: A typical of the --

25 MR. DUDLEY: A typical mercury rack valve

1 arrangement.

2 MR. DRAWBRIDGE: Right.

3 MR. JOHNSON: Thank you.

4 MR. MCCABE: On the repetitive task sheet issue  
5 and the problem with the shifting of the fans on the  
6 step-up transformer. I see that the first time that type of  
7 problem came up was when you could not increase power above  
8 a certain level because the interlock had not been cleared  
9 from a previous fan shifting.

10 Then the problem occurred, and then a very similar  
11 problem occurred because the isophase duct cooling fan  
12 shifting brought about the same problem.

13 Are you satisfied that, one, the initial indicator  
14 was properly listened to? And that the corrective actions  
15 are going to cover not only the fans, but the isophase duct  
16 cooling? And have you reviewed other places in the plant  
17 where this problem may occur?

18 MR. DRAWBRIDGE: Yes, we have. You want to hit  
19 it, or else you can get the isophase question?

20 MR. KLINE: I will take it. At that first one,  
21 where we had difficulty increasing, it was, in fact, a place  
22 where we identified that there was a problem with our  
23 setback circuitry. That is where we identified that we did  
24 need to revise the RTS.

25 Unfortunately, in that RTS revision process is

1 where we did not retrieve the field package. Therefore, we  
2 ended up with a setback.

3 We did, in fact, review in detail all of our  
4 setback and runback circuitry, however. And the isophase  
5 duct cooling was the result of an individual reading of  
6 procedure, with a change already in it, and misreading the  
7 change.

8 There is a delay circuitry in that fan such that  
9 dampers open before the fan starts. So when he started that  
10 fan and shut off the other one, there was a 30-second time  
11 delay in that damper opening before the fan actually  
12 started, the other fan, the second fan, now being off.  
13 But there was a dead band, and that came down.

14 So in fact, the review was complete.  
15 The readability, I guess, of the change in the isophase duct  
16 cooling fan situation was in question. But, in fact, the  
17 change was made. And we do have, in fact, some temporary  
18 modifications going in -- some permanent modifications going  
19 in, I should say -- to eliminate that as a problem  
20 altogether with the time delays in the circuitry.

21 MR. MCCABE: You are modifying it on both sets of  
22 fans?

23 MR. KLINE: Yes. Time delay is going in in  
24 isophase, and static cooling?

25 MR. VARGAS: Yes, static cooling.

1           MR. KLINE: Static cooling. So all of it was  
2 reviewed. Unfortunately, an individual doing maintenance on  
3 the last event read the note incorrectly.

4           MR. MCCABE: On your maintenance personnel  
5 training, when do you envision completion of the training  
6 modifications coordination that you have identified in this  
7 report? And full accreditation of your maintenance training  
8 program.

9           MR. DRAWBRIDGE: Full accreditation, right now we  
10 plan to go for accreditation, I believe it is November of  
11 this year. We go before a board, the Accreditation Board.  
12 We have already had the internal -- they do not call it an  
13 audit, but I call it an audit -- where members of the  
14 academy, INPO, come in and assess not only maintenance, but  
15 it is also tech staff training, chemistry HP. There is a  
16 whole bunch of them. We hope to get accreditation by the  
17 end of the year.

18           But that is not the end of the process. That is  
19 just part of the process. Accreditation is an ongoing  
20 process, where you continually improve, and use feedback  
21 from what is actually being done in the field to improve  
22 your training programs. And then we have the accreditation  
23 that occurs every two years thereafter.

24           So we do plan to get accredited by the end of this  
25 year. But from then on, we will be constantly doing an

1 interim process in our training programs, not only for  
2 maintenance but all of those.

3 MR. VARGAS: We have gone through the maintenance  
4 qualification, to check off or not check off, whichever  
5 would be the case, which individuals qualify for what tasks,  
6 in conjunction with preparation for going through the  
7 accreditation.

8 MR. DRAWBRIDGE: We also use training  
9 coordinators. For example, in the case of maintenance and  
10 some other departments. We find that to be very useful.  
11 They act as a liaison. They are in the department, and they  
12 act as a liaison between the department and the training  
13 department. That way when they see problems, or a  
14 department head sees an area where they feel there is a  
15 weakness that can be addressed by training, that is sent  
16 back to the training department.

17 MR. MCCABE: About the area of radiation  
18 protection, when you are shifting from no source term to a  
19 bigger source term whose operation is continuous, what are  
20 your plans in regard to radiation protection, staffing, and  
21 in regard to the rad waste disposal issue? What are your  
22 plans for going ahead with those areas?

23 MR. FEIGENBAUM: Don, you want to take that?

24 MR. MOODY: At the present time, where the rad  
25 waste storage area, store rad waste, we have got them at the



1 station. We are sorting, segregating, compacting rad waste  
2 we generated to date. And we are getting on the order of 94  
3 to one reduction.

4 But, as you mentioned, we have only had a source  
5 term for a short term. We have probably got, to date,  
6 accumulated around 100 cubic feet of low-level waste, which  
7 we keep on site. We have got enough storage area on site at  
8 least for the first cycle, and probably up to at least two  
9 cycles to store it in the buildings we have got there on  
10 site. Then we will either have to use another building on  
11 site, or build a facility to store low-level waste.

12 That is the status we have got right now.

13 MR. FEIGENBAUM: Do you want to discuss the  
14 staffing, Don?

15 MR. DRAWBRIDGE: Do you want to hit that, or do  
16 you want me to hit that?

17 MR. MOODY: Go ahead.

18 MR. DRAWBRIDGE: Okay. Well, the reason why I  
19 thought I would discuss it is I had a talk with Ron Nimitz  
20 last week on this very issue.

21 Staffing in the HP area we are going to watch  
22 carefully. Right now, we think we are adequately staffed.  
23 We are certainly not overstaffed in the area. There are a  
24 couple of areas that we are keeping close watch on. Records-  
25 keeping area is one. And also the amount of overtime that

1 we use.

2 We are going through the budget process right now.  
3 Next year we are also looking very carefully as to what kind  
4 of augmentation we are going to need for our first refueling  
5 outage. This is an area we are going to watch very closely.  
6 We are just beginning to see a source term, of course, and  
7 as I alluded to earlier, in the HP area, we are being  
8 challenged for the first time. And I think we have to keep  
9 a real close watch as to where we are, and where we are  
10 going.

11 This is something that Don and myself, and other  
12 senior management is going to keep a real close eye on.

13 MR. FEIGENBAUM: We feel comfortable right now  
14 with the staffing, the way we are.

15 MR. JOHNSON: Is the control of overtime adequate?

16 MR. DRAWBRIDGE: Control of overtime? I get  
17 overtime reports for all areas, not just HP, but for all  
18 areas. And we watch them. And we do have some overtime  
19 that occurs in the HP area right now, doing surveillances,  
20 et cetera. And we have to watch that. We have to make sure  
21 that it does not get excessive in any way, shape, or form.

22 But right now we want to take a look at that area,  
23 along with other areas, too, and see where we check out.

24 MR. DUDLEY: Yes, one area I wanted to touch on  
25 was your quality assurance program. I know that you have

1 outstanding some recommendations in the quality assurance  
2 area, where you decide responsibility and due dates for  
3 those recommendations.

4 That information does not appear in the  
5 self-assessment team report. Could you go into some  
6 background on where you feel your quality assurance program  
7 is? And where you would like to see it move in the future.

8 MR. FEIGENBAUM: Neal, do you want to talk about  
9 the open items? We did a study -- before you go into this,  
10 we did, as you know, a self-evaluation similar to what we  
11 did for the maintenance evaluation, for the quality programs  
12 area some time ago. And there were a number of short-term  
13 and long-term recommendations.

14 We have accomplished the short-term  
15 recommendations, the things that we absolutely felt we  
16 needed to do to get our programs up to snuff. There were a  
17 number of long-term enhancements, good things to do, and  
18 there are still a few outstanding items left over from that,  
19 including job rotation and a few others.

20 But I will let Neal Pillsbury, who has recently  
21 had a reassessment done on our performance-based quality  
22 program, and where we are moving in that direction. I will  
23 let him summarize where we stand on that.

24 MR. PILLSBURY: Yes, Neal Pillsbury, Director of  
25 Quality Programs. As Ted has said, when we did the

1 assessment in April of 1989, we identified a number of areas  
2 that we felt we needed to take immediate action on. And in  
3 essence, those immediate action areas and the identified  
4 initiatives that were already underway are essentially  
5 complete, or fully implemented, and continuing in ongoing  
6 programs.

7 The other good idea suggestions continue to be  
8 evaluated. Those are tracked on a matrix. We assess that  
9 at least on a quarterly basis, and they are periodically  
10 assessed in nuclear quality group or in production interface  
11 meetings, which we tend to have them on -- or try to have  
12 them on a monthly basis. I think we had about 10 meetings  
13 in 1990. So we keep track of it.

14 I think all of those, everything that has come out  
15 of that self-assessment evaluation in the quality programs  
16 area has been very beneficial to the organization. We are  
17 proud of the advancements and success that we have  
18 accomplished over the time between April of 1989 and today.  
19 I think that the relationships between the quality  
20 organization and production organization, and engineering  
21 organizations, are significantly better. The communications  
22 are better. And things such as the finding review board are  
23 working well; the nuclear quality group production periodic  
24 meetings are working well.

25 My relationships with the Station Manager, and

1 with Bruce, and our ability to resolve things without having  
2 to go to Ted -- and there has only been one that I can think  
3 of, ever since Bruce has been on board, that we have  
4 discussed it with Ted. But all of that relationship is much  
5 better.

6 We would like to be more pro-active. We certainly  
7 have additional enhancements. And everybody here recognizes  
8 that we have had a difficult time with allegations this  
9 year, which have consumed much of the energies within the  
10 quality organization that we would have more liked to have  
11 put on pro-active and enhancement-type initiatives within  
12 the organization.

13 But those initiatives are there. We know exactly  
14 what we want to do. And hopefully, we will make better  
15 progress. It has been a challenge this year simply to carry  
16 out the promised initiatives associated with the Power  
17 Ascension Test Program. Not at all to dilute any of our  
18 routine activities, and not let up at all on what we wanted  
19 to accomplish, in terms of Power Ascension Test Program  
20 self-assessment and nuclear quality group inspections and  
21 surveillances and audits directly associated with the Power  
22 Ascension Test Program. We did not let any of that slip.  
23 But we did have to put overtime in just to handle the  
24 allegations load.

25 MR. WIGGINS: How many recommendations are we

1 talking about that are still open? Approximately?

2 MR. PILLSBURY: It is down to a dozen or 15,  
3 I think, on that order.

4 MR. WIGGINS: Out of how many? How many long-term  
5 were there?

6 MR. PILLSBURY: There were -- I do not.

7 MR. FEIGENBAUM: Fifty or 60?

8 MR. PILLSBURY: Yes, on the order of 60. There  
9 were about 44 that were good ideas; 11 that were identified  
10 initiatives that we asked the organization to support, and  
11 all those have been; and six immediate term.

12 So the six immediate, six or seven immediate, and  
13 the 11 ongoing initiatives, are essentially done and being  
14 continued in ongoing programs today. And then another 44  
15 that have all been worked on, with the exception of a dozen  
16 or 15.

17 MR. FEIGENBAUM: A couple other things, just to  
18 give you an idea. As I mentioned, job rotation out of the  
19 quality program into other areas was one of the  
20 recommendations that was made. But with everything going  
21 on, with power ascension and allegations from Congressional  
22 staffers, it just was not possible to handle that well.  
23 We could have moved people around, but it would not have  
24 been the kinds of assignments that we really wanted them to  
25 experience.

1           The other thing is facilities, it was a good idea  
2 to look into putting all the quality people in one physical  
3 location. And we were not able to accomplish that this  
4 year. And it is something that we are continually  
5 re-evaluating, as to whether that is the way we want to go.  
6 Is it better -- there is two trains of thought here. One  
7 train is, put everybody that is quality together, so you get  
8 a critical mass, if you will, of thinking. And the other  
9 train of thought is, keep the people in quality together  
10 with the groups that they are observing and overseeing.

11           So we are still discussing that. And we will be  
12 looking at it again in the future. And we keep quarterly,  
13 as Neal said, re-looking at a few of these open items that  
14 are left.

15           They were items to look at. They were not all  
16 committed as absolutely we were going to do every one of  
17 these things. And we look at them, and we evaluate them.  
18 If we think there is good ideas, we follow through on it.

19           MR. WIGGINS: For those that you agree are good  
20 ideas, have they been scheduled out? Resource loaded?  
21 Or any idea of how much it would take the organization to  
22 implement?

23           MR. FEIGENBAUM: That is the majority of them.  
24 The ones that are left are the ones that were really lower  
25 priority, and still some difference of opinion as to whether

1 we want to go and do that. So we are still evaluating many  
2 of those.

3 MR. MARTIN: Ted, what did you mean by keeping the  
4 quality assurance people with the people they are observing?  
5 What did you mean by that?

6 MR. FEIGENBAUM: Well, for instance, right now we  
7 have quality control people located inside the protected  
8 area with the plant personnel, in close proximity to the  
9 work that is going on, as opposed to the quality,  
10 procurement quality people that are located in a different  
11 area, that go out to vendors and do audits.

12 Quality assurance people, right now, are located  
13 with the engineering groups, in the tech support group, in  
14 our operational support building. If we were going to take  
15 the quality control people, and the quality assurance, and  
16 the procurement quality people, and put them in one  
17 facility, they would not be with any one particular, or  
18 close to, physically, any one particular group of people  
19 that they work with day to day, closely. They would not be  
20 with the purchasing people, they would not be with the  
21 engineers, and they would not necessarily be with the  
22 maintenance plant personnel.

23 So I am from the school of thought, I actually  
24 like the way it is, even though they are split up and it is  
25 a little tough for the quality management people to keep



1 their fingers on various groups in different locations.  
2 I like having the quality control people inside the plant,  
3 inside the protected area, near the work. I like having the  
4 QA folks near the engineers. And that is what we are  
5 kicking around right now, really, whether that is a good  
6 recommendation or not.

7 MR. MARTIN: Okay, but there is an Achilles' heel  
8 with that, and I would kind of like to hear how you are  
9 dealing with it, objectivity and independence. How do you  
10 maintain that objectivity and independence if you keep them  
11 close?

12 MR. FEIGENBAUM: Well, when I said "close," I mean  
13 they are in the same general area. They are not  
14 side-by-side. They are close to the people that they have  
15 to communicate with. They are independent in terms of their  
16 reporting lines. Neal Pillsbury has all the quality  
17 programs people reporting through a quality assurance  
18 manager to him. The independent review team reports to him  
19 our employee concerns and allegations.

20 He reports directly to me. Those people that work  
21 for him do not work for Don Moody, and they do not work for  
22 Bruce Drawbridge. There is a lot of interface there, at all  
23 levels, not only the working level, but at Bruce's level and  
24 the middle management level. But there is that  
25 independence; but yet, I think physically it is good for

1 them to have their hands on the pulse of what is going on in  
2 the plant, the activities that they are responsible for  
3 checking and verifying.

4 If they were physically in a facility outside the  
5 plant, I think that the value of the quality control group  
6 would diminish.

7 MR. MARTIN: We rotate our inspectors. Do you  
8 rotate your quality assurance people?

9 MR. FEIGENBAUM: Yes, we do rotate them.  
10 We rotate them between groups. The recommendation was made  
11 to take the quality assurance people and put them in  
12 engineering, take the quality assurance people and put them  
13 in maintenance. Actually, many of them came from  
14 maintenance; they do not really want to go back.

15 And we are looking at that, and I think that is a  
16 good idea. You have to guard against the independence  
17 problem when you do that. But it just was not in the cards  
18 for this year, with all the responses to the independent  
19 regulatory review team that we were working on, and the  
20 Power Ascension Program, and round-the-clock coverage.  
21 We just could not coordinate a good job rotation program at  
22 this point. But we will look at it again.

23 MR. PILLSBURY: Tim, we do do some extensive  
24 rotation within the quality programs area, which achieves  
25 some of the subjectivity, or objectivity, I think, that you

1 are looking for. I can do that. That is within my  
2 organization.

3 We have not been able to formalize and set up the  
4 rotation program between production and the nuclear quality  
5 group. But that is one of those good ideas that we are  
6 working on, and attempting to figure out a way to do it.

7 But within quality programs, for instance, we are  
8 taking people from the nuclear quality group and applying  
9 them to the IRT self-assessment team assessment effort, and  
10 vice-versa. From the ISEG group back and forth within the  
11 groups. And that helps to build the objectivity, and the  
12 cross-discipline involvement. and so forth.

13 I had one additional thought, Noel, in answer to  
14 your question about other pro-active things that we are  
15 doing. We tend to measure ourselves a couple of different  
16 ways. We use as barometers an individual from the Bartech  
17 Organization that I think you people are familiar with, to  
18 come in and look at our programs, in-depth, in detail,  
19 several times a year. As a matter of fact, he was back here  
20 just recently. He helped us with our initial formulation of  
21 thought and philosophy and concept on performance-based  
22 assessment, and did some of our initial training. And then  
23 has come back and looked at that, as well as all of the  
24 other facets of our operational quality assurance program in  
25 a disciplined, formal way.

1           We also look at self reports from all over the  
2 nation, to soak up the good ideas, and evaluate ourselves  
3 against those, as well as from our Joint Utility Management  
4 Audit Association. We are a participant in the Juma  
5 organization. We send various numbers of people from our  
6 organization to other organizations to do their annual  
7 management audits. And in turn, enjoy their participation  
8 at Seabrook, and their ideas, and so forth.

9           In fact, we have just had a Juma audit here within  
10 the last month.

11           MR. DRAWBRIDGE: I would like to just say a couple  
12 words, that Neal alluded to. And I would also like to  
13 mention, from my perspective, the interface meetings that we  
14 have with the quality organization I found to be very  
15 beneficial. It is usually a free exchange of ideas, to say  
16 the least. Some of the meetings are tough. QA, QC, they  
17 call a spade a spade. We call a spade a spade on occasion,  
18 too, as well. But I think the meetings are always  
19 refreshing. Because at the end of the meetings, we  
20 understand where people are coming from. And there is a  
21 mutual respect that is developed as a result of these  
22 meetings.

23           There is also a mutual respect that is developed  
24 when you have a QC organization in the plant, stationed in  
25 the plant on a regular basis. It was not mentioned, but

1 Neal could have mentioned that we have a QC supervisor that  
2 sits in on Don Moody's morning meetings. And he hears the  
3 same thing that we do; he sees some of the decisions that  
4 may be decided at those meetings, and the thought processes  
5 as well. So there is a mutual respect, a team effort that  
6 occurs here, that does not compromise their independence,  
7 but it is a, I think it is a very healthy interface between  
8 the two organizations that occurs on a daily basis. And  
9 then when we have our monthly meetings, I think that is  
10 going through the organization, and I think that they are  
11 very beneficial, very beneficial in the long term.

12 I, myself, do not always like to be criticized  
13 sometimes. But when I hear someone that I respect saying  
14 something that makes sense to me, then I take heed of it. I  
15 think that is true of anyone in an operations organization.

16 Any other questions? Ron?

17 MR. NIMITZ: I just had a quick question on this  
18 rad waste issue. Discussions with your staff up there, they  
19 were not able to give me any clear information relative to  
20 storage locations, capacities, and that sort of thing.  
21 Where it is going to go, what your interim storage locations  
22 were going to be. Storage of rad waste around the facility  
23 can cause fire protection problems, seismic loading,  
24 radiation exposure problems. And there does not seem to be  
25 any long-term plan as to what you are going to do with this,

1 relative to your capabilities to shift off stuff off-site.

2 You are backed up seven or eight weeks there with  
3 material stored in your waste processing building, that you  
4 are backed up trying to process. And I guess that we do not  
5 see a long-term plan as to, we could come in and see  
6 something that says where is this going to be, is this  
7 adequate or not adequate. It appears to be in the  
8 formulation stage now.

9 MR. DRAWBRIDGE: That is correct. We have, under  
10 Dennis McClain, who also reports to me -- he does not report  
11 to Don Moody. He has an individual who is tasked with  
12 looking at that this fall, as to what we plan to do in the  
13 interim short term; that is, the next four or five years.  
14 And then also, you know, long-term interim, the next year or  
15 so. And then longer term, the next four or five years and  
16 beyond.

17 There is a couple of different options we are  
18 looking at. But he is still in that process. And they have  
19 not yet sat down with me and given myself and Don a full  
20 briefing on it yet, because they are still looking at the  
21 different options.

22 MR. NIMITZ: Currently, it is a good waste  
23 reduction initiative using the ventilizer systems.  
24 They have no ALARA design. And as the source term  
25 increases, you are going to cause exposure control problems,

1 RES --

2 But overall, we do not see -- how can I say -- a  
3 complete rad waste program, in terms of what you are going  
4 to do with that stuff.

5 MR. DRAWBRIDGE: That is right, Ron, and that is  
6 because it is being developed. They are looking at it now.  
7 And it is not internal, the station that is being done by my  
8 production group, production support group.

9 MR. NIMITZ: Do you have some sort of goal as to  
10 when this plan will be developed?

11 MR. DRAWBRIDGE: Yes, it should be developed by  
12 the end of this year.

13 MR. JOHNSON: Okay, well, that certainly will be  
14 an area we will be inspecting and then monitoring.  
15 We understand why you did not have a plan, I guess, initial  
16 operation. But I think, just by the questions, we are  
17 interested in it, and interested in where you are going.  
18 But also we will be conducting routine inspections of that  
19 area.

20 Anybody have any other questions?

21 MR. MARTIN: I have a couple here. My  
22 understanding is that you now need to operate with three  
23 condensate pumps continuously.

24 MR. DRAWBRIDGE: That is correct.

25 MR. MARTIN: What is the ramifications of that,

1 and are there any plans to resolve that issue?

2 MR. DRAWBRIDGE: I alluded to it briefly in my  
3 presentation. On occasion, during power ascension, and on  
4 occasion afterwards, we have seen some perturbations on the  
5 secondary side. And because of that, the suction of our  
6 feed water pumps will tend to oscillate. And if it diverges  
7 enough, you could get a trip on low suction on the feed  
8 water pump.

9 Because of that, we have the third condensate pump  
10 on. We have been able to get up to, I think 98 percent?

11 MR. MOODY: Ninety-nine plus.

12 MR. DRAWBRIDGE: Ninety-nine, well, okay, I will  
13 call it 98 percent power on the two condensate pumps.  
14 However, when an oscillation occurs, the operators  
15 justifiably do not like to see those swings. And so they  
16 want to keep that third pump on.

17 We have a task team that is assembled that is  
18 looking at the entire feed water string. There is one thing  
19 that came out of it already, and that is a configuration of  
20 a pipe on some MSR drains. We think if we reconfigure, it  
21 will help on the situation, because that, in turn, feeds  
22 down to our heater drain tank, and causes some perturbations  
23 in a level, and initiates some of these oscillations that  
24 occur.

25 So what we have the task team doing is looking at



1 that. They are also looking at feed water levels to make  
2 sure that those are exactly where they should be. And  
3 looking through the whole string, to make sure that we can  
4 nail down these oscillations.

5 And once we can get the oscillation problem  
6 corrected, and we think we should be able to take off that  
7 third condensate pump. But a concern is for your feed water  
8 pump suction during the oscillation.

9 MR. MOODY: We have not counted all the way down.  
10 We get an automatic start on the condensate pump of 330  
11 pounds of pressure, suction pressure. Feed pump people,  
12 that trip could be as low as 190. We have not challenged  
13 that. We have left that, and not looked -- we have not  
14 challenged that set point.

15 MR. MARTIN: Is it a trip of the feed pump? Or is  
16 it a start of additional condensate pump?

17 MR. MOODY: We have an automatic condensate pumps  
18 status of 335, 330 pound suction on the feed pump. The feed  
19 pump trip is set right now at about 220 pounds.

20 MR. DRAWBRIDGE: And that is not instantaneous  
21 trip, though, Don. There is a time delay.

22 MR. MOODY: No, there is a time delay of about  
23 20 seconds on that trip.

24 MR. KLINE: That will set you back to 55 percent  
25 power.

1 MR. MOODY: And that will run you back. We did,  
2 as I say, got up to -- well, you said 98 -- 99 plus before  
3 we got that automatic stop on that third pump. After we  
4 come up the last time.

5 MR. MARTIN: You know that we are going to be  
6 doing a maintenance team inspection in November. We have a  
7 number of initiatives and we are engaged in to enhance the  
8 maintenance program. Are they going to be in effect, what  
9 we are going to look at in November? Or will it be a  
10 completed program? Or will there be a lot of things that  
11 are still in transition?

12 MR. DRAWBRIDGE: We will, in the November time  
13 frame, we will still have things in transition. I believe,  
14 unless I am mistaken, I thought the maintenance audit was  
15 going to be changed to the -- I think it was a March time  
16 frame. Is that true?

17 MR. DUDLEY: I have not been able to track it,  
18 track the source of that in the region.

19 MR. DRAWBRIDGE: Oh.

20 MR. DUDLEY: There is no knowledge of that in the  
21 region.

22 MR. JOHNSON: Bill, anybody know?

23 MR. MARTIN: We will have to get back to you on  
24 that.

25 MR. FEIGENBAUM: It is my understanding that it is

1 November.

2 MR. DRAWBRIDGE: Okay, that is what we originally  
3 heard. And then it was our understanding that there was a  
4 potential that that was going to be shifted out to the  
5 March, I think it was the March time frame of next year.  
6 But to answer your question --

7 MR. FEIGENBAUM: It will be in the middle of --

8 MR. DRAWBRIDGE: -- in the November time frame, we  
9 would be going through this transitional process.

10 MR. MARTIN: Okay. You passed your power  
11 ascension program. What kind of assessment program do you  
12 have now of operations? And does it involve back shift  
13 activities?

14 MR. DRAWBRIDGE: You mean independent assessment?  
15 Or ongoing assessments?

16 MR. MARTIN: Independent assessment of what is  
17 going on in the plant.

18 MR. DRAWBRIDGE: Neal, you want to get that?

19 MR. PILLSBURY: Sure. We have routinely utilized  
20 nuclear quality group back shift assessments. We have also  
21 routinely used the independent safety engineering group  
22 on-site evaluation activities on back shifts. I cannot  
23 quote percentages to you, but that is a routine part of both  
24 the operational quality assurance program and the  
25 independent safety engineering group responsibilities.

1 MR. MARTIN: How frequently was that done?

2 MR. PILLSBURY: I cannot quote hours. Hours or  
3 frequency. I would have to go back and look that up. I  
4 would assume on the order of two or three surveillances on a  
5 quarterly basis. So somewhere around a dozen times a year.

6 MR. MARTIN: What about senior managers?  
7 Operations managers, in particular. They come in on their  
8 own back shifts, and observe operations?

9 MR. MOODY: They all come in, including myself.  
10 But over the test period, there was a lot of activities  
11 going on. So I am not sure you would see a representative  
12 of what the day-to-day operation would be, because it was  
13 not on the additional people from operations on, test  
14 personnel, maintenance -- supplemental forces. So I am not  
15 sure you would see in that environment what you might be  
16 looking for in an operating plant, on a day-to-day basis, on  
17 a back shift.

18 We do plan to have people come in on the back  
19 shifts, back shift meaning both the swing and the morning  
20 shift. We have that now, that some people come in. It has  
21 just not been part of a plan, orientated, closely  
22 structured, that so many times you will come in, or so many  
23 times you will come in, and so forth. We have done that on  
24 a scheduled basis.

25 MR. MARTIN: So it is not an articulated, then,

1 goal of management that senior managers, with certain  
2 frequency, will get in the plant on back shift to observe  
3 the operators, particularly in the control room?

4 MR. MOODY: No. That is not stated in the policy,  
5 as such.

6 MR. MARTIN: I bring it up, because we just  
7 recently experienced a licensee which has a fairly good  
8 record. A resident inspector walked in and found both the  
9 RO and SRO inattentive at the controls. And no licensee can  
10 tolerate that. And one of the things that we will be  
11 following up on is how this condition developed. It  
12 appears, at least on the back shifts, in discussion with the  
13 operators, they believe a different standard exists than the  
14 day shift.

15 MR. FEIGENBAUM: We will take that back and look  
16 at it.

17 MR. MARTIN: How long does it take you to get a  
18 new rad con staff member up and running, so that he can be  
19 an effective part of your staff?

20 MR. MOODY: A technician?

21 MR. MARTIN: Rad con.

22 MR. MOODY: Again, it is going to depend on the  
23 level of experience of the individual. We can hire in at  
24 the senior level. But if we have some contractors, let's  
25 say building up for the refueling or coming out of the

1 refueling, we feel that we do need to supplement our staff,  
2 we can roll a contractor into any wide position, in a very  
3 short period of time. And bring that individual up to  
4 speed.

5 Ed, we can hire a senior technician, assuming they  
6 are familiar with our own internal programs.

7 MR. MARTIN: My understanding right now, you have  
8 got a rad con staff on the order of 20 permanent people.  
9 Is that a fair number?

10 MR. MOODY: Fair number.

11 MR. MARTIN: And that you are running right now,  
12 the source term you got overtime rate of about 15 to 20  
13 percent for those people. As the source term continues to  
14 grow, are you going to have enough lead time to maintain  
15 that number of openings?

16 MR. MOODY: If you look at the 15 to 20 percent,  
17 that includes a number of hours rolled in there for the  
18 surveys that were made coming up to the various power  
19 levels. I believe that is rolled in there.

20 MR. MARTIN: They were one-of-a-kind type, that is  
21 what you are --

22 MR. MOODY: Yes. I do not expect that number to  
23 be anywhere near that --

24 MR. NIMITZ: Well, this is based on information I  
25 gather relative to the month that you were at 100 percent

1 power. So that would be essentially --

2 MR. MOODY: August?

3 MR. NIMITZ: I am sorry, that would be reflective  
4 of routine conditions. So it raises some questions in terms  
5 of personnel coming in on weekends to perform routine  
6 surveillances, and small, minor source that you have now,  
7 the activities that staff could perform very easily, triple  
8 or quadruple based on the source term.

9 MR. MOODY: That was also the time frame, we made  
10 a number of, I believe, containment entities for various  
11 surveys, or work --

12 MR. NIMITZ: Well, I am just talking routine work,  
13 not non-routine.

14 MR. MOODY: I do not expect it to be anywhere near  
15 that level that you quoted.

16 MR. NERSES: When you say that, when would I  
17 expect to see it? The month of September? November? When  
18 would I expect to see it?

19 MR. MOODY: I guess the best estimate to take a  
20 look at what it looks like, I would take the last part of --  
21 assuming that we have got no major evolutions planned, no  
22 outages and so forth planned. I think if we take a look at  
23 the last quarter of 1990, we get a pretty good feel of what  
24 the routine would be.

25 MR. MARTIN: Well, we will do that.

1 MR. JOHNSON: Well, I guess that is something good  
2 to take a look at your data, too. But I guess there is lots  
3 of other probably similar plants that have gone through this  
4 exercise, that are fairly new, in the same condition, and  
5 have gone through this. Maybe even a little bit older, so  
6 you can see what their experiences were. It is probably  
7 worthwhile to take a look at that, too.

8 MR. MOODY: Oh, I believe that we do all that.

9 MR. JOHNSON: Okay. Anybody else have any  
10 questions?

11 MR. DRYSDALE: Could I get back to your issue  
12 of -- prior to the achievement of commercial operation, you  
13 had a goal of having your -- referred to as the plant  
14 labelling program, I think is what you referred to,  
15 completed by the time you achieved commercial operation.

16 I understand what you are saying about this  
17 configuration control program, it still being in  
18 development. Have you, in fact, completed formally this  
19 plant labelling program? Or has it kind of been absorbed  
20 into the new configuration control program?

21 As you know, I think these instrument regs, we  
22 have discovered some labelling problems several months ago.  
23 And I am just interested, to what extent have you actually  
24 completed that program?

25 MR. MOODY: We have not completed the program as



1 such. We have taken a look to a task force, how the  
2 configuration control was laced through all of the -- and so  
3 forth. As part of that, labelling, a useful label amounts  
4 to a much larger program. We do not use non-vent names on  
5 labelling required. We are looking at going back,  
6 reassessing that. Looking at bigger tags.

7 So the labelling program, as a result of our own  
8 internal task force, has expanded a good deal beyond what  
9 the initial concept was.

10 MR. DRYSDALE: Well, I know you have done a number  
11 of log -- configuration controls verifications. What is  
12 your feeling now about problems that might be out there  
13 still with respect to components that are not labelled?

14 MR. MOODY: Well, as I mentioned, I do not feel  
15 there is a lingering problem out there. Because if we find  
16 something that is not labelled, if you will, be it an  
17 instrument valve or something like that. If the valve was  
18 going to be moved, then we were contract -- it would be  
19 contract control and so forth, identified on a 4.1, what we  
20 call a 4.1 form, which is the same form we used for, as I  
21 say, slide lengths --

22 Operate that valve, and put it back in its  
23 original position. And then take a look to see if that  
24 valve was, in fact, should be or should not be identified on  
25 some document or procedures they were using. That is the

1 vehicle that would be used today. If you found that  
2 situation.

3 MR. OLIVEIRA: Back in November, November last  
4 year, our examiners found the problem of EOPs not  
5 specifically addressing malfunction. In other words, you go  
6 through an action item and something else comes up. And  
7 during the power ascension, when there is a lot of things  
8 like having to bring in condensate pumps, having to do  
9 something else, and other things.

10 And I was just wondering, how is, dealing with  
11 these problems when the issue right here, the initial issue  
12 is that the EOP itself is not addressing the malfunction.  
13 In doing these tests there were malfunctions, and they had  
14 say let's go to something else, let's do something else.  
15 But I have a difficult time trying to fully understand if  
16 you do have a problem, how will you handle the EOPs? When  
17 the EOPs themselves are not dealing with these problems.

18 MR. MOODY: Let me try to understand the question.

19 MR. DRAWBRIDGE: I did not hear the entire  
20 question.

21 MR. OLIVEIRA: I said back in November of last  
22 year, one of our examiners said that the EOP being  
23 implemented in this event did not specifically address the  
24 actions that were taken to correct a malfunction. What  
25 happened here, a valve did not reseal during a test. And I

1 was likening it to observing some of the ascension testing,  
2 if things did not function -- we have to get the consig pump  
3 on-line, number three consig pump back on-line, because we  
4 were having -- from the flow.

5 The heater drain is not opening and oscillating  
6 properly. And I was wondering, in view of this, I was  
7 wondering how does that relate with the EOPs of people  
8 involved --

9 MR. MOODY: EOPs basically take you through a  
10 series of progressive steps to get to either, in a  
11 functional recovery procedure, out of the emergency  
12 operating procedures. Normally in the EOP, it works you  
13 back into a normal operating procedure.

14 For instance, you have low suction on your feed  
15 pump. And an operating procedure would get you back into  
16 starting an additional condensate pump by dropping off one  
17 or the other. But we have looked at the EOP, -- looked at  
18 the EOP and the procedures that they relate to are mentioned  
19 in the text of those to correlate those together, to make  
20 sure that they, in fact, flow.

21 But the EOP will drive you either into a condition  
22 to stay within that condition in the normal operating  
23 shutdown procedures, just using the word EOP itself.  
24 We have looked at all those connections.

25 MR. JOHNSON: Thank you.

1           MR. MARTIN: If I might add something. One of the  
2 primary intentions we had during the power ascension program  
3 is to verify that the EOPs worked appropriately. And when  
4 we performed a test like loss of power test of the unit,  
5 check of 100 percent power test, we intentionally use the  
6 EOPs as much as practical to make sure that they were  
7 usable. And in all of those instances where we did refer  
8 out to an EOP, we had perfect success in using those  
9 procedures.

10           I am not sure exactly the situations you are  
11 referring to on the condensate pumps. There is no  
12 relationship that we experienced during a power ascension  
13 that relates the oscillations back to an EOP. But we did  
14 validate the EOPs during power ascension, and found no  
15 problems.

16           MR. DRAWBRIDGE: There is also an EOP audit going  
17 on this week. I do not know if you are aware of that.

18           MR. JOHNSON: Right, that is right.

19           MR. DRAWBRIDGE: In fact, today they were going to  
20 be in the simulator. We are going to walk --

21           MR. JOHNSON: Yes, I think we have an ongoing team  
22 inspection at the site now that will be looking into that  
23 again. So we will get another fresh look at that within the  
24 next week or two.

25           MR. OLIVEIRA: I just remember reading this --

1 heater drain system to make sure -- very unique situation.  
2 Try to correlate that to an EOP. I did not see and I wasn't  
3 going to say stop --

4 MR. MARTIN: There is no relationship there.

5 MR. JOHNSON: Okay. Any other questions? Okay,  
6 well, I appreciate you spending the time to come in here.  
7 And I thank everybody for their questions.

8 What we intend to do is document the transcript of  
9 this meeting, and provide that transcript to you and to the  
10 public. And we intend to give you feedback on your  
11 self-assessment report in a routine inspection report,  
12 similar to the way we dealt with the 50 percent meaning.

13 Again, thank you very much. We appreciate your  
14 time. And the meeting is concluded.

15 (Whereupon, at 3:16 p.m., the meeting was  
16 concluded.)

17  
18  
19  
20  
21  
22  
23  
24  
25

1 REPORTER'S CERTIFICATE

2  
3 DOCKET NO.:

4 CASE TITLE: POWER ASCENSION TEST PROGRAM, FINAL PHASE II

5 HEARING DATE: September 18, 1990

6 LOCATION: King of Prussia, Pennsylvania  
7

8 I hereby certify that the proceedings and evidence are  
9 contained fully and accurately on the tapes and notes  
10 reported by me at the hearing in the above case before the  
11 United States Nuclear Regulatory Commission.  
12

13 Date:

14  
15 Michael McCann

16 Official Reporter

17 Heritage Reporting Corporation

18 1220 L Street, N.W.

19 Washington, D.C. 20005  
20  
21  
22  
23  
24  
25

Heritage Reporting Corporation  
(202) 628-4888