

1

UNITED STATES NUCLEAR REGULATORY COMMISSION

In re: Roche Professional Service Center, Inc.
Docket No. 030-29240

An Enforcement Conference was held before Loretta B. Devery, Registered Professional Reporter and Notary Public at the United States Nuclear Regulatory Commission, Region I, 475 Allendale Road, King of Prussia, Pennsylvania, on Tuesday, October 2, 1990, commencing at 1:00 P.M.

PRESENT:

RICHARD COOPER, Deputy Director, DRSS
KARLA D. SMITH, ESQ., Regional Counsel
MOHAMED M. SHANBAKY, Chief, Nuclear Materials Safety
Branch, Section A
RONALD R. BELLAMY, Chief, Nuclear Materials Safety
Branch
JOHN E. GLENN, Chief, Medical, Academic and Commercial
Use Safety Branch
WILLIAM H. SCHULTZ, Materials Section Chief,
Region III
R. KEITH CHRISTOPHER, Regional Enforcement Specialist
JUDITH A. JOUSTRA, Health Physicist

(Continued on next page)

ALL POINTS REPORTING
723 Erlen Road
Norristown, PA 19401
(215) 272-6731

ORIGINAL

9011130153 901101
REG1 LIC30
37-27830-01MD PDC

PRESENT: (Continued)

JOHN KERINS, Vice President, Regulatory Affairs, Roche Professional Service Centers, Inc.

ROBERT J. ROSS, ESQ., Counsel for Roche Professional Service Centers, Inc.

ADRIENNE SHIRK, ESQ., Counsel for Roche Professional Service Centers, Inc.

JOHN H. WATERMAN, Director, RA/QA, Medi-Physics, Inc.

JANET REUTHER, Senior Associate, Medi-Physics, Inc.

NICHOLAS S. REYNOLDS, ESQ., Counsel for Medi-Physics, Inc.

PERRY D. ROBINSON, ESQ., Counsel for Medi-Physics, Inc.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. COOPER: My name is Dick Cooper. I'm the Deputy Director of the Division of Radiation Safety and Safeguards here in Region I, and I think there's a sign-up sheet going around that I'd like everyone to sign up on, and so that we know who we are, I would request that we just go around and introduce ourselves.

MS. SMITH: I'm Karla Smith, Regional Counsel.

MR. SHANBAKY: My name is Mohamed Shanbaky. I'm the Section Chief responsible for licensing and inspection of medical facilities and pharmaceuticals.

MR. BELLAMY: My name is Ron Bellamy. I'm the Branch Chief, Nuclear Materials Safety Branch.

MS. REUTHER: Janet Reuther, Senior Associate, Metaphysics Pharmacy.

MR. WATERMAN: Jack Waterman, Director of Regulatory Affairs for Metaphysics, Inc.

MR. REYNOLDS: I'm Nick Reynolds from Washington, D.C., until last week with the law firm of Bishop, Cook, Purcell and Reynolds; as of this week with the law firm of Winston and Strawn.

1 MR. ROBINSON: I'm Perry Robinson. I'm
2 also associated with Winston and Strawn.

3 MS. SHIRK: I'm Adrienne Shirk, an
4 attorney with Hoffman LaRoche and I'm representing
5 Roche Professional Service Centers,

6 MR. KERINS: John Kerins, Vice President,
7 Regulatory Affairs, Roche Professional Service
8 Centers.

9 MR. ROSS: I'm Robert Ross from
10 Washington, D.C., and I represent Roche Professional
11 Service Centers, Inc.

12 MR. CHRISTOPHER: My name is Keith
13 Christopher. I'm the Regional Enforcement Specialist.

14 MR. GLENN: I'm John Glenn. I'm Chief of
15 the Medical, Academic and Commercial Safety Branch in
16 our headquarters.

17 MR. SCHULTZ: I'm Bill Schultz, Materials
18 Section Chief, Region III. We have responsibility for
19 Ohio.

20 MS. JOUSTRA: Judy Joustra, Inspector,
21 Region I.

22 MR. COOPER: And coming on the line, if
23 we can get him, is Dick Rosano, who's a member of the
24 Office of Enforcement at headquarters. As you're

1 aware, I believe, this enforcement conference will be
2 transcribed.

3 This conference is being conducted based
4 on a special inspection that NRC Region I performed on
5 October 23 and October 31, 1989 of licensed activities
6 at Roche Professional Service Center in Nutley, New
7 Jersey. Seven apparent violations were identified.
8 We will shortly discuss each of those in turn, and as
9 we do so, I'd like you to address several items. The
10 first of which is whether you admit or deny the
11 violation. Secondly, to comment on the accuracy of
12 the facts as we've described them, to add any new
13 information that we don't have that may pertain to
14 each of those and to also discuss any mitigating or
15 extenuating circumstances that may pertain. Thirdly,
16 to identify, if you can, the root cause of the
17 violation; and fourthly, to address any corrective
18 action that you have or will be taking to prevent
19 reoccurrence of the violation in the future.

20 We will want to concentrate during this
21 conference on the management controls that were in
22 place at the time of the violations that in fact
23 allowed them to occur and whether and to what extent
24 those controls were at fault in allowing the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

violations to occur.

Included in the seven apparent violations is one against 10 CFR 30.9 which requires that information provided to the Commission by licensees be complete and accurate in all material respects. The Office of Investigations report that you got a synopsis of in your report, in our letter to you, concluded that the then manager of the Nutley, New Jersey facility made inaccurate statements to an NRC inspector. This issue as it affects the individual will be the matter of a separate activity or proceeding and we do not intend to discuss that at this meeting. Rather, we will discuss that apparent violation as it affects you, the licensee, at the time. And we will consider that discussion and the violation in those terms in our deliberations both on that violation as well as the other apparent six violations.

MR. KERINS: Can I just make a statement? You referred to Nutley, the site is Philadelphia.

MR. COOPER: I'm sorry, I stand corrected. Please make the record reflect that. We expect a high standard of compliance by our licensees, and they're charged with taking prompt and extensive

1 action, in the event that we find that not to be the
2 case. We expect licensees to be forthright in their
3 dealings with the NRC and candid and open in their
4 discussions, and that's especially important during
5 enforcement conference such as this.

6 At this point, I'd like to throw it open
7 to you folks to provide any opening remarks that you'd
8 like to make.

9 MR. KERINS: Well, one thing I'd just
10 make a comment, we had hoped David Gallaher, who was
11 the Vice President for Operations for RPSC -- he
12 couldn't be here today. There was a death in the
13 family over the weekend, so he got tied up with that.
14 So he apologizes for not being here.

15 We've read the potential violations, and
16 I think that we have some issues that we can talk
17 about. I think some of the action plans essential to
18 that we'll discuss today and some of our
19 investigational findings were discussed in the
20 November 21st meeting that we had that RPSC called
21 with management here at Region III.

22 MR. ROSS: Region I.

23 MR. KERINS: Region I, excuse me.

24 MR. COOPER: That's okay. With that,

1 before we step through each of the apparent
 2 violations, I'd like to get someone to describe to us
 3 the organization as it existed at the time of the
 4 violations back in 1989, specifically the
 5 relationships of the then facility manager to the
 6 upper level management. And in addition to that,
 7 describe if there are any differences, how that
 8 organization is different today.

9 MR. KERINS: Well, specifically at the
 10 time that there was a manager at the site, who if
 11 we're referring to Miss Fire, that she was also coming
 12 into the site, but immediately prior to that, the
 13 manager was also the RSO, which is in most cases in
 14 all our facilities. That that person reported then
 15 for operational issues into the Regional Manager for
 16 Operations. From a regulatory prospective, the
 17 corporate group had a VP of Regulatory Affairs, which
 18 is myself, and specifically associates that dealt
 19 specifically with nuclear pharmacy issues. My group
 20 was not specific to nuclear activities. I also dealt
 21 with other regulatory agencies as part of that
 22 responsibility.

23 As it exists now, that the manager at the
 24 site exists, but that is not -- she is not the RSO.

1 It's a separate appointment. That was made back as
 2 part of the action plan. I don't have the date
 3 exactly in hand, but the organization as it exists
 4 with the licensees, my position still exists as the VP
 5 of Regulatory Affairs. The sale of the company did
 6 take place on June 13th, that Janet Reuther, who was
 7 the associate directly working for me now is an
 8 Amersham employee. And subsequently she was appointed
 9 as corporate RSO for the Philadelphia site.

10 MR. COOPER: Does the RSO who is now
 11 separate from the facility manager report to the
 12 manager or report to the corporate RSO?

13 MR. KERINS: The direct line is to the
 14 manager, but one of the things that we found in the
 15 initial investigation is that there really wasn't a
 16 good comprehension at the Philadelphia site on what
 17 the regulatory group in corporate was responsible for,
 18 and that was the subject of training both back in
 19 November of last year and then subsequently that Miss
 20 Donne had some very specific training, I believe in
 21 November that Janet conducted. And that some issues
 22 that we've discussed with the facility back during the
 23 November, early November period, to discuss roles of
 24 responsibility and adherence to compliance

1 regulations.

2 MR. COOPER: Okay. With that, I'll turn
3 it over to Mr. Bellamy and Miss Joustra to step
4 through each of the violations and we'll discuss the
5 aspects of those as I previously discussed.

6 MR. BELLAMY: Before Miss Joustra walks
7 through the violations, I'd just like to acknowledge
8 that we have received the September 28, 1990 letter
9 from Mr. Jack Waterman, and that reflects I think what
10 pretty much has been discussed in terms of
11 organization, the fact that during the time of the
12 inspection in October of 1989, that Roche Professional
13 Services, Inc. was the licensee in question and it was
14 under their management that we are talking about the
15 apparent violations today. That the sale of the
16 company did occur in June of 1990, and that
17 Medi-Physics, Inc. does acknowledge that they stand
18 ready to insure that any corrective actions that are
19 committed to or we agree upon either today or in the
20 future will be their responsibility to follow through
21 on. And we do have that letter and NRC staff here
22 today has reviewed it and I will ensure that it is put
23 in our docket file so it will be a part of the record.

24 With that, I'd like to ask Miss Joustra

1 to walk through the seven apparent violations and give
 2 you an opportunity to respond to each of them in turn.
 3 Judy?

4 MS. JOUSTRA: What we'd like to do is go
 5 through each of those items as they appear in the
 6 report. We'll not go through each example of those,
 7 but just to state what the apparent item of
 8 non-compliance is. The first item appears in section
 9 number 3 under Training Audit Program, and basically
 10 it's a failure to provide training as required by
 11 Appendix C of the regulatory guide. And that's an
 12 apparent violation of Condition 23 of your license.
 13 This is training provided to the staff at the
 14 facility. Would you like to address them one by one?
 15 That would probably be the easiest way, I guess.

16 MR. KERINS: Acknowledging that, I think
 17 we were aware that -- I didn't attend the closing
 18 inspectional summary at the time, but we're aware that
 19 the inspection certainly did turn up some issues of
 20 deficiency regarding training. That I think since
 21 that time we've taken a couple different actions
 22 regarding that. There have been a number of training
 23 sessions that have been held at the site. I think the
 24 corrective actions, some of them involved the

1 responses that we presented in the November 21st
 2 letter, that I think they're symbiotic with all of
 3 these issues essentially, but training specifically
 4 there was -- there are cases that like in November
 5 27th I mean -- yes, November 27th, I think Janet
 6 Reuther was at the site, that we committed in that
 7 action plan that we would have someone there the week
 8 of December 4th. And I think we discussed key issues
 9 or licensing issues at the various bullets that I
 10 think we presented in the November 21st letter,
 11 facility and corporate organizations, lines of
 12 communication, management expectation of candid
 13 responses to regulators, dealing with regulatory
 14 inspections and specifically policies and procedures
 15 for employees and authorized users dealing with
 16 drawing doses.

17 During that period that also some
 18 training was done with Miss Donnelly who was the new
 19 RSO, as far as formal training for her in the RSO
 20 responsibilities, and then also there was training
 21 with some of the staff regarding constancy checks.
 22 That is notable I think. Those are the key items that
 23 was addressed at that.

24 There have been other training sessions

1 in January, some specific training that addressed for
 2 instance the surveys of personnel, that was handled in
 3 a training session, that was done on January third,
 4 which also included the annual requirement for
 5 retraining of personnel.

6 MR. SCHULTZ: Who conducted those audit
 7 sessions?

8 MR. KERINS: The week of 11/27 was
 9 Janet -- Miss Reuther. The 1/3 was done by Miss
 10 Donnelly, the RSO.

11 MR. COOPER: I understood that you had
 12 had an outside or independent consultant come in and
 13 do quarterly audits, I believe three a year, and
 14 internally; you did your own fourth audit for the year.

15 MR. KERINS: Right.

16 MR. COOPER: And as the inspection report
 17 discussed, it appeared that training was raised as an
 18 issue in some of those audit findings previously. I'm
 19 interested in knowing for how long was the training
 20 issue an audit finding from the independent auditor
 21 and why was it that that continued to be an issue up
 22 until the time of our inspection.

23 MR. KERINS: Well, I can't give you a
 24 specific date of when it started to appear. We've got

1 to look at the audit reports. It was brought up. I
 2 think there was one very specific issue that was the
 3 subject of some correspondence back and forth from
 4 Miss Moore, who was the outside auditor, and
 5 ourselves, and that was regarding this training of a
 6 technician to draw doses.

7 There was a letter that she published
 8 that was in the file, I'm not sure whether you
 9 observed that record or not, but regarding
 10 technicians. It was very specific and it also talked
 11 about countermanding of her orders to not have the
 12 technician drawing. We subsequently met with Miss
 13 Moore, myself and some operations people met with her,
 14 and disagreed with what she was saying, that there was
 15 no countermanding that went on.

16 That Miss Moore and the site RSO had
 17 actually worked on an outline for this technicians'
 18 training. The RSO at the site at that time had
 19 actually completed that and so when she made that --
 20 completed that training, she in fact says as
 21 management whether it would be appropriate then to go
 22 back and have this person trained. We didn't think it
 23 was an end-all, but certainly that was the first step
 24 to have her drawing doses. When the training was

1 done, we agreed and we allowed that person to help
2 draw doses.

3 There was also -- it was Miss Moore's
4 interpretation that that person should be an
5 authorized user and that that person should have
6 credentials of a pharmacist. We disagreed because in
7 pharmacy law, interns and technicians is an
8 established art that existed, an authorized user, not
9 necessarily because we hopefully had an authorized
10 user on site at that particular time when the
11 technician was drawing doses, both under the
12 supervision from a pharmacy perspective and a nuclear
13 perspective, radioactive material handling.

14 MR. COOPER: So that what you're
15 describing then is the training issues as far as her
16 audit findings were fairly well focused on the
17 authorized user issue you just described plus the
18 technician drawing doses.

19 MR. KERINS: Well, the technician drawing
20 doses was definitely very focused discussions, that
21 the auditor had a very specific report to file
22 regarding that. And I think we had a subsequent
23 meeting about that. I think she felt comfortable.
24 She felt that there were going to be more training. I

1 think she had thought that we had completely told the
 2 RSO to have the technician in fact draw doses and that
 3 was not the case at the meeting. The RSO admitted
 4 that wasn't the case at all. So I think there was
 5 some miscommunication between the auditor and the site
 6 people and even ourselves, and she wasn't able to get
 7 a hold of me and that's why she wrote the letter.

8 Training was brought up in the issue in
 9 some of the audits. From our perspective, from the
 10 corporate perspective, we thought that there was
 11 appropriate action being taken in resolving all of the
 12 issues, not just training, but other items that were
 13 being brought up. Miss Moore was the outside auditor
 14 of record on the license, had been the auditor for a
 15 number of years. Because of her time constraints, she
 16 was asking to not perform as many audits. That's why
 17 we had actually brought in some of our local SAT team.
 18 Medi-Phycis had a SAT team composed of essentially
 19 radiation safety officers throughout the organization
 20 that would come out through that program.

21 Janet, I would throw out did we ever
 22 do -- did RPSC ever do an audit before October? I
 23 think they were all done by Miss Moore, weren't they?
 24 Do you remember?

4

1 MS. REUTHER: We did one in September
2 just before -- I think, I'm pretty sure -- yeah, in
3 September, just before that.

4 MR. ROSS: This is September '89?

5 MS. REUTHER: I can't say for sure. I'm
6 pretty sure it was September of '89. We did one that
7 year.

8 MR. COOPER: The SAT team that you just
9 described, is that the same team that was doing some
10 of your audits independent of Miss Moore's
11 responsibilities back in the '89 time frame, or is
12 that a team that's different from the group that was
13 doing internal auditing before?

14 MR. KERINS: Well, the personalities may
15 have changed, but it's the same team, if you will.
16 This was a conglomerate of people both from the Roche
17 Professional Service Center, Inc. corporate as well as
18 Medi-Physics, and actually primarily Medi-Physics
19 employees. That radiation safety officers at some of
20 our manufacturing sites were going out as a team, but
21 then there also was Janet was part of that team, and
22 also a health physicist that we had at one of the RPSC
23 sites was participating in that.

24 MR. SHANBAKY: Did the September audit

1 require the same training of the technician?

2 MS. REUTHER: No, it didn't.

3 MR. SHANBAKY: Did it identify similar
4 problems?

5 MS. REUTHER: It identified, without
6 going over it in detail right now, I haven't read it
7 in awhile, but I think they did mention some things
8 about training could be improved, but it wasn't --

9 MS. SHANBAKY: Can you give us some
10 specific recommendations the audit made to improve
11 training?

12 MS. REUTHER: No, I can't, not right now.

13 MR. BELLAMY: Is there now a tracking
14 system or a management information system in place
15 that would tell me who has received what training,
16 when and whether these people would be up for their
17 next annual cycle of training?

18 MR. KERINS: There's no -- certainly
19 no -- I can't talk for Amersham, but certainly from
20 RPSC, there was never no corporate system set up that
21 was delegated down to the responsibility of the site
22 manager and the RSO. And as of such to this day no,
23 we didn't have a specific corporate training. We had
24 recognized that the RSO as being a specific issue that

1 came out of a Region III issue, so that there was
2 specific training given to Miss Donnelly as a result
3 of those commitments.

4 MR. SHANBAKY: Did you do any additional
5 audits since September '89 audit?

6 MS. REUTHER: The SAT team?

7 MR. SHANBAKY: Yes.

8 MS. REUTHER: No. I don't want to say
9 that, I'm sorry.

10 MR. KERINS: Well, there were audits that
11 were done. There were outside audit done. Whether
12 they were done by the SAT team or whether they were
13 done by an outside consultant, yes, that one of the
14 people that we contracted with was -- Janet, Terry's
15 last name?

16 MS. REUTHER: Vaughn.

17 MR. KERINS: No, I can't think of the
18 name right now. It will come to me. I can give you
19 that, but certainly there was an audit and in --

20 MS. REUTHER: Terry Verullo, I'm sorry.

21 MR. KERINS: Yes, thank you. That
22 conducted an audit, outside auditor's type of
23 inspection. Also in response to the November issue,
24 that Janet was at the site for a considerable period

1 of time. That again as per the November letter that
2 she was at the November 5th, 6th, 7th meeting that we
3 had. I think Janet was essentially down at the site
4 for a couple of weeks at that point, and then as per
5 commitments the next three months, that she was at the
6 site for five days for general corporate oversight,
7 auditing, training the whole gamut of follow-up.

8 MR. SHANBAKY: I take it Miss Moore is no
9 longer doing audits for you?

10 MR. KERINS: Correct.

11 MR. SHANBAKY: As of when?

12 MR. KERINS: It's only an estimate. I
13 know Miss Moore said that her time commitments were
14 such that she couldn't fulfill the needs, that she was
15 backing out of the program. I would have to say, it's
16 an estimate that around March or April.

17 MR. SHANBAKY: 1990?

18 MR. KERINS: Yes.

19 MR. COOPER: If she had been finding and
20 questioning things whereas your -- from what I've
21 heard, your internal audits have not resulted in any
22 types of major findings or issues that I've heard
23 here, what now gives you satisfaction that if you
24 continue with the SAT team activity, which basically

1 is an internal audit, that you're going to get what
2 you need out of that activity, that is an objective
3 inspection of the activity?

4 MR. KERINS: Well, we're not relying
5 specifically on the SAT team. And I think that there
6 probably was only one audit that was done by the SAT
7 team. So per the two issues, the person that did the
8 SAT audits, I mean we discussed the issues of
9 technician training and things like that, that was a
10 specific issue with Miss Moore, and you know, we felt
11 that we were right from the point of view of where we
12 decided. And you know, we told Miss Moore that in the
13 meeting that we did not think that that person would
14 be, quote, an authorized user. I mean the auditing --
15 we've continued some auditing over the areas, that it
16 still is a commitment to do that.

17 MS. JOUSTRA: At what frequency would you
18 be doing those types of audits of the entire radiation
19 safety program?

20 MR. KERINS: Well, I believe that it was
21 still set up as a quarterly type system.

22 MR. COOPER: You just alluded to the fact
23 that you wouldn't rely solely on the SAT team for
24 auditing. What's the other --

1 MR. KERINS: An internal auditor like
 2 Theresa Verullo, that was the auditor. I know she's
 3 conducted at least one audit. I believe it was April
 4 that she conducted an outside audit.

5 MR. COOPER: Previously you had three
 6 outside audits and one, I believe, internal audit for
 7 an annual total of four. How are you going to do that
 8 now?

9 MR. KERINS: Well, I mean at this
 10 particular juncture, it's -- we're not exactly sure
 11 how to deal with this right now. That obviously since
 12 the acquisition, that all of the employees of Roche
 13 Professional Service Center went over to an Amersham
 14 organization. I think dealing with corrective actions
 15 coming out of some of the specifics that are
 16 identified here, and as a result of this meeting, that
 17 working with Amersham Medi-Physics PSI, with Jack
 18 Waterman, I think working with him to work between the
 19 two organizations until the license is transferred.

20 MR. COOPER: Are you prepared to comment
 21 at this time, Mr. Waterman as to what you might do in
 22 an audit area, or is that going to be something that
 23 you'll be discussing when you make commitments later
 24 on?

23
1 MR. WATERMAN: That's right, we certainly
2 will review everything that comes out of today's
3 conference and form some plans, we'll get back to you
4 definitely.

5 MS. JOUSTRA: In relation to that
6 training issue, we've come across in my inspection and
7 over some audits would be training records. Have you
8 now established good record keeping system for those
9 who have had training?

10 MR. KERINS: The record keeping, it
11 certainly was revised, because it recognized -- and I
12 think there was some thought that some of the training
13 that we thought was accomplished that we just could
14 not find the documentation and clearly that was
15 reorganized, the training documents.

16 MR. SHANBAKY: Do you have any
17 administrative procedures to organize and control the
18 training on established frequency and schedules and
19 something which somebody can take and just execute and
20 you'll be okay on training?

21 MR. KERINS: We don't have a formal
22 package. We were working on a package that was
23 drafted for a formal program. Many of the programs we
24 were using the radiation safety manual as the vehicle,

1 the text for it. As far as the frequency of doing the
2 training, that we really wanted to assure that we were
3 within the licensed conditions, and depending on the
4 individual, more or less based on that.

5 MR. SHANBAKY: Do you have things like
6 lesson plans or material the instructor used to
7 provide the training?

8 MR. KERINS: We have some specific plans
9 that were developed that were used. It's not an
10 intact package for training that's, you know, off the
11 shelf type of program here for training a technician.
12 There are some specific items, check lists that we
13 have prepared.

14 MR. SHANBAKY: Are you looking into
15 coming up with something more comprehensive, or do you
16 feel that this is working adequately for you. I'd
17 like to hear your feelings about this.

18 MR. KERINS: I think the whole thing, it
19 certainly didn't work as effectively as we would like.
20 I think at this perspective, that again we're looking
21 for the future, that since the resources are not
22 currently available with the transfer, that we can
23 look at this and we can help I think recommend some
24 procedures to the Amersham people. But the company

1 was sold to Amersham.

2 MR. SHANBAKY: Maybe this is a good time
3 to ask the question now. What would be the interfaces
4 between you and Mr. Waterman and any turnover of
5 outstanding issues, facility problems, facility
6 improvements that you've had like to essentially
7 transfer to Mr. Waterman, how this process is working
8 now and whether it is -- there is a plan to do this
9 or --

10 MR. KERINS: Well, there was a plan for
11 the license transition. I think some of the key
12 issues, for instance the Philadelphia incidents, that
13 at an outstanding incident relating to the
14 Philadelphia license was transmitted, it was
15 communicated to Mr. Waterman, he was aware of that.
16 At the same point we were dealing with it because the
17 license was still in our name. Primarily that the
18 interaction I think has been with Miss Reuther because
19 she was a member of my group and also brought in the
20 continuity into that group.

21 MR. COOPER: Normally in putting
22 corrective action in place you would like to target
23 what the perspective or perceived root cause was so
24 that it matches and corrects that cause. What in your

1 estimation is the root cause of the training
2 deficiencies that existed in the '89 time frame?

6
3 MR. KERINS: Well, I think they were in
4 different planes. Certainly there were communication
5 issues in regard to some statements, some of the
6 reactions I think to the technicians not understanding
7 what our responsibility was that in some cases that we
8 had made decisions, for instance the decision to
9 interpret 35.27 for the visiting authorized user
10 status, that specifically, that was my decision that I
11 thought that was an appropriate interpretation. That
12 was not Miss Fire's or anyone at the sites, in talking
13 to the sites, they really didn't know who we were.
14 That was a training communication problem in itself.
15 That retroactively that we would want to improve that.
16 I think the basic program management, that we feel
17 that the RSO is responsible for the day-to-day
18 maintenance of the program and certainly their
19 immediate supervision in the form of regional managers
20 or operations and certainly at corporate level there
21 were people to contact.

22 MR. COOPER: Okay, does anybody have any
23 more questions on the training, apparent training
24 violation? Let's go on to the next one.

1 MS. JOUSTRA: The next item appears in
 2 section 4 of the report under Radiation Protection
 3 Procedures, and that's the apparent failure of drivers
 4 to monitor their hands and clothing. This was
 5 observed during the course of the inspection on a
 6 number of occasions and is an apparent violation of
 7 Condition 24 of the license.

8 MR. KERINS: We have reacted to this, I
 9 think at the time back in November when I was at the
 10 site, that we've improved some posting considerations
 11 with all of the drivers to make sure that they were
 12 aware just from sight that they had to monitor at the
 13 back door, which is the primary area of egress and
 14 then, in the January, training that was conducted and
 15 repeated for drivers, that that was also a specific
 16 aspect as far as monitoring themselves before going in
 17 and out of the laboratory restricted area.

18 MR. COOPER: Have you done any monitoring
 19 of their activities between the time of the inspection
 20 and now and have there been any other instances of
 21 these folks not surveying as they're required to do?

22 MR. KERINS: I have not specifically been
 23 at the site since January when I met with Miss
 24 Colangelo who returned to the facility. I did discuss

1 the issues, we've had audits and to some extent since
2 the beginning of the year that Miss Reuther would have
3 been at the site a couple times.

4 MS. REUTHER: I didn't see anything.

5 MR. COOPER: Does anybody have any
6 further questions or comments on that particular one?
7 Okay. Let's go to the next.

8 MS. JOUSTRA: The next item appears in
9 section 6 of the report under Use of Licensee's
10 Radioactive Materials, and this is the apparent
11 failure to have an authorized user physically present
12 when authorized material was being used. This is an
13 apparent violation of Condition 12 of your license.

14 MR. KERINS: There are two specific
15 incidents that occurred in regard to I believe the
16 October 23rd incidents. As I previously mentioned,
17 that from the corporate side I had interpreted -- made
18 an interpretation of the visiting authorized user
19 status, that that was an appropriate vehicle to use.
20 And in fact, if your observations, as I understand it,
21 Miss Joustra, is that that was a specific event that
22 she was an unauthorized user, I think Miss Fire was
23 acting under my direction that that was an appropriate
24 mechanism, for her to be acting as an authorized user

1 at the site, because she was an authorized user at
 2 another site and had been, you know, approved already
 3 with NRC and some agreement state licenses, that that
 4 was an appropriate mechanism. So Miss Fire should not
 5 be in any way I think as far as that specific event of
 6 being asserted that that was her decision. That was
 7 not the case, that was my decision.

8 Regarding the September 17th incident,
 9 that we found out is part of the investigations that,
 10 as noted in November 21st meeting, that when we became
 11 aware of this, the full details of this, we were
 12 called to the meeting with the NRC, we discussed what
 13 the issues were, what the findings were, and we
 14 reported that to you all and developed that action
 15 plan with that. We were not aware of the September
 16 17th incident in advance. Management, whether it be
 17 operational management or myself or Miss Reuther, we
 18 certainly were not aware in advance that that was --
 19 that there was going to be a scheduling problem on
 20 that specific date.

21 I think a decision was made that with the
 22 patient in mind to have an activity done, but -- and I
 23 recognize that it is obviously an unlicensed activity,
 24 but we did not have prior notice of that.

1 MS. JOUSTRA: If you had prior notice of
 2 there being a scheduling complication going on with I
 3 guess with Becky Fire and the person who the conflict
 4 was going on with, the other person that was scheduled
 5 to work there, did you have a mechanism at the time to
 6 initiate like an on-call if there was an emergency so
 7 you could still keep the facility functioning?

8 MR. KERINS: Not on-call. In some cases
 9 we would close down or we'd actually refer our orders
 10 to a competitor. And I know since the incident that
 11 we have actually closed the facility down when we had
 12 a coverage problem.

13 MR. COOPER: What was the root cause of
 14 that problem do you think.

15 MR. KERINS: Well, the October 23rd
 16 situation?

17 MR. COOPER: The September 17th one. I
 18 understand the other one.

19 MR. KERINS: The September 17th, I think
 20 it was a decision that was reached individually by
 21 Becky that -- Miss Fire, to put the patient's care
 22 first, that she recognized that she understood that
 23 the technician on shift was generally qualified to
 24 draw doses, because in a hospital environment they

7

1 routinely draw doses, so that there would not be a
2 compromise in patient care at all. She did not
3 contact regional management or myself and said that we
4 have a problem. I think she was hoping too to the
5 last minute that the pharmacist that was on duty would
6 stay until all the doses were drawn.

7 MR. COOPER: Looking beyond that though,
8 there was only the one pharmacist on duty who was an
9 authorized user, as I understand it, at that point in
10 time, and that necessitated, when he left Miss Fire
11 trying to get there in the meantime, which sounds if
12 you step back from it like a staffing problem, like
13 there weren't enough authorized users at the time
14 associated with that facility, that if one left and
15 that was the only one, you had to either shutdown or
16 refer the business to a competitor. Is that a valid
17 observation. And if so, what have you done to fix
18 that?

19 MR. KERINS: In part I think it's valid.
20 I think September 17th was a weekend. It's not an
21 established shift that you have full coverage like you
22 would on a Friday. It's essentially on an on-call
23 type of basis. There are some routine orders that
24 come in every Sunday, but they would come in, they're

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

stat emergency calls.

In regard to training, training has been an issue that we have tried to work with recruiting. Training radiopharmacists was a problem. We tried very positively I think to actually work with some universities with their pharmacy programs, like Purdue University, work with them to attract their people and have them come into the organization at various sites. Two of the people at the Philadelphia site came from that program. They were also recently new. And were not -- one of the individuals was not a user yet of record, that that amendment had been submitted back in I think September 20th to add some people to the users list. So that I think there was a critical issue just at that time with authorized users. Miss Fire had accepted a transfer to Philadelphia, so she was in the process of moving anyhow, and then a specific incident came up on the 17th.

MR. COOPER: Do you have any facilities including the Philadelphia one today that are somewhat understaffed from the standpoint of authorized users' availability?

MR. KERINS: Well, there is a shortage of radiopharmacists, authorized users. We've added

1 people to sites as much as people, we've also added --
2 tried to update licenses with enough back up from
3 different licenses. The Philadelphia site, the last
4 amendment that was approved, and we included other
5 people onto that license from management, other sites,
6 to see that they could work if there was an issue, and
7 we did have that happen right after the November
8 incident that brought people in from other sites.

9 MR. COOPER: So just to clarify, if today
10 there was one authorized user at Philadelphia, and for
11 whatever reason he or she had to move elsewhere to
12 cover another facility, the people at Philadelphia
13 understand that they either shut the facilities down
14 or refer the business elsewhere?

15 MR. KERINS: I think their understanding
16 clearly is that they would call corporate management
17 and raise a concern that this was going to be a
18 problem, that they couldn't operate because there was
19 no authorized user. And certainly if that was a
20 pharmacist, they would not be preparing doses or
21 handling radioactive material.

22 MR. BELLAMY: You're not aware of any
23 time since the late fall of 1989 where there's been
24 operations at the facility without an authorized user?

1 MR. KERINS: Well, we have --
 2 subsequently we became aware of the Cincinnati
 3 facility that issues -- that we determined at that
 4 site that became available which we reported to Region
 5 III that actually that involved not Miss Fire but some
 6 other representatives at the site. And I think that
 7 we copied -- I know we did we copied Dr. Bettenhausen
 8 at the time of those incidents. So yeah, there have
 9 been incidents. Now they've -- some of those
 10 incidents were at the same time, some of them were
 11 before, and then I think that we had subsequently had
 12 some other transgressions at that site because there
 13 was two issues. There were pharmacy issues at that
 14 site and nuclear issues primarily. It occurred before
 15 that, we're not aware of any before the Philadelphia
 16 incident.

17 MR. BELLAMY: But no others at
 18 Philadelphia?

19 MR. KERINS: No, correct.

20 MR. SHANBAKY: Assuming that 35.27 would
 21 apply, and I don't think it does, is Miss Becky Fire a
 22 registered pharmacist, and that's the first question,
 23 and in Pennsylvania?

24 MR. KERINS: No, she's not.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. SHANBAKY: Does the Commonwealth of Pennsylvania require a registered pharmacist to run this facility?

MR. KERINS: Yes. Well, not to run the facility, certainly for dispensing doses, to dispense prescription drugs.

MR. SHANBAKY: So even assuming that 35.27 applied, what happened was potentially in conflict with the Commonwealth of Pennsylvania requirement.

MR. KERINS: There was a dual licensing problem for the September 17th issue. I think earlier issues or October 23rd issue that we had two people on, that we would have an authorized user on shift and then we'd have a pharmacist that was licensed by the State. But particularly for the September 17th, Miss Fire was not licensed by the Commonwealth for her pharmacy license. And we did report that to the Board of Pharmacy. I'm not sure of the exact dates, but I could look it up right after our meeting, because that was a topic of the November 21st meeting that we were going to notify the Board of Pharmacy, and we did. I think a copy of that was actually sent to the Region. I have a copy of it.

1 MR. GLENN: Could you clarify about -- it
2 would be my understanding that Pennsylvania would
3 require that a pharmacist be on site at all times when
4 dispensing drugs, so you have a dual responsibility
5 for an authorized user and for a pharmacist?

6 MR. KERINS: Right, that in some sites
7 that -- as in an interim period, that we were using --
8 that say Miss Fire could dispense doses under the
9 supervision of a pharmacist on site, forgetting about
10 the authorized user situation, but under pharmacy
11 practice.

12 MR. COOPER: In your opinion, would any
13 increased corporate oversight of these satellite
14 offices, in this case the Philadelphia office, have
15 prevented or mitigated this from occurring?

16 MR. KERINS: Well, yes. I think if we --
17 I think we relied somewhat too much on the site
18 actions and the outside auditors and thought that they
19 were being resolved. I think there had been a
20 previous inspection by the NRC and there were no items
21 of violation for that. We recognize what that means.
22 So that certainly addition of more oversight by
23 corporate group or upper management I think would have
24 been beneficial.

1 MR. COOPER: After this event in late
 2 '89, from then till now, have you instituted any type
 3 of program that would have provided that additional
 4 oversight?

5 MR. KERINS: Not specifically. I think
 6 in Philadelphia that we committed to a number of very
 7 detailed amount of times that we were going to visit
 8 the sites, get back on track, committed to times when
 9 various people were going to be at the site. Part of
 10 this, as per the commitment, is that we asked that
 11 Janet be officially titled corporate RSO for the site.
 12 We changed the RSO from Miss Fire, although she really
 13 was never made RSO, but to a separate individual.

14 MR. COOPER: Do each of your facilities
 15 have a separate RSO and facility manager?

16 MR. KERINS: No. I think primarily it's
 17 the opposite, where the manager is the RSO. There are
 18 some cases that it exists. Cincinnati is another
 19 example of site -- Janet, other sites that I happen to
 20 know, there are other sites throughout the
 21 organization that are separate.

22 MR. COOPER: So the increased oversight
 23 that you provided was only relevant to the
 24 Philadelphia facility?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. KERINS: Correct.

MR. COOPER: Is there any reason why you didn't consider that across all facilities?

MR. KERINS: Well, I would take that back. I guess that's also because soon thereafter we also became aware of the Cincinnati incident, so that we also addressed some issues there. I think very specifically we were -- we did not recognize that personnel licensing would be an issue. That certainly the audits were not designed, any SAT audits, that we did not specifically design that as criteria to look for. We did direct two things that we had issued in February, that a result of both the Cincinnati and the Philadelphia issues was that there was a directive that went out to all of the managers of all the pharmacies clearly indicating our expectation that all licensing be held, whether it's pharmacy licensing issues, whether it's site licensing issues, whether it's individual licensing issues, whether nuclear or pharmacy-related, and that clearly that we wanted to know if there were any scheduling problems and that we would react to that or deal with that. So we took that -- I think February 26th a directive went out to the staff.

1 Secondarily is that I had directed then
 2 to the SAT auditors that specifically they look at
 3 personnel licensing. That's because, as I said, I
 4 don't think we were attuned to specifically looking to
 5 see that on a specific date when doing an audit was
 6 the pharmacist's license, both from a pharmacist and
 7 an authorized user type of perspective, but directions
 8 were given to certainly include that in the auditing
 9 finding.

10 Well, there was an expectation on our
 11 part, the corporate part, that we expected all people
 12 would be working within their personal licensing
 13 requirements, whether pharmacy or nuclear-related, and
 14 we reiterated that expectation. That was expected
 15 that they work within all bounds of their own
 16 professional licenses or licensed conditions.

17 MR. COOPER: Any other questions on that
 18 issue?

19 MS. JOUSTRA: The next item appears in
 20 section 7 of the report under Instrumentation.
 21 Actually it would actually appear in that section.
 22 The first one we'll deal with the dose calibrator
 23 constancy check, and the fact that it exceeded plus or
 24 minus 5 percent of the acceptable value.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. KERINS: We did recognize that there were -- in looking back at the records, there were some cases that it exceeded 5 percent. Again, in retrospect, we thought this was part of the program management that it would be addressed at the local level. Since that issue that we did have specific training, that at least to not only recognize that 5 percent was the limit for constancy check, but that there is appropriate action if it's above 5 percent, whether it's re-calibrating, whether it's redoing re-assay, and that was discussed with a number of both the professional and technical staff, if you will, in a training session back in November specifically regarding that issue.

MS. JOUSTRA: Is it still going to be -- is it site management to oversee that?

MR. KERINS: I think we have certainly the front line of compliance is at the site and with the RSO. I think that if there's an issue of program management, that's certainly their responsibility. I think that if another issue came in, for instance visiting authorized user, more esoteric, if you will, or interpretative of the regulation and corporate could be involved in that, but program management,

1 these are the requirements to do the day-to-day
2 routine safety program, that's the expectation of
3 local management.

4 MS. JOUSTRA: But if they find a problem
5 with any of those areas, are they to contact
6 corporate?

7 MR. KERINS: Well, they can do it within
8 themselves, depending on the issue. Obviously if
9 there was a major problem, we would hope that they
10 would contact us and maybe ask for which way to be
11 investigated or what actions to take. I think we've
12 had a case where we've shipped in an ion chamber
13 because that was necessary because of a problem on
14 another site, not Philadelphia.

15 But part of the training that I think is
16 that if it's 5.2 percent on constancy check, what do
17 you do, you go back and reassay. You look at the
18 calibration. You may have to recalibrate. There are
19 numerous ion chambers at the site in Philadelphia, for
20 instance, so you could shut one down. It's not ideal
21 productivity and efficiency type of thing, but
22 certainly there are remedial actions that can be done.

23 MR. COOPER: Does your audit program
24 currently cover looking at this type of issue?

1 MR. KERINS: The audit program
 2 specifically looks at all of the routine management
 3 type of things. And I think constancy is a line item
 4 on there to check, as would be linearity and all of
 5 the routine type of checks.

6 MR. SHANBAKY: What was the cause again
 7 of missing the 5 percent, the cause of --

8 MR. KERINS: Well, I don't have an answer
 9 for you on missing it. As I understand, it was done,
 10 but it had exceeded 5 percent.

11 MR. SHANBAKY: Right.

12 MR. KERINS: I think it was a training
 13 issue that the site people that had performed it
 14 didn't know what to do at that, and so it was just
 15 recorded in the book as being over specifications and
 16 no remedial action was taken, investigative type of
 17 actions were taken.

18 MR. SHANBAKY: Who had the responsibility
 19 of reviewing the books to make sure that things are
 20 done right, that's the day-to-day?

21 MR. KERINS: Routinely it would be the
 22 RSO at a site, that we would expect that the RSO would
 23 be reviewing that. In some cases the RSO does a
 24 considerable amount of those checks, but it doesn't

1 necessarily have to be that a person is doing a
 2 particular -- the RSO does all of the specific
 3 radiation safety program assays, surveys, etc. That
 4 could be delegated to a technician, a pharmacist on a
 5 shift. Certainly an RSO would only be on one shift a
 6 day, and based on vacations wouldn't be there that
 7 day. So the authorized user would be responsible, in
 8 an RSO's absence be directly responsible for that
 9 activity.

10 MR. SHANBAKY: So I'm trying to
 11 understand if this is a technologist or technician
 12 training problem that they were unaware that when they
 13 exceed the 5 percent they have to do something about
 14 it or it extended beyond the technician, it included
 15 the RSO and the authorized user and the people who
 16 reviewed the records.

17 MR. KERINS: Well, I am not sure, but I
 18 know from the review of when we went back in November,
 19 we did include the professional staff too, the
 20 pharmacists that specifically, that it wasn't just
 21 directed to the technicians, that a number of people
 22 were brought up on constancy on how to specifically
 23 deal with greater than 5 percent deviations.

24 MR. COOPER: Short of the training, are

1 there any procedures that tell the technician or the
 2 pharmacist that if in the event that they're doing
 3 this check and they exceed a certain value that this
 4 is the action you take, or is it just verbalized to
 5 them in the training forum?

6 MR. KERINS: I'm not sure whether it's in
 7 the safety manual.

8 MS. REUTHER: The license application has
 9 all that in that.

10 MR. KERINS: So the action plans would be
 11 in that.

12 MR. COOPER: But what's your expectation
 13 of a technician or somebody like that actually
 14 breaking out the license or using it in his day-to-day
 15 activities?

16 MR. KERINS: Well, actually part of the
 17 training comes from the license. We use the license
 18 as this is the requirements, that rather than having
 19 some procedures that are site specific or generic that
 20 could be different based on state or regulatory
 21 functions, we had elected to use the license itself as
 22 kind of the goals for the established requirements.

23 MR. COOPER: But are the people trained
 24 that if they have a question that they know where the

10

45
1 license is and they can put their hands on it and read
2 it and understand it or is it hidden away somewhere
3 where everybody probably doesn't even know where the
4 thing is if they need to refer to it?

5 MR. KERINS: The expectation that it's
6 easily accessible. In Philadelphia I think it's
7 accessible. That I think there's specific training
8 where it is, what specific parts are related to the
9 individual that they should be aware of and in fact
10 where the license is. So that I would say yes to that
11 question.

12 MS. JOUSTRA: Have you established maybe
13 sort of a cookbook for the daily procedures so they
14 can follow it easy enough during the course of the day
15 if they were to come across say a test that exceeded
16 the proper levels rather than going back and go
17 through the entire application?

18 MR. KERINS: We were in the process of
19 putting together a whole training document. I think
20 that was just more formalized than using just the
21 licensed condition or any amendment, and I think
22 Janet, you finished that.

23 MS. REUTHER: Yes.

24 MR. KERINS: And that, you know, has been

1 used and been offered to all of the sites as a vehicle
2 for training.

3 MR. SHANBAKY: Not taking action on 5
4 percent measurements, above the 5 percent, you said
5 that is most likely due to training of the
6 technologists and maybe other personnel. And if it's
7 a training or was a training problem, how will you
8 make sure that that training you give actually took?
9 And what I'm saying is how you insure or you assure
10 yourself that before you put the people on the floor
11 doing the work they are capable of doing the work,
12 including all of the regulatory requirements and the
13 technical requirements for that position?

14 MR. KERINS: Well, I mean we assume that
15 the training is appropriate for the types of specific
16 work that the individual is doing, that we have
17 actually assigned some tasks very specifically only to
18 key people, like assays T-I monitoring. For instance,
19 I believe at the Philadelphia site that there's only
20 two people that have been trained to do that besides
21 the pharmacists. And that's one way of just to
22 control that. So those two people would have gone
23 through some kind of training session.

24 It should be taught initially in the

1 training. Obviously if there's questions or we're
2 hopefully not leaving the people in a hole as far as
3 frequency, a lot of this was planned into the computer
4 system. That constancy check is also into the
5 computer system, but the computer menu was driven so
6 that a lot of the periodic checks, like the linearity
7 check, that a flag comes up and tells you that the
8 check is to be done, that the manager, the RSO that
9 are following up on that. It's two-stage. I mean,
10 one, that the individual performing his duties should
11 be cognizant of what needs to be done. The second
12 stage is that literally if there's a question, that he
13 can go to a manager or RSO or any other user or
14 qualified individual and find out what to do about it.

15 MR. SHANBAKY: What I was getting at do
16 you give any exam after you give them the training or
17 a quiz to make sure that they absorb the material and
18 they demonstrate to your satisfaction the knowledge
19 needed to perform their functions?

20 MR. KERINS: Not generally. There are
21 certainly techniques that we have discussed, exams for
22 instance reading meters, how to read a meter, that I'm
23 not sure whether that was in place in Philadelphia at
24 the time.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MS. JOUSTRA: It was.

MR. KERINS: That has been a technique developed by one of the managers at another site and that is used at all of the other organizations as a test, but universally, no, we do not test on every specific aspect

MR. COOPER: Does the training include just verbal instruction or is it practical factors and demonstrations to the extent that each individual student would be asked to demonstrate on the equipment that he understands how to operate?

MR. KERINS: I think it's a little of both depending on the particular issue. Certainly in some cases it's going to be a verbal review of issues. In certain cases, surveys, it would be a hands-on type of demonstration.

MR. COOPER: Anymore on this item?

MS. JOUSTRA: The next item also appears in the same section, and it has to do with the linearity test in not meeting the required frequency for that test to be performed.

MR. KERINS: As I understand, on the 23rd that when Miss Joustra was in, that the linearity check was late, the quarterly linearity check was

11

1 late. Specifically in that area, that we did initiate
2 it, I think that was observed on the 31st when you
3 came back, that it was in process. It was
4 subsequently completed and acceptable. And
5 subsequently has been done quarterly.

6 MR. COOPER: Let me understand something.
7 Did I understand you to say that at the time or just
8 prior to the inspection by Miss Joustra, that you
9 yourself had recognized the lateness of this check and
10 were in the process of doing the check?

11 MR. KERINS: No. We were not aware of
12 the check. It would have come up on the facilities
13 system, the computer system. I think -- I believe it
14 was identified in the October 23rd inspection that it
15 was late, and I think site personnel initiated within
16 that week that completing of that linearity check
17 which I think was confirmed on the 31st. Whether it
18 was complete at that point or subsequently complete,
19 I'm not sure at this point.

20 MS. JOUSTRA: There was some discussion
21 as to whether it was going to be completed then or at
22 a later date. I don't know if they were actually
23 completed on the 31st and there was some delay as to
24 whether --

1 MR. KERINS: I think it was complete
2 subsequently, a day or two after the 31st, but I know
3 it was complete.

4 MR. COOPER: What's the -- recognizing
5 that we may have already covered some of this ground,
6 what's your belief as to the root cause of that and
7 what have you done to correct that?

8 MR. KERINS: I mean certainly I mean
9 continuing some of the educational things we have
10 already talked about. The linearity check is
11 something that is provided in the computer system,
12 that does provide at least a flag for the pharmacist,
13 the user RSO to know that it's coming due. I think
14 one of the mitigating factors that may have affected
15 in this particular case was the transfer of
16 responsible people, that Miss Colangelo had left, was
17 the RSO; Miss Fire was coming in. I think Miss Fire
18 was only on site approximately a month, although the
19 15th incident she was coming in, I mean she was still
20 in transit at that point and really didn't come on to
21 the site full time until October.

22 MR. COOPER: This computer program that
23 you've been referring to, basically identifying what
24 checks are coming due, and I guess also documenting

1 what has been done, who is it that's responsible for
2 monitoring that? Did you say the RSO or the facility
3 manager if it's the same?

4 MR. KERINS: I think it's both. It's
5 site specific. That's set up that each of the sites
6 has the option to do that. Some people, as far as
7 using it for even documentation, some people have
8 elected not to do that. For instance, constancy, I
9 think you can log into the computer base, however,
10 it's easier just to have that on some sites. And I
11 think Philadelphia is an example has the written
12 records outside of the computer base. It's still an
13 ongoing system and I presume it's still going to be
14 used in the future, but it's not tied into the
15 corporate office at all. It's driven by the
16 individual site.

17 MR. COOPER: Anymore questions on that
18 item?

19 MS. JOUSTRA: The next item appears in
20 section 8 of the report of the radioactive waste
21 disposal and it's the apparent failure to restrict the
22 storage of decayed radioactive waste in a
23 non-restricted area with material at exposure rates
24 that do not exceed apparent background rates. That

1 would be a violation of the licensed conditions.

2 MR. KERINS: Subsequently when I was at
3 the site, I believe November 6 and 7, we did do
4 further audits of the site than actually have been --
5 it's a mezzanine-attic type of situation where the
6 materials were stored and we in fact found a couple
7 more boxes that should have been down in the
8 restricted environment.

9 We acknowledge that we certainly -- we
10 moved those particular boxes at that time. The boxes
11 are awaiting medical disposal and I think are being
12 resolved this month I believe at the sites where
13 they're all being handled by a waste broker, so they
14 will be surveyed prior to going out just to assure
15 that they're not there. But there is -- it was the
16 storage of syringes, vials, the whole gamut of
17 supplies up in the attic area.

18 MR. COOPER: What's the process by which
19 a package of waste gets disposed and then stored up in
20 that area?

21 MR. KERINS: It should be obviously
22 surveyed. The particular site, it's kind of at the
23 entrance of the restricted area. It's kinds of a
24 non-restricted area inside a restricted area because

1 of the floor situation, but the procedure would be to
2 do a survey on the box and make sure that it's below
3 levels and then it would be stored up there.

4 MR. COOPER: Who's responsible for doing
5 the survey at technician level?

6 MR. KERINS: It could be a technician or
7 it could be any level, whether pharmacist, RSO. I
8 don't know that in general that we have specified that
9 any one individual could or could not do it.

10 MR. COOPER: In this case, I understand
11 the individual apparently who had surveyed the package
12 that was up there that we found had subsequently or
13 prior to that left your organization. So as I
14 understand it, there was no attempt made to
15 communicate with that individual to understand why
16 this happened. What checks and balances do you have
17 in place that would disallow this from happening again
18 or what failed to identify it at that time?

19 MR. KERINS: I don't know what
20 specifically failed. I presume the procedure was
21 done. I was not aware that the specific person that
22 did the assay left the organization, but we certainly
23 brought it up and I think Janet, myself and I think
24 Miss Fire at the time, we went up to make sure that

12

1 there were no other issues. That clearly the
2 expectation is that there shouldn't be any radioactive
3 materials up in the non-restricted area. I believe
4 that was also just one of the issues that was brought
5 up in subsequent training.

6 MR. COOPER: Do you now do any type of
7 surveys periodically up there to verify that there's
8 nothing there that is above background, or do you rely
9 on auditing by the RSO to accomplish that or some
10 other mechanism?

11 MR. KERINS: I believe that, Janet,
12 wasn't that the thing that we put on the weekly
13 checklist for the RSO?

14 MS. REUTHER: Yes.

15 MR. KERINS: And it was expected that we
16 had the RSO, that obviously she should be attentive.

17 MR. BELLAMY: So the RSO will now take a
18 survey meter and weekly tour this area?

19 MR. KERINS: It wasn't an ongoing
20 program, but in November we had made some commitments
21 for time limits that we would have reports that she
22 would do separate assays and training, etc. that would
23 be documented and sent to corporate. And I believe
24 that was one of the issues that she was doing surveys

1 and obviously scheduling linearities and this type of
2 routine management programs.

3 MR. BELLAMY: Do you have any other
4 specifics of the additional boxes that you found in
5 early November? A couple means two or three?

6 MR. KERINS: Well, I believe it was two.

7 MR. BELLAMY: And the levels on those box
8 were --

9 MR. KERINS: Well, they were certainly
10 very low. On the low scale, they were -- I mean they
11 were above backgrounds, but there were no field
12 readings. But there certainly were DPM that was
13 coming off there that was detectable. I didn't
14 quantify it.

15 MR. BELLAMY: What do you do, just for my
16 education, what do you do with waste that is above
17 background before it's ready to be shipped?

18 MR. KERINS: It would be stored. There's
19 a hot waste storage on site so these two boxes we
20 brought them over to the hot waste room.

21 MR. BELLAMY: And they're still there
22 now?

23 MR. KERINS: Right, because of the
24 syringes and vials and even blood components, most of

1 the waste is treated as biological waste, and
2 obviously with recent regulations regarding that,
3 they're incinerated, held for incineration as
4 biological waste products. As a matter of fact, we
5 usually err on that side.

6 MR. COOPER: Do you have similar licensed
7 conditions for other facilities regarding storage of
8 items in an unrestricted area that aren't above
9 background?

10 MR. KERINS: Yes. I mean I think that
11 would be -- again that would be in every license. I
12 think that in many cases, though the facilities --
13 though it's stored in the hot waste room, that in many
14 cases that it goes directly from that hot waste room
15 out to a broker for handling it. It may not in fact
16 be radioactive at that point, but that's the specific
17 site retention. That is one of the sites that has a
18 separate room in an attic mezzanine second floor
19 arrangement that it's stored.

20 MR. COOPER: So it's basically the
21 physical configuration drives you to the process that
22 you use at this facility?

23 MR. KERINS: And I would say yes. It was
24 space that was available, not to clutter the hot waste

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

room. That it was, once it was cold, that it was an unrestricted material that it would get stored upstairs.

MR. COOPER: Just to clarify a point, the checklist that the RSO uses to weekly separately assay the storage area, is that something that's continued since right after this event and in fact continues today?

MR. KERINS: I believe it has. Janet, can you comment on that?

MS. REUTHER: I'm sorry, are you saying is the checklist still in effect?

MR. COOPER: Right, that require a weekly check.

MS. REUTHER: No, not weekly. We do it monthly at this point.

MR. COOPER: Will it stay at monthly or will it be reduced further after a period of time or can you say right now?

MS. REUTHER: I really can't say at this point.

MR. WATERMAN: We'll review that.

MR. COOPER: Any other questions on that issue?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MS. JOUSTRA: The last item appears in section 9 of the report on the NRC section, the apparent failure to provide complete and accurate information, and that is an apparent violation of 10 CFR part 30.

MR. KERINS: Well, specifically very clearly we expect that as an organization that all people really are going to give candid, accurate information to any regulatory inspector and also to any member of management. The incidents of October 31st through about November 7th, I think there was confusion in our minds exactly what had happened. I think it came to corporate that an inspection obviously had occurred, but there was some issues regarding -- we had heard that there were phone calls between various people at NRC and our staff about that, certain things were represented during the meeting, and then that was changed subsequently. We were certainly at a confusion.

And I think I made the first call to Miss Joustra and then talked to Mr. Joyner I guess on a couple occasions trying to figure out what the issue was. Clearly when we went to the site, or when I went to the site on the 6th and 7th, we expected that and

13

1 we told the people that we expect them to tell the
2 truth, I don't care what kind of inspector it is.
3 That's a basic expectation, to tell the truth.

4 MR. COOPER: Has this been communicated
5 throughout your organization?

6 MR. KERINS: That was part -- I think the
7 communication was also part of I think our directive
8 to all of the sites that we expect --

9 MR. COOPER: Would you have a copy of
10 that? Can we make a copy of it or did we get one, do
11 you know?

12 MS. JOUSTRA: I don't believe we got his
13 directive to the other sites.

14 MR. KERINS: I don't believe so. I think
15 specifically that what we did as far as in the
16 corporation was disciplinary actions, that we did take
17 disciplinary action I think against Miss Fire
18 regarding I think two incidents, both the Cincinnati
19 incident and Philadelphia, and then also other
20 individuals in the Cincinnati facility.

21 MR. COOPER: Does anyone have any other
22 comments or questions on that issue? Okay, at this
23 time I'd like to turn it back over to you for any
24 summary or closing remarks you'd like to make after

1 which I'm going to ask our enforcement officer, Keith
2 Christopher to go through where we go from here.

3 MR. BELLAMY: Can I just say something
4 too, maybe we should have jumped in a little sooner,
5 and Mr. Kerins, maybe this is a good lead in to your
6 conclusion, but having been sitting here and listened
7 to everything, I heard no disagreement with any of the
8 violations, and I guess I'm looking for a specific yes
9 or no to that question. And also, if there is
10 anything in the report that anybody believes is in
11 error, this is a good time to point it out. So if you
12 would just address those two in your summary, that
13 would be great.

14 MR. KERINS: Well, I think generally I
15 agree that training certainly was deficient. I think
16 from what I heard in the initial interview and
17 subsequently, I didn't characterize it as specifically
18 as Miss Joustra did, I think 10 people here 3 people
19 there, and that I think generally training was
20 deficient. I will acknowledge that. Going down the
21 list, I would say yes, we agree.

22 MS. SMITH: So for the record, you're
23 admitting all the violations?

24 MR. KERINS: Well, I would say that they

1 did occur. I mean specifics of the authorized user,
2 that did happen.

3 MR. BELLAMY: That was my interpretation
4 as you went through each one. This is wrong, we
5 disagree.

6 MR. CHRISTOPHER: I think we recognize
7 that you have not seen a specific set of violations.
8 You have seen a report that refers and characterizes
9 apparent violations and they are not specific to the
10 regulation. And I think Ron's question is more to the
11 factual issue. If you have a problem with the
12 specific text of a written violation in the subsequent
13 formal documentation, you of course are going to have
14 an opportunity to respond and clarify any position
15 that you would once you get that. So I think Ron is
16 trying to speak to the factual information itself.

17 MR. ROSS: Let me say that I think the
18 record we've made here today speaks for itself on many
19 of these issues, however, before formally admitting or
20 denying, we certainly would like to have a chance to
21 see a final document, whatever that may be so, that at
22 least we have that before us.

23 MR. BELLAMY: Yes, but knowing what your
24 position is now, and like you said, you know, the

1 record speaks for itself and you heard my
 2 interpretation of the record, we will then -- Mr.
 3 Christopher, after you have any summary comments, will
 4 go over actually that process. I don't want to steal
 5 his thunder.

6 MR. KERINS: Well, I guess an admission,
 7 yes, I think the specific incidents, that without
 8 looking down each one of those, training in general,
 9 there was some deficient training that I think we have
 10 covered ourselves. Certainly the authorized user
 11 position regarding the 17th, that was an incident that
 12 I think we notified NRC about. The October 23rd, we
 13 recognize that it did occur, so yes, I do admit that
 14 it occurred on the part of the organization.

15 The decayed wastes were radioactive
 16 materials stored in an unauthorized area, so yes.
 17 Failure to provide complete and accurate information
 18 to the NRC inspector, I guess that's one I have a
 19 little problem with. I wasn't there at the time, so I
 20 don't know what was -- when I did an initial
 21 investigation, I had a specific interpretation of what
 22 I thought was said, what was meant by it what was
 23 interpreted, and obviously inflection and things like
 24 that, so I guess I can't say definitively that was the

14

1 case.

2 MR. BELLAMY: Thank you.

3 MR. COOPER: Okay, with that, Keith would
4 you please provide us with your thunder?

5 MR. KERINS: May I just interrupt for a
6 second?

7 MR. CHRISTOPHER: Also do you understand
8 that any documents that you do give us would become
9 part of PDR records, so if you have any proprietary
10 information in there, you may want to scrub them. I
11 don't know what you're in the process of giving us,
12 but you may want to take a look at that. Once you
13 give it to us, it ends up in the PDR.

14 MR. BELLAMY: Are we or are we not
15 accepting something?

16 MR. KERINS: I think a comment by Mr.
17 Christopher was just raised that if we give it to you
18 that it becomes part of the open record of the
19 meeting.

20 MR. CHRISTOPHER: The point being I don't
21 know what is in the content, just that you need to
22 look at it and determine whether or not there's any
23 type of privacy or proprietary information that has to
24 be withheld from the document and we can do that.

1 MR. KERINS: The specific -- I have the
2 memo on the personnel licensing, but the correction I
3 want to make, I thought that it did address the issue
4 of the expectation of telling the truth, and
5 specifically it does not.

6 MR. BELLAMY: Keep it.

7 MR. KERINS: Okay, if that's the specific
8 issue, this doesn't address it then.

9 MR. SHANBAKY: Before we get to Keith, I
10 wonder if you, looking at it from a big picture point
11 of view, if you see any mitigating circumstances here
12 that you'd like to share with us now, aggravating
13 circumstances which contributed to this problem if you
14 handle it in total.

15 MR. KERINS: Well, I think that
16 specifically at the Philadelphia site that there were
17 issues, turnover, new employees were at the site. a
18 couple of pharmacists that were working at the site
19 were brand new. That we had some pharmacists leaving.
20 That the new pharmacists came in, came out of
21 qualified programs in radiopharmacy. These were not
22 just pharmacists that were subsequently trained.

23 Certainly the issue that the manager had
24 left and Miss Fire was being brought in, I think that

1 has the effect of there wasn't a clear person that's
2 directly responsible for the meeting, responsible for
3 the activities at the site in the absence. That was
4 being resolved, that's why we were bringing Miss Fire
5 in. So I think those were mitigating factors.
6 Specifically some of which we brought up in the
7 meeting we had on November 7th and I think on November
8 21st, I think that the facility itself, that Miss
9 Colangelo was very well liked, was the RSO and manager
10 of the site, she was very well liked by all the staff.
11 As I said, in my initial investigation, I think when
12 Miss Fire came in that she took a very assertive
13 program -- approach to the program. This is the way
14 she wanted it done, that was not necessarily liked by
15 some of the staff, the technician staff that do a lot
16 of the program maintenance. So I think there was a
17 personality conflict unfortunately at the time. And I
18 think she recognized that if she was going to do it
19 over again, she would have addressed that initial
20 start of her tenure quite a bit differently and rather
21 worked with the people, because I think she felt too
22 that the site was generally run very well.

23 MR. SHANBAKY: So you're saying that
24 management style of Miss Fire may have contributed to

1 some of the problems?

2 MR. KERINS: Well, she came in and she
3 was used to doing things her way, that she had --
4 she's been in radiopharmacy a number of years, had
5 directed facilities and she did things the way she
6 wanted to do them. And I think her approach was to
7 direct people to do that. There's theory X's and
8 theory Y's of management that I think more of theory Y
9 would have been appropriate rather than theory X. And
10 I think it caused some personality problems at the
11 site between some of the technicians especially. I
12 think that came out. That was vocalized specifically
13 to me by the technicians that Becky was coming in to
14 change everything.

15 It's not an excuse for program
16 management, but it's -- I think it's a mitigating
17 factor to some extent. And I think it probably
18 exacerbated a communication problem that existed. And
19 I think our expectation that we thought the facility
20 was run very well, it's a big facility, it's a busy
21 facility. From customer reliance perspectives, it was
22 a positive operating facility. It was not one that we
23 had customer problems associated with that. We were
24 aware of it as a well operated facility.

1 MR. SHANBAKY: And was it your
2 expectation that the facility was running well or your
3 assumption that the facility was running well?

4 MR. KERINS: Well, you know, we expected
5 that the routine management would be done by the local
6 facility. We assumed that, you know, the day-to-day
7 activities were being addressed.

8 MR. SHANBAKY: And the reason for your
9 assumption?

10 MR. KERINS: Well, I think we assumed
11 that because in all of the facilities that the RSO,
12 the management staff and the technical staff is aware
13 of what the program requirements are, and they
14 certainly are delegated the responsibility of running
15 that facility on a daily basis. I mean you can't
16 audit quality in no matter what kind of program,
17 you've really got to build it in, and that building
18 this would be from the site level, working with the
19 people in training. And auditing is only a snapshot,
20 whether it's an NRC inspection, whether it's a
21 pharmacy inspection or whether it's a quarterly audit,
22 it's clearly only a snapshot of the facility.

23 MR. COOPER: Anymore questions? Okay,
24 Keith.

1 MR. CHRISTOPHER: My much awaited thunder
2 will probably be a little more than a mild rain here,
3 but let me try to capture very briefly the options
4 that I know Mr. Reynolds I know is certainly well
5 informed of. We have three basic options that we can
6 take here. One is after evaluating your responses to
7 these violations today here as alleged, listening to
8 your responses and in caucusing after this meeting, we
9 can proceed in a couple fashions.

10 First, we can issue an order which would
11 require you to do something in particular, such as
12 bring in independent outside consultants, auditors, or
13 it could go as far to modify, suspend or revoke a
14 license in response to the violations.

15 Secondly, we can issue a notice of
16 violation and a civil penalty for the violation.

17 Third, we can merely issue a notice of
18 violation and no civil penalty. Each of those
19 obviously have different degrees of significance to
20 them. We'll reach that conclusion after this meeting,
21 as I said, by sitting here evaluating what you have
22 told us today, reevaluating your corrective actions
23 and trying to come to a rational and reasonable
24 conclusion in accordance with our enforcement policy

1 as to what, if any, enforcement actions by the NRC
2 should be taken.

3 We'll be considering such things as your
4 prior performance history at this facility, the extent
5 to which and the promptness of your corrective actions
6 to these particular violations. All of those things
7 will go into a pot which we will in essence try to
8 evaluate and reach a conclusion. Once we have done
9 that, which would take a period of approximately six
10 weeks after it goes to our headquarters review process
11 and through our program offices in Washington, you
12 would be informed of that decision in writing and then
13 be directed at that point what type of responses you
14 can make. It is at that time that you would, if the
15 NRC chose to go that route, you would receive a formal
16 list of violations of regulatory requirements which
17 you would certainly have an opportunity to respond to
18 to deny, confirm or whatnot, separately from what we
19 have talked about here at this meeting.

20 You should be aware that if the NRC
21 chooses to believe it is appropriate to issue a civil
22 penalty in this case, that we would issue a press
23 release concurrent with the issuance of that document,
24 although we would insure that you had any such

1 proposal in hand prior to the issuance of a press
2 release in order that you not be caught cold on that.
3 You can also expect to receive an additional document
4 from the staff in a slightly shorter period of several
5 weeks which will be a summary of this meeting and
6 through which you'll also receive a copy of the
7 transcript of the conference.

8 That is a rather brief nutshell of what
9 we will do here after you leave today, and if I can
10 answer specific questions, I'll be happy to try to do
11 so.

12 MR. KERINS: I don't think -- I don't
13 think I have any questions.

14 MR. BELLAMY: I'd like to just clarify
15 and make sure that any enforcement action which we
16 take will be addressed to you at the Nutley, New
17 Jersey address?

18 MR. CHRISTOPHER: That's right.

19 MR. BELLAMY: That was more a question
20 than it was a statement, and the answer is yes?

21 MR. ROSS: I think that's appropriate.

22 MR. COOPER: Let me clarify a point for
23 the record also. I think Mr. Christopher alluded to
24 the fact that we would get you a copy of this

1 transcript. That's not entirely accurate. We will
 2 decide after this meeting, after reviewing the
 3 transcript, whether we'll release it to you. I will
 4 note that if you desire the transcript to be released
 5 to you, that at the same time it's required that we
 6 release it to the public, go the public document
 7 route. So that we will make a decision after we
 8 review the transcript.

9 With that I'd like to make just a couple
 10 of short closing remarks. First, we appreciate you
 11 coming here today to this meeting. We are certainly
 12 interested in hearing from you after we've
 13 communicated to you what the results and conclusions
 14 of our deliberations are after this conference.
 15 Again, we don't know yet what that conclusion will be.
 16 We're interested in working with Medi-Physics in the
 17 future, you taking over this operation and look
 18 forward to a good relationship with you and encourage
 19 you to take what action you need to be involved in the
 20 correction of these violations. In fact, I don't know
 21 if you'll be in a position to do so by the time frame
 22 in which we will conclude our action and transmit that
 23 to Roche and yourself I guess, but we would certainly
 24 hope that you would buy into the commitments that

16

1 Roche makes, if in fact Roche is making those at the
 2 time and if in fact they're not, but you are
 3 certainly -- you would buy into your own commitments.
 4 So I leave you with that thought and again appreciate
 5 you coming here today.

6 MR. KERINS: Can I make just a comment?
 7 I think just in regard to I mean the various levels of
 8 organization, that obviously I'd be remiss that I
 9 think that the corporation has tried from the
 10 corporate management on various levels that when we
 11 became aware to act appropriately, that certainly from
 12 Philadelphia's previous inspection, I think it was,
 13 quote, a clean inspection. There were no NOVs issued.
 14 There were recommendations I think that were given at
 15 that point. So we had that perspective of the
 16 Philadelphia site from a regulatory sense, NRC sense.

17 I think very specifically then that when
 18 we uncovered the issue, when we heard about the issues
 19 of October 31st and confusions, I think that we
 20 instituted on our own our own investigation of what
 21 was going on. We contacted the NRC to get whatever
 22 information we could from you as to what the issues
 23 were at the site because it was confusing. I think
 24 that we did our own investigation; we certainly had

1 one meeting with the NRC. We represented what we
2 thought at the time and I think over the period of a
3 couple months that we found other things that were
4 happening. The September 17th issue, we record that I
5 think we voluntarily reported that to the NRC, that we
6 came in prepared with an action plan at that, I think
7 the reporting to appropriate organizations like the
8 Board of Pharmacy, I think even when the Cincinnati
9 issue came about and that came through the chain of
10 command.

11 I would say that if anything, the
12 training or the communication worked because it was
13 actually a pharmacist in Cincinnati that brought it to
14 the regional manager's attention that there was an
15 issue in Cincinnati. And I think that we were up
16 front and reported that completely to both Region III
17 and Region I. That there was a similar incident
18 involving Miss Fire was at least part of the
19 investigation that was going on here. I think we've
20 carried out the plans that we had set forth in the
21 November 21st issue, which included various things
22 from training on-site people to even people like Miss
23 Fire who we sent to an alternate site for training, at
24 another NRC site just to go through, work for a week

1 specifically going over issues like adherence to
2 regulations and that type of training. So I think
3 that we are committed to operate a program and I think
4 that we've tried to be forthright with all of our
5 preparations and make all the reportings that were
6 appropriate.

7 MR. COOPER: We appreciate that. Does
8 headquarters have any comment or have any questions?

9 MR. ROSANO: No, not at this time.
10 Although I would like, when this breaks up, I would
11 like Keith to call me prior to the panel meeting at
12 492-0718.

13 MR. COOPER: Okay.

14 MR. CHRISTOPHER: Okay, Dick.

15 MR. REYNOLDS: Mr. Cooper, can you
16 provide us your schedule for processing and acting
17 upon the license transfer application?

18 MR. COOPER: I guess I'll defer to Mr.
19 Glenn.

20 MR. GLENN: I don't think we can answer
21 precisely that question. I think certainly we're
22 going to discuss that after the meeting today and make
23 a decision on how fast we can proceed with that.

24 MR. REYNOLDS: Do you see it intertwined

1 with this pending matter?

2 MR. GLENN: Yeah, unfortunately. One of
3 the reasons we have for wanting to give prior approval
4 to a transfer is so that this kind of issue can be
5 resolved before we get in the middle of the transfer,
6 and certainly it has caused implications for us. I
7 won't go into details, but it is a problem.

8 MR. KERINS: Is there any specific
9 format? Certainly I think it's in the best interest
10 of the NRC and I think Amersham Medi-Physics and RPSC
11 to resolve. Obviously we can propose certainly
12 corrective actions and send them to Amersham for their
13 concurrence or non-concurrence I guess, but is there
14 any format that's preferred by the NRC that would
15 expedite the issues?

16 MR. BELLAMY: I'll comment on that.
17 You've heard today the apparent violations. If one
18 assumes that we would issue those apparent violations
19 as notices of violation with whatever correspondence
20 we issue, my staff would look for a very specific
21 response to each of those issues with respect to what
22 are your corrective actions for that specific issue
23 and who has responsibility and what is the time frame
24 for implementing those corrective actions.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. KERINS: Okay.

MR. BELLAMY: I don't know if that helps you, but --

MR. KERINS: No, I think that's expected.

MR. WATERMAN: Mr. Cooper, could I offer a closing comment from my side of the table over here? Medi-Physics appreciates the opportunity to attend the conference this afternoon and I think to get some insights into the issues that concern you and some more specifics of what has gone on in the past. Obviously we, through Medi-Physics and Amersham Company will review the situation carefully both across the NRC regulated pharmacies and also the pharmacies that are in agreement states.

We also intend to review this carefully with our parent corporation in England. They bring significant experience and expertise I think to the field of radiochemistry and radiation in particular. That's the whole reason for being and has been since the inception of the company just before World War II. Having done that, we would like then to have the opportunity to come back to you and communicate with you our plans and our positions specifically in response to whatever action comes out of this

17

1 afternoon's conference. There is a possibility that
2 we might have a different perspective and might want
3 to discuss with you a different approach to addressing
4 some of the concerns that assure compliance in the
5 future.

6 MR. COOPER: What do you feel is the time
7 frame by which you would be able to do that? For
8 instance, as I think Mr. Christopher mentioned, I
9 wasn't paying total attention at the time, by which we
10 would normally take our action --

11 MR. CHRISTOPHER: We're looking about six
12 weeks.

13 MR. COOPER: Which would normally be
14 about six weeks or so from now. Rather than have
15 Roche respond in one manner to whatever we come up
16 with, assuming we come up with something, and then you
17 come in a week later and say well, that's not right,
18 this is because we've done all our homework and we
19 think since we're taking over the operation we're
20 moving in this direction, I'd rather not have that
21 type of thing occur.

22 MR. REYNOLDS: May we consult?

23 MR. COOPER: Sure.

24 MR. WATERMAN: Mr. Cooper, perhaps a

1 hybrid response, as my friend and advisor here
 2 suggested, whereas Roche would address what's going on
 3 in the past and Amersham Medi-Physics could address
 4 plans for the future.

5 MR. REYNOLDS: Response to your
 6 enforcement action.

7 MR. COOPER: Right, I think that would be
 8 acceptable because I'd rather not spend our and your
 9 resources having another one of these sessions at a
 10 future date if we can at all help it.

11 MR. GLENN: Let me add I guess maybe one
 12 thing that we could do is perhaps your responses, your
 13 commitments to the future could be framed in such a
 14 way that they could be considered part of the
 15 licensing section to issue the new license, then we
 16 could get those commitments as part of the licensing
 17 action.

18 MR. REYNOLDS: The problem I see in that
 19 is we would like licensing action before six weeks
 20 plus 30 days, which is what it will take to finish
 21 this enforcement conference. Is it infeasible for us
 22 to expect licensing action that quickly?

23 MR. COOPER: I think we're going to have
 24 to discuss that.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. GLENN: I can't make any commitments.

MR. COOPER: We can't make a commitment here right now.

MR. KERINS: I think from our perspective it's obviously in the best interests I think for both the NRC and the two organizations for the license to transfer. Not that we're trying to snub any responsibilities. Certainly we're willing to give any recommendations for the future that Amersham Medi-Physics would like to use or not use. Unfortunately, we don't have the resources now. They have all been transferred. But we can respond to the past obviously, but at best I think we can respond to future actions I guess in concert with Amersham and come up with a unified response, but again, that's a timing issue.

MS. SHIRK: It would appear to me that the corrective actions that you're requesting are all future oriented, so we are limited. We would be responding to an NOV but not in fact being able to enact it.

MR. REYNOLDS: That's the proposal, that it would be a hybrid response where we take the responsibility for responding on the corrective action

1 front. And that's acceptable to the NRC?

2 MR. COOPER: Yes.

3 MS. SHIRK: So we're talking about a
4 joint response then?

5 MR. KERINS: Well, is it a joint
6 response. I guess the details of how to respond
7 then --

8 MR. ROSS: I'm certain that we can work
9 out details.

10 MR. REYNOLDS: I think Mr. Ross and I can
11 work that out.

12 MR. ROSS: We can make some kind of
13 accommodation.

14 MR. COOPER: Okay, thank you very much.

15 (Proceedings closed.)

16 ---

17

18

19

20

21

22

23

24