

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of	§	
	§	
HOUSTON LIGHTING & POWER	§	
COMPANY	§	Docket No. 50-466
	§	
(Allens Creek Nuclear	§	
Generating Station, Unit	§	
No. 1)	§	

Material Facts As To Which There Is  
No Genuine Issue to Be Heard

1. This contention is based upon instrumentation problems that occurred at older BWRs. Significant design differences exist between the systems cited by Intervenor and the ACNGS Rod Pattern Control System (RPCS) such that past problems will not occur at ACNGS. (Affidavit, pp. 1-2)

2. The RPCS design already incorporates changes which alleviate the source of past problems; the most significant changes are listed below:

(a) The RPCS is a dual-channeled, hardwired system that cannot be bypassed.

(b) Redundant sensors, in the form dual magnetic reed switches installed on a probe in the control rod hydraulic drive, are used to determine rod position.

(c) Any failure of any component interrupts the permissive signals necessary to produce rod movement.

(Affidavit, p. 3)

3. The RPCS system prevents unacceptable rod patterns, including limited input substitutions, when operated within the detailed technical specifications. (Affidavit, pp. 4-7)

4. The reliability of the RPCS will be demonstrated by the start-up and pre-operational test programs of the lead BWR/6 plant. ACNGS will demonstrate specific system reliability through testing of the RPCS in accordance with Regulatory Guide 1.68, "Initial Startup Test Programs for Water-Cooled Reactor Power Plants." (Affidavit, p. 8)

IN THE UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF: )

HOUSTON LIGHTING AND POWER )  
COMPANY,

(ALLENS CREEK NUCLEAR )  
GENERATING STATION,

UNIT NO. 1) )

DOCKET NO. 50-466

DEPOSITION OF:  
JOHN F. DOHERTY



*International Court Reporters, Inc.* 17 67

1 a factual basis is Mr. Webb's book?

2 A. Yes.

3 Q. I didn't want to overlook anything.

4 A. Yes.

5 Q. Okay.

6 A. I'm prepared to stay quite late, if  
7 that's your wish.

8 Q. Let me see how many more we have.

9 A. Probably quite a lot.

10 MR. RIDDLE: Cfr the record.

11

12 (WHEREUPON, there was a discussion  
13 held off the record.)

14

15 MR. RIDDLE: Let's take a break.

16

17 (Short Recess)

18

19 Q. (By Mr. Riddle) All right. Let's discuss  
20 your contention on red pattern control system  
21 which is your number 12.

22

23 Do you know for a fact that Dresden III  
24 has an RPCS system identical to that designed for  
ACNCS?

25

A. Do you want to give her anything?

1 Q. She has them already.

2 A. In reply to your question, I don't  
3 believe it does.

4 Q. Are they substantially similar?

5 A. I can't tell that for certain. There  
6 are some differences, I'm pretty certain.

7 Q. Are these differences pertinent to this  
8 contention?

9 A. I'm not all together certain there are  
10 circuitry differences as I understand them, and  
11 they've been made way since Dresden was  
12 constructed in '73.

13 Q. Well, what was inoperable at Dresden  
14 that you allege will be equally inoperable at  
15 Allens Creek?

16 A. The rod worth minimizer was inoperable  
17 throughout the power decent by volition of the  
18 operator.

19 Q. Do you believe that Allens Creek will  
20 have a rod worth minimizer?

21 A. No. There's nothing labeled about that.

22 Q. Well, then of what relevance is the  
23 inoperability of the rod worth minimizer? Allens  
24 Creek is not going to have a rod worth minimizer?

25 A. Allens Creek will have a system of

1 control rod worth which will have substantial  
2 similarity, I guess is the term for it, which  
3 will have a similarity to this.

4 All of these reactor systems require  
5 some way of controlling the insertion of the  
6 control rods; the amount each are removed -- it's  
7 the removal that's important of the rods. There  
8 will be a type of control for that.

9 Q. You allege that Allens Creek will have a  
10 system substantially similar to the rod minimizer --

11 A. It will be bypassable.

12 Q. How will you bypass the similar system  
13 at Allens Creek?

14 A. I never have seen one. I don't know.

15 Q. Then how do you know it will be  
16 bypassable?

17 A. I've never seen a statement by applicant,  
18 Counsel, that it would be impossible to bypass  
19 the rod worth or the rod pattern control system  
20 of ACNCS.

21 Q. What do you mean by "impossible"?  
22 Beyond the ingenuity of man?

23 A. No. Beyond the ingenuity of the control  
24 room operators.

25 Q. Why would a control room operator have

1 any interest in bypassing a system?

2 A. It's a pretty slow and tedious process  
3 to ascend. It requires a good deal of  
4 concentration.

5 Q. Where did you learn this fact that the  
6 option of Allens Creek is slow and tedious?

7 A. In a letter from Alvin Epler which is  
8 out of the room at the moment, I believe.  
9 Perhaps it's here. He's cited a number of the  
10 problems, and that's one of them according to him.  
11 He's a former member of the ACPS.

12 Q. Mr. Epler has commented on the ACNCS --

13 A. Mr. Epler has commented on EWR control  
14 systems similar to -- well, for EWR's.

15 Q. Are all EWR control systems identical?

16 A. No. This is a new one as we've cited

17 Q. And Mr. Epler commented on this new one?

18 A. I'll check that. I'm not certain  
19 there's any experience with this system that is  
20 proposed. He does not speak of the RPCS directly,  
21 but he speaks of EWR's.

22 Q. So you're just extrapolating at best on  
23 your conclusions that the reactor operators at  
24 ACNCS will have a reason to try to bypass the  
25 system which is equivalent to the rod worth

1 minimizer?

2 A. Well, they will have reason to bypass  
3 the system certainly for some rods if they have a  
4 stuck rod, because it will be hazardous not to  
5 bypass under those conditions.

6 Q. Is your contention limited to the stuck  
7 rod considerations?

8 A. No. This contention is not limited to  
9 stuck rod situations.

10 Q. Well, then, taking for granted your  
11 assertions that operators will want to bypass it  
12 for stuck rod conditions, how will they bring  
13 this desire into fruition? How will they bypass  
14 this system?

15 A. Apparently, there is a way to simply  
16 remove the control. I do not know what button is  
17 pushed.

18 Q. Why do you glean the fact that it is  
19 possible to do so?

20 A. From the fact that it's never been  
21 stated that it's not -- that it is impossible.

22 Q. And that's the sole basis for your  
23 assertion?

24 A. At the moment that's the sole basis for  
25 the assertion that it's possible.



1 Q. You have not stumbled across a statement  
2 to the contrary?

3 A. That's correct. I've never come across  
4 the statement that it's impossible.

5 Q. What's your definition of "impossi-  
6 bilities" so that if you encountered such a  
7 statement you would afford it any credulity?

8 A. Well, it's hard to formulate a  
9 definition of "impossible" for this situation in  
10 a moment.

11 Q. Let me pose for you a possibility:  
12 We're talking about integrated circuits. I guess  
13 the hardest situation to overcome in an inte-  
14 grated circuit is hardware where you don't have  
15 movable connections soldered in place, if you  
16 will, so you have to go in and rewire the  
17 terminal and the whole complex to alter it's  
18 characteristics. Does that meet your definition  
19 of "impossible"?

20 A. Yes, it does.

21 Q. Let me return to Dresden briefly to make  
22 sure I understand the relevance of that reference.

23 If I understood what you said correctly,  
24 what was inoperable at Dresden was rendered  
25 inoperable voluntarily or purposely?

1 A. Yes. My understanding is that that's  
2 true.

3 Q. You do not now have a basis for  
4 asserting that that same system will exist or  
5 that the similar system which might exist will be  
6 similarly vulnerable to purposeful overrides; is  
7 that correct?

8 A. I think I answered that somewhat earlier.

9 Q. All right. Very well. Would you tell  
10 me whether or not Quad Cities units 1 and 2 have  
11 an RPCS system similar to that Allens Creek?

12 A. I'm almost certain they are not  
13 identical. They may be, but I'm not certain at  
14 the moment.

15 Q. You don't have a definitive basis for  
16 making a comparison for the same reasons that you  
17 didn't in Dresden?

18 A. I don't know the Quad Cities system.  
19 Some of these may have been -- some of these are  
20 modified.

21 Q. What was inoperable at Quad Cities which  
22 would be similar at Allens Creek?

23 A. I believe the same problem occurred at  
24 Dresden and Quad Cities.

25 Q. This is the same thing over again?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A. Yes.

Q. How about Millstone? Do they have an identical system, and what was inoperable there?

A. I believe that they had a rod worth minimizer system in Millstone.

Q. All right. So we're still in the Dresden mode then; correct?

A. Yes.

Q. Brunswick-27

A. Same.

Q. So of all of these four references you make, it all centers on the purposeful override of the rod worth minimizer?

A. Well, all of those can be -- were overridden by the operators.

Q. And it was the rod worth minimizer in each case?

A. I believe so.

Q. So that is the portion of the system that is in focus in this contention, the ability to manually override the rod worth minimizer or its equivalence?

A. I don't have a copy of the contention with me, but it sounds to me that that's the problem.

1 Q. You may want to take a look at it.

2 A. Thank you. Well, in the case of  
3 Brunswick, there was a failed circuit which  
4 bypassed -- caused bypass of the system.

5 Q. Caused bypass of the rod worth minimizer  
6 system again?

7 A. Yes. I believe that's right. It was  
8 not voluntary. Therefore, I was concerned about  
9 similar events here.

10 Q. All right. In other words, there was a  
11 circuitry failure which impaired the automatic  
12 control functions of the rod worth minimizer?

13 A. Yes. Apparently it went undetected for  
14 quite sometime.

15 Q. So it was possible then to operate  
16 contrary to what the properly functioning rod  
17 worth minimizer would allow?

18 A. Yes.

19 Q. Okay. Is there any other amplifications  
20 you want to make on those references?

21 A. I think that's all.

22 Q. Okay. Were any of the reportable  
23 occurrences in BWR's in 1977 which you reference  
24 here which were reported in the instrumentation  
25 and control area concerned with the RPCS system,

1 to your knowledge?

2 A. No. Not to my knowledge.

3 Q. What is an average power range monitor?

4 A. All right. The average power range  
5 monitor is essentially a computing device which  
6 takes input from the local power range monitors  
7 and converts it into a meaningful figure; perhaps,  
8 converts it to six displayed numbers which  
9 indicates the neutron flux in the core. It's an  
10 averager.

11 Q. What's its relationship to RPCS?

12 A. Its unreliability would tend to create a  
13 more serious accident when the rod worth  
14 minimizer or -- what do you call it? The RPCS is  
15 inoperative or bypassed.

16 Q. Why would that be so if it's just an  
17 indicator of core conditions?

18 A. Well, that's almost the answer. If it  
19 fails to give a correct analysis of the core  
20 conditions, then the operator might well proceed --

21 Q. Excuse me. I understood that RPCS was an  
22 automatic system; that it was independent of  
23 operator action?

24 A. Well --

25 Q. Are you telling me that the RPCS --

1 A. If it's bypassed it's not.

2 Q. All right. So APRM plays a role only if  
3 it is bypassed?

4 A. Or inoperative.

5 Q. All right. Or inoperative?

6 A. I guess that's right.

7 Q. What is surplus neutron flux?

8 A. It's the same thing as reactivity  
9 increase.

10 Q. Is APRM measuring reactivity --

11 A. It would indicate -- yes, it would  
12 provide an indication of that

13 Q. How would it indicate reactivity?

14 A. It would indicate rapidly increased  
15 fissioning in a locale of the core. Maybe not  
16 well, but it would.

17 Q. All right.

18 A. There's a good chance of it.

19 Q. I thought it was an averager?

20 A. As an averager, it would -- it might be  
21 averaging a high enough number that it might be  
22 visible to the operators that one part of the  
23 core was fissioning much more than others, and  
24 more than they thought was desirable.

25 Q. All right. Am I correct in assuming

1        chat this is again just a prelude to a scenario  
2        which envisions the bypassing or failure of the  
3        rod worth minimizer equivalent resulting in an  
4        unanalyzed serious accident?

5            A.    I think you said that right.

6            Q.    All right.  It will not necessarily  
7        cause the accident, but it will contribute to its  
8        severity; is that a correct summary?

9            A.    No.  It could cause an accident.

10          Q.    How will it cause the rod pattern  
11        control system to malfunction?

12          A.    Now, let's get this all in line.  If the  
13        rod pattern control system is not used, there is  
14        danger of reactivity insertion due to removal of  
15        core rods or of control rods.

16          Q.    All right.  This contention says to me,  
17        in the first case, that it is possible to have an  
18        override or malfunction in the RPCS system giving  
19        rise to an unanalyzed reactivity accident?

20          A.    All right.

21          Q.    That's the basic hypothesis.  The  
22        question is:  What can cause the RPCS to so  
23        malfunction?  I believe we've identified operator  
24        action and failed circuits.

25                We then started a discussion on a PPM's.

1 And it's my understanding that they don't  
2 contribute to the failure to the ACBS, but can  
3 exacerbate the results of a failed RPCS system;  
4 correct?

5 A. Yes.

6 Q. All right. You make reference to power  
7 range instrumentation or failures of power range  
8 instrumentation.

9 Are any of the reportable occurrences in  
10 SWR's in 1976 and '77 referenced in your  
11 contention involving power range instrumentation  
12 also concerned with the RPCC system?

13 A. I don't believe so.

14 Q. All right.

15 A. I don't believe anything was said about  
16 the RPCC system in those statistics at all. I'm  
17 not certain.

18 Q. What is the relevance of those  
19 statistics?

20 A. The statistics were provided on the ABBM  
21 only, I guess. I don't think there are any  
22 statistics on RPCC.

23 Q. You say here that power range  
24 instrumentation contributed to 36 reportable  
25 occurrences in SWR's in '77 and 17 in 1976?



1 A. Yes.

2 Q. And those were extracted from the  
3 Nuclear Safety Tabulations?

4 A. Yes.

5 Q. And my question is, simply stated, so  
6 what? What does that have to do with the --

7 A. Those figures were put in to establish  
8 the unreliability of the AFBM system.

9 Q. All right.

10 A. The AFBM systems were mentioned to  
11 indicate how the ECIS failures or bypasses might  
12 be more serious.

13 Q. All right. Okay. Let's go to your  
14 contention number 46 which I call short reactor  
15 period.

16 Do you have anything that needs to be  
17 duplicated from that last one?

18 A. One item.

19 Q. I want to ask you a few preliminary  
20 questions on the actual physical events. Would  
21 you describe for me how a rod can be uncoupled  
22 from its drive?

23 A. Well, there have been several reported  
24 ways. I will attempt to find them.

25 Say again. I'm sorry. I don't have the