

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of

HOUSTON LIGHTING & POWER  
COMPANY

(Allens Creek Nuclear  
Generating Station, Unit  
No. 1)

\$  
\$  
\$  
\$  
\$  
\$  
\$

Docket No. 50-466

Material Facts As To Which There Is  
No Genuine Issue To Be Heard

1. The analysis of the control rod drop accident assumes the worst possible circumstances and sequence of events. Based on these assumptions, no other credible sequence of events can add positive reactivity at a faster rate.

(Affidavit, pp. 2-4)

2. The maximum individual rod worth under these worst case assumptions is restricted by the operation of the Rod Pattern Control System (RPCS). (Affidavit, pp. 4-5)

3. The maximum incremental rod worth possible under the restrictions of the RPCS and technical specifications is approximately .8 percent  $\Delta K$ . This calculates to a maximum of 135 calories/gram specific fuel enthalpy, or 145 calories/gram below the design limit. (Affidavit, p. 5)

8008190111

80-855  
EAF/COMP

Doherty Contention No. 24/  
Rod Drop

COST \$ \_\_\_\_\_  
PAID BY PLA. DEF.

IN THE UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF: )

HOUSTON LIGHTING AND POWER ) DOCKET NO. 50-466  
COMPANY,  
(ALLENS CREEK NUCLEAR )  
GENERATING STATION,  
UNIT NO. 1) )

DEPOSITION OF:  
JOHN F. DOHERTY



International  
Reporters, Inc.

160

1917 Bank of the Southwest Building • Houston, Texas 77002 • (713) 652-5911

1 through.

2 C. So you do feel yourself in a position to  
3 exercise a superior judgment?

4 A. I think there would be no reason for  
5 admitting the contention unless something were  
6 expected or at least some right.

7 C. You'll have to take that up with the  
8 Board.

9 A. All right.

10 C. Let's move to your contention on rod  
11 drop?

12 A. That's 24?

13 C. Yes, sir. This is another one that's  
14 been restated by the Board.

15 A. All right. Perhaps you could read that  
16 to me. I don't have the Board's order with me.

17 C. Here you are.

18 A. All right.

19 C. Would you explain to me your  
20 understanding of the relationship between rod  
21 worth and peak energy yield?

22 A. Basically the -- simplistically, the  
23 greater the worth of the rod the more -- what was  
24 the second part?

25 C. Peak energy yield?

1 A. Peak energy yield?

2 Q. Yes.

3 A. If the time is constant, then the rod  
4 drop worth will be in direct relation to the peak  
5 whatever you said. I missed it.

6 C. Peak energy yield?

7 A. Peak energy yield.

8 C. So that you have a rod of maximum worth  
9 in the core that will generate a specific peak  
10 energy yield and no more, since there's a direct  
11 one to one correlation; is that your under-  
12 standing?

13 A. My understanding is that if the rods  
14 move at the same speed --

15 C. We're talking about a drop rod.

16 A. All right.

17 C. So that acceleration of the rod will be  
18 32 --

19 A. If you get a drop exactly fitting that  
20 dropping against the velocity limit and --

21 Q. Well, I wasn't speaking as to the actual  
22 velocity. I was talking about the acceleration  
23 that was trying to force the rod down against  
24 resistant forces. That acceleration of gravity  
25 32.2.

1 A. Okay.

2 Q. So that it can only go so fast.

3 A. All right.

4 Q. Any drop rod is going to go only so fast.

5 A. Right.

6 Q. So, I was asking if your understanding  
7 was that if you have a rod of maximum worth, that  
8 that will produce a certain calculable peak  
9 energy yield on a direction one to one  
10 correlation?

11 A. The last part bothers me a little bit.  
12 I suppose the answer is yes.

13 Q. Let me state it backwards. Is it  
14 possible to limit rod worth so that the maximum  
15 rod worth cannot produce a peak energy yield  
16 greater than the design limit?

17 A. I'm not sure.

18 Q. Then on what do you base your conclusion  
19 that it is possible to have a drop rod which will  
20 exceed 280 calories per gram peak energy?

21 A. Well, if the underlying calculations are  
22 inadequate, then you can get that.

23 Q. Has this been an error in calculation or  
24 an error in the prediction of maximum rod worth  
25 as you understand it?

1           A. The resulting rod worth could be in  
2           error.

3           Q. Let me try it again.

4           A. Any of those can be an error.

5           Q. Let's say that GE predicts and provides  
6           that its maximum rod worth will be one percent  
7           any time over core life, and that dropping this  
8           rod will then produce a peak energy yield of 200  
9           calories per gram. I don't attest to either of  
10          those two figures. I'm just assuming.

11          Is your contention concerned with the  
12          calculation which translates the one percent to  
13          200 calories per gram, or is your contention  
14          concerned with the fact that GE has asserted that  
15          the maximum rod worth is one percent?

16          A. Well, they ought to be able to figure  
17          out what percentage they do. So I think it's  
18          the first part.

19          Q. The first part being that you believe  
20          that GE has incorrectly calculated or predicted  
21          the consequence of a maximum rod worth of one  
22          percent dropping?

23          A. Yes. They incorrectly predicted the  
24          consequences.

25          Q. All right. So that they have

1 established the maximum rod worth, but they are  
2 incorrect about their conclusions as to the peak  
3 energy yield which results from dropping that rod,  
4 and that's the contention?

5 A. No, I'm afraid not. I hate to  
6 frustrate you. I know you're upset about it.

7 Q. All right. What is the contention?

8 A. Both.

9 Q. Do you contend that General Electric has  
10 not predicted the rod of maximum worth and,  
11 furthermore, even if they were so dumb lucky  
12 to predict the rod maximum worth, they can't  
13 predict, from what you base your conclusion on,  
14 that GE has not predicted the rod of maximum  
15 worth?

16 A. On the data given me by Mr. Webb where  
17 he cited the data supplied on the Montague  
18 nuclear plant.

19 Q. This again is in his book?

20 A. Yes.

21 Q. Can you give me a chapter --

22 A. Not really. But with a little looking  
23 around, I could get to it.

24 Q. That's all right. If it's in there,  
25 that's fine. This is his Accident Hazard book?

1 A. Yes.

2 Q. Is there anything else that you have  
3 that states GE has not properly predicted maximum  
4 rod worth?

5 A. No. I don't have any reference that  
6 specifically states that.

7 Q. All right. That's your sole basis there.  
8 Now about the part which says that given a  
9 maximum rod worth, GE has miscalculated the peak  
10 energy yield? What do you base that conclusion  
11 on?

12 A. The same source.

13 Q. This is Mr. Webb's book?

14 A. Yes.

15 Q. Is that the only source of that  
16 conclusion as well?

17 A. Yes.

18 Q. Have you examined applicant's analysis  
19 of the rod drop accident?

20 A. I'm pretty sure I have.

21 Q. You have examined that analysis?

22 A. Yes.

23 Q. Can you point to me the part where (A)  
24 the rod of maximum worth has been overlooked, and --

25 A. No.

1 C. There's no identifiable part in there  
2 where that occurs?

3 A. At this time, I don't have anything to  
4 show you, that.

5 C. But you know it exists in there?

6 A. Yes.

7 C. Based on Mr. Webb's book?

8 A. Yes.

9 C. Which predated this analysis by how many  
10 years do you think?

11 A. One.

12 C. One?

13 A. Yes.

14 C. How did you decide that there was a year  
15 separation between them?

16 A. Well, my understanding and memory and  
17 perhaps not perfect, but I thought Mr. Webb's  
18 book came out in '76, and the PSAR is amended up  
19 to 1977 here. It appears to have been --

20 C. At least a year?

21 A. Yes.

22 C. All right.

23 A. It appears that way.

24 C. Does the same hold true for the second  
25 portion of the errors that is the miscalculation

1 of peak energy yield given a rod worth?

2 A. Yes.

3 C. You don't have an identifiable portion,  
4 but you believe it's in there?

5 A. That's right.

6 C. All right. What rod worth would you  
7 need to drop to produce an energy deposition of  
8 200 calories per gram or greater?

9 A. I think .7 percent.

10 C. Where did you get .7 percent?

11 A. That would exceed the -- that would  
12 exceed the percentage of neutrons in the  
13 fissioning which would be sufficient to insert  
14 reactivity.

15 C. Excuse me.

16 A. Surely.

17 C. You say that any rod worth greater than  
18 .7 percent will produce energy depositions  
19 greater than 200 calories per gram?

20 A. Didn't you say 200 a minute ago or 200?

21 C. I believe the limit is 200. I may have  
22 misspoke.

23 A. I believe you'll exceed the limit with  
24 that.

25 C. The basis for that conclusion is --

1 A. Mr. Webb's book.

2 Q. -- Mr. Webb's book again. That's the  
3 sole basis?

4 A. Yes.

5 Q. All right. Have you spoken to Mr. Webb  
6 about testifying in this proceeding?

7 A. Yes. I think it would be fair to say  
8 that.

9 Q. Did he indicate any interest about that?

10 A. No.

11 Q. You do not now --

12 A. I don't think he will take the stand and  
13 testify.

14 Q. He's a wise man.

15 A. Say again?

16 Q. Never mind. We've agreed that -- well,  
17 I shouldn't say that. You've testified that a  
18 rod of .7 percent or greater will exceed 200  
19 calories per gram.

20 Do you believe that a rod of this worth  
21 will exist in ACNCS core at any time over the  
22 core life?

23 A. Yes.

24 Q. What's the basis for that conclusion?

25 A. The bypassed rods --

1 C. Pardon me?

2 A. Bypassed rods -- rods bypassed by RCIS  
3 system.

4 C. How do you bypass a rod in the RCIS  
5 system?

6 A. You put it in the closed position.

7 C. I'm sorry. You put what in the closed  
8 position?

9 A. The control rod in the fully -- one  
10 notch beyond the fully inserted position. You  
11 leave it there and/or park it there as they say.

12 C. You're saying that any rod one notch  
13 beyond fully inserted will give you a rod worth  
14 of .7 percent or greater?

15 A. Depending on the condition of the  
16 insertion of the other rods.

17 C. What does that have to do with bypassing  
18 the RCIS?

19 A. Well, essentially it's to describe the  
20 situation whereby the reactors at low power, the  
21 rods are mostly inserted and one is dropped from  
22 the full in position.

23 C. Well, I can understand that scenario.  
24 But what does that have to do with bypassing  
25 which intimates some unauthorized operation of

1       the system?

2           A.   The term I used is perhaps -- I think  
3           that's the term they used.

4           C.   Who is they?

5           A.   I've seen it used in my reading of --  
6           well, it's part of contention 12 which I don't  
7           have with me.

8           C.   Your contention 12 is --

9           A.   On RPCCS.

10          C.   So you believe that it is possible to  
11          manipulate the RPCCS system and produce a rod of  
12          sufficient worth to exceed designed peak energy  
13          use?

14          A.   Yes.

15          C.   Is it necessary to manipulate the RPCCS  
16          system to get this rod worth?

17          A.   I'm not certain that's the only way you  
18          can do it or not.

19          C.   Is it your understanding that the RPCCS  
20          system exists to assure that rod worth maximums  
21          are not exceeded?

22          A.   Yes.

23          C.   So that coincides with your belief that  
24          you have to alter or somehow fail the function of  
25          the RPCCS to produce this excessive rod worth?

1 A. Yes. That would be sufficient.

2 Q. So that your dropped rod and RPCC picked  
3 up at the same point or coincide?

4 A. They tend to coincide there, yes.

5 Q. All right. Tell me this, since we have  
6 presaged that contention: your belief that the  
7 RPCC system can be so manipulated, does that also  
8 spring from Mr. Lebb's book like this --

9 A. No. I don't think he mentions that. If  
10 you're interested, I think it's the book called  
11 "Mugget File."

12 Q. We'll get to that contention in a little  
13 while.

14 A. Okay.

15 Q. Let me see if I can summarize where we  
16 are on this contention.

17 You believe that it is possible to  
18 manipulate the RPCC system and produce a rod of  
19 maximum worth greater than that accounted for by  
20 General Electric, and that dropping this rod will  
21 then exceed 200 calories per gram contrary to the  
22 calculations performed by General Electric?

23 A. Yes, sir.

24 Q. All right. Let me try one other thing.  
25 I believe that the only references we've made to

1 a factual basis in Mr. Lebb's book?

2 A. Yes.

3 Q. I didn't want to overlook anything.

4 A. Yes.

5 Q. Okay.

6 A. I'm prepared to stay quite late, if  
7 that's your wish.

8 Q. Let me see how many more we have.

9 A. Probably quite a lot.

10 MR. FIDDLE: Cfr the record.

11

12 (VIEFELDOW, there was a discussion  
13 held off the record.)

14

15 MR. FIDDLE: Let's take a break.

16

17 (Short Recess)

18

19 Q. (By Mr. Fiddle) All right. Let's discuss  
20 your contention on rod pattern control system  
21 which is your number 12.

22 Do you know for a fact that Dresden III  
23 has an RPCS system identical to that designed for  
24 ACNCS?

25 A. Do you want to give her anything?