

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of	\$	
	\$	
HOUSTON LIGHTING & POWER	\$	
COMPANY	\$	Docket No. 50-466
	\$	
(Allens Creek Nuclear	\$	
Generating Station, Unit	\$	
No. 1)	\$	

Material Facts As To Which There Is  
No Genuine Issue To Be Heard

1. Because of the configuration of the systems, it is physically impossible for SCRAM Discharge Volume pressure or Containment pressure to exert a force on a control rod drive (CRD) in a direction which drives it out of the core. (Affidavit, pp. 4-7)
2. Even assuming a breach below the CRD drive piston, the resulting rod withdrawal velocity is much less than that assumed for the design basis rod drop event. (Affidavit, pp. 7-8)
3. Even assuming that the control rod drive separates from the vessel, the resulting ejection cannot produce a reactivity insertion rate greater than that calculated for the bounding rod drop accident because the CRD can eject only as far as the gap between the CRD and a specifically provided support housing; this passive, physical restraint limits the distance and time of

8008190124

rod withdrawal and, hence, the reactivity addition rate.

(Affidavit, pp. 8-10)

4. The SL-1 reactor is totally dissimilar to the reactor configuration and operation of a BWR. The SL-1 incident cited by Intervenor does not provide any meaningful comparison with BWR rod ejection possibilities. (Affidavit pp. 10-11)

IN THE UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF: )

HOUSTON LIGHTING AND POWER )  
COMPANY, )  
(ALLENS CREEK NUCLEAR )  
GENERATING STATION, )  
UNIT NO. 1) )

DOCKET NO. 50-466

DEPOSITION OF:  
JOHN F. DOHERTY



*International Court Reporters, Inc.* 187

1           C.    The title is "TMI-2, Lessons learned  
2 Task Force Report," and it is referenced in your  
3 contention.

4           A.    Thank you, Mr. Fiddle. I don't have a  
5 copy of that contention with me.

6           C.    Why don't you borrow this copy?

7           A.    Thank you. In NUREC-0570, the statement  
8 was that they recommended that cold shutdown be  
9 achievable in 24 hours without reference to  
10 reactor type.

11          C.    All right. I still don't think I  
12 understand then what its relevance is in this  
13 contention. Is it just a recommendation?

14          A.    Whatever force the Three Mile Island  
15 investigation has is reported to the NUREC-0570.

16          C.    But does it prove or disprove any fact  
17 relevant to whether or not ACPCS can be brought  
18 to a cold shutdown condition in 24 hours?

19          A.    It makes no statement about ACPCS.

20          C.    Is the answer to my question no?

21          A.    Yes. That's correct.

22          C.    Let's go into your contention on control  
23 rod ejection. This is your number 20.

24                Could you explain to me what can cause a  
25 control rod ejection?

1           A.     If the conditions for control rod drop  
2 exists with separation of the control rod drive  
3 housing support, I believe it's called, then  
4 ejection is possible.

5           Ejection is also possible if the support  
6 is separated from the vessel.

7           Q.     What is the support that you have  
8 reference to, and how is it pertinent to whether  
9 or not a control rod is ejected?

10          A.     To prevent control rod ejection and,  
11 perhaps, some other accidents, there's a type of  
12 physical structure which is located beneath which  
13 actually literally will stop a moving control rod,  
14 physically stop it, impede it, block it. The  
15 failure of that physical mechanical device would  
16 stop an ejection.

17          Q.     How is this device supposedly going to  
18 fail?

19          A.     In the event of cracking of the metallic  
20 connection to the reactor vessel.

21          Q.     What makes that metallic connection  
22 crack?

23          A.     Well, part of it can be due to bulging  
24 of the reactor.

25          Q.     What causes the reactor to bulge?

1           A.     Certain reactivity incidence.

2           Q.     Which do you have reference to, and  
3     what's the factual basis for that?

4           A.     Would you repeat your question? I've  
5     lost you.

6           MP. FIDDLE: Would you read the  
7     last question back?

8  
9           (PHREUPON, the requested testimony  
10    was read back by the reporter.)

11  
12          A.     In one of the older WETC's, it cites  
13    certain types of accidents where reactivity  
14    additions can be great enough to cause bulging of  
15    the reactor which would subject the metal to  
16    stress which might result in cracking.

17          Q.     You say there is a GE document which out-  
18    lines this scenario whereby overpressurization  
19    would cause a bulging in the reactor and a  
20    stressing in the connection between the CRD  
21    support housing and the vessel itself?

22          A.     It doesn't mention the support. It  
23    mentions the bulging, however.

24          Q.     There is a GE document which talks about  
25    reactor vessel bulging?

1 A. Yes.

2 Q. What's the magnitude of this deflection?

3 A. I'm going to locate that now.

4 Q. Do you have the WETC which discusses

5 this phenomenon in your possession?

6 A. No.

7 Q. Do you have reference to it?

8 A. I'm trying to locate one now. Yes.

9 It's APPD 6455.

10 Q. And this GE document discusses the

11 reactor vessel bulging which you contend will

12 cause the CRD support housing to fail; is that

13 correct?

14 A. It describes bulging.

15 Q. And you take this description to mean

16 that there is a mechanism whereby the CRD support

17 housing will fail; is that correct?

18 A. Yes. That's one mechanism.

19 Q. What are the other mechanisms if they

20 exist?

21 A. According to Glenn Bright who is now --

22 one of the licensing board members, of Nuclear

23 Safety, volume 8, number 2, page 119, he argues

24 that a pressure pulse from a reactivity initiated

25 accident would be a possible mechanism for a rod

1 ejection event.

2 Q. Does Mr. Bright discuss the failure of  
3 CRD housing support?

4 A. I don't believe he does.

5 Q. But I am correct in assuming that your  
6 hypothetical control rod ejection is dependent  
7 upon a failure of this support housing insofar as  
8 we've discussed the only mechanism failure; that  
9 being the separation from the reactor vessel due  
10 to vessel bulging; is that correct?

11 A. There has been a second -- I cited  
12 cracks which have been found in the penetration  
13 wells of the Big Rock LWR nuclear station.

14 Q. Which penetration wells do you have  
15 reference to?

16 A. They are called partial penetration  
17 wells.

18 Q. And they connect what to what?

19 A. I'm unclear at this time if they connect  
20 the type of housing or safety structure which  
21 will be part of ACNCS, or whether this is an  
22 older system which does not have this type of  
23 safety device.

24 Q. So you don't know whether or not these  
25 penetration well cracks have been relevant to



1 your contention or not at this time?

2 A. I'm not certain they do. But I think  
3 what's important is the -- I do not know the  
4 exact term. The type of metal, age or whatever  
5 it's called that is designed to physically block  
6 that as a final safety device.

7 Q. We're trying to discuss ways in which  
8 that support might fail.

9 A. Yes.

10 Q. We have on the record your hypothesis  
11 that a reactor bulge will cause such a failure.

12 Do you have under consideration any  
13 other mechanisms for failure of this support  
14 piece, or is reactor bulging it?

15 A. Simply cracking

16 Q. What causes the cracking beyond the  
17 bulge in a reactor vessel?

18 A. Distress, corrosion.

19 Q. Is your belief that this support housing  
20 is susceptible to stress, corrosion, cracking?

21 A. Yes.

22 Q. Has there ever been anything like this  
23 for these components?

24 A. Not to my knowledge, but I'm not certain  
25 these components ever existed before.

1 Q. What do you understand to be the  
2 necessary environment to induce stress, corrosion,  
3 cracking?

4 A. Intensive heat. The presence of oxygen  
5 dissolved into liquid would be ideal for that.  
6 The presence of iodine gas dissolved would also  
7 cause that.

8 Q. That is your belief, or is it your  
9 knowledge that this housing support exists in  
10 such an environment?

11 A. It does exist in an area which is quite  
12 hot and damp. I don't believe it exists in an  
13 area of any iodine.

14 Q. So it's your conclusion that it is or is  
15 not --

16 A. I believe it's susceptible, and I  
17 believe that this should be investigated.

18 Q. But to your knowledge, there has been no  
19 incidence of this cracking for this component or  
20 any component located in similarity?

21 A. For this component, I have no knowledge  
22 of that.

23 Q. Are there any other mechanisms whereby  
24 this housing support can fail beyond reactor  
25 vessel and integral stress, corrosion, cracking?

1 A. No. I don't know of any right now.

2 Q. So those are the two mechanisms whereby  
3 your hypothesis will cause failure of the CPP  
4 support housing?

5 A. Yes.

6 Q. If this housing fails, how far can a rod  
7 be ejected?

8 A. It appears there's no limit to how far  
9 other than the floor.

10 Q. There's no limit except the floor?

11 A. Yes.

12 Q. So in your hypothesis, the rod can be  
13 ejected totally out of core?

14 A. That it can be taken out of any  
15 controlling of the core a distance of 12 feet,  
16 approximately.

17 Q. Is the answer to my question yes, or did  
18 you restate your answer to qualify it?

19 A. What was your question again?

20 Q. How far out can the rod be ejected? I  
21 guess more properly I asked you if it was your  
22 understanding that it can be ejected out of the  
23 core?

24 A. Yes.

25 Q. What rod withdrawal speeds is obtained

1 during your hypothesis?

2 A. I don't believe that's never been  
3 calculated for a PWR.

4 Q. Have you calculated a rod withdrawal  
5 speed?

6 A. No, sir.

7 Q. What reactivity addition rate is  
8 obtained with this control rod ejection?

9 A. Through the entire core?

10 Q. Any place you want to --

11 A. One rod.

12 Q. I understand.

13 A. All right. Between 225 calories per  
14 gram to 550 --

15 Q. I asked you about reactivity addition  
16 rates. I think you misunderstood me. Not energy  
17 deposition rates.

18 A. Give me some units that you expect in  
19 your answer.

20 Q. I expect units of reactivity.

21 A. Well, in excess of 1.

22 Q. Where did you get that figure?

23 A. Well --

24 Q. Did you calculate that number?

25 A. No, sir.

1 Q. Then why did you volunteer that answer?  
2 Where did you get that answer?

3 A. Well, all the --

4 Q. Presumably, that's not a rate. We'll  
5 start with that. We'll work our way along.

6 A. All right. All the literature that I've  
7 read speaks that if the rod ejection accident  
8 occurs, that the results would be very serious.

9 Q. This literature that you've read, does  
10 it address the rod ejection for SLP of the  
11 variety you have hypothesized?

12 A. I don't recall -- are we speaking of  
13 ACNCS?

14 Q. That's the only reason why we're here.

15 A. I don't think that's true.

16 Q. But I'm asking you if you've done  
17 calculations or other studies that gave you  
18 factual conclusions as to the reactivity addition  
19 rate that's to be anticipated for the control rod  
20 ejection accidents that you have hypothesized?

21 A. No. Not for the ACNCS system.

22 Q. Have you done any calculations as to the  
23 energy deposition that would result from this  
24 reactivity?

25 A. No.

1 Q. Have you read the PSAP sections or any  
2 other of applicants analysis on reactivity  
3 insertion accidents?

4 A. Yes. I believe I have.

5 Q. What do you believe to be in error about  
6 those analyses?

7 A. At the moment, I'm not certain that a  
8 control rod ejection accident was considered. I  
9 don't believe it was.

10 Q. You mean it was totally ignored in the  
11 analysis?

12 A. I think it was declared it could not  
13 happen.

14 Q. Do you recall why it was declared as  
15 incredible?

16 A. Because of the support structure that we  
17 were speaking of a minute ago.

18 Q. So your exception to applicant's  
19 analysis centers on whether or not this CFB  
20 support housing can remain intact for the  
21 accident?

22 A. Yes.

23 Q. You agree that if it remains intact,  
24 that a control rod ejection accident is  
25 impossible?

1 A. That's right.

2 Q. All right. I'd like to move next to --  
3 well, wait a minute. Excuse me.

4 I believe in your contention you make  
5 reference to the fact that this control rod  
6 ejection can be pumped in by attainment pressures  
7 and SCRAM discharge volume tank pressures.

8 Would you explain to me how those  
9 two pressures act to eject a control rod?

10 A. What is the source of your believe of  
11 that?

12 C. Of your contention.

13 A. Do you have a copy of that, or do you  
14 have a recopy of that?

15 C. Here you are.

16 A. This is reworded. I'd like to check on  
17 it, but there is some differences in our  
18 understanding of what the contention is at this  
19 point.

20 Q. Okay. Maybe I can short cut it if I can  
21 have access in what you believe is the proper  
22 wording.

23 We are agreeing for present purposes  
24 that your contention as admitted by the Board, as  
25 you intend to litigate it makes no reference to

1 containment pressures or SCPAM discharge volume  
2 tank pressures?

3 A. No -- well, let's get our terms straight.  
4 This says the pressure from the reactor vessel.  
5 You're speaking of the containment --

6 Q. Yes.

7 A. No. Clearly there is -- that's out.

8 Q. Yes, sir.

9 A. And the other problem then is the SCPAM  
10 discharge volume.

11 Q. The incarnation I have of your  
12 contention makes reference to, which may be an  
13 earlier one, SCPAM discharge volume tank  
14 pressures.

15 A. Well --

16 Q. I need to know whether or not --

17 A. I don't believe that's relevant.

18 Q. So we are agreeing then that the reactor  
19 vessel and internal pressure are the only  
20 motivating force for ejecting a control rod  
21 ejection?

22 A. Right.

23 Q. And gravity?

24 A. Yes.

25 Q. All right. Now, I'd like to turn to