

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of S
HOUSTON LIGHTING & POWER S
COMPANY S Docket No. 50-466
(Allens Creek Nuclear S
Generating Station, Unit S
No. 1) S

Statement of Material Facts As To
Which There is No Genuine Issue To Be Heard

(1) "Doppler broadening" is the term used to identify the increased range of energies at which neutrons will be absorbed by a target nucleus at higher reactor temperatures. This "broadening" has the effect of reducing reactivity.

(Affidavit, p. 2)

(2) In calculating the reactivity effect caused by Doppler broadening in a BWR-6, General Electric uses a mathematical model based upon the universally accepted fundamental principles and empirical values of Doppler broadening. (Affidavit, p. 3)

(3) The General Electric model was compared primarily to the Hellestrand tests which measured the temperature dependence of resonance neutron absorption in clad uranium dioxide fuel rods. The Hellestrand test results corroborated General Electric's prediction of the effect of Doppler

8008190168

236

broadening. In addition, the General Electric model was secondarily compared to data derived from the appropriate SPERT tests; however, data from the SPERT tests were not relied upon to support the Doppler reactivity model.

(Affidavit, pp. 3-4)

80-855
EAF/COMP

Doherty Contention No. 33/
Doppler Effect

COST \$ _____
PAID BY PLA. DEF.

IN THE UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

IN THE MATTER OF:)

HOUSTON LIGHTING AND POWER) DOCKET NO. 50-466
COMPANY,)
(ALLENS CREEK NUCLEAR)
GENERATING STATION,)
UNIT NO. 1))

DEPOSITION OF:
JOHN F. DOHERTY



International 222
Legal Reporters, Inc.

1917 Bank of the Southwest Building • Houston, Texas 77002 • (713) 652-5911

1 do not know how large that will be, however, or
2 how great it will be.

3 Q. What's the maximum flow rate that's
4 possible to the CRC return line?

5 A. I don't know how much it is with ACNCR.

6 Q. What's your understanding as to other
7 units?

8 A. Something in the order of 60 gallons per
9 minute.

10 Q. Is this the essential cooling flow rate
11 which you maintain is necessary for the safety
12 design of Allens Creek?

13 A. Yes.

14 Q. Let's go onto your contention --

15 A. I regret not having that with me.

16 Q. -- on dopler effect.

17 A. Because you would like to have that I'm
18 sure.

19 Q. That is your contention number 25 -- I'm
20 sorry, that's wrong. Your contention number 22.

21 A. That material is not here. It's being
22 xeroxed unless it's returned -- no, I'm sorry. I
do have that. I was thinking of 15.

23 Q. What is the dopler effect?

24 A. The classical dopler or the applicable

1 affect here --

2 Q. The dopler effect mentioned in your
3 contention.

4 A. The dopler effect is a system where the
5 absorption of neutrons in a fissioning process is
6 changed due to temperature of the fuels or of the
7 material during the absorbing of neutrons.

8 Q. Why is the absorption of neutrons
9 dependent upon temperature?

10 A. The ability to absorb changes with
11 temperature as a physical system. It increases
12 the coolant as I understand it.

13 Q. What increases the coolant?

14 A. The ability to absorb neutrons.

15 Q. What material are we speaking of?

16 A. Uranium oxide.

17 Q. It's your understanding that uranium
18 oxide has an increased ability to absorb neutrons
19 at lower temperatures?

20 A. Yes.

21 Q. So as you increase temperatures, uranium
22 oxide is less capable of absorbing temperature?

23 A. Yes. Normally.

24 Q. So that increases in temperature
25 decrease the capacity of uranium oxide to absorb

1 neutrons and, therefore, decrease reactivity?

2 A. Normally.

3 Q. Are there any abnormal occurrences which
4 are of concern in this contention since you have
5 qualified all your answers with the adjective
6 "normal?"

7 A. In the event of rapid reactivity
8 insertion, the doppler effect may not respond
9 rapidly enough to work in the negative way. In
10 other words, to decrease fissioning.

11 Q. On what did you base that opinion or
12 conclusion?

13 A. On a book by Richard F. Webb.

14 Q. What's the title?

15 A. "Accident Hazard of Nuclear Power Plants."

16 Q. Do you have a page or chapter reference?

17 A. Chapter four.

18 Q. Is it Mr. Webb's position that doppler
19 reactivity feedback does not act quickly enough
20 to be of any influence in power excursion
21 accidents?

22 A. Yes.

23 Q. Is that all power excursion accidents,
24 or does he have reference to a particular power
25 excursion accident?

1 A. All.

2 Q. Is that the sole basis of your like
3 opinion is what Mr. Webb states, or have you
4 found other references of this phenomena?

5 A. Mr. Glenn Bright writing in "Nuclear
6 Safety," volume eight, part -- well, two, page
7 121 states that there is much more information
8 needed on the effects of initial temperature and
9 understanding shutdown mechanism of a doppler --
10 doppler is a shutdown mechanism. It has
11 considered that.

12 Q. Mr. Bright was writing in reference to
13 General Electric BWR's in particular a DOP 12?

14 A. No, sir. Mr. Bright was writing in 1967.

15 Q. That is he writing in reference to?

16 A. In reference to accidents in general and
17 the needs for research --

18 Q. So in 1967 --

19 A. -- in nuclear reactors.

20 Q. So in 1967 it was Mr. Bright's opinion --
21 what was that again? More needed to be
22 understood about initial temperature affects?

23 A. Yes.

24 Q. All right. Is that the two sources of
25 your opinions, precarious opinions are Mr. Webb's

1 and Mr. Bright's opinion?

2 A. Well, General Electric has stated that
3 these affects, that their understanding of these
4 affects have come from research which predates
5 the statement of Mr. Bright.

6 Q. Okay. Where did General Electric make
7 such a statement?

8 A. I don't have that with me.

9 Q. Put you know for a fact that General
10 Electric did make such a representation?

11 A. Yes. I discussed it at the prehearing
12 conference held in October. It's in the minutes
13 there.

14 Q. I'm sure you made the statements here
15 too. I'm trying to find the basis for those
16 statements. Will you provide us with a reference
17 where General Electric makes the statements that
18 you allege they make?

19 A. I think I can. I can't today probably,
20 but the statement was referenced at that time.
21 It was not a bald statement at that time.

22 Q. So you say that the transcript at the
23 prehearing conference has reference that your
24 seeking?

25 A. Yes.

1 C. All right. Could you supply us --

2 A. I beg your pardon?

3 C. If for chance it's not recorded there,
4 will you provide us with that information?

5 A. There's a request then to --

6 C. To supply the reference wherein General
7 Electric states that it's prediction of doppler
8 reactivity feedback is dependent upon data which
9 predates 1967.

10 A. Yes. That's correct. All right.

11 C. Now does does General Electric calculate
12 doppler reactivity feedback?

13 A. I don't believe I have any specific code
14 for it. They rely on it to be the controlling
15 mechanism in only the sort of moderate what they
16 describe as moderate accident conditions.

17 C. It's your understanding that General
18 Electric does not try to predict doppler
19 reactivity feedback --

20 A. I don't think they think --

21 C. Mr. Coherty, what is at issue here in
22 this contention if you think --

23 A. I think that that they should rely upon
24 it. They should calculate it.

25 C. If they have provided reactivity control

1 systems which operate without the benefit of
2 doppler reactivity feedback, what is non-
3 conservative about that approach?

4 A. It's all calculations. There's no basis
5 in experimentation.

6 C. If I understand the phenomena, you
7 discussed negative reactivity --

8 A. Under certain conditions that we
9 mentioned.

10 C. What are those?

11 A. That the insertion is not rapid enough.
12 That the process has time to occur.

13 C. So there are instances where it would be
14 inappropriate to consider doppler reactivity
15 feedback?

16 A. Yes. I think there are some.

17 C. You have asserted that General Electric
18 does not account for doppler reactivity feedback,
19 so it can't be a concern that they have accounted
20 for when it was inappropriate, so we can set
21 aside those instances where you have rapidly
22 changing conditions or reliance on the doppler
23 reactivity feedback to be inappropriate. These
24 are not of concern.

25 A. The doppler effect is the principle

1 shutdown mechanism. They believe that two to --

2 C. You mean -- excuse me, but I believe you
3 just previously testified that you were urging
4 General Electric to account for the doppler
5 reactivity because they had not prior to this
6 time.

7 Now are you saying that they do in fact
8 incorporate it into their analysis?

9 A. No. I'm not saying that. Incorporating
10 it into their analysis --

11 C. Pardon me.

12 A. Incorporating it into their analysis.
13 What do you mean by that?

14 C. Does General Electric rely on or predict
15 and use doppler reactivity feedback in its
16 accident analysis, or doesn't it?

17 A. It mentions it.

18 C. Let me try again. Let's get a straight-
19 forward answer to a straight-forward question.
20 Does General Electric predict feedback and use
21 that phenomena in its accident analysis?

22 A. As I said before, it mentions it.

23 C. So you have no knowledge whether or not
24 General electric uses or relies upon or predates
25 any of its conclusions in its accident analysis

1 upon doppler reactivity feedback?

2 A. The mathematical model used by them
3 relies upon data similar to experimental data
4 produced by the SPERT-I and SPERT-3 reactors.

5 Q. I thank you for that recitation of the
6 contention. Maybe we can return to the question
7 I asked.

8 A. I think that that answered the question,
9 sir.

10 Q. I believe that it was totally
11 unresponsive, so let me restate it. Maybe we can
12 resolve this impasse.

13 A. Then restate it.

14 Q. Do you believe that General Electric
15 does account for doppler reactivity feedback in
16 its accident analysis?

17 A. No. Not sufficiently.

18 Q. Do you believe that General Electric
19 attempts to account for doppler reactivity
20 feedback but does so inadequately?

21 A. Yes.

22 Q. What is inadequate about the way General
23 Electric predicts doppler reactivity feedback?

24 A. It over estimates.

25 Q. How does it over estimate? Why does it

1 over estimate?

2 A. I have no idea why.

3 C. How do you know that it over estimates?

4 A. The contention.

5 C. The contention is a bald statement --

6 A. The contention states that the data is
7 based on -- will come out with the same results
8 as the SPERT-I and SPERT-II reactors.

9 C. So what?

10 A. The SPERT-I and SPERT-II reactors are not
11 sufficiently similar to the reactor that Houston
12 Lighting & Power intends to construct.

13 C. Are you alleging that General Electric's
14 only knowledge of reactivity feedback is from
15 data derived from the SPERT tests?

16 A. No.

17 C. Then what relevance is your references
18 to the SPERT tests?

19 A. There are no other experiments.

20 C. There are no other experiments. What
21 does that mean?

22 A. There are no other experiments with
23 which to make a judgment that they have properly
24 accounted for doppler reactivity feedback.

25 C. Are you now alleging that General

1 electric's prediction of dopler reactivity
2 feedback has not been compared to acceptable test
3 data?

4 A. Yes.

5 C. Is that the sole basis of your
6 contention?

7 A. As it stands, yes.

8 C. How did you determine that the
9 mathematical model used by GE was compared to the
10 SERT tests and only to the SERT tests?

11 A. Through Mr. Webb's work.

12 C. Do you have a page or chapter reference?

13 A. Chapter four.

14 C. Is that the only reference you used to
15 support your allegation that General Electric
16 compares its mathematical computations only to
17 the SERT tests?

18 A. That's right.

19 C. If it's shown that General Electric
20 compares its mathematical computation of dopler
21 reactivity to appropriate test data, that is test
22 data gleaned from tests that use a suitable mock
23 up of a EWF core and design performance, does
24 that alleviate the concern expressed in this
25 contention?

1 P. Yes.

2 Q. All right. Let's go to your contention
3 number 25.

4 A. Contention number 25?

5 Q. Yes. I'm not exactly sure how to
6 describe it succinctly.

7 A. I'd like a copy of the contention. It
8 would help.

9 Q. Let me give you this one.

10 A. Thank you.

11 Q. Would you --

12 A. This quotes the entire text, is that
13 correct, of contention number 25?

14 Q. To the best of my knowledge.

15 A. That will cause some problems, because
16 the contention was broken up. Part of it was
17 accepted sooner, and part of it later by the
18 Board.

19 Q. Both parts have now been admitted?

20 A. Yes.

21 Q. Would you identify for me what the
22 concern was by the Board's order of March 10th,
23 and we'll discuss only that?

24 A. Yes. the Board's order seemed to
25 indicate that they were concerned -- well, that