

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of §
§
HOUSTON LIGHTING & POWER §
COMPANY § Docket No. 50-466
§
(Allens Creek Nuclear §
Generating Station, Unit §
No. 1) §

STATEMENT OF MATERIAL FACTS
AS TO WHICH THERE IS NO GENUINE
ISSUE TO BE HEARD FOR
DOHERTY CONTENTION 44

(1) Virtually all of the piping in the feedwater, steam supply, residual heat removal, ECCS, containment spray and service water systems will be made of low carbon stainless steel or plain carbon steel, both of which are not susceptible to intergranular stress corrosion cracking. Small segments of open-ended piping in direct contact with the Suppression Pool will be made of stainless steel with a slightly higher carbon content. However, this piping will not be subject to the same stress levels as the pressurized piping in which IGSCC has been observed. (Affidavit, pp. 2-3).

(2) The ACNGS will use conservative design practices in accounting for water hammer forces, and will incorporate applicable NRC guidance into fluid system designs as it becomes available. (Affidavit, pp. 3-4).

8008190257

(3) The ACNGS fluid systems will be designed to eliminate or minimize water hammer. Those systems which have a potential for water hammer will be designed to accommodate the associated loadings. These additional design measures all address areas of concern identified by the NRC Staff in NUREG-0582. (Affidavit, pp. 4-7).

Doherty Contention No. 44/
IGSCC and Water Hammer

COST \$ _____
PAID BY PLF. DEF.

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

IN THE MATTER OF:
HOUSTON LIGHTING AND
POWER COMPANY, (ALLENS
CREEK NUCLEAR GENERATING
STATION, UNIT 1)

Docket No. 50-466

DEPOSITION

JOHN F. DOHERTY



International : 327
Court Reporters, Inc.

1 General Electric took to reg. guide 1.54?

2 A. Yes, and that was stated in the earlier
3 reference that I gave you.

4 MR. NEWMAN: If it were to be
5 established that none of the compounds identified
6 in your contention 43 are used to clean or coat
7 stainless steel components at Allens Creek, would
8 that then moot your contention?

9 A. Well, the contention lists some elements
10 and some, I've forgotten the term for that, some
11 salts, I guess, but Mr. Newman, if those were
12 removed, yes, that would remove the basis.

13 Q. (BY MR. BIDDLE): Would you turn to your
14 contention 44?

15 A. Incidentally, I'm not an expert on
16 cleaning compounds. 44?

17 Q. Yes. What is water hammer?

18 A. My understanding of it is that it's a
19 force that emerges when steam condenses in piping
20 that normally carries steam and then in some way
21 is moved. In other words, water sitting in a
22 pipe and the pipe is meant to carry steam and it
23 can move as water in the event the system starts
24 operating, that pipe starts in use.

25 If the pipe were sitting idle, for

1 example, it would then cause this water to move
2 and it strikes a part causing a noise and it's
3 called water hammer.

4 Q. So water hammer is a nuisance as to
5 noise?

6 A. It can hit with enough force that in the
7 contention, what I've said that is in the event
8 the pipes are cracked, the force might be
9 sufficient to break them open.

10 Q. Well, what is the force imparted to the
11 water that's lying in these pipes?

12 A. Well, it might be an additional -- it
13 might be a force of air moving behind it, pushing
14 it forward. That would be one very common one.
15 The moving air is behind the water, so what
16 actually strikes at the weakened place is water
17 which hits with appreciably harder force than
18 steam.

19 Q. So is it your contention that there are
20 pipes at Allens Creek that contain a small amount
21 of water so that they are for practical purposes,
22 empty and that this water can somehow be
23 motivated by the introduction of air with
24 sufficient force to cause problems?

25 A. Yes, broadly, that sounds about right.

1 Q. What causes the air to be in motion?

2 A. There might be any number of reasons in
3 which that system might have some material such
4 as steam or air driven through it or some
5 emergency purpose or some testing purpose or --

6 Q. Would you identify the systems in Allens
7 Creek where these motive forces will be
8 introduced into partially filled pipes?

9 A. Well, NUREG 0582, pages 2.2 and 2.3
10 state and I believe this is a summary statement,
11 on the basis of reactor operating experience, the
12 most serious water hammer concerned are pump
13 start-ups with inadvertently avoided lines in the
14 emergency core cooling system and residual heat
15 removal system.

16 Q. So those are the two systems of concern
17 in your contention?

18 A. No, there is an additional one. And
19 main feed water line transients caused by flow
20 control valves.

21 Q. So the three systems of concern in your
22 contention for Allens Creek are --

23 A. Those are the three major concern.

24 Q. ECCS, RHR and main feed water?

25 A. Yes.

1 Q. It is these systems you contend are
2 susceptible to water hammer forces?

3 A. Yes.

4 Q. Would you describe the cracking that
5 occurred at Dwayne Arnold has reference in your
6 contention?

7 A. I'll do my best. As I understood these
8 cracks, they were sort of in the shape of this, a
9 U-shape. They were not longitudinal, but rather
10 around, imagine a horizontal pipe, they were sort
11 of shaped semicircular going around the pipe,
12 rather than down the pipe.

13 Q. What caused these cracks?

14 A. I'm not certain what's caused them.

15 Q. What leads you to believe that these
16 similar cracks can occur at Allens Creek?

17 A. Well, first of all, nuclear plants are
18 constructed with materials that are as least
19 likely to crack as possible and that goes for the
20 Dwayne Arnold plant. Allens Creek probably is
21 based on materials that may represent an
22 improvement or may not.

23 Q. Is it your contention that Allens Creek
24 will have incorporated into its pipes, the
25 material which cracked at Dwayne Arnold?

1 A. No, but it's my contention that the
2 possibility of pipe cracking will be required, it
3 will be required to deal with it simply because
4 they have never created a crackproof pipe.

5 Q. What is the basis of the assertion that
6 they have never invented a crackproof pipe?

7 A. It's never been announced happily as
8 it would be if it were invented.

9 Q. Where are you looking for the
10 announcement?

11 A. Particularly in NRC publications.

12 Q. Your sole basis for contending that
13 Allens Creek will experience cracks is the fact
14 that they experienced cracks at Dwayne Arnold?

15 A. No, that also the NRC will require that
16 accidents be analyzed for pipe cracking and pipe
17 breaking and that if a pipe could not crack or
18 break, they would not require that.

19 Q. What is your basis for that statement?

20 A. What is that?

21 Q. Your last statement? Would you like it
22 read back to you?

23 A. Yes, that would be all right.

24
25 (The answer was read back by the

1 reporter.)

2

3 Q. Someone at the NRC tell you that to be
4 true?

5 A. No, but I think common sense would tell
6 you, don't analyze something that can't happen.

7 Q. So the sole basis for your assertion
8 that cracks will occur at Allens Creek is the
9 fact that a the staff has required analysis
10 assuming that pipes will break?

11 A. There is a good deal of expensive
12 research financed by the NRC on pipe cracks and
13 on metallurgy to prevent pipe crack.

14 Q. What is the basis of your assertion that
15 that research has not been successful?

16 A. The fact that it's still ongoing
17 indicates that it's not finished.

18 Q. So the basis for your assertion that
19 there will be cracks at Allens Creek is the fact
20 that there is continuing research into pipe
21 cracks?

22 A. Yes.

23 Q. And that's your sole basis for asserting
24 that?

25 A. The fact that other plants have

1 experienced cracking, also.

2 Q. More specifically, the fact that there
3 were cracks at Dwayne Arnold?

4 A. Cracks at Dwayne Arnold or are the
5 outstanding examples.

6 Q. What similarities exist between the
7 materials that cracked at Dwayne Arnold and the
8 materials used in the design of Allens Creek?

9 A. Well, I don't know that.

10 Q. So you have no real basis for making a
11 correlation between the cracks at Dwayne Arnold
12 and the cracks at Allens Creek?

13 A. At this time, I don't have the specific
14 information to tell you precisely the material
15 that has cracked at Dwayne Arnold, so that if I
16 go to the record of Allens Creek, I can't tell
17 you, this is exactly the same material.
18 Therefore, I cannot tell you.

19 Q. If they were of much different materials
20 than the the fact that there were cracks at
21 Dwayne Arnold would say nothing about the ability
22 of the material used for Allens Creek to resist
23 cracks, would it?

24 A. Yes. Well, that would depend on what "much
25 difference" would have been.

1 Q. But you don't know what the design is
2 for either of those plants, so you're not in a
3 position to make any judgment as to whether they
4 are similar or different?

5 A. I'm in a reasonable position to judge
6 they are similar, because the pipes have to do
7 similar tasks.

8 Q. Is susceptibility to cracking solely a
9 function of the TASC they have to perform or is
10 it a function of the metal from which they are
11 composed?

12 A. It's not solely a function of the TASC
13 that is performed.

14 Q. Is it a function they are to perform?

15 A. Somewhat.

16 Q. And to what degree?

17 A. If the temperature and pressure that the
18 pipes are subjected to are similar and the flow,
19 the amount of material that must move through
20 them, then they are similar.

21 Q. So you're contending that because Allens
22 Creek has pipes which will experience the same
23 pressure and temperature environments as those
24 that cracked at Dwayne Arnold, Allens Creek's
25 pipes will crack?

1 A. Allens Creek's pipes have the same
2 difficulties to overcome. In fact, Allens
3 Creek's may even be greater in view of the larger
4 capacity of Allens Creek's than Dwayne Arnold.
5 Allens Creek's pipes will carry more flow, more
6 material.

7 Q. So you are contending that the reason
8 you assert that Allens Creek pipes will crack is
9 because they will experience the same or greater
10 or more adverse temperature, pressure and flow
11 environments; is that correct?

12 A. As far as I know, they will not
13 experience greater temperature. I think they
14 will experience a greater amount of water flow,
15 many of them for the component that they are and
16 that would mean that some pipes will carry more
17 than any pipe at Dwayne Arnold.

18 Q. So you have put together the fact that
19 there was a crack at Dwayne Arnold and the fact
20 that flow rates at Allens Creek will be greater
21 than that experienced at Dwayne Arnold and
22 conclude that the cracks at Dwayne Arnold will
23 also occur at Allens Creek?

24 A. There would be similar cracks, it's my
25 belief.

1 Q. Similar cracks will occur because of the
2 greater flow rates at Allens Creek, is that your
3 contention?

4 A. No, not entirely, because the materials
5 are similar, also.

6 Q. The materials between Dwayne Arnold and
7 Allens Creek are similar?

8 A. Uh-huh.

9 Q. What is the basis for that statement?

10 A. Because the materials have to be -- have
11 to do the same job that there is an effort made
12 to put the least susceptible to crack materials
13 to work in the nuclear power plants.

14 Q. What was the material used at Dwayne
15 Arnold?

16 A. Specifically, I don't know.

17 Q. What will be the material used at Allens
18 Creek?

19 A. Specifically as I said previously, I
20 don't know.

21 Q. Then how can you make any statement as
22 to their similarities?

23 A. Because of the reasons I gave you
24 earlier.

25 Q. You really believe that?

1 A. Yes.

2 MR. NEWMAN: Is there a
3 relationship between the rate of flow and
4 intergranular stress corrosion, cracking?

5 A. I'm not certain there is.

6 MR. NEWMAN: Are you asserting that
7 the intergranular stress corrosion cracking at
8 Dwayne Arnold could occur at the Allens Creek
9 plant?

10 A. It could, yes.

11 MR. NEWMAN: That's the basis of
12 this contention?

13 A. Well, cracking is all I think the
14 contention says. Let me see. It it just says
15 large deep cracks.

16 MR. NEWMAN: What do you mean by
17 that? Your example refers to the intergranular
18 stress corrosion cracking.

19 A. Well, the example was an example not
20 meant to include all possibilities.

21 MR. NEWMAN: What, if any other
22 types of cracking do you postulate?

23 A. None other at this time.

24 MR. NEWMAN: Okay.

25 Q. (BY MR. BIDDLE): Have you consulted

1 with any experts on the subject matter of this
2 contention?

3 A. No, sir.

4 Q. Do you hold yourself out as an expert on
5 intergranular stress corrosion cracking or the
6 phenomena of water hammer?

7 A. Not at this time.

8 MR. NEWMAN: Can you identify any
9 instance in which there has been a coincidence of
10 intergranular stress corrosion cracking and water
11 hammer, the result of which has been the cracking,
12 breaking of the pipe.

13 A. Not at this time, no.

14 MR. NEWMAN: Again, that's
15 something you will inform us of as soon as you're
16 able to?

17 A. Yes, I will.

18 MR. NEWMAN: If there were none
19 such, what would the basis of your contention be?

20 A. The ACRS concern.

21 MR. NEWMAN: It would not be based
22 on any imperical data?

23 A. That's right.

24 Q. Would you turn to contention 30? Let's
25 take about a five minute break first.