

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

In the Matter of \$
HOUSTON LIGHTING & POWER COMPANY \$ Docket No. 50-466
(Allens Creek Nuclear Generating \$
Station, Unit 1) \$

Statement of Material Facts As To
Which There Is No Genuine Issue

(1) Intergranular stress corrosion cracking has occurred in light water reactors where "sensitized" stainless steels with a carbon content of between 0.05 to 0.08% were exposed to a particular combination of stress and dissolved oxygen in high temperature waters. This phenomenon has occurred in approximately 0.6% of the stainless steel pipe weld heat-affected zones within the RCPB of operating BWRs. (Gordon Affidavit, p. 3).

(2) Two of the four lines where the bulk of the identified instances of IGSCC has occurred, the recirculation bypass line and the control rod drive hydraulic return line, have been eliminated from the ACNGS design (Gordon Affidavit, p. 3).

(3) The two remaining lines where the bulk of IGSCC has been identified and virtually all other RCPB lines within both General Electric's scope of supply and Ebasco Services Incorporated's design responsibility are comprised

8008190298

8008190298

419

of either plain carbon steel, Type 316L stainless steel, or 316 nuclear grade stainless steel. (Gordon Affidavit, p. 4; Gunther and Malec Affidavit, p. 2)

(4) Feedwater spargers, collet cylinder tubes and recirculation pump housings at ACNGS will be made of low carbon stainless steel and the control rod drive housings will be fabricated from 316L stainless steel. (Gordon Affidavit, p. 4).

(5) This low carbon content stainless steel and plain carbon steel utilized in the ACNGS is the type which does not experience intergranular stress corrosion cracking. The specific material utilized is the result of investigation and an extensive test program. The NRC has reviewed the substitution of IGSCC resistant materials at ACNGS and accepts this design measure as a resolution of the generic IGSCC problem, Generic Task No. A-42. (Gordon Affidavit, pp. 4-5; Gunther and Malec Affidavit, p. 2).

(6) The NRC Staff has also approved the use of these materials as meeting the requirements of Regulatory Guide 1.44, which assures compliance with 10 CFR 50, Appendix A, criterion 31. (Gordon Affidavit, pp. 5-6).

COST \$ _____
PAID BY PLF. DEF.

TexPirg Contention No. 10/
IGSCC

UNITED STATES NUCLEAR) BEFORE THE ATOMIC SAFETY
REGULATORY COMMISSION)
IN THE MATTER OF:) AND LICENSING BOARD
HOUSTON LIGHTING AND) NO. 50-466
POWER COMPANY (ALLEN'S)
CREEK NUCLEAR GENERATING)
STATION, UNIT 1))

DEPOSITION OF:

CLARENCE JOHNSON



International 421
Court Reporters, Inc.

1 A We've mentioned it. I don't know that
2 that's been resolved. I would assume
3 that probably Mr. Doherty, but I need to
4 talk to him to be more certain about
5 that.

6 Q Let's move on to TexFIRG contention 10,
7 which is intergranular stress corrosion
8 cracking. Do you have that contention
9 in front of you?

10 A Yes.

11 Q Did you get a chance to look at your con-
12 tention?

13 A Yes.

14 Q Can you tell me what this phenomenon is,
15 of intergranular stress corrosion
16 cracking?

17 A Basically, it has to do with the pipes
18 that carry water to the reactor vessel
19 developing cracks due to stress or
20 corrosion, or excessive loads, and those
21 cracks, if they remain undetected, could
22 lead to a rupture.

23 Q All right, before we break for lunch,
24 I just want you to describe for me what
25 it is that actually causes this phenomenon,

1 what's the nature of the problem in terms
2 of it's physical source.

3 A Well, our contention, as it states, is
4 excessive oxygen levels, superposed loads,
5 residual stresses which result in the
6 failure of the piping.

7 Q So it's your understanding that those are
8 the physical phenomenon which lead to
9 intergranular stress corrosion cracking?

10 A Oh, no, that leads to the crack developing
11 into a rupture.

12 Q I see. Exposure to oxygen levels will
13 lead the pipe to rupture?

14 A Oh, no, I'm sorry. I had it right the
15 first time, intergranular stress --
16 I was misreading the contention.

17 Q So it's your understanding that this
18 phenomenon of stress corrosion cracking
19 is initiated by these factors mentioned
20 in your contention, excessive oxygen
21 levels and so on?

22 A Right.

23 Q Why don't we break for lunch?

24

25 (Short recess.)

1 (Whereupon, Tom McGuire, Tom
2 Brock, and Lonnie Richards left the deposi-
3 tion room.)

4 Q We were in the middle of discussion of
5 contention 10, and what I'd like to get
6 you to do now is to name for me, if you
7 will, any plants where this phenomenon
8 has occurred? Do you know of any your-
9 self?

10 A Not right offhand, I could look through

11 --

12 Q Do you want to look back at prior answers
13 to interrogatories?

14 A Yes, that might help.

15 Q Why don't you look at answer number 32
16 in your second set of interrogatories
17 -- in the answers to our second set of
18 interrogatories. I don't believe you
19 have one.

20 A Okay, the response lists Millstone 1,
21 a Pilgrim Monticello, Dresden, Quad
22 Cities, and I would accept that that's
23 probably the case.

24 Q Do you have any personal knowledge as
25 to whether those plants, in fact, experienced

1 problems with compression corrosion
2 cracking?

3 A Not any personal knowledge. At one time,
4 I, in drawing up this contention, I did
5 look at the N.R.C. document on stress
6 corrosion cracking. I believe I may have
7 mentioned some reactors. My memory is
8 not good enough, that's been a year and
9 a half ago that I read that document, and
10 my memory is not really good enough to
11 say whether I remember all those names
12 being in that document or not.

13 Q Well, let me ask you this: As many of
14 these plants as you can name, would you
15 list for me by plant where in the system
16 on the plant they had a problem with
17 stress corrosion cracking?

18 A I don't know specifically what system
19 other than, you know, pipes, but I don't
20 know which specific pipes, if that's
21 what you mean.

22 Q All right, for example, let's take
23 Dresden. Do you know what specific
24 problems they had?

25 A No.

1 Q The same is true on all of them; you don't
2 know any specific problem?

3 A That's correct, other than it was signs
4 of stress in respect to some sort of
5 minor crack, you know, very small cracking
6 involved.

7 Q Do you know the type of metal that was
8 involved in the cracking problem?

9 A I'm sure it was stainless steel.

10 Q Do you know what grade of stainless steel?

11 A No, I don't.

12 Q Do you know what was done to repair the
13 cracks, if anything?

14 A I believe that in most, if not all of
15 those cases, a determination was made
16 that there was no threat posed by the
17 crack, cracking, but I'm --

18 Q Do you disagree with that?

19 A That seems to be my recollection. I'm
20 not sure that that's the case, though.

21 Q Do you disagree with that determination?

22 A Well, I think that any time there is any
23 question in terms of cracking, that it
24 should be dealt with very cautiously
25 and carefully, and that, you know, if, in

1 my view, something like that should be
2 seriously considered replacing the whole
3 pipe so that there is no question.

4 Q Well, I'm asking you now if you have any
5 quarrel with the determination that was
6 made as to the cracking problem on each
7 of those plants. Do you have any personal
8 knowledge as to whether the determination
9 was, in fact, an error, that was not a
10 problem?

11 A Well, I can't make any at the moment,
12 can't make any determination because I
13 didn't read the specific investigation
14 on each one of those plants, or at
15 least it's been such a length of time
16 ago that I wouldn't recall the details
17 well enough to really give a very good
18 answer to it, other than I can make
19 the general statement that it would be
20 my opinion if there were any cracks in
21 any pipe, even if it's just the outside
22 surface of the pipe, that it's probably
23 best to replace the pipe, if technologically
24 feasible, because that eliminates any
25 question.

1 Q Well, let me ask you this, were these
2 cracks visible to the eye?

3 A I don't know if they were or not. I know
4 that they -- many times, cracks might
5 not be.

6 Q Do you have any expertise or training in
7 the strength of the materials or material
8 properties?

9 A I do not.

10 Q Do you have any expertise in physical
11 chemistry?

12 A No, I do not.

13 Q Is it your opinion that a pipe, for
14 example, can have microscopic cracks
15 in it and still not withstand the
16 design pressures to which it is designed?

17 A It's possible. It would be my under-
18 standing that that's possible, even
19 though perhaps, you know, in some cases
20 it might not be probable.

21 Q Let me ask you this, is it your under-
22 standing that a pipe can have microscopic
23 cracks in it and still withstand the
24 pressures to which it's designed for?

25 A Oh, that it can.

1 Q Why?

2 A I know that is in many cases maybe prob-
3 able, yes.

4 Q Or possible?

5 A Yes, possible.

6 Q Okay.

7 A Probable, possible.

8 Q And if, in fact, it's determined that even
9 though a pipe has microscopic cracks in
10 it but it can still withstand its design
11 pressure, why, in your opinion, should
12 that pipe be replaced?

13 A Well, I think there is -- for one thing,
14 because humans can make errors in making
15 determinations.

16 Q No, sir, I want you to assume that it's
17 properly determined that the pipe can
18 withstand the pressure that it's designed
19 to, even though it has these cracks in
20 it. Now, given that assumption, why
21 should it be replaced?

22 A Well, assuming that that's an accurate
23 case, you know, yes. It should not be
24 replaced, yes.

25 Q So we can forget about talking about a

1 pipe having to be replaced just simply
2 because it has a crack in it. That's
3 not what we're worried about here; is
4 that correct, as long as that pipe will
5 still meet the design pressures?

6 A I didn't say that was the case. I would
7 say that if there is any room for dis-
8 agreement or question as to determina-
9 tion, that it should be replaced.

10 Q All right, but assuming that it's
11 accurately determined that --

12 A For one thing, as an example, you know,
13 supposing a crack were found and it was
14 determined that the crack, by itself,
15 is not, you know, is not adequate to
16 cause a reduction in the design strength
17 of the pipe, there could always be the
18 possibility that another crack has been
19 undetected which, you know, together
20 could change the assessment.

21 Q But if it's undetected, how would you
22 know, then, to replace it?

23 A Well, in one case, the one crack might
24 serve as a sign for the -- that the
25 -- another may exist.

1 2 So, then, it is your position that any
2 time you detect a crack, however micro-
3 scopic, and however unimportant it is to
4 whether the pipe can withstand the design
5 pressure, it ought to be replaced?

6 A. Yes, if there is any question. For
7 instance, the question one may have gone
8 undetected, yes. If you could say with
9 an absolute certainty as your first
10 question was to me that that was an
11 accurate determination, then I could
12 understand, you know, not replacing the
13 pipe, but the position I would take would
14 be one of absolutely ruling out error,
15 a component that is crucial to the reactor.

16 Q. How do you absolutely rule out error in
17 looking for these microscopic pipe cracks?

18 A. I think it's very difficult.

19 Q. How do they look for them?

20 A. I presume they use x-rays.

21 Q. Do you know how they --

22 A. I don't know for certain, no.

23 Q. All right, well, tell me how they could
24 discover one crack and miss another,
25 then, using x-rays.

1 A Well, I think we've seen in quality
2 assurance work that x-rays have been
3 faked.

4 Q Mr. Johnson, I am asking you now to
5 assume that the x-rays are properly
6 done. How is it that you could detect
7 a crack in one instance and miss it
8 in the other instance? Do you know?

9 A I don't know. I don't know the answer
10 to that, because I am not that familiar
11 with the process.

12 Q All right, and then, backing up again
13 to my original question, then, about
14 what was done on these other plants,
15 you have no personal knowledge as to
16 whether the decision not to replace
17 the pipes where they detected cracks
18 was a good decision or a bad decision;
19 is that correct?

20 A Not at the present time, I don't have
21 that knowledge.

22 Q Now, can you tell me whether you know
23 if any of these plants have the same
24 systems as Allen's Creek is planned to
25 have and will have similar problems

1 with stress corrosion cracking?

2 A Well, they are boiling water reactors.

3 Q And that's all it takes, that's good
4 enough?

5 A But that is a fair similiarity, they
6 -- I believe they all used austenatic
7 stainless steel.

8 Q Can you spell that?

9 A A-u-s-t-e-n-i-t-i-c, I believe, but I
10 must admit I don't know the grade of
11 the -- if the exact composition of the
12 steel was the same. I don't know.

13 Q You don't know, okay.

14 Do you know what specific part of
15 the Allen's Creek plant will use metal
16 that's susceptible to stress corrosion
17 and cracking?

18 A We haven't made any allegations with
19 respect to any specific pipes moreso
20 than others, we're mostly concerned,
21 though, with the primary cooling pipes.

22 Q All right, that's the main focus of your
23 concern?

24 A Yes.

25 Q Do you know what those pipes were made out

1 off?

2 A I know no more than it's stainless steel.

3 Q Do you know for a fact that there has been
4 a problem with stress corrosion cracking
5 in stainless steel coolant pipes at other
6 nuclear plants?

7 A That's -- it's my understanding that that
8 has been the material used in all pipes
9 that are under high stress in almost every
10 industry, so that's the basis I make the
11 assumption, that those, in fact, were
12 stainless steel pipes in the reactors
13 we mentioned earlier.

14 Q So that is your assumption, that they
15 used stainless steel pipes in those
16 other plants?

17 MR. NEWMAN: Sorry, but is
18 it your understanding that the
19 stainless steel piping that's used
20 in these other plants or has been
21 used in the other plants is the
22 same as that which is going to be
23 used at Allen's Creek?

24 A As I mentioned, I don't know that the
25 precise composition or grade is exactly

1 the same.

2 MR. NEWMAN: Well, how did

3 you make the statement, then, in

4 your contention that -- well, let

5 me just read the whole thing.

6 "Excessive oxygen levels, superposed

7 loads, and stresses may result in

8 ultimate failure of piping", and

9 these are the words that are important,

10 "despite altered metal content for

11 the A.C.N.G.S. design".

12 Now, can you explain to us

13 what basis you have for the

14 statement that there is an altered

15 metal content in A.C.N.G.S. design?

16 A. Well, first of all, I would point out,
17 as we mentioned in interrogatory responses,
18 that the problem of stress corrosion and
19 cracking is it has not been solved, you
20 know, according to any mechanical engineer
21 I have spoken to, and I have mentioned
22 this particular contention to at least
23 one mechanical engineer, that there is
24 no hard and fast solution to the problem.

25 It is true, perhaps, the metal content

1 may be the best possible, but there is
2 no -- that there is no solution to the
3 problem in terms of reducing any pos-
4 sibility of rupture, I mean or having
5 no possibility of rupture.

6 MR. COPELAND: I don't
7 believe that's Mr. Newman's question,
8 if I understood the question.

9 MR. NEWMAN: No.

10 A And secondly, I would mention that the
11 time this contention was drawn up, I
12 did speak to Gregory Miner on the phone
13 and mentioned the changes that had been
14 made, and read from the, in fact, from
15 a document that Mr. Moon, at the N.R.C.
16 staff had given me, and asked him that
17 if, in his opinion, this made the con-
18 tention no longer valid, and he said in
19 his opinion, it did not, and that was
20 another basis that I operated on.

21 MR. COPELAND: So your
22 understanding, then, as to what the
23 altered material content is of the
24 Allen's Creek piping is based on
25 that document, that's where you got the

1 idea that the material for Allen's
2 Creek had been altered?

3 A. Yes.

4 MR. NEWMAN: Could you identify
5 that document?

6 A. I'm not certain. I believe it was from
7 the -- I'm not sure, I think it was from
8 the latest G.S. whatever it's called, the
9 --

10 MR. COPELAND: E-S-S-A-R,
11 all caps.

12 A. I guess that's where it's from, basically,
13 it's when we were discussing stipulations
14 with the N.R.C. staff, Mr. Moon went
15 through all of our contentions with us
16 and gave us the reason for his position
17 on each contention, and he had a document
18 with him, and I believe it was the ESSAR,
19 that stated that -- or it may have been
20 -- it's possible it could have been the
21 N.R.C. document on stress corrosion and
22 cracking, their NUREG at that time on it,
23 which indicated that this would be the
24 type of solution that would be made to
25 the problem.

MR. NEWMAN: I'm going to ask you two things. These first is as soon as possible after this deposition is over, can you identify the document and give us a reference to it? The document that I am speaking of is the one from which you spoke with Mr. Miner.

Second question I'd like an answer to is whether or not other than the conversation with Mr. Miner, you have any independent basis for the conclusion that these phenomenon will occur notwithstanding the altered metal content in the A.C.N.G.S. pressure boundary piping?

A Well, I believe there is a Swedish study on reactor safety that indicates that the probability of rupture of a pipe greater

MR. NEWMAN: Is that due to intergranular stress corrosion? Quesada: No.

--

Mr. MANNING: Do you have any

1 independent basis other than your
2 discussion with Mr. Miner for the
3 assertion that intergranular stress
4 corrosion cracking can occur at
5 Allen's Creek despite the altered
6 metal content of the reactor
7 primary coolant boundary piping?

8 A. None other than what I have discussed so
9 far, I'm not going to go back over every-
10 thing I have said so far, but none other
11 than what I have said so far, which I
12 have expressed, well -- I'll just leave
13 it at that. None other than what I have
14 expressed so far in this deposition.

15 MR. NEWMAN: I don't know
16 how far we can chase this. I think
17 this is important. We're trying to
18 prepare a case that's responsive to
19 your contentions, and it's important
20 that we know the source of informa-
21 tion that you used so that we can
22 attack it systematically, and so
23 I think maybe it would be well for
24 you to repeat the bases then, upon
25 which you draw the conclusion that

1 notwithstanding the altered metal
2 content of the piping at Allen's
3 Creek, it will experience the same
4 intergranular stress corrosion
5 cracking as the other reactors
6 which you mentioned which have a
7 different metal content.

8 A. One is is that this is a general industrial
9 problem that has not been resolved for
10 industrial systems; that, in fact, face
11 higher stress and lower stress, both,
12 that they have been unable to, you know,
13 completely solve the problems such as
14 there is no probability that it's going
15 to occur, and that includes experience
16 -- it's my understanding that the oil
17 industry, in refineries -- secondly
18 --

19 MR. NEWMAN: You are talking
20 in those circumstances still about
21 stress corrosion cracking?

22 A. Right, stress corrosion cracking.

23 MR. NEWMAN: Continue.

24 Q. Particularly with respect to corrosion,
25 I understand it is a serious problem, for

1 instance, in the oil industry, and they
2 haven't been able to deal with it in
3 such a way that it's no probability,
4 and the difference is when you are talking
5 about a nuclear power plant, your con-
6 sequences of the failure is much greater
7 than it would be in other industrial
8 applications, usually.

9 QUESTIONS BY MR. COPELAND:

10 Q Do you know where in the oil industry they
11 use the same kind of piping they do in
12 this instance?

13 A I don't know offhand, I'd have to look at
14 it and see, and I haven't done that.

15 Q Do you know any industry where they use
16 the same kind of piping that's going to
17 be used at this plant?

18 A The exact same, I don't know of any, but
19 I assume that other industries are engaged
20 in the latest design, too. I know they
21 do use -- it's my understanding they use
22 stainless steel in all applications where
23 there is high stress and corrosion, so
24 that would --

25 Q Do you know of any industry that uses the

1 same stainless steel pipe as being used
2 in this plant?

3 A I have already answered that, no.

4 Q No, okay. Do you know where stainless
5 steel corrosion cracking has occurred in
6 any of the following stainless steels:
7 ASTM 304-, 304L-, 316-type stainless
8 steels with 20.02 percent by maximum
9 weight carbon content?

10 A No. I answer it no because I am personally
11 not familiar with those designations.

12 Q Are you familiar with any other designa-
13 tions for stainless steel?

14 A Not right offhand, no.

15 Q All right, sir, then, going back to
16 Mr. Newman's question, do you have any
17 basis for the contention that stress
18 corrosion cracking is going to be a
19 problem in the stainless steel for us
20 at the Allen's Creek plant?

21 A Well, I've already mentioned the reasons
22 I have.

23 Q The only reason is because this problem,
24 this phenomenon, occurs in other industry
25 applications and --

1 A And because I discussed the problem with
2 an engineer who is familiar.

3 Q Who?

4 A Greg Miner.

5 Q All right, who else?

6 A I've also discussed it with another
7 engineer by the name of Milt Anderson,
8 who is, you know, purely not on his
9 part in consulting work, but just
10 discussion.

11 Q What kind of engineer is he?

12 A Mechanical engineer.

13 Q What does he do?

14 A Works for a consulting firm, I believe,
15 an engineering firm. I'm not certain
16 which one.

17 Q Has he ever designed a nuclear plant?

18 A I'm sure he hasn't. He does work, I'm
19 sure in the oil industry.

20 Q Did you ask him if he knew of any applica-
21 tions of stainless steel piping like was
22 going to be used in this plant to oil
23 industry applications?

24 A It was his feeling that they would be
25 similar because they used, for some applica-

1 tions in the oil industry, very high-grade
2 and high-stress corrosion resistant piping.

3 Q Did you tell him what type of stainless
4 steel is going to be used?

5 A No, I didn't. I did for Greg Miner, I
6 read from the statement that Mr. Moon had
7 given me, and I will attempt to, if I can,
8 find that document and it's going to be
9 basically -- hopefully, I know -- which
10 it is possible either in the stress
11 corrosion NUREG or else it's in the ESSAR,
12 which would make it -- hopefully, I can
13 find it in those documents or possibly
14 I can call him up and see if he remembers.

15 Q Did he tell you why it would still be a
16 problem at Allen's Creek?

17 A No, it was not his position it would be
18 a problem. Who are you talking about?

19 Q Mr. Miner.

20 A No, he didn't. Not other than he says
21 that -- a belief fairly similar to what
22 I have stated, wouldn't be adequate to
23 resolve a problem to the extent that
24 safety would require.

25 Q All right, looking back at your contention,

1 you describe three different phenomena,
2 pipe stress, pipe corrosion, and pipe
3 cracking. Is your contention dealing
4 with these as a separate phenomena or
5 a single phenomenon?

6 A. Separate.

7 Q. These are separate?

8 A. Well, yes. -- well, I guess so. The
9 cracking may be a result of the other two,
10 to some degree, but, okay --

11 Q. They are separate, though?

12 A. Yes.

13 Q. All right. Are these the only phenomena
14 affecting the pipe integrity that your
15 contention is dealing with?

16 A. Yes.

17 Q. All right, your contention says that the
18 excessive oxygen levels may cause failure
19 of piping. What oxygen level do you have
20 to reach to have a pipe failure?

21 A. I don't know the specific value.

22 Q. What types of steel does the oxygen level
23 affect, any kind?

24 A. I presume so, I don't know for sure,
25 though.

1 Q You don't know? Where did you get these
2 various factors that you claim affect
3 the --

4 A Mr. Miner.

5 Q He gave you those?

6 A Well, actually, I read a document that he
7 wrote.

8 Q That he wrote? What was the name of the
9 document?

10 A It's the summary of his testimony before
11 the -- Joint Committee of Congress on
12 Atomic Energy.

13 Q Okay, and has that --

14 A You are probably familiar with that
15 document, aren't you?

16 Q I think so, and is that the source of
17 this contention, basically?

18 A I'd say the source of my coming up with
19 this is a problem that we ought to look
20 into and one of the reasons -- and
21 certainly one of the reasons I talked
22 to him.

23 Q But that is the basic source of your con-
24 tention?

25 A Yes.

1 Q Is his testimony?

2 A Yes.

3 Q What is a superposed load? You say that
4 superposed loads may result in failure
5 of piping.

6 A I would -- I believe that a load that
7 exceeds the pressure, that exceeds the
8 normal or design -- the normal expected
9 pressure.

10 Q Where did you come up with that term?

11 A That whole -- those two factors, extreme
12 oxygen levels and superposed stresses
13 came from the same place.

14 Q All from Miner's testimony?

15 A Yes.

16 Q So if we want to find out what those
17 really mean, we need to look at his
18 testimony; is that correct?

19 A You are asking me the question -- you've
20 already asked me the question on both of
21 these, so I've given you the best answer
22 I can and --

23 Q The fullest answer would be in his
24 testimony as to what --

25 A I suppose so, yes. I haven't looked at

1 it in a little while, so I don't know for
2 sure, for certain, exactly how much detail
3 it goes into on those three.

4 Q But that's where you got the phrases?

5 A Yes.

6 Q Is it your contention at this point that
7 pipe cracking cannot be eliminated or
8 mitigated by design?

9 A Yes.

10 Q It is?

11 A Yes.

12 Q Is it your position that the problem of
13 cracking and stress corrosion cracking
14 has never been mitigated by design
15 changes?

16 A Oh, it can be mitigated, not prevented.

17 Mitigated in terms of reducing probability.

18 Q All right, and is it your position that
19 that has not been done at the Allen's
20 Creek project?

21 A That -- it's not been mitigated or it's
22 not been --

23 Q That it has not been in any way mitigated
24 from the problems that occur in these
25 plants?

1 A It might be slightly less probable than
2 in the previous cases, but --

3 Q Why would you say that?

4 A Well, I am making the assumption that any
5 changes that have been made have been
6 based upon, you know, improvements,
7 learning, and knowledge, but that would
8 be the only basis I'd have to make that
9 assumption.

10 Q Would you have any reason to doubt that
11 the design for the piping at the Allen's
12 Creek plant meets the highest state of
13 the arts?

14 A I have no reason to doubt that.

15 MR. NEWMAN: One more question
16 on that. Have you discussed with
17 Miner the possibility of testifying
18 on this issue?

19 A Some time ago, I did, yes. I haven't
20 lately, just because I'd like to be in a
21 better position of knowing if we were
22 going to be able to retain him.

23 MR. NEWMAN: Will you advise
24 the applicant just as soon as you've
25 made a decision on whether to retain

1 Mr. Miner?

2 A Well, any witness, as soon as we remain
3 them, we'll let you know.

4 MR. NEWMAN: I appreciate that.

5 QUESTIONS BY MR. COPELAND:

6 Q Let's move on to contention number 11, which
7 is flow-induced vibration. Can you
8 describe for me what you mean by the
9 term "flow-induced vibration"?

10 A Basically, it refers to the fact that
11 water is flowing within the reactor
12 vessel through all of the components
13 and around all of the components, and
14 the flow of that water can cause the
15 components to vibrate and so you might
16 have some fatigue of the components,
17 and a possibility of damage.

18 Q Do you know if this is a problem that can
19 be eliminated by design?

20 A I don't know if it can be or not. I
21 would think it's plausible, that it
22 could be.

23 Q All right, do you know of any situation
24 where flow-induced vibration has actually
25 occurred?