

TRANSMITTAL TO: X Document Control Desk, 016 Phillips  
 ADVANCED COPY TO: \_\_\_\_\_ The Public Document Room  
 DATE: 11/15/93  
 FROM: SECY Correspondence & Records Branch

Attached are copies of a Commission meeting transcript and related meeting document(s). They are being forwarded for entry on the Daily Accession List and placement in the Public Document Room. No other distribution is requested or required.

Meeting Title: Brief by OTA on Aging Nuclear Power Plants: Managing Plant Life & Decommissioning  
 Meeting Date: 11/10/93 Open X Closed \_\_\_\_\_

Item Description*	Copies Advanced to PDR	DCS Copy
1. TRANSCRIPT <u>w/ scheduling notes</u>	<u>1</u>	<u>1</u>
2. <u>OTA - Report Brief</u> <u>dtg Sept 1993</u>	<u>1</u>	<u>1</u>
3. _____	_____	_____
4. _____	_____	_____
5. _____	_____	_____
6. _____	_____	_____
9311180208 931110 PDR 10CFR PDR PT9.7	_____	_____

\* PDR is advanced one copy of each document, two of each SECY paper. C&R Branch files the original transcript, with attachments, without SECY papers.

16004

*[Handwritten signatures and initials]*  
 1/85

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

Title: BRIEFING BY OFFICE OF TECHNOLOGY ASSESSMENT  
ON AGING NUCLEAR POWER PLANTS: MANAGING  
PLANT LIFE AND DECOMMISSIONING

Location: ROCKVILLE, MARYLAND

Date: NOVEMBER 10, 1993

Pages: 46 PAGES

NEAL R. GROSS AND CO., INC.

COURT REPORTERS AND TRANSCRIBERS  
1323 Rhode Island Avenue, Northwest  
Washington, D.C. 20005  
(202) 234-4433

# DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on NOVEMBER 10, 1993 in the Commission's office at One White Flint North, Rockville, Maryland. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determination or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of, or addressed to, any statement or argument contained herein, except as the Commission may authorize.

NEAL R. GROSS  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

- - - -

BRIEFING BY OFFICE OF TECHNOLOGY ASSESSMENT ON  
AGING NUCLEAR POWER PLANTS:  
MANAGING PLANT LIFE AND DECOMMISSIONING

- - - -

PUBLIC MEETING

Nuclear Regulatory Commission  
One White Flint North  
Rockville, Maryland

Wednesday, November 10, 1993

The Commission met in open session,  
pursuant to notice, at 10:00 a.m., Ivan Selin,  
Chairman, presiding.

COMMISSIONERS PRESENT:

IVAN SELIN, Chairman of the Commission  
KENNETH C. ROGERS, Commissioner  
FORREST J. REMICK, Commissioner  
E. GAIL de PLANQUE, Commissioner

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

STAFF AND PRESENTER SEATED AT THE COMMISSION TABLE:

WILLIAM C. PARLER, General Counsel

DOCTOR ANDREW BATES, Office of the Secretary

DOCTOR ROBIN ROY, Project Director, Office of  
Technology Assessment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

P-R-O-C-E-E-D-I-N-G-S

10:00 a.m.

CHAIRMAN SELIN: Good morning, ladies and gentlemen.

We're pleased to welcome Doctor Roy of the Office of Technology Assessment to brief us on the recently issued OTA report, Aging Nuclear Power Plants: Managing Plant Life and Decommissioning. This study was performed in response to a congressional request, as we understand it, and the objective was to examine the outlook for the nation's existing nuclear power plants as they age, the prospects for decommissioning, and federal policies that could help address the economics and the safety issues for existing power plants.

This is obviously a very important and timely issue. In fact, I personally believe this is one of the most pressing and most important issues before the Commission at this point. I found your study to be very interesting. The things that I thought I knew something about you sort of confirmed and therefore -- at least I start with, therefore, a higher level of credulity as I read the parts that were new to me. We appreciate the benefit of having the study and the views of the project staff.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1                    Doctor Roy's report brief are available at  
2 the entrance to the room.

3                    Commissioners?

4                    Doctor Roy, please, if you would be kind  
5 enough to proceed.

6                    DOCTOR ROY:       Well, thank you, Mr.  
7 Chairman, members of the Commission. It's a pleasure  
8 to be here. I appreciate the invitation to talk about  
9 our report on aging nuclear power plants.

10                   Our work was, as you said, in response to  
11 House and Senate committees interested in the question  
12 of what are the prospects for plant life and  
13 decommissioning and are there unresolved issued that  
14 are yet to be addressed.

15                   Well, our report confirmed that there are  
16 some issues, quite a few issues that are outstanding  
17 and also noted that there are a variety of activities  
18 ongoing to address many of these issues. Now, based  
19 on my observations of activities of the Commission  
20 ongoing, I don't believe our findings should hold much  
21 surprise for you. NRC activities are ongoing in a  
22 variety of areas, from thinking and rethinking the  
23 license renewal rule, reexamining the research efforts  
24 on aging and safety and finally developing the site  
25 release standards which are so important for future

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 decommissioning efforts.

2           Addressing these and all other related  
3 areas are very challenging issues, challenging issues  
4 for the Commission, for the industry and for the  
5 public too.

6           Now, while our findings may not hold much  
7 surprise, I hope the work is of some value to you as  
8 you face these issues in the future, particularly  
9 since it comes from such a different institutional  
10 perspective that we hold. As you face the challenges  
11 in the coming months and years, please, I hope you  
12 feel free to call on OTA if we can ever be of  
13 assistance in any way and answer some questions.

14           I'll outline our major conclusions. Ask  
15 questions any time. I appreciate the discussion. It  
16 will probably be more useful than some sort of  
17 lecture. I'm not appropriate for that.

18           I'll focus on two main issues, NRC's age  
19 and safety efforts and decommissioning.

20           But first let me take a moment to speak  
21 briefly about one of the most interesting issues  
22 that's facing nuclear power plants today, although  
23 it's not an issue which really falls within the main  
24 regulatory interest of the NRC. Specifically, that's  
25 many operating nuclear power plants are facing severe

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 economic challenges from an increasingly competitive  
2 electric utility industry. As you all know, there  
3 have been a few retirements in the last few years.  
4 Some analysts are suggesting there may be a couple  
5 dozen more early retirements in the next decade. It's  
6 pretty substantial. It's a pretty substantial force  
7 on the industry.

8 Now, these estimates are necessarily  
9 speculative, but what's important and the underlying  
10 issue is that increasingly the utilities and the state  
11 utility commissions that are responsible for much of  
12 the regulation are increasingly investigating the  
13 economics of continued plant operation. It's a major  
14 development.

15 Now, while responsibility for judging the  
16 economic attractiveness of these existing plants rests  
17 primarily with the owners and with the state utility  
18 commissions, federal activities have major  
19 implications for the economics. For example, waste  
20 disposal, issues outside of the nuclear area pretty  
21 much altogether, like addressing environmental  
22 challenges, like global climate change, the things  
23 that have substantial effects. NRC activities too,  
24 like license renewal requirements, whatever those  
25 finally will be, and other safety regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 activities also can have major economic impacts, as  
2 you're all aware.

3 In any case, accelerating federal efforts  
4 could help reduce some of the uncertainty, the  
5 substantial uncertainty that the utilities and the  
6 states face as they address the continued operation,  
7 economics of continued operation.

8 Well, with that, I'll turn to some of our  
9 thoughts on NRC's programs for assuring the safety of  
10 plants as they age. I'd like to focus on two, the  
11 main policy considerations we identified in our  
12 report, but there are a couple of others and I'll to  
13 them very briefly a little later.

14 First, accelerated aging-related safety  
15 efforts. It seems that the early license renewal  
16 efforts suggest that NRC's existing age-related safety  
17 efforts, although elaborate, could be accelerated.  
18 According to NRC staff, for example, these early  
19 license renewal activities drew needed attention to  
20 two areas that are of generic importance during the  
21 original license term of plants. These issues are  
22 well known to you all by now, the environmental  
23 qualification of electrical equipment and fatigue.

24 Early license renewal activities also  
25 brought additional attention to a third topic of great

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 important to a smaller number of plants, that of  
2 reactor pressure vessel embrittlement. This is a very  
3 useful byproduct of the license renewal effort, but it  
4 raises a question of how will a focus be raised for  
5 other issues which may not have been raised already in  
6 these early efforts.

7 In any case, the license renewal  
8 activities, it's not surprising at all that they  
9 brought this additional attention because the license  
10 renewal rule placed great importance on fairly  
11 elaborate integrated plant assessment activities, a  
12 very detailed look at all the systems, structures and  
13 components. It's not surprising that that identified  
14 some aging issues, even if these are aging issues that  
15 are important in the original license term. But any  
16 dependence on license renewal activities to identify  
17 aging issues that are important from the original  
18 license term really does leave unclear how and at what  
19 point focus will be brought for issues that are  
20 important to the original license term absent future  
21 license renewal applications. I know you're grappling  
22 with that now. I'm not sure what the outcome will be.

23 We don't have the answer to that question,  
24 but we had a couple of thoughts that you might want to  
25 pursue and they're laid out there in some detail, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 not nearly enough detail to actually be an  
2 implementation phase.

3 But first, it seems that NRC could  
4 accelerate and intensify the review of topics that are  
5 raised through industry and NRC-aging research  
6 programs, through application to regulatory  
7 activities. There's a lot of follow through, but it  
8 might be interesting to take a more systematic  
9 approach and look at all the research results and see  
10 what are the implications and following up on that on  
11 a regular basis very intensely. Somehow the EQ and  
12 the pressure vessel embrittlement and the fatigue  
13 issues somehow didn't get that attention, although  
14 those were all well known in -- previous to the  
15 industry and to the NRC through previous research  
16 programs. These were longstanding research topics,  
17 which has now gained greater attention.

18 Another approach that might be worth  
19 considering would be to base it around the maintenance  
20 rule. As utilities finalize compliance over the next  
21 few years with the maintenance rule, NRC could monitor  
22 and specifically report on whether the flexible  
23 approach that's taken in the maintenance rule  
24 adequately identifies and addresses age and  
25 degradation. In a nutshell, does this more flexible

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 approach work best? It may well. It's a very  
2 interesting experiment, but it's worth asking that  
3 question, I think.

4 In particular, in reviewing the  
5 maintenance for compliance and adequacy, you might  
6 consider whether the level of technical detail and  
7 analysis of aging issues that are provided by  
8 something like an IPA as laid out in the license  
9 renewal rule would provide a greater assurance that  
10 age and issues are addressed through the maintenance  
11 rule in a systematic fashion. Now, in no way, by no  
12 means are we suggesting that something akin to an IPA  
13 needs to be performed for the maintenance rule.  
14 Rather, what I think is more significant is raising  
15 the question in that fashion and addressing it  
16 specifically would be worthwhile as NRC and industry  
17 gain more experience with the maintenance rule.

18 CHAIRMAN SELIN: Now, you're not  
19 suggesting we do things differently from the way we  
20 would otherwise do them in a maintenance rule, but  
21 rather link the likely results of the maintenance rule  
22 to the prospective procedures for license renewal.

23 DOCTOR ROY: That's a second topic. I  
24 think you might want to do things -- you might want to  
25 look at the maintenance rule is being implemented to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 see how satisfied you are with the flexible approach.  
2 It sounds like it's an interesting approach. It may  
3 be really worthwhile, but it seems like it's worth  
4 considering explicitly how has this flexible approach  
5 worked, is this working well for us, are we happy with  
6 the maintenance rule, or would something which is very  
7 detailed -- not to suggest that we should do a license  
8 renewal link it right now, but is something very  
9 detailed like the integrated plan assessment going to  
10 provide a greater assurance, something which has much  
11 less flexibility than the maintenance rule has in  
12 going through all the systems and structures and  
13 components.

14 It's not to say that the maintenance rule  
15 should necessarily be made more strict, but that you  
16 should consider asking the question, how well is it  
17 working for us in the next few years.

18 CHAIRMAN SELIN: But given the maintenance  
19 rule, is there something to learn for license renewal?  
20 Not going back and changing the maintenance rule to  
21 carry more of the weight than we otherwise see it  
22 carrying.

23 DOCTOR ROY: Well, that's an interesting  
24 topic too. In fact, I'll hit on that one right now,  
25 what can we learn -- what's going on with the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D. C. 20005

1 renewal rule. That's of great interest to a lot of  
2 people around and NRC is rethinking a lot of the  
3 issues of the license renewal rule and its  
4 implementation. The question of whether some  
5 simplification may be warranted, greater reliance on  
6 ongoing programs, for example, as the maintenance rule  
7 will be, as it's fully implemented. I think there are  
8 great reasons for this rethinking of the license  
9 renewal rule. A principal justification for it was  
10 that for the rather elaborate requirements in there,  
11 the IPA, integrated plant assessment, as promulgated  
12 in 1991, was the need to address aging-related  
13 degradation issues that arise only in the license  
14 renewal term but not in the current licensing term.  
15 That's the concept of aging-related degradation that's  
16 unique to license renewal.

17 But that concept seems -- the practical  
18 distinction between aging which is unique to license  
19 renewal and aging generally is somehow hazy, somewhat  
20 artificial, it seems for most systems, structures,  
21 components. For many of them, aging management and  
22 the current license term involves revalidation of  
23 previous analyses of design margins and estimated  
24 degradation rates and such things and as more  
25 operating experience and research results are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 conducted. That is that what may seem to be unique to  
2 license renewal now may not actually be in a few  
3 years, so why are we thinking of it as unique to  
4 license renewal?

5 For that reason, it seems like it may be  
6 better to view aging management as a more continuous  
7 process than reflected in the rule. For example, to  
8 draw more heavily on ongoing programs like the  
9 maintenance rule, provided we're satisfied that the  
10 maintenance rule and other ongoing programs really do  
11 give that level of assurance that aging is being  
12 properly addressed.

13 Then we're back to that first question,  
14 are we really satisfied with the maintenance rule and  
15 other activities to address aging? It's something  
16 you're going to have to grapple with. But if you are  
17 satisfied with the maintenance rule and other aging  
18 management techniques, then it seems that this more  
19 continuous process could be reflected in the license  
20 renewal rule and could be used to simplify, to justify  
21 some vocation considerably.

22 It's conceivable to me to -- if we really  
23 believe that the ongoing programs are adequate, to  
24 treat license renewal as a relatively simple  
25 administrative procedure like that used for recapture

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1325 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 of the construction period. It's possible to see it  
2 being relatively simple. That would still provide for  
3 public input and participation in the renewal process.  
4 It's still a licensing action. There are, again, the  
5 questions of what needs to be considered and what are  
6 the boundaries on what can be raised.

7 One can see it moving in that direction if  
8 we're really satisfied with the ongoing aging  
9 management programs. Again, to be really happy with  
10 the aging management programs, it might be interesting  
11 to think about, be more systematic about the research  
12 programs and translating the results into a sense of  
13 what more needs to be done and following up on on  
14 a continual basis.

15 In any case, we --

16 CHAIRMAN SELIN: While you're talking  
17 about translating results, although I understand your  
18 remarks were basically procedural, that we should be  
19 on the regulatory side more aware of it and more  
20 rapid, more timely in our use of research results.  
21 Are there other areas than the equipment qualification  
22 area that you're aware of that are likely to come up  
23 and invite us that we haven't identified as being  
24 important for the management of aging on the licensing  
25 side?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 DOCTOR ROY: We didn't identify particular  
2 areas we thought that were high-risk areas that needed  
3 to have additional focus drawn on. But it is more  
4 procedural, as you say.

5 CHAIRMAN SELIN: But you talked to a lot  
6 of people and if you came to some side conclusion  
7 along that, I'd be interested --

8 DOCTOR ROY: Didn't really come to the  
9 conclusion about what the particular topics would be.  
10 There are questions about containments and there are  
11 questions about support and there are questions about  
12 all sorts of areas. It's not clear which areas of the  
13 many of the huge numbers of systems, structures and  
14 components really deserve additional attention. Some  
15 of the work that comes out of the aging research  
16 program can help focus that attention. For example,  
17 with the probabilistic risk assessment, aging-related  
18 probabilistic risk assessments. They can help focus  
19 attention on those systems and structures and  
20 components which seem to have the greatest areas for  
21 improving safety. But no, we did not -- I can't tell  
22 you which three. I wish I could, but I don't think  
23 it's that simple. We certainly didn't have the staff.  
24 Here we have the staff. We did talk to a lot of  
25 folks, but we couldn't draw that kind of conclusion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           We also touched on a couple other topics  
2           on your ongoing age and safety efforts which are much  
3           more broad than just age and safety. These are topics  
4           of how to better relate the NRC safety goal policy to  
5           the age and activities and how to revise public  
6           participation procedures, provisions to simplify  
7           license renewal. One of the great benefits of license  
8           renewal for many interested members of the public is  
9           that it would be renewed attention and focus in on an  
10          opportunity for them to participate. Just what other  
11          approaches could be taken to more early gain that  
12          input and that experience, we don't have the right  
13          answer to that and I know you're aware that there's  
14          legislation before the Congress now which would allow  
15          for judicial review of the --

16                   CHAIRMAN SELIN: 2.206.

17                   DOCTOR ROY: The 2.206, right. That's not  
18          necessarily the right way, but it's really worth  
19          considering what other ways can we draw in more public  
20          participation earlier, as early as possible to meet  
21          these needs and to take advantage of what the public  
22          comes up with. There's really not a right answer, but  
23          it seems to be an important issue in license renewal  
24          and I think also may be a very important issue for  
25          aging management generally.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           And then with the safety goal policy and  
2           how that relates to aging activities, again there's no  
3           simple way even grappling with that for awhile. How  
4           do you really translate a safety goal policy into some  
5           sort of procedures or operations? There's no simple  
6           answer. But it is interesting to note that the safety  
7           goal policy doesn't seem to show up in the statement  
8           of considerations for license renewal, doesn't show up  
9           in the maintenance rule discussion, just doesn't show  
10          up.

11                   CHAIRMAN SELIN: Commissioner Remick has  
12          noted that several times.

13                   COMMISSIONER REMICK: Or in the siting  
14          rule?

15                   DOCTOR ROY: It's just a hard enough --  
16          but even to talk about it as a base and then we have  
17          to depart because it's sort of the conceptual base for  
18          our activities.

19                   COMMISSIONER REMICK: Incidentally, one of  
20          the comments that is certainly true is that the NRC  
21          was not able to develop objectives for a comparative  
22          risk with alternative means of generating electricity  
23          and that's true. The Commission gave serious  
24          consideration to that in developing the safety goals,  
25          but thought the NRC is not the best agency to do a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 comparative risk study with coal plants. Maybe OTA  
2 should undertake such a study of comparative risks of  
3 alternative ways of generating electricity, but it  
4 would not be -- the Commission decided if NRC did it  
5 it would be self-serving or viewed as self-serving.  
6 That's why it was not done.

7 Also, there's a comment in there that  
8 there is no cost benefit. At one time there was a  
9 cost benefit algorithm of \$1,000.00 per person rem  
10 saved and in doing that if you had a high population  
11 site, that means more people that could potentially  
12 receive dose, that you could justify larger cost to  
13 make modifications. So, at one time there was an  
14 indirect high density or a societal risk component  
15 through the cost benefit algorithm of if it costs less  
16 than a thousand dollars to prevent a man rem, you  
17 could make -- justify modifications. If you had more  
18 people, that's more man rems you might save by the  
19 modification. So, there was an indirect societal risk  
20 consideration which admittedly was taken out by the  
21 Commission.

22 DOCTOR ROY: This whole area of risk  
23 assessment is a tough one, and not just radioactive  
24 risk, but chemical risk too. EPA certainly is  
25 grappling with that and hasn't resolved the issue by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 any means. Maybe it would be viewed as self-serving  
2 if the Commission did this type of work. The  
3 Commission is well placed to do a lot of the work, the  
4 work with PRAs and then health effects. The  
5 Commission has a great deal of knowledge and  
6 experience and research ability here and perhaps  
7 coordinating with other agencies might be the best  
8 approach.

9 CHAIRMAN SELIN: To be blunt about it, the  
10 problem is that if you just treated all risk as the  
11 same, you would say nuclear power plants are  
12 incredibly safe compared to the alternatives. But  
13 people -- just the fact that there is an NRC, there's  
14 not a coal regulatory commission, places like that.  
15 There clearly is a public sensitivity to nuclear risk  
16 that goes beyond some overall risk criterion.

17 Furthermore, when you use the safety goal  
18 you end up -- it's hard to match safety goal and  
19 defense in depth together. I guess I'd put it that  
20 way.

21 DOCTOR ROY: Right.

22 CHAIRMAN SELIN: You would end up with  
23 requirements that wouldn't -- if you used only the  
24 safety goal as opposed to Commissioner Remick's point  
25 which is you've got to take a look at it along the way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 to see if you're in the ballpark or not, you would end  
2 up with requirements that would be less rigorous than  
3 those that we for other reasons think are called for.  
4 So, our doing a study of relative risk that looks at  
5 coal or oil or gas compared to nuclear, it would be  
6 hard for us to say how much tougher should be the  
7 standard for nuclear risk than the other risk. We act  
8 as if it's a much higher standard, but we've never  
9 really laid down that we have a safety goal for  
10 nuclear plants, but none for non-nuclear plants.

11 DOCTOR ROY: That's right.

12 CHAIRMAN SELIN: So, I would support  
13 Commissioner Remick's point that if this is to be an  
14 important point, and I think it is, we really do need  
15 an agency that's not identified, not so much pro or  
16 con, but we spend 90 percent of our time worrying  
17 about one of multiple sources. We really do need an  
18 agency that's got a broader scope to do such work.

19 DOCTOR ROY: The Department of Energy and  
20 its natural energy plan --

21 CHAIRMAN SELIN: Something like technology  
22 assessment is what we can --

23 DOCTOR ROY: Oh it's a congressional  
24 agency. I'm so sorry. It's the other branch of  
25 government.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           Okay. It is a very interesting area and  
2           it's not clear exactly where to go. You raised a  
3           point about the relative risk and how do you grapple  
4           with some of these underlying issues like trading off  
5           between ongoing low-level risks and we're sure of how  
6           many dead there will be day after day. You can name  
7           a couple of activities which have fairly predictable  
8           numbers of fatalities. It's something which is very  
9           low probability, very high consequence risk and how  
10          you trade off that. I don't know how you do that.  
11          You're right, it's not something that you'll have an  
12          easy answer to. We don't think there's an easy  
13          answer. But again it's kind of fun to think about.  
14          Not fun, but maybe useful to think about it and ground  
15          in some of your other work. I'm not sure exactly  
16          where you go with it, just that it's important. Also,  
17          it sensitizes too some public concerns that seem to  
18          review catastrophic risks in a different way, very  
19          different way.

20                 Although it's also interesting to look at  
21          airline risks. There are low probabilities of  
22          substantial numbers of deaths from airline accidents  
23          apparently. But in any case, that's just one issue.

24                 I'll turn to decommissioning for just a  
25          minute. Absent license renewal, I guess we're all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 aware that three dozen plants will have to retire in  
2 the next 20 years. There may be some earlier ones if  
3 there are some economic retirements between now and  
4 then. There may be quite a few of those, some people  
5 think. Just about all these plants, I think probably  
6 all of these plants are much larger and much more  
7 contaminated than the plants that have been retired to  
8 date. What that means, what it seems to me to mean,  
9 is that commercial plant decommissioning is going to  
10 become a much more visible issue in the next couple of  
11 decades. I bet you're all aware of that already. I  
12 think actually working to fill in one of the big gaps  
13 that there is right now in policy towards  
14 decommissioning and that's in the site release  
15 standards. I think some people call it BRC-3 in a  
16 way, but it's --

17 CHAIRMAN SELIN: Not in this room.

18 DOCTOR ROY: Not in this room. Well, see,  
19 I'm from a different branch, like I said. I've heard  
20 a number of folks refer to it.

21 CHAIRMAN SELIN: I don't want to over  
22 react, but the difference between this and BRC is  
23 we're taking here a well-defined problem for which  
24 there's general belief that a solution is needed. I'm  
25 not trying to generalize to other also interesting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 problems but different ones, but trying to take a  
2 particular case, which is decommissioning,  
3 decommissioning standards. Clearly when you said a  
4 standard, there will be a level below which people can  
5 act as if there's no radiation. But we're not trying  
6 to set a general standard that covers everything from  
7 consumer products to previously licensed facilities,  
8 but are tightly focused on when can licensed  
9 facilities be returned to general use.

10 DOCTOR ROY: Hopefully that tighter focus  
11 will make this effort more successful. It is  
12 definitely very important. These final radioactivity  
13 standards, I guess they're scheduled for 1995, is that  
14 right? 1995. They'll play a big role. They could  
15 play a big role. Well, they will play a big role in  
16 determining the ultimate scope and cost of  
17 decommissioning work, how much material we have to  
18 remove from the site and there's a lot of  
19 implications, and what's the remaining exposure to the  
20 public and the environment.

21 As part of this rulemaking on site review  
22 standards, it's been raised, I've seen it in a couple  
23 of the papers and it was certainly voiced at some of  
24 the public meetings that enhanced public participatory  
25 process, by the way, seemed like an excellent way to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 bring in public views early on in the rulemaking  
2 process. That seems to have been a really -- to me it  
3 seems like a very interesting and useful approach  
4 before having things cast in concrete. But that's an  
5 aside.

6 As part of the rulemaking process, it  
7 really might be worth seriously considering developing  
8 additional options, options beyond the single goal of  
9 unrestricted use. In some cases, you're aware that  
10 clean-up to a level that's suitable for unrestricted  
11 use may neither be necessary for public health and  
12 safety nor economically desirable. If we can find a  
13 way to allow for restricted uses, it may actually be  
14 preferable to some in the states and the public by  
15 allowing them some more control or showing that you'll  
16 retain some sort of control for whatever residual  
17 radioactivity there is at the site.

18 This could be interesting. It's certainly  
19 not the only approach that should be taken, but it may  
20 be an additional option that's worth considering in  
21 the rulemaking. I don't know how far along that  
22 concept is going.

23 CHAIRMAN SELIN: Would you suggest that --  
24 I mean this is reading more into your words than you  
25 said, but I think they are the implications, that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 role of the NRC shouldn't be both to pick an objective  
2 and set the health standards, but to identify for  
3 perhaps several different objectives what the  
4 appropriate health and safety and protection standards  
5 would be and then leave it to more the political  
6 process to decide which option is appropriate for  
7 which facility.

8 DOCTOR ROY: That is reading a little bit  
9 more into my words, but that's a reasonable outgrowth  
10 of some of the things we're saying. That line of  
11 thinking can be very useful, certainly in deciding  
12 whether that's the line you'd like to follow. State  
13 and regulatory interests are very important and state  
14 and local too because local governments may be playing  
15 an important role in land use restrictions and things  
16 like that. How you'd coordinate those types of  
17 activities, public interests which may really vary  
18 from site to site, those are important considerations.

19 Generally to expand the options and think  
20 is it really necessary to have the unrestricted site  
21 release, that could be really useful. It could be  
22 useful for all involved.

23 COMMISSIONER REMICK: You are aware that  
24 that is being considered in the enhanced participatory  
25 rulemaking, that very question.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 DOCTOR ROY: I am aware that it was  
2 raised. I know that some of the papers have suggested  
3 this, the Commission papers. I know the public has  
4 mentioned that. It's not clear how thoroughly that  
5 approach will be investigated. I don't know. Maybe  
6 this is one that you will really pursue aggressively.  
7 You have lots of options, lots of paths you can take.  
8 This is one that might be useful to really think about  
9 seriously. It seems to us based on our hearing. If  
10 you have that under control, that's great. That's  
11 wonderful.

12 CHAIRMAN SELIN: No, it's not -- the fact  
13 that we've thought of something doesn't mean it's  
14 under control, but there really is a difference in  
15 philosophy between saying one of the functions of the  
16 Commission is to decide what objective is the  
17 appropriate one and then set standards for it. That  
18 would be one extreme. Another extreme would say one  
19 of the Commission functions is to be more of a  
20 technical agency, to say for each of several standards  
21 which might be set outside of our process what would  
22 be the appropriate health and safety and physical  
23 protection standards for that option.

24 I think that's an open question. I really  
25 do. Your comments are quite timely on that issue.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 DOCTOR ROY: It will be interesting to see  
2 how that resolves itself over the next couple of  
3 years.

4 Along the same lines, but a little bit  
5 different, it might be interesting to think again  
6 about the entombment option. That was one that, I  
7 guess, in 1988 the Commission considered dropping  
8 entomb as an option for decommissioning, but instead  
9 decided to develop more specific guidelines on how  
10 entomb could be applied and how useful it would be.  
11 There hasn't been any -- I don't believe there's been  
12 any guidance along those lines since then. This might  
13 be a good time for it and it could fit reasonably well  
14 with the site release criteria, particularly if we're  
15 thinking about options such as restricted uses after  
16 release.

17 And reexamining entomb has them thinking  
18 about release generally. The benefits of minimal site  
19 work and the occupational hazards, both radiological  
20 and non-radiological, reduced waste volumes, deferred  
21 and reduced needs for low-level waste sites of entomb  
22 are going to be tough but important to balance with  
23 some of the additional costs, like deferring  
24 responsibility to future generations and regulating  
25 retired plants or sites as temporary low-level waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 sites, how exactly will they deal with that. But in  
2 any case, these are issues that might be worth  
3 considering. Entomb option may be a reasonable  
4 approach for safety and economic reasons and  
5 receive -- it depends on the site and you'd have to  
6 find this out, do some more examinations -- might  
7 receive a favorable state and public acceptance in  
8 some cases. It might be a useful option.

9 Well, overall, it seems that the long-term  
10 prospects for the 107 plants and the few that are  
11 retired already are unclear and much more unclear than  
12 we seem to think they were a couple years ago. A few  
13 years ago we thought they were clearer than maybe we  
14 should have been thinking. But anyway, as these  
15 plants age, the issues related to plant lives and  
16 decommissioning are sure to become much more visible  
17 and draw much more public attention. I wish you luck  
18 in grappling with these issues and again I extend my  
19 offer to have OTA to help how we can.

20 CHAIRMAN SELIN: But absent some request  
21 either from us or the Congress, what, if anything  
22 else, does OTA plan to do at this point?

23 DOCTOR ROY: On this topic? We don't plan  
24 to do anything, absent requests. A couple of papers  
25 we've been asked to write in summarizing our work and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 we'll do that. We send out lots of copies, we speak  
2 at a few places. That's the end for us.

3 CHAIRMAN SELIN: What I heard you say  
4 today were a number of remarks about license renewal,  
5 in particular how this interpretation would be unique  
6 to license renewal aging, might be taken or not taken  
7 and a suggestion that more reliance on refurbishment  
8 and maintenance programs, be it the maintenance rule  
9 or other things that are done in the current area.  
10 Second is in the decommissioning, to perhaps not  
11 settle on a specific option and then derive standards,  
12 but look at several options, unrestricted use,  
13 restricted use, et cetera. I don't know if you  
14 suggested that we also look at the economics as well  
15 as the standards of these different pieces. That  
16 wasn't clear. You mentioned something about the  
17 economics, but it wasn't clear to me if that was part  
18 of your recommendation.

19 DOCTOR ROY: I'm not actually sure how NRC  
20 can grapple with economic issues like that, but  
21 certainly the economics are very important in a lot of  
22 these former -- these plant sites.

23 CHAIRMAN SELIN: But we would leave it to  
24 the economic regulators to --

25 DOCTOR ROY: Make those decisions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1                   CHAIRMAN SELIN:  -- do the economics and  
2                   in your recommendation we would provide the health and  
3                   safety and security guidance that would go with these  
4                   options.

5                   DOCTOR ROY:  That's right.

6                   CHAIRMAN SELIN:  And that in the aging  
7                   research that -- you were pretty gracious, but it  
8                   seemed to be that you were admonishing the agency to  
9                   be more attentive to its own research program and move  
10                  more quickly then perhaps we have in the past on  
11                  drawing some conclusions of the aging research.  You  
12                  didn't identify anything that's missing in the  
13                  research program, but you did suggest that we haven't  
14                  been as fast as we might have been in seeing the  
15                  implications of some of the research results and  
16                  putting that into the regulatory and licensing process  
17                  on aging.

18                  DOCTOR ROY:  I think we did identify one  
19                  thing that's missing.  It's not a particularly system  
20                  or structure component, but it's a process.  It's a  
21                  process to do this translation.  The simplest piece of  
22                  evidence is this license renewal activity.

23                  CHAIRMAN SELIN:  Okay.  So you're going  
24                  beyond the aging research.  You're using that as an  
25                  example of a perceived weakness in the process that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 go from doing the research to taking advantage of that  
2 in our regulatory --

3 DOCTOR ROY: That's right. The license  
4 renewal rule seemed to be instrumental, take this  
5 information which was already known information in the  
6 areas of EQ and fatigue and pressure vessel  
7 embrittlement. Lots of research was being performed.  
8 But it seemed to take the license renewal effort to  
9 focus attention and to really raise this issue and  
10 move it a little bit out from the research side into  
11 thinking, "Well, what more really do we need to do?"  
12 Maybe those are the only three issues. That would be  
13 interesting, it would be wonderful if it was the case.  
14 But maybe those are not the only three issues which  
15 could have been identified if the license renewal  
16 activities, as those first two lead plants, if we'd  
17 continued along that path.

18 It seems -- well, first, if we do rely on  
19 the rule to raise these kinds of issues, that means we  
20 can't really simplify the rule. That's going to be  
21 very difficult to do because we're relying on the rule  
22 to address ongoing aging management issues. On the  
23 other hand, what if we do continue to rely on the rule  
24 but we don't have -- the license renewal rule, but we  
25 don't have many license renewal applications for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1       awhile? Then it leaves open the question of how do  
2       these types of issues make the translation.

3               The maintenance rule is a wonderful  
4       vehicle because it is very broad and it is taking a  
5       new approach. It's one very nice vehicle. We can see  
6       how happy we are with that, that this is being  
7       implemented, and address the question of how would a  
8       less flexible approach perform.

9               Also, the other side is the research. The  
10       research is translation -- we could do a little bit  
11       more and become a little bit more satisfied in the  
12       ongoing process.

13              CHAIRMAN SELIN: But what I heard you say  
14       about research is not that you've done an exhaustive  
15       look at even research supporting aging, but three  
16       cases should be enough to make your point. You don't  
17       need --

18              DOCTOR ROY: They're pretty big cases.

19              CHAIRMAN SELIN: You didn't need to go  
20       further to make the point. The reason you didn't go  
21       further was because they made your point, not because  
22       there might or might not be other cases.

23              DOCTOR ROY: Absolutely. They are big  
24       cases. They seem very important. They apply to lots  
25       of plants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1           CHAIRMAN SELIN: Is that a fair summary of  
2 your major points with respect to the issues at the  
3 table, license renewal and plant aging?

4           DOCTOR ROY: I believe it covers most of  
5 it. There are a number of other smaller issues.

6           CHAIRMAN SELIN: A lot of specifics in the  
7 excellent report.

8           DOCTOR ROY: Yes, pages and pages of stuff  
9 here. But there's one other area that really is of  
10 interest to NRC. I'm not sure how important it is,  
11 but we had to raise it. It's on decommissioning, only  
12 because you ask. That's on the decommissioning  
13 financing. There is a question mark out there about  
14 how much it's going to cost. We don't know really  
15 low-level waste costs. We don't know how well we're  
16 going to -- how different is -- we know how to tear  
17 down big pieces of equipment. That's something that  
18 goes on. Steam generator is a great example. You  
19 take them out, you move them. But we don't know what  
20 the kinds of economies will be as we go through  
21 systematically tearing down a plant.

22           So, there are questions in the labor  
23 required. There are big questions in the low-level  
24 waste disposal cost. There are actually questions in  
25 the spent fuel disposal costs that are worth a couple

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 tens of millions of bucks per site. Big questions.

2 It's interesting the Commission's  
3 financial assurance provisions for decommissioning  
4 specifically consider some reasons why there may not  
5 have been adequate funds built up. For example, I  
6 think you have early retirements. You have a rule on  
7 that. There's another reason why I might not have  
8 adequate funds. That's if the costs accelerate  
9 rapidly.

10 Looking at the financial assurance  
11 provisions for these early retirements, that's a rule  
12 they came out with a couple of years ago, it's  
13 interesting to note that the six plants that have  
14 retired in the last four years, none of them  
15 apparently met the conditions that you were expecting  
16 and laid out in the statement of considerations. It  
17 may be a sign that there's some more work that can be  
18 done. You can do something which is more thorough.  
19 There is a question of how much do you really gain by  
20 trying to be more thorough, more all encompassing.  
21 It's not obvious what would be gained. But it does  
22 leave a question about what does the rule mean and  
23 how useful is it.

24 I think that is a summary of everything.

25 CHAIRMAN SELIN: So that's a good fourth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 point, which is the decommissioning funding, not just  
2 but also for early retirements because as you know  
3 we're not happy with the situation even for plants  
4 that run full-term. There's a major review of both  
5 the estimates and also some of the components, like  
6 the handling of the spent fuel and the increased  
7 standards to green fields on that.

8 Thank you very much.

9 Commissioner Rogers?

10 COMMISSIONER ROGERS: Well, thank you very  
11 much. It's been an interesting report and interesting  
12 to hear from you.

13 I wonder if you might comment a little bit  
14 on what seems to be, I think, possibly a difference in  
15 point of view here with respect to how important  
16 research is in aging -- in identifying specific aging  
17 mechanisms because I think that our point of view with  
18 respect to current plants, current license period has  
19 been that the maintenance rule takes care of aging  
20 phenomena taking place during that first 40 years of  
21 life through inspections and replacements and things  
22 of this sort and that identifying mechanisms for  
23 aging, while perhaps very interesting, may not really  
24 be specifically as important as developing a program  
25 that anticipates the need to change a part out or to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 change something out based on past performance. In  
2 other words, a kind of phenomenological approach to a  
3 plan rather than a scientific understanding of  
4 precisely how long it will take for evidence of aging  
5 to take place, to show up, but rather the development  
6 based on past history and the collection of  
7 performance data as a way of assuring that aging  
8 phenomena are adequately dealt with without actually  
9 perhaps understanding the details of all those in a  
10 way that might be intellectually satisfying.

11 I think that was really more or less the  
12 point of view that we've adopted. That isn't to say  
13 that we don't feel that aging phenomena shouldn't be  
14 looked at, but that we felt pretty comfortable that  
15 once a sufficiently robust database could be developed  
16 with respect to performance, that that was adequate to  
17 guide repairs, replacements and so on and so forth to  
18 avoid the demonstration of aging before it even  
19 started to appear.

20 But beyond the first 40 year period, there  
21 might be something else turning up and for that reason  
22 the license renewal rule really started to look at  
23 mechanisms and identified mechanisms as an important  
24 consideration because there might be something of a  
25 mechanism that would not show up in the performance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 data of the first 20 years. That's really, I think in  
2 a way, what guided our development here.

3 But coming back to your point about  
4 research, current research being used in dealing with  
5 aging during the first 20 years period, I wonder if  
6 you discussed at all in your group the necessity for  
7 a detailed understanding of mechanisms versus an  
8 adequate database of actual performance in the field  
9 which would guide a regulatory set of requirements or  
10 a maintenance program of some sort that would just  
11 take care of those things without really understanding  
12 all of the details that might lead to some kind of  
13 aging degradation.

14 DOCTOR ROY: It was definitely a topic  
15 that came up. A number of people we talked to  
16 suggested that -- I think what it came down to was the  
17 type of research that was necessary depending on the  
18 type of system, structure, component. How long we  
19 expect it to live. What type of database one could  
20 have for long-lived components expected to live for  
21 the life of the plant as steam generators once were  
22 and pressure vessels still are and containments still  
23 are. It's hard to get that history, in-service  
24 history in great detail. Certainly, I guess, cabling  
25 may be an example.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1           We had a: opportunity, perhaps, with  
2 Trojan to go through and look at what's happened with  
3 the electrical equipment at Trojan in hard to access  
4 places and you can learn a great detail from that.  
5 But the ability to get the kind of information for  
6 these long-lived components may not be great and in  
7 most cases studies of the mechanisms of degradation  
8 might be really what are called for. For short-lived  
9 components, equipment that's refurbished or replaced  
10 through some process, certainly a different approach,  
11 different type of research would be needed.

12           A type of research that's more useful,  
13 perhaps more useful than the mechanisms, would be  
14 research on the operating experience and just  
15 following through tracking the databases. You may not  
16 call that research, but I'd like to consider the full  
17 spectrum of activities research. The industry  
18 conducts a broad spectrum of research activities, not  
19 just on mechanisms but on how to determine what types  
20 of analysis and research to perform.

21           Definitely there's a need for a range of  
22 activities, but I think you see that -- you certainly  
23 see that with the NRC's research program. Included in  
24 research are such concepts, not just mechanisms of  
25 degradation, but the probabilistic risk assessments,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 age-related probabilistic risk assessments. That's  
2 considered research too and that is useful for some  
3 types of questions. It depends on the question and  
4 the component that we need to address, what kind of  
5 research needs to be done.

6 COMMISSIONER ROGERS: Well, I appreciate  
7 your comments. I think that's very interesting.

8 Raising the issue of release to  
9 unrestricted use of contaminated sites, that certainly  
10 is something that is being discussed and, particularly  
11 as Commissioner Remick pointed out, has come up time  
12 and time again in the participatory rulemaking  
13 activities. I think there is an interesting dynamic  
14 in work on that question because I think some years  
15 ago there was great public concern about anything that  
16 involved releasing a contaminated site at all for any  
17 purpose. I think as time has gone on and these  
18 questions are being looked at harder and harder and  
19 debated in greater detail, I think there is more  
20 interest starting to develop now in the possibility of  
21 releasing sites for restricted use.

22 There is the question, of course, of the  
23 continued oversight that is necessary to see that  
24 those restrictions are not violated and that's an  
25 issue, but I think there is a dynamic process taking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 place here with respect to public opinion on this  
2 issue. A few years ago, I would say, it was very  
3 difficult to find any proponents for release of a  
4 contaminated site for any purpose other than  
5 unrestricted use. Today that seems to be changing, so  
6 I think your comments are probably very timely.

7 DOCTOR ROY: That's interesting, the use  
8 of the word "release," because that's not really  
9 released if it's restricted, but, yes, that's true.  
10 We have to use the language that we have.

11 COMMISSIONER ROGERS: That's all I have.

12 CHAIRMAN SELIN: Commissioner Remick?

13 COMMISSIONER REMICK: First, I'd like to  
14 say I really thought it was an excellent report. I  
15 found it very interesting in a couple areas where I  
16 might have differed. There were things where maybe  
17 the factual statement was made, but I felt if more  
18 digging had been done an explanation could have been  
19 given, but they were not of great consequence. But in  
20 general, I thought it was an excellent report.

21 The one area, I guess, where I would  
22 greatly disagree with what you've said this morning is  
23 putting reactor pressure vessels in a category that  
24 only through the license renewal has this come  
25 forward. I greatly disagree with that, because a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 tremendous amount of effort has been done on reactor  
2 pressure vessels going back to the '60s, continuously  
3 since then, and the pressurized thermal shock issue  
4 back a decade ago really brought the Agency's  
5 attention to develop criteria.

6 The thing that happened differently in  
7 license renewal in one particular plant, it was found  
8 that the assumptions -- we thought that they knew what  
9 the actual conditions of that pressure vessel were  
10 from the standpoint of materials and welding materials  
11 and so forth, and we found out it was assumed  
12 conditions not known conditions. That brought that  
13 particular issue to light in one particular plant, but  
14 the background and the research and so forth had been  
15 ongoing for years and the criteria established for how  
16 this embrittlement issue would be handled with plants.  
17 So, I don't put RPV in the same category in the same  
18 category as equipment qualification and fatigue from  
19 that standpoint. It came up as an issue in one plant,  
20 but that's because what we thought was known was only  
21 assumed to be known.

22 DOCTOR ROY: I can accept what you're  
23 saying, but certainly you'd agree that there's been a  
24 lot of work over time on the cables too. That's an  
25 area that we've spent -- the industry and NRC spent a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 lot of time --

2 COMMISSIONER REMICK: No, I'm saying the  
3 only one I disagree with is reactor pressure vessel,  
4 putting it in that category that that's something that  
5 was uncovered through the license renewal process.

6 DOCTOR ROY: Well, that's an important  
7 area. Certainly that was not uncovered. There's a  
8 great history of interest and attention paid to RPVs.  
9 There's no doubt about it, the PTS rule. It's been  
10 going on and evolving for a long time, but there was  
11 some additional attention that was brought by this  
12 license renewal application that raised this question  
13 that you've noted about what were the actual weld  
14 materials. But this is a useful thing to have been  
15 brought up by the license renewal rule.

16 I don't mean in any way to say that  
17 there's been no work and that this is a surprise, that  
18 there's a surprise in the NRC or in the industry that  
19 RPVs and embrittlement are important issues. I think  
20 it was well known that you could talk to probably  
21 anybody at the Commission and anybody in industry and  
22 they would agree this is important, and any of the  
23 concerned public groups would agree too. But, it was  
24 important and it seems that the license renewal rule  
25 had an important role in bringing to light the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 questions of the weld materials.

2 COMMISSIONER REMICK: The question of weld  
3 materials goes way back. In this case, they thought  
4 they knew what the material was.

5 DOCTOR ROY: The importance of the  
6 material, but it brought to light that what we were  
7 thinking wasn't quite what we should have been  
8 thinking, so it did have a useful role and it's not  
9 clear when we would have determined that the weld  
10 materials were other than we had been assuming these  
11 years absent the license renewal process.

12 I agree with what you're saying. There's  
13 a great history in looking at this issue and a great  
14 attention to understanding the importance. But there  
15 are some benefits that the license renewal rule  
16 brought even in this issue.

17 CHAIRMAN SELIN: It wasn't the rule, it  
18 was some point you made earlier, but in preparing for  
19 license renewal that's the time to review all at the  
20 same time and in the same place a lot of facts which,  
21 under the normal regulatory process, have broken up  
22 into different groups and might not get the cross  
23 cutting and the complete review that they would get in  
24 the preparation for a specific license.

25 DOCTOR ROY: Right. It wasn't the rule,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 it was the activities that were inspired by the rule  
2 that were important for me complying with the rules.

3 COMMISSIONER REMICK: That's all I have.  
4 Really, I say sincerely I think it's a very  
5 interesting report and a good job in general.

6 DOCTOR ROY: Thank you.

7 CHAIRMAN SELIN: And in a step of  
8 conspicuous bravery, Commissioner de Planque will now  
9 ask --

10 COMMISSIONER de PLANQUE: Yes. I'm not  
11 sure how many words I can get out, but I'll try.  
12 Pardon my voice.

13 I enjoyed the report very much too. I  
14 think it was extremely well done.

15 One issue came to my mind and I don't know  
16 if you had either the time or the ability to discuss  
17 what other countries are doing in this respect, but it  
18 certainly came to my mind in the sense that we're  
19 dealing with license renewal because we deal with a  
20 given of a 40 year license. This isn't the procedure  
21 used by some of the other countries and so they don't  
22 have the equivalent

23 Did you at all discuss how other countries  
24 are approaching this or did you discuss the concept of  
25 a set license at all?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

1 DOCTOR ROY: We did. Early only when we  
2 started out this work, we wanted to compare and  
3 contrast and see what we could learn from other  
4 nation's experiences and other nation's regulatory  
5 approaches and industrial approaches. We did not have  
6 the resources to do that, but we did touch on that  
7 issue a couple of places in here. One of the reasons  
8 it was very difficult and we knew we didn't have the  
9 resources for it was because the industry structures  
10 and the regulatory structures are so different and  
11 it's not simply that there's -- it's not that all the  
12 regulations are the same with the exception of the 40  
13 year license life.

14 COMMISSIONER de PLANQUE: That's right.

15 DOCTOR ROY: There's the whole industry  
16 regulatory interaction. It seems to vary a great deal  
17 from country to country. It was hard to look in  
18 isolation at just the license renewal issues.  
19 Certainly there's a lot of interest and attention in  
20 the international community on aging issues, growing  
21 attention it seems on aging issues, a lot of  
22 experience is being gained. But there were such basic  
23 differences it was very hard to draw much more  
24 conclusion.

25 Also, it came up in our panel meetings, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005



1 have these lovely advisory panels with lots of folks  
2 from different backgrounds. Some people noted, and it  
3 seemed hard for us to find a way around this, that the  
4 history that brought us to our form of regulation and  
5 industry views and public views and how those are all  
6 mixed together is different -- the history is  
7 different from the other countries and the outcome is  
8 different and so how could you really apply these  
9 lessons? Well, there are some lessons you can apply,  
10 but probably the engineering lessons are easier than  
11 the political science and the political process  
12 issues. That made it really tough for us to try to  
13 draw that conclusion, so we don't. Sorry.

14 COMMISSIONER de PLANQUE: Okay. Thank  
15 you.

16 CHAIRMAN SELIN: Thank you very much,  
17 Doctor Roy. I join my colleagues in expressing our  
18 admiration and respect for the report and thanking you  
19 for coming out here and making the presentation.

20 DOCTOR ROY: Thank you. Appreciate it.

21 (Whereupon, at 10:55 a.m., the above-  
22 entitled matter was concluded.)  
23  
24  
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVENUE, N.W.

WASHINGTON, D.C. 20005

CERTIFICATE OF TRANSCRIBER

This is to certify that the attached events of a meeting  
of the United States Nuclear Regulatory Commission entitled:

TITLE OF MEETING: BRIEFING BY OFFICE OF TECHNOLOGY ASSESSMENT  
ON AGING NUCLEAR POWER PLANTS

PLACE OF MEETING: ROCKVILLE, MARYLAND

DATE OF MEETING: 11-10-93

were transcribed by me. I further certify that said transcription  
is accurate and complete, to the best of my ability, and that the  
transcript is a true and accurate record of the foregoing events.

Carol Lynch

Reporter's name: PETER LYNCH

NEAL R. GROSS  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVENUE, N.W.  
WASHINGTON, D.C. 20005

11/9/93

SCHEDULING NOTES

Title: Briefing by Office of Technology Assessment on Aging Nuclear Power Plants: Managing Plant Life and Decommissioning

Scheduled: 10:00 a.m., Wednesday, November 10, 1993 (PUBLIC)

Duration: Approx 1 hour

Participants: Office of Technology Assessment  
- Robin Roy, Ph.D.

Document: OTA report "Aging Nuclear Power Plants: Managing Plant Life and Decommissioning" dated September 1993



SEPTEMBER  
1993

**L**

**Many  
operating  
nuclear  
power  
plants  
face  
severe  
economic  
pressures**

ong-term prospects for the Nation's 107 operating nuclear power plants are increasingly unclear. Proponents argue that these plants, which supply over 20 percent of the Nation's electricity, are vital to reliable, economic electricity supplies, have environmental benefits (e.g., they emit no greenhouse gases such as carbon dioxide), and reduce dependence on imported oil. Opponents, however, argue that nuclear plants bring risks of catastrophic accident, create unresolved waste disposal problems, and are often uneconomic. As these plants age, issues related to plant lives and decommissioning are likely to become much more visible and draw more public attention.

The past few years brought unexpected developments for nuclear plant lives and decommissioning. Since 1988, six nuclear power plants have been retired early, well before the expiration of the 40-year operating licenses granted by the U.S. Nuclear Regulatory Commission (NRC). Owners of several other plants are investigating the economics of early retirement as well. The owners of the first large commercial nuclear power plants slated for decommissioning anticipate costs much greater than estimates made only a few years earlier. And after a several year effort, the two lead plants in a program to demonstrate NRC's plant license renewal process halted or indefinitely deferred their plans to file an application—in one case as part of an early retirement decision. While work continues to develop and eventually demonstrate a regulatory process for license renewal, it will be several years before the first application is filed and acted on. Absent license renewal, about three dozen operating nuclear power plants will have to retire in the next 20 years.

Despite these substantial challenges, there has also been good news for the U.S. nuclear industry recently. Reversing a decades-long trend of rapid increases, average nuclear power plant operating and maintenance costs have decreased in recent years. Average plant reliability and availability have improved substantially. Safety performance has also been good. There have been no core damage accidents since Three Mile Island in 1979, nor an abnormal number and severity of events that could have led to core damage, much less any actual offsite releases of large amounts of radioactivity. Average occupational radiation exposures, already well below NRC limits, have also declined substantially.

#### AGING AND SAFETY

After many years of intensive efforts by the NRC and the nuclear power industry, no insurmountable industry-wide safety challenges related to aging have been identified. There are some notable uncertainties for the longer term, however. While not presenting immediate challenges, some aging-related safety issues such as the extent of metal fatigue occurring over the life of a plant, degradation of cabling and other electrical equipment, and reactor pressure vessel embrittlement will have yet to be determined effects on operating lives.

Experience with and understanding of aging issues continue to grow. In total, the histories of the more than 400 nuclear plants worldwide provide several thousand reactor-years of operating experience. However, because of the industry's youth, experience with

# OTA REPORT *brief*

## Commercial nuclear power plants in the United States



nuclear power plant aging in the second half of the 40-year licensed lives is limited. This limited experience with aging can be particularly important for some major long-lived equipment such as the reactor pressure vessel, cables, and piping that are intended to function for the full life of a facility.

Current and planned nuclear power plant aging management practices are designed to identify and address challenges before they become a threat and to provide a reasonable assurance of adequate safety. These practices depend heavily on elaborate plant maintenance programs and on ongoing research. There will always remain some risk, however, and continued industry and Federal regulatory vigilance is crucial. Attention to aging issues is crucial not just in considering license renewal but in a plant's original license term as well.

The industry and NRC are working to address aging issues, but their efforts could be accelerated to determine better the long-term prospects for existing plants and to assure adequate long-term safety. For example, NRC could intensify its review of aging safety research for possible regulatory applications. Greater attention to aging safety issues during a plant's original license term could also help justify a substantial simplification of the NRC's still-undemonstrated license renewal process.

### AGING ISSUES IN PLANT LIFE ECONOMICS

Many nuclear power plants face severe economic pressures. The six early retirements occurring between 1989 and early 1993 convey the variety of issues likely to be involved

The Office of Technology Assessment is an analytical arm of the U.S. Congress. OTA's basic function is to help legislators anticipate and plan for the positive and negative effects of technological changes.

## OTA REPORT *brief*

in the future, as economic life decisions are made. In several of these decisions, aging degradation and its effects on plant costs and performance played a prominent role. Other factors have also played prominent roles in determining plant lives and will continue to do so in the future. These include rising operational costs; radioactive waste disposal; public attitudes toward nuclear power; and the changing electric industry context, including increased competition and attention to environmental impacts. While future economic conditions are highly uncertain, some analysts have suggested that as many as 25 plants may be retired in the coming decade. However, the economy of most nuclear power plants appears at least moderately attractive, assuming the recent leveling of costs continues.


Any tendency to judge the industry by early retirements may give a misleadingly dim view of the remaining lives of other nuclear power plants. The great diversity among plants and plant performance, and the changing electricity market conditions across the country make the long-term prospects neither uniform nor clear. Thus, no single development is likely to affect uniformly the future of the Nation's existing nuclear power plants. Rather, the futures of the existing plants are likely to be determined individually over time, based on a host of separate decisions made by utilities, State utility commissions, and Federal regulators.

Responsibility for judging any plant's economic attractiveness lies primarily with the owning utility and State regulators. However, Federal activities in such areas as nuclear waste disposal and nuclear plant safety regu-

lation (e.g., resolution of license renewal requirements) can have major economic impacts. Accelerating these Federal efforts could help reduce uncertainty facing utilities and State utility commissions as they make plant life decisions. Federal policies outside the nuclear arena, such as addressing global climate change and other environmental challenges, can also have major impacts on the economics of existing nuclear plants. Federal efforts are ongoing in these areas, but the outcomes remain uncertain.

### DECOMMISSIONING

Several decommissioning issues remain unresolved, although work is ongoing to address them. There remains substantial uncertainty



U.S. nuclear power plant production costs, 1970-1991 (1991 dollars)

in decommissioning costs and the adequacy of decommissioning financing in cases of early retirement or rapid cost escalation. Although decommissioning costs are uncertain and large if viewed as a one-time expense, they are not large relative to lifetime plant production costs. Case studies of early retirements could be used to learn more about the prospects for decommissioning costs and performance. Perhaps of greatest importance,

## OTA REPORT *brief*

however, is the future disposal capacity and cost for radioactive waste. Estimated low level waste disposal costs have increased ten-fold in the past decade, and there has been limited progress in developing new disposal facilities.

The nuclear plants currently in operation are generally larger and more contaminated than the plants decommissioned to date. However, experience with decommissioning small reactors and with major maintenance activities at large plants suggests that the task of decommissioning can be performed with existing technologies. Final decommissioning of all but a few very special cases will likely not be performed before early in the next century. Rather, most retired plants will go through a waiting period of between 5 years and several decades, allowing short-lived isotopes to decay.

As with many other modern societal activities, decommissioning cannot provide absolute protection of public health and safety, even if all radionuclides associated with the plant are removed from a site. For example, there will be some radiological risks associated with the waste disposal site, and nonradiological transportation and occupational risks. Background radiation from other sources will also remain. The NRC has recently undertaken a process to revise residual radioactivity requirements for terminating a license. NRC could extend this effort to examine alternatives to its current requirement of unrestricted site release. For example, because future exposures depend on land use (e.g., industrial, residential, or agricultural), NRC could investigate different radiological standards matched to restricted land uses.

Copies of the report  
for congressional  
use are available by  
calling 4-9241.

CONGRESS OF THE UNITED STATES  
OFFICE OF TECHNOLOGY ASSESSMENT  
WASHINGTON, DC 20510-8025

OFFICIAL BUSINESS  
PENALTY FOR PRIVATE USE, \$300

POSTAGE AND FEES PAID  
OFFICE OF TECHNOLOGY ASSESSMENT

379



Copies of the report for  
noncongressional use  
can be ordered from  
the Superintendent  
of Documents,  
U.S. Government  
Printing Office,  
S/N 052-003-01342-B,  
\$11.00 each,  
P.O. Box 371954,  
Pittsburgh, PA,  
15250-7954,  
(202) 783-3238.



Printed on recycled stock  
with soybean ink.