

In the Matter of:

METROPOLITAN EDISON COMPANY)

(Three Mile Island Unit 1))

DOCKET NO. 50-289

(Restart)

DATE: November 11, 1980

PAGES: 5111 - 5287

AT: Harrisburg, Pennsylvania

THIS DOCUMENT CONTAINS
POOR QUALITY PAGES

US NRC
DISTRIBUTION SERVICES
BRANCH

NOV 18 PM 12 46

NUCLEAR REGULATORY COMMISSION
HARRISBURG UNIT

ALDERSON *AR* REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

T 8011240449

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

-----x
:
In the matter of: :
:
METROPOLITAN EDISON COMPANY :
:
(Three Mile Island Unit 1) :
:
-----:

Docket No. 50-289
(Restart)

25 North Court Street,
Harrisburg, Pennsylvania

Tuesday, November 11, 1980

Evidentiary hearing in the above-entitled
matter was resumed, pursuant to adjournment, at 10:08 a.m.

BEFORE:

IVAN W. SMITH, Esq., Chairman,
Atomic Safety and Licensing Board

DR. WALTER H. JORDAN, Member

DR. LINDA W. LITTLE, Member

Also present on behalf of the Board:

LAWRENCE BRENNER, Esq.,
Special Counsel to the Board

MS. DORIS KOBAN,
Clerk to the Board

1 APPEARANCES:

2 On behalf of the licensee, Metropolitan Edison
3 Company:

4 GEORGE F. TROWBRIDGE, Esq.
5 THOMAS A. BAXTER, Esq.
6 DELISSA A. RIDGWAY, Esq.
7 Shaw, Pittman, Potts and Trowbridge,
8 1800 M Street, N.W.,
9 Washington, D. C.

10 On behalf of the Commonwealth of Pennsylvania:

11 ROBERT ADLER, Esq.
12 Assistant Attorney General,
13 505 Executive House,
14 Harrisburg, Pennsylvania
15 WILLIAM DORNSIFE,
16 Nuclear Engineer

17 On behalf of Union of Concerned Scientists:

18 BILLYN WEISS, Esq.,
19 ROBERT D. POLLARD
20 Harmond & Weiss,
21 1725 I Street, N.W.
22 Washington, D. C.

23 On behalf of the Regulatory Staff:

24 JAMES TOUBTELLOTTE, Esq.
25 JAMES M. CATCHIN, IV, Esq.
Office of Executive Legal Director,
United States Nuclear Regulatory Commission,
Washington, D. C.

26 Petitioners for leave to intervene pro se:

27 STEVEN C. SHOLLY,
28 304 South Market Street,
29 Mechanicsville, Pennsylvania

C O N T E N T S

1				
2	<u>WITNESSES</u>	<u>DIRECT</u>	<u>CROSS</u>	<u>REDIRECT</u> <u>RECROSS</u>
3	Thomas G. Broughton			
4	Robert C. Jones			
	By Mr. Pollard		5126	
5		Afternoon Session p.	5156	
	By Ms. Weiss		5159	
6	By Mr. Pollard		5185	
	By Mr. R. Adler		5196	
7	By Mr. Baxter			5207
	By Ms. Weiss			5209
8	By Ms. Weiss		5213	
	By Mr. Pollard		5224	
9	By Ms. Weiss		5233	
	By Mr. Pollard		5242	
10	By Ms. Weiss		5243	
	By Mr. Pollard		5260	
11	By Ms. Weiss		5265	
12				
13				
14				
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

P R O C E E D I N G S

1
2 CHAIRMAN SMITH: Good morning.

3 Before we begin with the witnesses we have several
4 preliminary matters. The Board has circulated to the
5 persons present a draft of our memorandum and order revising
6 emergency planning Contentions. There are some typos in it,
7 but it is substantively correct except for one one reference.

8 DR. LITTLE: On page No. 8, the reference to York
9 13 should read, "This Contention was withdrawn. Newberry
10 agreed with the staff's objection that it was repetitive of
11 Newberry Contention, York 3" rather than 13. The second
12 reference is to York 3.

13 CHAIRMAN SMITH: And the rest is substantively
14 accurate.

15 This will be served in corrected form Wednesday.

16 When we return to the office on Friday, Ms. Weiss,
17 we will issue a memorandum and order denying the motion on
18 your Contention 17.

19 The memorandum and order on emergency planning
20 Contentions is the final ruling of the Board on the
21 Contentions involved up until now. That cleans it all up.

22 We had indicated that we would issue a list of the
23 surviving Contentions and renumber them and submit those in
24 a form which would be useful to the parties. It seems that
25 we are going to be delayed considerably in doing that, and

1 it occurred to us that Mr. Zahler seems to be splendidly
2 organized on this subject matter, and we wonder if he could
3 be prevailed upon to take that task over for us, or somebody
4 in your office, Mr. Baxter. He always seems to be ahead of
5 us in what Contentions are in and out, and it seems that --
6 perhaps he has already done this. Who knows.

7 MR. BAXTER: I will commit on his behalf.

8 CHAIRMAN SMITH: Thank you.

9 Now, it is not just a question of numbering them.
10 Some of the Contentions in their subcontentions require some
11 judgment which the sponsoring Intervenor should be consulted
12 on. But he will be aware of that I'm sure.

13 Any other preliminary business?

14 MR. CUTCHIN: Mr. Chairman, on Friday the staff
15 mentioned that it had observed that the Board had some
16 concerns in connection with the staff's not having the
17 appropriate witness available to address concerns which had
18 appeared to the staff to be somewhat broader than the scope
19 of Contention 1 with respect to the Three Mile Island 2
20 scenario and the coolability of that core.

21 The staff has available or can make available two
22 witnesses, one of which is coming from Atlanta, and one of
23 which would come from Bethesda. The testimony of these
24 witnesses would to a great degree be in response to what the
25 staff perceived to be the Board's concerns. It may well

1 somewhat be in the nature of rebuttal to some of the things
2 that came up in other witnesses' testimony, but for purposes
3 of planning, does the Board have a present feeling as to
4 when it may like to hear those witnesses?

5 CHAIRMAN SMITH: Well, have you given any more
6 thought about whether you can provide a written version of
7 their testimony in advance?

8 MR. CUTCHIN: That would take a longer time, Mr.
9 Chairman, and I think without going through the transcripts
10 and trying to ferret out the particular Board questions and
11 prepare a response to them, we would then be perhaps into
12 other issue areas.

13 We were thinking in terms of trying to make these
14 people available tomorrow, but we need to get the one in
15 Atlanta particularly notified, and it would seem that many
16 of these concerns would actually be relatable to the subject
17 issue that is presently being considered, since indeed Three
18 Mile 2 was a small break LOCA type scenario.

19 But we could do it either way. We would prefer to
20 put them on live. Then we would just have to see what
21 happens. If other parties felt that they needed an
22 opportunity to prepare to examine those witnesses, we would
23 have to face that, and the Board would have to rule on that
24 on a case by case basis.

25 CHAIRMAN SMITH: We anticipate, Ms. Weiss has

1 already indicated she would expect to have some notice. I
2 suppose the risk would be upon the witnesses if their
3 testimony was such it was necessary to call them back.

4 MR. CUTCHIN: Well, a lot of these questions, of
5 course, were raised by Ms. Weiss and seemed to amble
6 somewhat upon the ambit, and normally she would be under a
7 duty to respond. We just have to play it by ear and see if
8 she is able to look at what is said or listen to what is
9 said and then ask whatever questions she has, or have to
10 have them come back. I think we would have to face that
11 after we hear what they have to say.

12 CHAIRMAN SMITH: Ms. Weiss, what is your feeling?

13 MS. WEISS: I don't know. Mr. Cutchin first
14 assumed a duty that we are under. I am not aware that we
15 would be under any duty to be prepared to cross examine a
16 witness who has not presented his direct testimony in
17 writing, and I really think as if we should insist upon
18 seeing it in writing. It is not a question of rebuttal.
19 There wasn't any direct testimony to rebut. And we just
20 think it is significant enough. We are going to see for the
21 first time, because it doesn't appear anywhere else, in any
22 of the staff's testimony, their analysis of how the accident
23 sequence bears on UCS Contention 1 and 2, which is of course
24 grounded in the accident sequence. It is not accurate to
25 imply as if these questions were coming out of left field.

1 There was a great deal of discovery in what we were
2 interested in. I think we made clear what we were
3 interested in, and we would really insist on our right to
4 have -- since we are going to see that for the first time,
5 to see it in writing.

6 And I am not looking for a lot of notice, but I
7 think that four or five days is necessary, particularly
8 since we are engaged now in preparing feverishly for the
9 next day.

10 MR. CATCHIN: Mr. Chairman, I think she uses the
11 word right. I don't think anyone has a right to see written
12 testimony. That is within the discretion of the Board
13 under the rules as to whether to require written in all
14 respects. Much of this came up as a matter of Board
15 questions and in response to statements made by Licensee's
16 witnesses.

17 Of course, the staff, as always, will make an
18 attempt to accommodate whatever the Board decides it wants,
19 but we would prefer to bring these witnesses on as soon as
20 we can and bring them on live.

21 CHAIRMAN SMITH: Well, you are correct in a
22 limited extent. There is no absolute right on the part of a
23 party to have advanced notice of testimony in exactly the
24 form that Ms. Weiss has requested it, that is, written
25 form. However, there is an overall due process right of the

1 opportunity to confront the testimony, and if it is of such
2 a nature that some advance notice of it is required, well,
3 that would be subsumed in the due process right.

4 CHAIRMAN SMITH: Our problem is it is difficult to
5 make a judgment because we don't know what to expect.

6 Perhaps you want them tomorrow, so even a
7 compromise would not be much help. I was thinking of the
8 possibility of -- I recognize the problems you have about
9 the need to prepare written testimony in detail, and the
10 time and complexity of going over the transcript, but
11 perhaps an outline of what they have in mind might be a
12 reasonable compromise. But even that could not be
13 accomplished in time to have these witnesses here tomorrow,
14 which returns us to where we were, and that is if they were
15 to appear tomorrow and testify live, then we would have to
16 entertain motions from anybody to either make them stay
17 around or return at a later date until the transcript can be
18 examined and a true confrontation afforded after opportunity
19 to consider.

20 MR. CUTCHIN: We would be willing to run what
21 seems to be a very high risk because I think in the long run
22 it may be more efficient to do it that way, because even if
23 we put in live testimony -- I mean written testimony, it may
24 well be that the Board or the parties raise further
25 concerns, and we keep iterating on this process, or it may

1 be well just to bring them on live and have all the
2 questions come up and then play it from there.

3 CHAIRMAN SMITH: Right.

4 Let's hear from the Commonwealth. Do you have any
5 feelings on it, Mr. Adler?

6 MR. ROBERT ADLER: No.

7 CHAIRMAN SMITH: Mr. Baxter?

8 MR. BAXTER: Mr. Chairman, I do believe that the
9 additional testimony the staff is discussing would be best
10 addressed while we are still in these first three agenda
11 items, and I think it is sort of a circumstance where we
12 should seek some accommodation or expect some from UCS in
13 order to keep the record somewhat cohesive.

14 My view of the first two issues was whether we can
15 rely on natural circulation or we need forced circulation.
16 The staff's testimony addressed that. UCS is dissatisfied
17 because they didn't explore that in the context of the first
18 16 hours of the TMI 2 accident, and I think the staff would
19 be justified in resting on the testimony, but they are going
20 to come forth and allow UCS to explore that issue, which
21 they didn't do with their own testimony.

22 MS. WEISS: Let me make it absolutely clear. I am
23 absolutely dis -- I am not dissatisfied. I am willing to
24 stand on the record the way it is.

25 DR. JORDAN: Now, I am the one, I think, that

1 perhaps raised the problem, and my problem particularly
2 concerned -- and I have warned the staff that I wanted their
3 analysis particularly on the testimony of the witnesses that
4 are here today, and particularly their replies to the Board
5 questions, that part of UCS 8 which consists of a number of
6 replies as to how the Licensee plans to deal with the
7 recommendations in the various reports, and I worked to make
8 sure that the staff has seen these replies, how they plan to
9 meet the recommendations, some of which they will say they
10 do not plan to meet for restart, and so that is where my
11 chief problem will lie, and I will be wanting answers, and I
12 would like to see them come in soon, after the Licensee's
13 witnesses have left the stand.

14 MR. CUTCHIN: I was speaking primarily, sir, about
15 concerns that the Board may have had about the details of
16 the Three Mile 2 accident scenario and the coolability of
17 that core as they relate both to the natural circulation
18 concern of yesterday and to the issues of today, which are
19 in general small break LOCA analyses.

20 Now, we could bring them on if the Board chooses,
21 and then the Board could allot UCS whatever amount of time
22 it felt was necessary, the Board felt was necessary for
23 them to prepare, and UCS could tell us then whether they
24 wanted the witnesses back for cross examination.

25 CHAIRMAN SMITH: Our concern is that it be worked

1 out with all of UCS's rights preserved. It is a question of
2 efficiency. I think there is a great deal to be said about
3 having the staff's overview of the issue before us early,
4 and you have recognized yourself that it seems to be a
5 rather great risk that they will have to make two
6 appearances.

7 So actually, what we will be having will be oral
8 testimony which will be reduced to writing by virtue of the
9 transcript, you will be expected to do a workman like job of
10 cross examination based upon what you can do at the time,
11 but upon a reasonable showing that the issues were too
12 complex, or simply that you simply forgot something, I am
13 sure that you represent it accurately, then we will have to
14 entertain a motion to call these people back.

15 But give the Board a moment to consider it because
16 I would assume that you want to know as early as possible.
17 Somebody has to come in from Atlanta.

18 MR. CUTCHIN: That is the main reason we need to
19 know early, so we can get him on notice to start making
20 travel plans to be here tomorrow.

21 CHAIRMAN SMITH: Well, if we can just take a few
22 minutes break, and then we will come back.

23 Is there anything further you want to say, Ms.
24 Weiss?

25 MS. WEISS: No.

1 (A brief recess was taken.)

2 CHAIRMAN SMITH: Mr. Cutchin, the Board will
3 invite you to present your witnesses tomorrow. I think -- I
4 observed during the break that you were already advising UCS
5 as to who these people were, and that I think would be a
6 good procedure to follow, if you would state as much as
7 possible what you know about the people and about what they
8 are going to tell us.

9 MR. CUTCHIN: Yes, sir.

10 The two gentlemen that we will bring tomorrow, one
11 is Bob Martin. He is with the Atlanta Office of Inspection
12 and Enforcement. He was intimately involved in the
13 investigation in the aftermath of the Three Mile 2 accident,
14 and was a supervising editor, preparer, what have you of the
15 document, NUREG-0600, the large, thick orange document that
16 was put out by Inspection and Enforcement.

17 The other gentleman is Bill Johnston, -t-o-n. He
18 is out of the Bethesda office. He is the Branch Chief of
19 Core Performance Branch. His background is core thermal
20 hydraulics, physics and the like, and he will testify on the
21 core coolability. He was, I believe, involved in the
22 Rogovin investigation, and in doing his work there had to
23 acquire some knowledge of the TMI 2 accident scenario.

24 And these two gentlemen have a broader knowledge
25 of TMI 2 and core coolability related to that than did the

1 witness we had on yesterday.

2 CHAIRMAN SMITH: Will they appear as a panel?

3 MR. CUTCHIN: Yes, sir. We would propose to offer
4 them at the same time as a panel.

5 CHAIRMAN SMITH: Okay.

6 I assume then that much of what we will hear
7 tomorrow has already been published in O600.

8 MR. CUTCHIN: I would presume that that is true,
9 but I cannot state that to be a fact.

10 We will also make an attempt to go through the
11 transcript of Friday and try to propose some of the
12 questions that the Board raised to sort of set the stage.

13 CHAIRMAN SMITH: Okay.

14 Anything further, Mr. Baxter?

15 MR. BAXTER: Do I understand the plan will be that
16 we will begin with these witnesses first thing in the
17 morning and interrupt these?

18 CHAIRMAN SMITH: I don't think that has been
19 addressed.

20 MR. CUTCHIN: I didn't hear the question.

21 MR. BAXTER: Is the proposal to begin with these
22 staff witnesses at 9:00 o'clock tomorrow morning and
23 interrupt this panel?

24 I have no particular objection. I just want to
25 make sure we understand what the sequence would be.

1 MR. CUTCHIN: They will be available, I
2 understand, first thing in the morning at the Board's
3 pleasure.

4 CHAIRMAN SMITH: Another option could be, if it
5 works in better for travel plans, to begin at 1:00 o'clock.
6 There might be a better chance to complete this panel.

7 But we don't care. Work it out.

8 MR. CUTCHIN: They will be here tonight is my
9 understanding, so we can put them on, and Mr. Martin has to
10 go, I understand, to Michigan on Thursday. So we would
11 like, if at all possible, to get them off the stand by the
12 end of the day tomorrow.

13 CHAIRMAN SMITH: I don't think it makes any
14 difference to us.

15 Anything further?

16 MR. BAXTER: Yes, sir. I would like to make an
17 inquiry about the Board's plans for hearing schedule during
18 the Thanksgiving week. It is my understanding that the
19 Board had determined to have a hearing beginning at 10:00
20 o'clock on Monday the 24th and a full day on Tuesday the
21 25th, but had not decided on Wednesday the 26th, or have you
22 made your travel plans by now?

23 CHAIRMAN SMITH: Yes. Wednesday will be a typical
24 final day. We will adjourn at about noon. Yes, we will
25 adjourn about noon, yes.

1 MR. BAXTER: Thank you.

2 CHAIRMAN SMITH: Any other matters?

3 Mr. Cutchin?

4 MR. CUTCHIN: No more from the staff.

5 CHAIRMAN SMITH: Okay.

6 I believe now we are ready for your cross
7 examination, Ms. Weiss?

8 MS. WEISS: We are going to start with questions
9 based on the witnesses' presentation on Friday. Through a
10 mix-up we did not get the transcript of Friday's session,
11 but we prepared some questions anyway, and I think it will
12 probably be all right, although when we get a chance to
13 scrutinize the transcript --

14 CHAIRMAN SMITH: You have the transcript now?

15 MS. WEISS: We have it now.

16 CHAIRMAN SMITH: All right.

17 MS. WEISS: And Mr. Pollard is going to ask those
18 questions.

19 CHAIRMAN SMITH: Did you get a copy of the
20 transcript of Friday?

21 MR. ROBERT ADLER: Yes.

22 Whereupon,

23 THOMAS GARY BROUGHTON and ROBERT C. JONES,
24 called as witnesses by counsel for licensee, Metropolitan
25 Edison Company, having been duly sworn by the Chairman,

1 resumed the stand, were further examined and testified as
2 follows:

3 CROSS EXAMINATION

4 BY MR. POLLARD:

5 Q Mr. Jones, I will be asking some questions on
6 statements in the transcript.

7 Do you have a copy?

8 A (WITNESS JONES) I do now.

9 Q If you could turn first, please, to page 5059.

10 DR. JORDAN: Can you wait just a moment?

11 Mr. Pollard, if you have a few extra documents
12 there, if you could raise your microphone, it might help.

13 BY MR. POLLARD: (Resuming)

14 Q On the bottom of page 5059, the next to the last
15 sentence where you are talking about in this analysis we
16 have assumed loss of offsite power, reactor trip, but we
17 have assumed an operator action in the analysis, did I
18 misunderstand you? I thought you had said an operator error
19 in the analysis rather than operator action.

20 A (WITNESS JONES) We had assumed an operator action
21 to be performed in doing that analysis.

22 Q Can you tell me what the operator action was?

23 A (WITNESS JONES) The operator action is described
24 on page 5060, starting on line 20 and continuing on onto the
25 next page, that paragraph, and basically it is the -- the

1 operator action assumed was a manual action to open up some
2 valves in the high pressure injection line such that one
3 high pressure injection pump could feed to all four
4 injection nozzles.

5 DR. JORDAN: This action was described in your
6 direct testimony, was it not, in the written testimony?

7 WITNESS JONES: Yes, it is. It is also described
8 on page 3.

9 BY MR. POLLARD: (Resuming)

10 Q In your discussion on Friday in general through
11 all of the analyses and all of the tables in your direct
12 testimony, were those analyses based upon the specific, the
13 performance of the specific components in Three Mile Island
14 Unit 1 such as the high pressure injection pumps, or were
15 they performed on a generic basis?

16 A (WITNESS JONES) The analyses which were performed
17 were performed on a generic basis, and they generally
18 speaking will deliver or assumed less flow to be injected
19 than the actual TMI system as modified will provide.

20 Q If I could direct your attention now to the
21 paragraph that began on page 5059 and continuing on 5060 of
22 the transcript, you state that subsequent investigation
23 after that concern was raised determined indeed that we had
24 not done a sufficient job in examining all break locations.

25 Can you explain to me, please, which subsequent

1 investigations you are referring to?

2 A (WITNESS JONES) Well, to go over the history a
3 little bit, in the early '70s we performed a set of small
4 break analyses for the TMI -- well, the generic 177 plant,
5 which was applicable to TMI 1. After that analyses, as time
6 evolved, model modifications were made over that time
7 period, and other analyses were done for other B&W type
8 reactors. An internal concern was raised at B&W which --
9 basically the concern was that the analyses done for the
10 other plants was showing that the pump discharge break was
11 the worst case while the older analyses for TMI 1 had
12 indicated that the suction break was the worst location.
13 This internal concern was evaluated and analysis was
14 performed, and that analysis determined that indeed the pump
15 discharge break was the worst location, and the whole
16 analysis was performed on that basis, of looking at the pump
17 discharge break, and that subsequent investigation phrases
18 specifically relating to the initial evaluation of the
19 concern, which was a single case study which indeed showed
20 that there may be a problem, and then we went on to continue
21 the analysis.

22 Q This determination that you had not done a
23 sufficient job of examining all break locations, and that in
24 fact the worst break was on the pump discharge, that
25 determination was made after Three Mile Island Unit 1 was

1 first licensed, is that correct?

2 A (WITNESS JONES) Yes.

3 Q Can you describe, please, the substantial model
4 changes that were made over the life of the plant?

5 A (WITNESS JONES) There were various refinements in
6 the nodding scheme utilized in the model, and probably the
7 most significant change that was made was a new model and
8 technique was employed for examining level, swell and bubble
9 rise within the system.

10 Q And were there other substantial model changes?

11 A (WITNESS JONES) There may have been other changes
12 made. I just don't remember what I would consider biggest
13 model changes made, but I can't to my mind, no. No other
14 pops up immediately.

15 Q When you say now that these were model
16 refinements, do you use that phrase to mean the same thing
17 as a substantial model change?

18 A (WITNESS JONES) Well, the term substantial model
19 change basically was relative to its impact on the analysis,
20 while model modifications or refinements may or may not lead
21 to changes in the results, or significant changes in the
22 results.

23 Q Did the two model refinements that you mentioned,
24 did those lead to a substantial impact on the results?

25 A (WITNESS JONES) I am not sure the nodding change

1 really had any big effect. I said the treatment of the
2 level, swell and bubble rise in the system probably had the
3 biggest impact.

4 Q Being sensitive to the Board's concern that the
5 record be clear, could you give us a general explanation of
6 what you mean by a node in a model?

7 A (WITNESS JONES) Well, a node or volume is simply
8 that. It is basically a region which is defined for the
9 computer code which is a model of a select portion of the
10 system. It models the volume of that particular region. It
11 models the relative elevations for the inlet flow and exit
12 flow from that model. It models the initial pressures,
13 items such as that, the physical location of a piece or a
14 part of the primary system. For example, one node might be
15 used to represent the hot leg of the system. That node
16 would incorporate the height of the hot leg and the proper
17 volume, total volume of the hot leg.

18 Q Would it also be within one node that you would
19 calculate the average temperature of all the water within
20 that node?

21 A (WITNESS JONES) Yes.

22 Q During your discussion of Table 2 in your direct
23 testimony, you made reference to Exhibit 9, and I am sorry,
24 perhaps you can help me remember which figure in Exhibit 9.

25 Perhaps I have found it faster.

1 I would like to direct your attention to Figure 2
2 in Licensee Exhibit No. 9.

3 Am I correct that when you performed this analysis
4 you assumed operation of two safety valves for at least a
5 portion of the time? Is that correct?

6 A (WITNESS JONES) That is correct.

7 Q Can you give me your opinion of what Figure 2, how
8 Figure 2 would be changed if in fact only one safety valve
9 opened?

10 A (WITNESS JONES) Basically between roughly 1800
11 seconds and 2300 seconds, roughly, the system pressure would
12 increase. I have no idea as to where it would go.

13 Q Did you perform an analysis, perhaps in another
14 document, where you did assume only one safety valve would
15 open?

16 A (WITNESS JONES) No, we did not.

17 Q In analyses performed in accordance with 10 CFR
18 50.46 and Appendix K, isn't it required that you assume a
19 single failure?

20 A (WITNESS JONES) Yes, but this analysis was not
21 done for 50.46 compliance. Neither was -- let me just
22 clear that up. I did not state it Friday, but all the
23 analyses discussed from Table 2 on to the last table of my
24 testimony was not performed for 50.46 compliance. Only the
25 first table is the analysis for 50.46 compliance.

1 Q If you were doing the analysis depicted in Exhibit
2 9 for the purpose of demonstrating compliance with Appendix
3 K, would you then assume or would you be required to assume
4 that one safety valve did not operate?

5 MR. BAXTER: Excuse me. Just a point of
6 clarification. Are we still talking about Table 2 where
7 there is no small break LOCA?

8 MR. POLLARD: Excuse me. I am referring to Figure
9 2 in Licensee Exhibit No. 9 which was referenced in Mr.
10 Jones' testimony, dealing with Table 2 in his direct
11 testimony on UCS Contention 8 and ECNP Contention 1E.

12 MR. BAXTER: Thank you.

13 WITNESS JONES: I am not sure that I would ever
14 have to do this analysis in the first place to show
15 compliance with 50.46 in that I believe -- it is my
16 understanding that no single failure will wipe out the
17 emergency feedwater system, but even if I take that
18 assumption and do it, if I take the failure of the safety
19 valve, then I would have to high pressure injection systems,
20 both pumps operating, and that would result in a significant
21 change in the required capacity, relief capacity for the
22 system.

23 BY MR. POLLARD: (Resuming)

24 Q One more question on Figure 2 of Exhibit 9.
25 Without changing any other of the sequence of

1 events or your assumptions that you have given in your
2 testimony, as I understand what you just testified this
3 morning, that if one safety valve failed to open, the
4 pressures shown in Figure 2 would go higher, but you don't
5 know by how much.

6 A (WITNESS JONES) It would go higher, but only
7 between that specific timeframe, the roughly 1800 to 2300
8 second period, and I have no -- I have not done any
9 calculations, nor what its final pressure state would be.
10 But once that 2300 second timeframe passed, it would come
11 down to basically the same pressure.

12 Q May I ask you another question?

13 Assuming again all of your original assumptions
14 and one safety valve failing to open, but with the
15 additional change of using 1.2 times the ANS decay heat
16 value, would the pressure go even higher between those times?

17 A (WITNESS JONES) Can I have the question read
18 back? I think I missed something and I want to answer the
19 question properly.

20 (The reporter read the pending question.)

21 WITNESS JONES: Yes. Between that specific time
22 pressure would go higher than the case of 1.2 ANS.

23 DR. JORDAN: May I ask this for further
24 understanding?

25 The pressure shown on Exhibit 9 that we have been

1 discussing, that pressure is the pressure which the safety
2 valves have released, is that right?

3 WITNESS JONES: Yes.

4 DR. JORDAN: And you are saying now if there was
5 only one safety valve released, the pressure would build up
6 and increase the flow out of that safety valve.

7 WITNESS JONES: Yes, the system pressure would
8 have to increase to discharge roughly the same amount of
9 volume, but there would be many other changes on the system,
10 because as the pressure goes up, the volume relief necessary
11 goes down. So it is not just a linear function. If you do
12 a boiling calculation, you boil a little more but it takes
13 up less volume at higher pressures, so that it is not a one
14 to one relationship. It does not double or anything like
15 that. It has other feedbacks that are difficult.

16 DR. JORDAN: I see, but you do say you have no
17 feeling for how high the pressure might go, whether it might
18 exceed the limits, the stress limits of the pressure vessel.

19 WITNESS JONES: That is correct. I have not done
20 the calculation and I would rather not guess.

21 DR. JORDAN: All right. I understand.

22 BY MR. POLLARD: (Resuming)

23 Q If we can move on now to your testimony on Table
24 3, you referenced there Licensee Exhibit 5.

25 I would like to direct your attention first to

1 Figure 6.2.22 of Licensee Exhibit 5.

2 CHAIRMAN SMITH: Read the title of the figure.

3 MR. POLLARD: The title of the figure is Figure
4 6.2.22, Break Quality versus Time, 0.02 Square Foot Break of
5 Pump Discharge, No Auxiliary Feedwater.

6 CHAIRMAN SMITH: I think everyone is ready.

7 BY MR. POLLARD: (Resuming)

8 Q Can you explain the label on the left hand side of
9 the graph which states "Pipe Quality?"

10 A (WITNESS JONES) That is the label given to this
11 type of figure by the computer code, and it is basically the
12 inlet quality to the flow path which they call pipe
13 quality. The only exception to that would be where you have
14 heat addition or heat removal within a path, and there you
15 would see, dependent on the assumption used in the code, you
16 would see possibly the effect of the addition of the heat.

17 Q On Figure 6.2.22, on slightly over 1500 seconds, I
18 assume, the flow quality oscillates there.

19 Can you explain physically what is happening in
20 the plant that caused that quality to fluctuate?

21 A (WITNESS JONES) The fluctuation is partly a
22 function of the assumptions we use in the code and the way
23 does its calculations, and what it is is we have placed the
24 break at the exact bottom of the fluid volume that we are
25 representing. However, in order to properly, or in order to

1 account for the pipe quality of what is leaving the system,
2 we have placed a small, roughly one inch height on the
3 break. In other words, it spans into the fluid volume
4 approximately one inch.

5 Now, if the injected fluid is enough to cover that
6 one inch pipe, you will see pure water. If all of the water
7 is discharged instantaneously out of the pipe, you would see
8 pure steam, and if it is in between that one inch path, you
9 would see some fractional quality. And what is happening
10 here is we are getting down to very low qualities in this
11 location, on the order of .09, .07 -- I am trying to read
12 the graph. It is on that order. And all that is happening
13 is as you continue to inject, you are at certain times in
14 the calculation covering the pipe path, and because you
15 cover the pipe path, you get larger flows, and that
16 subsequently results in it uncovering a little bit, and you
17 get a little overshoot on the quality part.

18 DR. JORDAN: Which way does quality go?

19 WITNESS JONES: Liquid is zero and pure steam is 1.

20 BY MR. POLLARD: (Resuming)

21 Q So that am I correct, then, from your explanation
22 that this oscillation of quality at this point is an effect
23 of the computer model and may not necessarily occur in the
24 actual plant?

25 A (WITNESS JONES) I believe you will probably see,

1 if you truly had a breakdown at the bottom of a pipe like
2 this, you would see a sloshing over the break during the
3 transient, when the system has reached low inventories, to
4 where it had drained down to near the bottom of the reactor,
5 the inlet nozzles to the reactor vessel, and that you would
6 see water coming by from the HPI. For example, you might
7 see some mixing, and you would probably see some of these
8 oscillations.

9 Think what you get in both this and what you get
10 in the real world is more or less an average value, even in
11 the early timeframes, and that these oscillations are not
12 really that unreasonable. I would not be surprised to see
13 them.

14 Q But I am correct that this oscillation, as I
15 understood your oscillation, results from the way you
16 actually modeled the break.

17 A (WITNESS JONES) Yes.

18 Q If I compare Figure 6.2.22 with Figure 6.2.23, am
19 I correct that the pressure oscillations observed -- excuse
20 me, that the flow oscillations observed in Figure 6.2.23 at
21 slightly over 1500 seconds are the result of the change in
22 quality depicted in Figure 6.2.22?

23 A (WITNESS JONES) That is correct.

24 Q If you refer to Figure 6.2.23, we see a rather
25 large perturbation in break flow around 500 seconds.

1 Can you explain why we don't see any similar
2 perturbation in the quality at 500 seconds?

3 A (WITNESS JONES) Well, you do. If you look at the
4 pipe quality chart, you see that at around 500 seconds, the
5 system goes from zero quality to roughly 34 percent
6 quality. This sudden drop is a result of a change in the
7 break flow as a result of the change in the discharge models
8 from a subcooled discharge model, Bernoulli, to a saturated
9 fluid discharge model, which is the Moody model.

10 BY MS. WEISS:

11 Q What was the first one?

12 A (WITNESS JONES) Bernoulli.

13 BY MR. POLLARD: (Resuming)

14 Q Would you expect to see such a change in the
15 actual plant, or is this once again a result of the analysis
16 where you are changing from two different types of models.

17 A (WITNESS JONES) I don't believe the magnitude
18 change you see there will occur because the Bernoulli model
19 itself is a highly conservative discharge model and will
20 tend to overestimate the leak flow. So the step change
21 would be smaller. But I believe that you would see a step
22 change basically because the experimental data done on
23 subcooled discharge and saturated flow discharge indicates
24 that you get very large flows for subcooled discharge, and
25 after you receive roughly a 2 percent pipe quality, you will

1 have a fairly substantial decrease, and to go from slightly
2 subcool to 2 percent quality is not a very large change and
3 could occur quite rapidly.

4 Q I would like to move on now to your testimony
5 dealing with Table 4, in which you referenced Licensee
6 Exhibit 5, Figure 6.2.62.

7 DR. JORDAN: Is that 62?

8 MR. POLLARD: Yes, 62 is the exhibit in Exhibit 5,
9 and I would also like to direct your attention to transcript
10 page 5088.

11 I'm sorry, the discussion actually begins on page
12 5077. Dr. Jordan asked you a question with respect to this
13 analysis, whether it uses the set points of the PORV and the
14 reactor trip prior to or after the accident, and your answer
15 was no, this analysis was done assuming the old set points.

16 DR. LITTLE: That's 5087.

17 MR. POLLARD: I'm now on 5088. I just read
18 Witness Jones' answer on lines 3 and 4.

19 DR. LITTLE: You referred to 5077.

20 MR. POLLARD: I'm sorry. I was always on page
21 5087 and 5088.

22 BY MR. POLLARD: (Resuming)

23 Q Basically my question deals with your answer which
24 begins at line 10 on page 5088.

25 Can you explain why the analysis would not be much

1 different if you had used the PORV and reactor trip points
2 that will be in place prior to the restart of Three Mile
3 Island Unit 1?

4 A (WITNESS JONES) Basically the reason for that is
5 this accident results in, as analyzed, would result in a
6 PORV actuation in about a four to six second timeframe at
7 2350 psi, or it might have been -- I don't remember the
8 exact set points. It might have been 2300, but in that 2300
9 plus psi, and the reactor trip at a higher pressure, which
10 would occur at about eight to ten seconds for this event.

11 With the inverted set points, you would have your
12 reactor trip occurring in the four to five second timeframe,
13 and the possibility of hitting the PORV would occur in
14 roughly only another two or three seconds for this case. So
15 you are talking about the accident occurring, or changes in
16 the analysis on the order of about a three or four second
17 timeframe. If anything, a new analysis would result in
18 better consequences because you would have an earlier
19 reactor SCRAM and less heat in the system, but the
20 subsequent follow-on actions of the system would be
21 basically the same.

22 Q Perhaps you have already answered my next
23 question, but could you refer to Figure 6.2.64. As I
24 understand the answer which you gave before I asked the
25 question that if you had the earlier reactor trip set point,

1 this peak temperature shown in Figure 6.2.64 might actually
2 be somewhat lower.

3 A (WITNESS JONES) That is correct.

4 Q Can we refer now to transcript page 5090?
5 Actually, the paragraph of your testimony begins on page
6 5089 and continues on 5090.

7 In this particular analysis, it was originally
8 assumed that the reactor coolant pumps keep running, is that
9 correct?

10 A (WITNESS JONES) That is correct.

11 Q And it is your testimony that with the reactor
12 coolant pumps running, this gives you forced circulation,
13 which keeps a very good heat transfer to the steam
14 generators. Is that correct?

15 A (WITNESS JONES) That is correct.

16 Q So from the standpoint of the effectiveness of
17 ECCS, or the ability to cool the core, let me put it that
18 way, it is better to have the reactor coolant pumps running
19 for this particular analysis.

20 Is that correct?

21 A (WITNESS JONES) No, that is not correct.

22 Q Can you --

23 A (WITNESS JONES) The reason why basically is this
24 transient does not really -- whether you have power to the
25 pumps or not does not really result in a fairly large loss

1 of inventory if the high pressure injection pumps are left
2 running. So in both cases the core would remain continually
3 covered with water, and the cladding temperature would
4 remain within a few degrees of the saturated fluid
5 temperature. Running the pumps might give you an
6 incremental few degrees on the temperature of the cladding,
7 but in all cases it would be below 700 degrees, and I don't
8 consider that significant, and in fact we have analyzed the
9 case of a PORV failure without power to the pumps, and it
10 shows that the system would remain quite cool.

11 DR. JORDAN: But now, refresh my memory. There
12 were now some cases in which the core would uncover unless
13 you took off the power to the pumps. Was that right?

14 WITNESS JONES: That's correct, but those were
15 break sizes in a range of between .025 to .2 square feet,
16 and the PORV is a .007 square foot break. So it is below
17 that window.

18 DR. JORDAN: I see.

19 BY MR. POLLARD: (Resuming)

20 Q If we can move on to your testimony on Table 5 in
21 your direct testimony, and on Friday you referred to
22 Licensee Exhibits 6 and 7, Figure 2 in both exhibits.

23 CHAIRMAN SMITH: Mr. Pollard, may I have the
24 Exhibit number table again?

25 MR. POLLARD: Licensee Exhibits 6 and 7, Figure 2

1 in both exhibits.

2 BY MR. POLLARD: (Resuming)

3 Q We will now be referring to your testimony at page
4 5094 of the transcript.

5 Once again, your answer begins at page 5093 and
6 continues on 5094.

7 Am I correct that your testimony dealing with
8 Exhibit 6, that Figure 2 shows that you are not capable of
9 cooling the core with one high pressure injection pump?

10 A (WITNESS JONES) Well, the figure shows that given
11 the loss of allk feedwater to the system, and using the
12 assumption of 1.2 ANS, which is not a very realistic value
13 with the decay heat curve, then on a generic basis for all
14 plants, we could not assure that we could cool the core for
15 this specific circumstance.

16 I am not so sure that that would necessarily apply
17 in the case of TMI 1 in that this analysis was done at 2772
18 megawatts. TMI 2 has about an 8 percent lower power level.
19 Its HPI system will produce roughly 10 percent more flow
20 than what was assumed in the analysis. So it would tend to
21 counterbalance, even though 1.2 ANS assumption.

22 DR. JORDAN: I think you misspoke and said TMI 2.

23 WITNESS JONES: TMI 1, excuse me.

24 BY MR. POLLARD: (Resuming)

25 Q As I understand your answer to my question

1 earlier, you testified that these analyses were done on a
2 generic basis. Is that correct?

3 A (WITNESS JONES) That is correct.

4 Q And you have not done this analysis specifically
5 for Three Mile Island Unit 1.

6 A (WITNESS JONES) That is correct.

7 Q Now, as I understand your testimony on Friday,
8 when you then moved to Exhibit 7, Figure 2, that this
9 demonstrated that the core could be cooled with one high
10 pressure injection pump, assuming that you used 1.0 times
11 the ANS standard value for decay heat.

12 My question is on your generic analysis depicted
13 in Exhibit 7, if you had used 1.2 times the ANS standard
14 value for decay heat, would you then get essentially the
15 results similar to what you did get in Exhibit 6?

16 A (WITNESS JONES) You would get exactly the same
17 results for this generic evaluation because that is the only
18 difference between the two cases.

19 Q Perhaps I should have asked the question that
20 way. Yes, thank you.

21 Continuing from transcript page 5094, you then say
22 you are going to move on now to Table 6 of your testimony,
23 and then on page 5095, at line 16, you state, "And we have
24 assumed that the emergency feedwater is delivered to the
25 steam generators."

1 My question is at that point how many pumps did
2 you assume were available, emergency feedwater pumps?

3 A (WITNESS JONES) One. And in fact, the way the
4 code works, it is not even a full one pump.

5 Q I'm sorry, I didn't understand.

6 A (WITNESS JONES) The way the code works, it is not
7 even a full one pump. The flow rate is modulated to
8 maintain level in the code, and we have input a value which
9 would be more or less representative of one pump, but in
10 fact we are not even using the full capacity of one pump.

11 Q Not even the full capacity of one motor driven
12 pump as opposed to one turbine driven pump?

13 A (WITNESS JONES) On the average, that is correct,
14 yes.

15 Q I'm sorry, I didn't understand the phrase "on the
16 average."

17 A (WITNESS JONES) There may be a period of time in
18 the analysis where we may be using a larger capacity than,
19 say, one motor driven pump could produce for a short time
20 period, which is the period where we just start to
21 re-establish the boiler condenser mode, possibly. For that,
22 what I am saying, on an average basis, over a timeframe in
23 there, we would be using roughly, say, 300 GPM or 100 GPM at
24 a very specific instant in time. We may be using more over,
25 say, a 5 or 10 second time period.

1 Q In the analyses that you are discussing in this
2 answer here on page 5095, what assumptions were made in the
3 computer analysis about what level the steam generator was
4 filled to, and how fast did the steam generator water level
5 get to that pump?

6 A (WITNESS JONES) Well, the analysis is based on a
7 50 percent level. I have to look up the time.

8 Q Fifty percent of which?

9 A (WITNESS JONES) On the operating range.

10 (Pause)

11 WITNESS JONES: I don't have the information with
12 me to be able to tell you that. I can say, though, in
13 general what happens is in fact the system basically comes
14 down and settles out at 50 percent of the operate range
15 rather than fills to 50 percent of the operate range.

16 BY MR. POLLARD: (Resuming)

17 Q So that normal level in the steam generators is
18 normally about 50 percent in the operating range, regardless
19 of power level of the plant?

20 A (WITNESS JONES) At full power, yes.

21 Q At full power. What about at 25 percent power,
22 what is the steam generator level?

23 A (WITNESS JONES) I don't know. I expect it is
24 less than 50 percent of the operate range.

25 Q If we go now to your testimony on Table 7 from

1 your direct testimony, where you referenced -- excuse me.
2 We may not need the exhibits. We can just refer to page
3 5101 of the transcript.

4 A (WITNESS JONES) Excuse me. Which page?

5 Q 5101.

6 What we are discussing here is the small break
7 loss of coolant accident with a delayed reactor coolant pump
8 trip, is that correct?

9 A (WITNESS JONES) That is correct.

10 Q At the bottom of page 5101, the last paragraph,
11 you explained that at this point you have to refill the
12 reactor coolant system, and specifically the reactor vessel
13 in the core, and try to recover the core. And then you
14 testified "but these are high pressure transients, and you
15 do not have a pump which is capable of refilling the system
16 rapidly as you do at low pressures for large breaks."

17 My question is, is that because of the limited
18 capacity of the high pressure injection pumps?

19 A (WITNESS JONES) Yes, that is correct.

20 Q I am correct here that in this analysis you had
21 assumed that both high pressure injection pumps -- excuse
22 me, the two high pressure injection pumps were running, is
23 that correct?

24 A (WITNESS JONES) The majority of the analyses
25 performed did utilize two high pressure injection pumps for

1 this scenario, where the pumps ran, the system went to a
2 high void fraction, and then the pumps trip out, the reactor
3 coolant pumps.

4 Q Can you please refer to Licensee Exhibit 10,
5 Figure 2.5.

6 I think it is Figure 2.5, but looking at the page
7 it looks like it might be 2-5.

8 A (WITNESS JONES) Is that on page 28, I believe?

9 Q 28, page 28.

10 Can you give me your views on how that figure
11 would change if you had only one high pressure injection
12 pump available?

13 DR. JORDAN: Before you do, review for me the
14 situation that we are referring to at this figure.

15 WITNESS JONES: Okay. This is an analysis of the
16 seven breaks in the bottom of the collate pump discharge
17 piping, with the reactor coolant pumps remaining operative,
18 and two HPI pumps on.

19 Now, as far as how the system pressures were
20 changed for these cases, you would see probably very little
21 impact for the .2 square foot break. The .025 square foot
22 break would tend to just basically just float now out around
23 1100 psi for a longer period of time, and the other cases
24 would tend to be somewhat higher in pressure. I am not sure
25 how much, but they would tend to be slightly higher in

1 system pressure.

2 And to give you an idea as to what it is worth,
3 Figure 2-8 on page 31 shows a comparison of the system
4 pressure trace for the .05 square foot break with one or two
5 HPis, and there may be a hundred psi differential between
6 the two at 3000 seconds.

7 BY MR. POLLARD: (Resuming)

8 Q Then do I understand your testimony correctly that
9 the reason you are tripping the reactor coolant pumps is
10 because you do not have an emergency core cooling system
11 pump that is capable of rapidly refilling the system to
12 cover the core, and that if you did have such a pump, it
13 would not be necessary to trip the reactor coolant pumps.

14 A (WITNESS JONES) I am not so sure I would want to
15 characterize it in that fashion. Rather, for this specific
16 scenario, the high pressure injection systems have not been
17 designed to handle, but even if you have larger high
18 pressure injection pumps and could somehow tolerate this
19 high system void fraction evolution, there have been various
20 concerns raised about the integrity of the reactor coolant
21 pump to operate in high system voids, and that it still may
22 not be prudent to continue operation of the reactor coolant
23 pumps through a transient as it may induce secondary LOCAs,
24 additional LOCAs or vibrations or whatever, where the
25 integrity of the pump could lead to other problems.

1 Q Am I correct that the analysis you performed
2 showed that for a spectrum of small breaks between .025
3 square feet and .2 square feet, that it was necessary to
4 trip the reactor coolant pumps in order to assure that you
5 had adequate core cooling?

6 A (WITNESS JONES) It was necessary to trip the
7 reactor coolant pumps in order that if you want to postulate
8 the scenario of the loss of the pumps at any time, that you
9 would not have adequate core cooling, that we could not
10 demonstrate adequate core cooling.

11 If, however, if we could keep the reactor coolant
12 pumps running, we would have maintained adequate core
13 cooling. It was only this delayed pump trip scenario that
14 caused the problem, not whether the pump is on or the pump
15 is off initially being the problem. It is the delayed
16 scenario which caused the specific problem.

17 Q Well, during an accident such as you are analyzing
18 here, where do the reactor coolant pumps receive their
19 electrical power from?

20 Could I ask the question first of this witness?

21 A (WITNESS JONES) My understanding is they get it
22 from offsite source. I thought that perhaps Mr. Broughton
23 could talk specifically for TMI 1.

24 Q Have you done an analysis of the offsite power
25 system for Three Mile Island Unit 1?

1 A (WITNESS JONES) I have not personally.

2 Q Then you don't have any opinion as to whether or
3 not it is likely or unlikely that offsite power could be
4 lost at any time during an accident.

5 A (WITNESS JONES) As I stated, I have not done such
6 an analysis and I do not know.

7 DR. JORDAN: Let's make the record clear. Would
8 the other witness respond as to where the power comes from
9 to operate the reactor coolant pumps?

10 WITNESS BROUGHTON: The power for reactor coolant
11 pumps at TMI 1 does come from offsite power sources.

12 DR. JORDAN: Thank you.

13 BY MR. POLLARD: (Resuming)

14 Q Are you aware of any recommendations that the
15 Advisory Committee on Reactor Safeguards has made over the
16 years with respect to the capacity of emergency core cooling
17 system pumps?

18 DR. JORDAN: And you are referring to the high
19 pressure injection pumps now?

20 MR. POLLARD: I asked the question generally,
21 first with respect to any emergency core cooling pumps.

22 DR. JORDAN: Fine.

23 WITNESS JONES: I just can't remember off the top
24 of my head any recommendations specifically dealing with
25 increasing or decreasing the size of the emergency core

1 cooling system pumps. Right now I just cannot recall it.

2 BY MR. POLLARD: (Resuming)

3 Q You don't recall anything, whether high pressure
4 pumps or low pressure pumps. You just don't recall any
5 recommendations.

6 A (WITNESS JONES) No, I just really cannot remember
7 any at this time. There may have been some, but I just
8 don't remember.

9 Q Thank you.

10 We will turn now to your testimony on Table 8 of
11 your direct testimony, and on Friday you referenced Licensee
12 Exhibit 13, Figure 1. •

13 If it is possible, I would like you to also have
14 in front of you Licensee Exhibit 5, Figure 6.2-60, and also
15 Licensee Exhibit 8, Figure 1.

16 CHAIRMAN SMITH: Mr. Pollard, I think we should
17 change our procedure.

18 Well, that's fine. Every time you relax, you come
19 back with a new chart in a new exhibit. I think when you go
20 on to a course of examination, I think we should take a
21 moment and you just read out the papers we will need, and
22 then we will gather them. What you did this time, in due
23 course, the transcript will not reflect -- well, never mind.

24 We will stop at the beginning of each section and
25 we will identify at once all the papers we need.

1 What was the chart in Exhibit 6?

2 MR. POLLARD: No Exhibit 6. We are looking at
3 Licensee Exhibit 13, Figure 1.

4 CHAIRMAN SMITH: Got that one.

5 MR. POLLARD: Licensee Exhibit 5, Figure 6.2-60.

6 CHAIRMAN SMITH: Got that one.

7 MR. POLLARD: And Licensee Exhibit 8, Figure 1.

8 BY MR. POLLARD: (Resuming)

9 Q Perhaps, Mr. Jones, if you could refresh our
10 memory as to which analysis each of these figures are
11 depicting first.

12 A (WITNESS JONES) Okay. The one from Exhibit 13,
13 Figure 1 is a small break LOCA, specifically a .01 square
14 foot cold leg break in the pump discharge piping with no
15 feedwater, both main or auxiliary, with two HPIS actuated at
16 20 minutes, and also assuming that the PORV is either open
17 or sticks open at 20 minutes.

18 Figure 6.2-60 of Exhibit No. 5 relates to Table
19 No. 3. It is a .01 square foot break in the pump discharge
20 piping without any feedwater, and two high pressure
21 injection pumps actuated, manually actuated at 1200 seconds
22 by the operator.

23 Figure 1 of Exhibit No. 8 also is utilized in the
24 development of Table 3 of my testimony. It is the same
25 analyses as in Figure 6.2-60 except instead of the operator

1 actuating two high pressure injection pumps, he actuates the
2 emergency feedwater system, which then depressurizes the
3 primary system and leads to an automatic actuation of the
4 HPI pumps.

5 Q Recalling Dr. Little's question to you about the
6 number of significant figures shown on the pressure scale,
7 can you offer an explanation as to why the peak pressures in
8 these three figures are different?

9 A (WITNESS JONES) The peak pressures I do not
10 believe are different between Figure 1 of Exhibit No. 13 or
11 Figure 6.2-60 of Exhibit 5. The Figure No. 1 of Exhibit No.
12 8 is slightly higher, and the cause of that difference is
13 basically the auxiliary feedwater injection was
14 re-established at 1250 seconds while the other analysis
15 assumed the operator action at 1200 seconds. So there is a
16 slightly longer period of time of repressurization before
17 any action was taken.

18 MS. WEISS: Mr. Pollard has finished with the
19 questioning on the testimony from Friday. I don't know
20 whether there is any more. Would you like us to go right
21 into the questioning on the prefiled written direct?

22 DR. JORDAN: The what?

23 MS. WEISS: We are finished with the questioning
24 on Friday, so we can either go into the questioning on the
25 prefiled written direct testimony of these witnesses, or if

1 anybody has any other questions on what happened Friday.

2 MR. BAXTER: We are really talking, in my view,
3 Mr. Chairman, about both. We have been relating these to
4 the direct testimony.

5 DR. JORDAN: I, of course, asked the questions on
6 Friday that I wanted to know where the testimony went, so I
7 will have no further questions on Friday's testimony.

8 Let's find out if either the staff or the state
9 has any questions. I think if they do have questions on
10 Friday's testimony, now is probably the best time.

11 MR. CATCHIN: I have none on Friday's, Mr. Chairmn.

12 MR. ROBERT ADLER: We have none on Friday's.

13 DR. JORDAN: All right. Then I guess that does
14 complete Friday's testimony and we can then move into your
15 cross examination on the written testimony.

16 MS. WFISS: If we are going to go straight ahead,
17 I would like a short break.

18 CHAIRMAN SMITH: Let's take five minutes.

19 Before we leave the hearing, why don't we just
20 take the noon break now, and we will reconvene at 1:00
21 o'clock.

22 (Whereupon, at 11:47 o'clock a.m., the hearing in
23 the above-entitled matter recessed, to reconvene at 1:00
24 o'clock p.m. the same day.)

25

AFTERNOON SESSION

1

2

(1:00 p.m.)

3 MS. WEISS: There are three things I wanted to
4 bring up before we got into the cross examination for this
5 afternoon. The first was cross examination plans, Item 4 on
6 the schedule. You had originally directed that those be
7 submitted by tomorrow. It now appears as if we won't get to
8 those this week.

9 I have written the cross examination plans. My
10 office is closed today because it is a federal holiday, my
11 secretaries have those days off. They are now typing, or
12 they will be, as of tomorrow, typing part of it. We could
13 have the cross examination plan on the Licensee's witnesses
14 in then by Friday, or by Thursday. Those are sent Federal
15 Express. But have only written drafts of the cross
16 examination plan for the staff witnesses on Item 4.

17 CHAIRMAN SMITH: Ms. Weiss, I don't think that we
18 have to put you to the effort to get the first phase on
19 Licensee's panel by Federal Express. Why don't you suggest
20 a date that you bring the entire package.

21 MS. WEISS: We can bring it over the first day
22 next week, Tuesday of next week.

23 CHAIRMAN SMITH: Are there any objections to that?

24 MR. BAXTER: I have no objection. I didn't
25 consider it impossible that we would get to that issue by

1 the end of the week. I was hoping we would, but I have no
2 objection.

3 CHAIRMAN SMITH: Do you really think we will get
4 to that?

5 Well, if that is the case, if it looks like that
6 is going to happen, why don't you just submit your dsraft,
7 sincew it is not going to go in the record anyway, if that
8 will be acceptable.

9 MS. WEISS: Well, they have in my office the
10 written draft because they are typing for the licensees, but
11 I have my written draft for the staff which I could give
12 you, but that would mean they wouldis have to federal
13 Express, but that's fine.

14 CHAIRMAN SMITH: How about the funny phone? We
15 could send it up on the --

16 MS. WEISS: The telex? I have no access to telex
17 facilities.

18 CHAIRMAN SMITH: Federal Express is not reliable.
19 It is just lucky that we got the last batch because the
20 hotel said they would not accept it, but somebody at the
21 desk did in fact accept it.

22 Well, why don't we worry about it when the time
23 comes, and then in the meantime you are going to proceed
24 producing it and see what happens.

25 MS. WEISS: The second issue, was the transcript

1 for Friday. Does the Board have one copy of the
2 Intervenor's transcript?

3 CHAIRMAN SMITH: We received, I believe, four this
4 morning. We provided one for somebody. We provided one --

5 MR. ROBERT ADLER: We have one copy.

6 MS. WEISS: Okay, fine.

7 And the third subject was for the witnesses
8 tomorrow, the staff witnesses who will be on the first thing
9 in the morning, we would like to request that if they are
10 not familiar with that NSAC sequence, which is USC Exhibit 1,
11 that we used to question the Licensee witnesses, that they
12 bring with them whatever accident sequences that they are
13 familiar with so they can be questioned on whatever they
14 prefer to be questioned on.

15 MR. CUTCHIN: The staff will bring with them what
16 they prefer to be questioned on.

17 CHAIRMAN SMITH: That seems very accommodating.

18 MS. WEISS: Can you tell me what that is?

19 MR. CUTCHIN: My guess it is in the NUPEG-0600 and
20 in the Rogovin report.

21 CHAIRMAN SMITH: Do you have that here with you,
22 Ms. Weiss?

23 MS. WEISS: No.

24 CHAIRMAN SMITH: Well, during the break I will
25 loan you my copy.

1 Whereupon,

2 ROBERT C. JONES and THOMAS GARY BROUGHTON,
3 called as witnesses by counsel for Licensee, Metropolitan
4 Edison Company, having been duly sworn by the Chairman, were
5 further examined and testified as follows:

6 CROSS EXAMINATION -- Resumed

7 BY MS. WEISS:

8 Q Mr. Jones, on page 3 of your testimony you are
9 discussing the analyses which were performed prior to the
10 TMI 2 accident in order to show compliance with 10 CFR Part
11 50, Appendix K for Unit 1, is that correct?

12 A (WITNESS JONES) Yes, that is correct.

13 Q Can you tell me when that model was approved?

14 A (WITNESS JONES) Roughly September of 1978.

15 Q That is precise enough.

16 Have any changes been made in the model since
17 September of '78?

18 A (WITNESS JONES) For the purposes of demonstrating
19 compliance to 50.46, no.

20 Q I take it from the way you phrased your answer
21 that there were some changes made.

22 Were those made in connection with a submittal
23 that you made to the NRC after the accident?

24 A (WITNESS JONES) There were certain nodding changes
25 used in some of the analyses submitted after the accident.

1 Q Noding changes. And when were these analyses
2 submitted?

3 A (WITNESS JONES) The largest package was the May
4 7, 1979 report and then the other. I am not sure which
5 model was used in the other supplements, in the other
6 exhibits that we submitted.

7 Q I just want to make sure the record shows which
8 supplements you are referring to.

9 Are those supplements represented by any of the
10 Licensee exhibits?

11 A (WITNESS JONES) Well, as I said, I am not sure.
12 They are represented by the Licensee's exhibits, but I am not
13 sure whether the analyses used to revise nodding schemes, but
14 those would have been basically all the exhibits from 6 to
15 13, with the exception of 12, which are the guidelines.

16 Q Okay. But the only one that you are sure contains
17 the changes in nodding would be May 7, '79, is that correct?

18 A (WITNESS JONES) That is the only one I am
19 absolutely sure of at this time, and it was not all of those
20 analyses. It was some of the analyses that are in that
21 report utilized a revised nodding scheme.

22 Q Can you tell me which utilized the revised scheme?

23 A (WITNESS JONES) These are basically the analyses
24 that are referenced as Table 6 in my testimony.

25 Q Okay. Those are the analyses of a very small LOCA

1 with loss of main feedwater, is that correct?

2 A (WITNESS JONES) That is correct.

3 Q And was the change in noding for the purpose of
4 modeling greater detail?

5 If there is something wrong in the way I have
6 asked that question, maybe I just should have asked you what
7 was the effect of the change in noding?

8 A (WITNESS JONES) Well, I am having an equally
9 difficult time with exactly that question.

10 The reason that we made the model change, or
11 specifically what the model change was was the addition of a
12 node to represent the 180 degree bend in the top of the hot
13 leg, and the node itself was more than just the bend. It
14 included down into the upper plenum of the steam generator.
15 The purpose of that node was to predict the interruption in
16 natural circulation that would occur once voids had, a
17 significant amount of voids had developed during the
18 accident, and that was the main purpose of the additional
19 node.

20 Q Is it true, then, that before the accident the hot
21 leg, the entire hot leg had been presented by one node?

22 A (WITNESS JONES) For each loop, yes, that is
23 correct.

24 Q And your testimony is that you changed that so
25 that the hot leg was divided into two nodes, is that correct?

1 A (WITNESS JONES) Well, as I said, the additional
2 node was more than just the hot leg. It included the upper
3 plenum of the steam generator.

4 It is basically the down side from the elbow in
5 the hot leg, down to the upper tube sheet in the steam
6 generator.

7 Q And the effect of this change was to predict the
8 creation of system voids which had not been predicted by the
9 model in its previous forms, is that correct?

10 A (WITNESS JONES) No, that is not correct. The
11 purpose of the node was to -- basically the purpose of the
12 node was to isolate the heat removal from the steam
13 generator from that region in the system which it would not
14 be able to affect, and for these very small LOCAs which
15 would utilize the steam generator for a substantial amount
16 of heat removal, it was necessary to isolate that region in
17 the system in a separate node in order to show the potential
18 for an interruption in natural circulation, while at the
19 same time not having the boiler condenser mode established.

20 Q Then is what you are saying with the old model,
21 you did not predict an interruption of natural circulation
22 but that the change in noding resulted in predicting an
23 interruption in natural circulation?

24 A (WITNESS JONES) Well, we didn't specifically run
25 the case with the old noding. Just based on the way the

1 codes operate, before we ever even started the analysis for
2 these smaller breaks, we added the node. It was our
3 judgment that that node would be necessary to properly
4 predict the transient response.

5 Q It is true, isn't it, that none of your old model
6 results for any cases predicted an interruption in natural
7 circulation.

8 A (WITNESS JONES) All the old results predicted
9 interruptions to natural circulation in that we predicted
10 voiding would occur in the system.

11 Q Let me tell you what is giving me a problem in
12 understanding your answer.

13 Do you by any chance have NUREG-0565 with you?

14 A (WITNESS JONES) Yes, I do.

15 Q Could you turn, please, to page 4-4.

16 (Pause)

17 CHAIRMAN SMITH: Okay, Ms. Weiss, we can follow.

18 BY MS. WEISS: (Resuming)

19 Q Let me direct you to the bottom paragraph on page
20 4-4. Now, that paragraph is discussing reference 62, which
21 is that May 7, '79 B&W analysis that we have been discussing.

22 Is that correct?

23 A (WITNESS JONES) That is correct.

24 Q And the last full sentence on that page says, "It
25 was also found that for the small break transients involving

1 that circulation, that the development of a steam bubble in
2 the upper 180 degree bend of the hot leg leading into the
3 steam generator (candy cane) could not be adequately
4 described because of the core's noding detail for the pipe
5 and steam generator primary side in the existing nodal
6 representation."

7 And I guess I would like to ask if that describes
8 the change and the purpose for the change that you have
9 been discussing.

10 A (WITNESS JONES) For the specific very small
11 breaks that are talked about in Table 6 of my testimony, the
12 .05 and the .01 square foot break, the sentence is generally
13 speaking accurate. You could not get the detail and predict
14 that interruption as well with the coarse noding type. As a
15 matter of fact, I don't believe you will predict it at all.

16 Q And other than the change in noding, were there
17 any other changes in the model after September of '78?

18 A (WITNESS JONES) Not to my knowledge.

19 Q Has the code been applied to different accident
20 scenarios than it was before the Three Mile Island 2
21 accident?

22 A (WITNESS JONES) Yes. It has been applied to
23 different scenarios than would normally be considered for
24 50.46 compliance.

25 Q Could you describe to me what those are?

1 A (WITNESS JONES) These are basically all of the
2 analyses that are described in Tables 2 through 8 of my
3 testimony, and the biggest -- well, the two major items are
4 that we have looked at cases with the assumption that for
5 some reason all the main and auxiliary feedwater is lost,
6 and we have looked at smaller sized breaks than would
7 normally be considered, and we have looked at the effect of
8 delayed reactor coolant pump trips.

9 Q Before we go on -- I'm sorry, I would like to
10 refer you back just for a minute again to page 4-4 of
11 NUREG-0565 and read the sentence above the one I read
12 before, "In performing the TMI 2 transient comparison, B&W
13 found that a four node pressurizer model was needed in place
14 of a single node model to properly compute the effects on
15 PCRV flow of incoming cooler water during the initial
16 primary coolant swelling phase of a loss of feedwater
17 accident."

18 Is that another example of a noding change which
19 you made after the accident?

20 A (WITNESS JONES) That was a noding change which
21 was incorporated into our analysis of the TMI 2 event
22 specifically. It is not a noding change that we have used
23 in, as far as I can remember, any of the other analyses. It
24 was just used -- its basic effect is only for the first
25 roughly six minutes of the TMI accident, until the time that

1 the primary system saturated. Up until that point in time
2 you need essentially a nonequilibrium pressurizer to look at
3 that repressurization phase that occurs in the initial
4 system response.

5 Q Was that nodding change, a four node pressurizer
6 model, incorporated into any of the analyses which you have
7 presented in your testimony?

8 A (WITNESS JONES) Not that I can remember.

9 Q Back to page 3 of your testimony again, where you
10 are discussing the analyses performed prior to the TMI 2
11 accident, you testified that they assumed the use of only
12 safety grade equipment for accident mitigation and assumed
13 no mitigating operator actions within ten minutes of the
14 initiating event, except as follows, and then you then give
15 two exceptions. The first exception is that emergency
16 feedwater was assumed to be available.

17 Now, given that emergency feedwater is a
18 non-safety grade system, how did you justify assuming its
19 availability in your Appendix K analysis?

20 A (WITNESS JONES) Basically we just used emergency
21 feedwater in the analyses. I don't remember any, off the
22 top of my head, remember any specific justification that was
23 especially done for that.

24 But as far as I know, Appendix K does not make a
25 statement about the use of non-safety grade equipment.

1 Q You are not aware that the -- that one is required
2 to assume the failure of all non-safety grade equipment in
3 analyzing the consequences of accidents?

4 A (WITNESS JONES) On plants of this vintage, of the
5 earlier plants that came into operation in the early '70s,
6 as far as I know, I do not know of any specific dictate that
7 says that you shall only use safety grade equipment for
8 those plants.

9 Q Okay. So you think that is a requirement that has
10 changed over time but did not apply at the time that TMI 1
11 was licenced.

12 MR. BAXTER: I object. I don't believe that we
13 have had a foundation that there has been any requirement
14 established.

15 MS. WEISS: The witness said on plants of this
16 vintage he was not aware of that, and I was exploring that.

17 MR. BAXTER: But he hasn't testified there is a
18 requirement now. It is assumed in your question.

19 CHAIRMAN SMITH: I think the objection, without
20 further explanation on your part, Ms. Weiss, should be
21 sustained.

22 BY MS. WEISS: (Resuming)

23 Q You do accident analyses for plants that are
24 currently being licensed, don't you?

25 A (WITNESS JONES) Yes, I do.

1 Q And don't you regularly assume the failure of all
2 non-safety grade equipment in making those analyses?

3 A (WITNESS JONES) In performing those analyses, I
4 don't remember doing a detailed review of failing non-safety
5 grade equipment, but we have relied on the current plan for
6 plants under construction, we have relied basically on only
7 safety grade equipment.

8 Q With respect to the second exception that you
9 give, that is, operator action to cross connect the HPI
10 system,, was that an operator action which your analysis
11 assumed to be completed within ten minutes of the initiating
12 event?

13 A (WITNESS JONES) Yes.

14 Q What is the significance of the ten minutes?

15 A (WITNESS JONES) Basically what the analyses
16 showed was that that action had to be taken within ten
17 minutes to assure safe consequences as defined by 50.46 for
18 small break LOCMS in the pump discharge pipe, but I would
19 like to note that action no longer exists.

20 Q All right, that is an action which -- well, let me
21 strike that before we get onto that.

22 I am just asking with reference to the two
23 exceptions which you set out, you say that your analyses
24 prior to the TMI 2 accident assumed no mitigating operator
25 actions within ten minutes, with that one exception.

1 I am wondering what is the significance of the ten
2 minutes. Does that have some regulatory meaning? Why is it
3 ten minutes instead of five minutes, twenty minutes?

4 A (WITNESS JONES) Well, there were other operator
5 actions as we described the other day, such as the
6 switchover to the emergency sump. Generally speaking, a
7 rule of thumb, if you wish, that is kicked around is, say,
8 twenty minutes for operator action, but I know of nothing
9 that says it is a regulation. It has basically been a rule
10 of thumb.

11 Q A rule of thumb. You mean it is not generally
12 considered a good idea on a plant design to require operator
13 actions to be performed to assure safety within ten minutes?

14 A (WITNESS JONES) By rule of thumb, what I mean is
15 the NRC generally requires that you do not take credit for
16 operator action within the first twenty minutes, generally
17 speaking.

18 Q Okay.

19 And the testimony goes on to say that NRC required
20 you to change that even before the accident.

21 Is that correct?

22 A (WITNESS JONES) Specifically what do you mean?

23 Q Didn't NRC require you to modify the design so
24 that no operator action would be required to make that cross
25 connect within ten minutes? I mean, they required you to do

1 that before the accident?

2 A (WITNESS JONES) It is my understanding that they
3 required --

4 DR. JORDAN: Would you repeat? I missed the
5 question in part.

6 WITNESS JONES: --the elimination of the operator
7 action at ten minutes to cross connect the HPI. It is my
8 understanding that that request was made to the Licensees to
9 modify their systems. That is my understanding.

10 BY MS. WEISS: (Resuming)

11 Q Isn't that the effect of your testimony, Mr.
12 Broughton, in the middle of page 4? Isn't that what you are
13 talking about?

14 A (WITNESS BROUGHTON) The testimony that discussed
15 the high pressure injection lines having been modified does
16 pertain to the elimination of operator action.

17 Q And was that required by NRC prior to the TMI 2
18 accident?

19 A (WITNESS BROUGHTON) Yes. This whole issue came
20 up before the accident. The changes were designed, as I
21 recall. We had scheduled to install them. All of those
22 actions were scheduled before the TMI 2 accident.

23 Q Do you have a copy of Figure 302-661 in Section 9
24 of the Restart Report before you?

25 We have a Volume II. It is section --

1 A (WITNESS BROUGHTON) I don't. I'll try to get one.

2 (Pause)

3 Q I am going to ask you, if you are going to have to
4 break and get a copy, I am going to ask you to show us with
5 particular reference to numbers, so the record will be
6 clear, where the flow limiting devices will be installed.

7 (A brief recess was taken.)

8 MR. BAXTER: We are ready.

9 BY MS. WEISS: (Resuming)

10 Q Could you tell me, please, with reference to the
11 valve numbers, where the flow limiting devices are going to
12 be installed?

13 A (WITNESS BROUGHTON) Yes. On the figure in the
14 Restart Report, I'll give you an example on one of the four
15 injection lines, and it is a similar installation for all
16 lines.

17 In Section A-3 is the injection line for Loop A.
18 It is labeled "to Pump A" and in Section A-3 is a check valve
19 labeled MUV 107A. The flow limiting device would be
20 installed between that check valve and the next check valve
21 toward the coolant system, which is labeled MUV 95. There
22 would be a similar flow limiting device on each of the four
23 injection lines installed between those two check valves.

24 There is more to the modification than just the
25 flow limiting device, and that consists of a cross connect

1 line which, in the example of Injection Line A, would run --
2 it would be another piece of pipe which would run from the
3 injection line A, between check valve 107A and the flow
4 limiting device over to the injection line for Pump C, which
5 is in Zone 3-D on this diagram.

6 So the cross connect would be upstream of the flow
7 limiting device in the two injection lines that it cross
8 connects.

9 DR. LITTLE: Is there a similar cross connection
10 between B and D?

11 WITNESS BROUGHTON: Yes, there is also a cross
12 connection between injection lines B and D, and it fits into
13 the system in the same relative position, that is,
14 downstream of the check valve and upstream of the flow
15 limiting device.

16 DR. LITTLE: Okay.

17 Is the other diagram that you gave a sort of an
18 enlarged diagram of this particular --

19 WITNESS BROUGHTON: Yes. The other figure
20 contains all of the information relative to the flow
21 limiting devices and the cross connect lines, and it is
22 simpler to use. It does not contain all of the detail that
23 is on the larger diagram.

24 MR. BAXTER: Excuse me, Dr. Little.

25 For the record at this point, Mr. Broughton, could

RESPONSE TO SUPPLEMENT 1, PART 1,
QUESTION 36b




Figure 1



1 you read the title to that figure that you just referred to,
2 and Dr. Little did?

3 WITNESS BROUGHTON: This figure is entitled Figure
4 1, and it also has a label on it "Response to Supplement 1,
5 Part 1, Question 36B," and that is from the Restart Report
6 also.

7 CHAIRMAN SMITH: Would it be helpful if we were to
8 place Figure 1 into the transcript at this point in the
9 testimony?

10 MS. WEISS: That's fine.

11 MR. CUTCHIN: Mr. Chairman, it might also help to
12 note that that is a figure that appeared in Amendment 9, on
13 the copy I have.

14 CHAIRMAN SMITH: Amendment 9? I'm sorry.

15 MR. CUTCHIN: The figure that was handed out also
16 had the notation Amendment 9 down in the corner, so that it
17 is clear which amendment it came from.

18 CHAIRMAN SMITH: Yes.

19 Do you have an extra copy for the Reporter.

20 Would you please bind it into the transcript at
21 this point?

22 (The document, Figure 1, Response to Supplement 1,
23 Part 1, Question 36B, follows:)

24

25

1 DR. LITTLE: Mr. Broughton, I have one question.
2 What does the designation FE mean? It is an
3 abbreviation for something.

4 WITNESS BROUGHTON: The abbreviation FE? That
5 pertains to flow element. It is a method of designating
6 what the component is.

7 BY MS. WEISS: (Resuming)

8 Q Before we move off of the diagrams, the figure
9 that we asked you about, No. 302-661 from Section 9 of the
10 Restart Report is labeled Revision 18 at the bottom.

11 So the effect of these changes which we have just
12 discussed is to removed the need for operator action within
13 ten minutes, that's correct?

14 A (WITNESS BROUGHTON) That's correct.

15 Q In the analyses which you discussed this morning,
16 at least some of those analyses required operator action to
17 trip the reactor coolant pumps within ten minutes. Is that
18 correct?

19 A (WITNESS JONES) That is correct.

20 Q And they also require other operator actions that
21 perhaps go beyond ten minutes, in particular, manually
22 increasing steam generator water level, is that correct?

23 A (WITNESS JONES) The operator guidelines do call
24 for such actions, yes.

25 Q Before the accident B&W was able to demonstrate

1 compliance with 10 CFR Section 60.46 and Appendix K, on the
2 assumptions that, one, the operator did what he was supposed
3 to do, and two, the operator did not do what he was not
4 supposed to do, and three, with the exception of a single
5 failure, all equipment functioned as designed.

6 Is that correct?

7 A (WITNESS JONES) That is correct.

8 Q And that is also an accurate description of the
9 assumptions of your post-accident computer analyses, is that
10 correct?

11 A (WITNESS JONES) That is correct also.

12 CHAIRMAN SMITH: What was the answer?

13 WITNESS JONES: Yes.

14 BY MS. WEISS: (Resuming)

15 Q Would you agree with me, then, that the accident
16 showed that demonstrating compliance with 10 CFR 50.46, by
17 computer analyses, is not enough in itself to assure safety,
18 but that operator actions are required as well, appropriate
19 operator actions?

20 A (WITNESS JONES) That is correct.

21 Q The sentence beginning on just about the middle of
22 page 5 of your testimony is "From these analyses, it was
23 concluded that multiple failures must occur before LOCA
24 scenario can result in a challenge to 10 CFR 50.46 limits."

25 Would you define multiple failures in the context

1 of that sentence?

2 A (WITNESS JONES) More than one failure.

3 Q And within that definition, multiple failures did
4 occur during the TMI 2 accident, is that correct?

5 A (WITNESS JONES) Yes.

6 Q The sequences which you begin to discuss on page 5
7 and which you also discuss in your tables, for the first
8 sequence, a loss of all feedwater without a small break
9 LOCA, why doesn't high pressure injection automatically
10 initiate?

11 A (WITNESS JONES) A typical loss of feedwater
12 transient would not result in the depressurization of the
13 primary system to the emergency safeguards system actuation
14 set point with a loss of all feedwater, that is, the
15 auxiliary feedwater not working, you would not expect this
16 system to depressurize any further than that also, so you do
17 not get HPI actuation.

18 Q So that is one of the examples where operator
19 action is required to initiate high pressure injection and
20 assure cooling, is that correct?

21 A (WITNESS JONES) Yes.

22 Q In your second sequence, a small break LOCA with
23 loss of all feedwater, you state that ECCS may not be
24 automatically actuated. This is probably on the record in
25 several other places, but for my benefit, would you tell me

1 under what circumstances ECCS would not automatically
2 initiate under that scenario?

3 A (WITNESS JONES) For a small LOCA with all
4 feedwater being lost, with a break size less than
5 approximately .01 square feet.

6 Q So this is the second example of a scenario
7 requiring operator action to initiate high pressure
8 injection to assure adequate core cooling.

9 A (WITNESS JONES) Yes.

10 Q It is your sixth sequence that appears on the
11 second half of page 7, am I correct that that is an example
12 of a scenario where operator action is required to trip the
13 reactor coolant pumps?

14 A (WITNESS JONES) The sequence, the first sequence,
15 the full sequence starting on page 7, that is where -- that
16 is analysis performed which says that the operator should
17 trip the reactor coolant pumps following a LOCA.

18 Q And the last sequence, on page 8 of your
19 testimony, a very small LOCA with loss of all feedwater, am
20 I correct that that is an example of a scenario where
21 operator action is required with 20 minutes to actuate
22 either high pressure injection or emergency feedwater in
23 order to assure adequate core cooling?

24 A (WITNESS JONES) Yes.

25 Q Let me just go back for a moment to your first

1 sequence which is discussed in greater detail on Table 2,
2 page 13 of your testimony. If you assume this scenario and
3 make one change, and that is you assume no loss of offsite
4 power and the reactor coolant pumps therefore continue to
5 run, would that add heat to the system?

6 A (WITNESS JONES) Yes.

7 Q Do you know if it would add approximately 20
8 megawatts of heat?

9 A (WITNESS JONES) When it is passing pure liquid,
10 it would add roughly that much is my understanding.

11 Q Would that case require the operator to act sooner
12 than 20 minutes to initiate emergency feedwater?

13 A (WITNESS JONES) No.

14 Q I'm sorry, to initiate high pressure injection.

15 A (WITNESS JONES) Probably not.

16 Q Is that because you don't think that 20 megawatts
17 would be a significant addition of heat?

18 A (WITNESS JONES) The analysis which was performed
19 did not go and look at the exact latest time the operator
20 could take the action. There was something on the order of
21 1000 cubic feet or so of water left in the primary system,
22 and I just don't believe that it would change the time
23 significantly at all.

24 Q You have assumed in the scenario on Table 2, core
25 decay heat rate 1.0 times the ANS scenario, whereas in all

1 other sequences you have assumed the --

2 CHAIRMAN SMITH: No.

3 BY MS. WEISS: (Resuming)

4 Q Whereas in many of the other sequences you have
5 assumed a standard value 1.2 times, why did you choose to
6 use a lower value for core decay heat in this scenario?

7 A (WITNESS JONES) Well, the main thing we used --
8 well, first of all, the objective of the analysis was to
9 develop analytical bases to support operator guideline
10 development. This case which was performed assumed a fairly
11 substantial number of failures in the system. It includes
12 the failure of all the feedwater, and it also includes an
13 additional failure occurring in the high pressure injection
14 system, and under that situation, we assumed 1.0 times the
15 ANS because that is a more realistic value of core decay
16 heat to utilize.

17 Q Do you know how sensitive the analysis is to that
18 assumption?

19 That is, if you assumed the 1.2 times the ANS
20 standard value, would that require operator action to
21 initiate high pressure injection within 20 minutes or less
22 than 20 minutes?

23 A (WITNESS JONES) I don't know. It probably would
24 require it to be actuated earlier, but I am not -- I just
25 don't know what the consequences would exactly be.

1 Q And insofar as you are aware, B&W has not run this
2 scenario with the assumption of a decay heat rate at 1.2
3 times the ANS standard value.

4 A (WITNESS JONES) I believe we had looked at a 1.2
5 times the ANS value for these other assumptions with this
6 transient, and that an actuation at 20 minutes would not --
7 was not demonstrated to provide adequate core cooling, but
8 we did not continue that analysis in any great detail. The
9 objective was to keep the core covered, and that analysis
10 did not result in complete coverage of the core.

11 CHAIRMAN SMITH: Mr. Jones, is that when you
12 decided to go back to 1.0 times, when you saw that it would
13 run -- that it wouldn't work at 1.2?

14 WITNESS JONES: I don't remember the exact time
15 that analysis was performed. There was an analysis
16 performed many years ago which looked at a scenario very
17 similar to this which showed 1.2 would not work, and we went
18 to 1.0 based on that analysis. When we did this, I do not
19 know whether we looked at -- I cannot remember whether we
20 looked at a 1.2 or not.

21 CHAIRMAN SMITH: It was because of the 1.2
22 analysis that you ran it at 1.0.

23 WITNESS JONES: Yes.

24 BY MS. WEISS: (Resuming)

25 Q If you compared the number of failures assumed in

1 Table 2 with the number of failures that occurred during the
2 TMI 2 accident, would you say that Table 2 assumes
3 significantly more failures than occurred during the TMI 2
4 accident?

5 A (WITNESS JONES) I would say they are similar
6 numbers.

7 Q Okay, Mr. Broughton, I just have a couple of
8 questions of you.

9 You discussed the TMI 1 procedures on page 10 of
10 this testimony. In particular, you say that the procedures
11 require that upon automatic initiation of high pressure
12 injection, flow shall not be reduced until and unless, and I
13 won't read those conditions, but you then give the
14 conditions.

15 Are you saying that for all loss of coolant
16 accidents, HPI should not be reduced except under those
17 conditions as specified in your testimony?

18 A (WITNESS BROUGHTON) Yes.

19 Q Do these conditions apply regardless of whether
20 the system is actuated, the high pressure injection system
21 is actuated manually or automatically?

22 A (WITNESS BROUGHTON) On page 10, the listing of
23 items specifically applied to automatic actuation of the
24 system. On the top of page 11 I discuss requirements which
25 must be met to reduce high pressure injection flow if the

1 system is initiated manually.

2 Q Can I just ask you what accounts for the
3 difference?

4 A (WITNESS BROUGHTON) In the manual case, the
5 requirement to be above 1600 pounds is there because should
6 there be a further reduction below 1600 pounds, the system
7 would automatically actuate, so the intention is not to
8 secure the system in a manual mode below 1600 pounds.

9 Q But if it had been automatically initiated, and by
10 it I mean high pressure injection, and the pressure dropped
11 below 1600 psi, it would be appropriate for the operator to
12 throttle high pressure injection, assuming the other
13 conditions were present.

14 A (WITNESS BROUGHTON) He could throttle if he met
15 the conditions specified on the previous page.

16 Q We have a problem understanding the answer. Let
17 me explain why.

18 Suppose that the operator sees pressure dropping,
19 approaching the automatic set point for a high pressure
20 injection, and he manually initiates it before it reaches
21 that set point, why should the conditions for terminating
22 high pressure injection be any different in that case than
23 if he had waited for it to actuate automatically?

24 A (WITNESS BROUGHTON). Well, the basic condition for
25 terminating in all cases -- and it is specifically called

1 out in terminating it for manual initiation -- is a 50
2 degree subcooling margin exists, but it can be maintained.
3 If it is possible to maintain the 50 degree subcooling
4 margin with less than full flow and the system has been
5 manually initiated, that is permissible. A goal of the 50
6 degree subcooling margin is maintained even though the flow
7 is reduced. If the 50 degree subcooling margin cannot be
8 maintained, then it is required to increase flow again to
9 full flow if required to maintain subcooling.

10 BY MR. POLLARD: (Resuming)

11 Q I'll just try one more question, and then we will
12 leave this.

13 I am focusing on your sentence on page 11 where
14 you make a distinction between the instructions to the
15 operator if the high pressure injection system had been
16 initiated manually, and what I am having difficulty
17 understanding is that if the conditions under which you
18 would be allowed to throttle flow had the system been
19 initiated automatically, if those conditions are satisfied,
20 which is what you say in that sentence, why does it make any
21 difference whether the pressure is above or below 1600
22 pounds?

23 A (WITNESS BROUGHTON) I think in terms of ensuring
24 that there is adequate subcooling, it makes no difference at
25 all. I think the difference has to do with the condition

1 that the plant winds up in. In the case where you manually
2 initiate it, you are now back to both at 1600 psig set
3 point, which is the automatic initiation set point.

4 MS. WEISS: Those are all the questions that I
5 have on the Licensee's testimony in response to UCS
6 Contention 8 and ECNP Contention 1E. It is my personal
7 belief the record would be clearer if we complete this
8 before we go on to the Licensee's responses to the Board
9 questions on 8, but I will, of course, defer to the decision
10 of the Chair. That is a separate piece of written testimony.

11 DR. LITTLE: Mr. Jones, there are two cases in
12 which the value of 1.0 times the ANS standard value were
13 used, were those shown in Table 2 and 5, and I wonder if you
14 have a copy of the comparable analyses if you assumed a 1.2
15 times ANS value. I don't necessarily mean right with you,
16 but do these exist?

17 WITNESS JONES: As I stated, I am not sure about
18 for Table 2 except it is an older analysis that was done in
19 the 1975 vintage. There may be such an analysis around,
20 there may not, that I could have put my hands on very easily.

21 As far as Table 5 is concerned, there is a direct
22 analysis which has been performed which is Licensee's
23 Exhibit No. 6.

24 DR. LITTLE: All right, so you don't think -- you
25 don't know whether you have one, a similar one for Table 2

1 at 1.2 times.

2 WITNESS JONES: No, I do not.

3 DR. LITTLE: How long does it take to do one, to
4 run an analysis when you just have one number to change?

5 WITNESS JONES: With typical LOCA modeling, it
6 would take about 20 computer hours. So as far as, you know,
7 other than trying to get on a computer and getting it off
8 and on during the day when people do work, it is not a
9 difficult analysis to do.

10 DR. LITTLE: Actually, though, you could come up
11 with a written description similar to this table with
12 similar results here based on your knowledge, you could come
13 up with a similar summary of results assuming you used 1.2
14 times, couldn't you?

15 WITNESS JONES: Well, yes, and I could do that
16 now. Basically, as far as the Conclusion No. 1, the
17 operator action within 20 minutes to initiate emergency
18 feedwater, that would still be shown to be acceptable for
19 1.2 ANS. As far as the operator action within 20 minutes to
20 just actuate an HPI pump, I am not sure that that would be
21 shown to be acceptable, certainly not -- well, I said I
22 believe what we had found out in the past was that that 20
23 minutes was just too late, and I am not sure how much of an
24 impact an extra five or ten minutes earlier in actuating
25 that system would make on the overall analysis, whether it

1 would show acceptable results. It is a fairly substantial
2 breakdown of your systems, your normal system functions.
3 That is, you have lost all feedwater, and then you have lost
4 on top of that even the other HPI pump, and that is a fairly
5 substantial set of circumstances to deal with, and I am not
6 so sure that one HPI would show adequate core cooling with a
7 1.2 ANS.

8 DR. LITTLE: I have one other question before we
9 leave this whole topic.

10 Licensee's Exhibit 14, and many other instances
11 which we have discussed in the last several hearing days,
12 showed that part of the water which could be used in cooling
13 would be that recirculated from the reactor building sump,
14 and I questioned the -- whoever can answer -- the
15 characteristics of the pumps that would be used to do this
16 pumping. Are those pumps designed to pump water that may
17 have particulates or other characteristics other than nice
18 clean water which pumps easily?

19 Are the pumps capable of handling contaminated
20 water with maybe even large particulate material present?

21 WITNESS JONES: I am reasonably -- what I have
22 been told. I do not design these specific pumps. I set
23 criteria for the pumps. What I have been told is that the
24 pumps are capable of handling particulate matter, at least
25 the low pressure injection pumps very easily because they

1 have got very large clearances within the pumps themselves.
2 High pressure injection pumps have very tight clearances,
3 and there's always, the particle sizes are adequately
4 screened out or somehow kept down to a minimal size, on the
5 order of a quarter of an inch or less, the pump would be
6 able to pass that material; the wear rings or some
7 mechanical part of the pump would indeed be damaged, but not
8 in a way that would reduce the capability of the pump to
9 continue its function. It would be apt to degrade the head
10 of the pump, its pumping head, by about 5 or 10 percent of
11 the numbers I have been told.

12 DR. LITTLE: Under a quarter inch size? It will
13 accommodate up to a quarter inch size?

14 WITNESS JONES: At least up to that size is I know
15 what they have looked at because that was a survey of the
16 screen sizes of the sump protecting the discharge lines.
17 The screen sizes were quarter inch and less.

18 DR. LITTLE: So the reason there is for screening
19 out larger chunks of material.

20 WITNESS JONES: That is my understanding, but that
21 is very plant specific in design, but that is at least my
22 understanding of what they have looked at.

23 DR. LITTLE: Do you agree with that, Mr.
24 Broughton, or do you have additional information?

25 WITNESS BROUGHTON: Yes. I cannot add anything

1 more to the detail, but those are concerns which were
2 considered in the design of those systems.

3 DR. LITTLE: Okay.

4 CHAIRMAN SMITH: Dr. Jordan feels that Ms. Weiss'
5 suggestion is a good one, to finish up the testimony here
6 before we go to the testimony on the Board's questions.

7 Do you have any comment, Mr. Baxter?

8 MR. BAXTER: No. In this case, Mr. Chairman, I
9 think they are severable. They will be later examined, but
10 I think the Board questions really are intermeshed, and we
11 would prefer to see them together, but in this case I think
12 it is fine.

13 CHAIRMAN SMITH: Mr. Cutchin?

14 MR. CUTCHIN: I have only a couple of questions,
15 Mr. Chairman, but if you are asking if I have any objection
16 to this, the answer is no.

17 CHAIRMAN SMITH: Mr. Adler?

18 MR. ROBERT ADLER: We have no objection.

19 CHAIRMAN SMITH: Mr. Cutchin?

20 BY MR. CUTCHIN:

21 Q Mr. Jones, in your testimony in response to UCS
22 Contention 8 and ECNP 1E at page 7, and again at page 8,
23 you are identifying the need to trip reactor coolant pumps
24 to avoid inadequate core cooling.

25 Can you give me an idea of how rapidly one assumes

1 those coolant pumps are tripped following the accident
2 initiation?

3 A (WITNESS JONES) Well, the analysis itself is
4 given an exhibit number 11 --

5 Q Can you give me just the number, or a range?

6 A (WITNESS JONES) It is a range of trip times, the
7 earliest time being on the order of three minutes to trip
8 the reactor coolant pumps, and to the best of my knowledge
9 or experience, at plants which have reached the signal, such
10 as Crystal River 3, the action was taken in something on the
11 order of 30 seconds to trip the reactor coolant pumps.

12 Q And what is the consequence of not tripping that
13 rapidly for the scenarios where tripping has been found to
14 be important in terms of peak clad temperature numbers or
15 other requirements?

16 A (WITNESS JONES) Well, assuming that the pump
17 trips in the window which has been identified as pump trips
18 could lead to possible core cooling using Appendix K which
19 show peak cladding temperatures possibly in excess of the
20 criteria. However, under realistic examination where you
21 assume that the safety systems function normally, you use a
22 realistic core decay heat and use a typical power profile
23 within the core; the peak cladding temperatures on the worst
24 case was less than 2000 degrees.

25 Q Thank you.

1 Mr. Broughton, I have one question for you. On
2 page 10 of that same testimony -- and it runs over to page
3 11 -- you cite what the procedures require in order to
4 reduce WPI injection flow. That starts on page 10. Over on
5 page 11, one of the requirements is to avoid excessive
6 reactor vessel pressures down from temperature limits.

7 Can you explain what that concern is?

8 A (WITNESS BROUGHTON) Yes. The concern would be
9 that for the cold injection water into the vessel, too high
10 a pressure in the system could violate limits established to
11 prevent damage to the vessel due to high pressures under low
12 temperatures.

13 Q And in that circumstance, the concern for core
14 damage would be greater than the concern for subcooling or
15 maintaining the 50 degree subcooling?

16 A (WITNESS BROUGHTON) Yes. In addition, at TMI 1,
17 because of the age of the vessel, it is likely that both of
18 those concerns can be met, in other words, that the 50
19 degree subcooling margin can still be met while reducing the
20 pressure low enough to prevent this concern of overpressure
21 at low temperature.

22 MR. CUTCHIN: Thank you. No further questions.

23 CHAIRMAN SMITH: Mr. Adler?

24 BY MR. ROBERT ADLER:

25 Q Thank you. we just have a few questions.

1 I would like to go back for the reason for the
2 reliance on manual actuation of HPI. Just to summarize
3 briefly your testimony, you stated that under certain
4 scenarios, the pressure would not reduce to the 1600 psi set
5 point and therefore the HPI would not be automatically
6 actuated, is that correct?

7 A (WITNESS JONES) That is correct.

8 Q Is that the only reason for reliance on manual
9 actuation?

10 A (WITNESS JONES) I don't really quite understand
11 your question. It has to be manually actuated because you
12 have not reached the applicable set point, the lower
13 pressure set point, and that is the reason we relied on
14 operator action.

15 In addition, there is sufficient time for the
16 operator to take that action, and then it is 20 minutes
17 after we have lost feedwater. All the scenarios that
18 require the operator action within 20 minutes to either
19 establish the emergency feedwater or actuate the HPI are all
20 cases in which you have an event in which both the main and
21 the emergency feedwater systems are lost.

22 Q My question is really this: Have you considered
23 the possibility of using some other signal besides pressure
24 to automatically actuate the HPI?

25 A (WITNESS JONES) To my knowledge, it has not been

1 considered, no.

2 Q You haven't done any studies to determine whether
3 some other signal could be used either to replace pressure
4 or to supplement it for those cases where the pressure did
5 not go down below 1500?

6 A (WITNESS JONES) As far as I know, no such studies
7 have been done.

8 Q In your opinion, might it be possible to use the
9 subcooling margin, again either to supplement pressure or to
10 replace pressure as a signal?

11 A It may be possible to use the saturation meter to
12 actuate the HPI, at least as a supplemental. Whether it is
13 necessary or not, I don't know. My own feeling is with 20
14 minutes to take such an action, that is more than sufficient
15 time to just actuate the pumps from the control.

16 Q But didn't you state to Ms. Weiss that you felt
17 that automatic actuation was preferable to manual actuation?

18 A (WITNESS JONES) I don't remember whether I stated
19 that or not.

20 Q Well, do you?

21 A (WITNESS JONES) Having automatic actuation of the
22 entire system generally speaking would be preferable.
23 Whether it was required or not or whether there were any
24 other problems in choosing that set point would have to be
25 examined further before I could say right away yes, go do

1 it, but it is preferable in my mind to rely on automatic
2 actuation. Whether it is necessary or not, again, is
3 questionable.

4 Q When did it first become apparent to you that
5 delayed reactor coolant pump trip can lead to unacceptable
6 consequences?

7 A (WITNESS JONES) In roughly the July timeframe of
8 '79.

9 Q After TMI 2.

10 A (WITNESS JONES) Yes.

11 Q Why, in your opinion, was that not discovered
12 previously?

13 A (WITNESS JONES) The typical Appendix K analyses
14 require utilization or assume a loss of offsite power.
15 Generally speaking, you either assume a loss of offsite
16 power as part of the initiating event, such as on a reactor
17 trip where you have lost the station and possibly perturbed
18 the grid, or you assumed the pumps remained running
19 continuously. Why exactly this scenario was not analyzed
20 previously, I don't really have an answer except for what I
21 just stated. That is the way that the analyses were
22 performed in that timeframe previous to the TMI accident.

23 Q Since the accident, have you performed any
24 sensitivity studies or scoping studies to determine whether
25 other non-safety systems or components may continue to

1 operate and that they will lead to unacceptable consequences?

2 A (WITNESS JONES) I personally have not done such a
3 study. I am not sure whether such studies have been done or
4 not.

5 Q Is it conceivable to you that there are other
6 systems that should be studied?

7 A (WITNESS JONES) As I stated, I am not sure
8 whether those other systems have been studied or not. It is
9 beyond my typical scope of responsibilities. I just do not
10 know whether such work has been done or not, so I really
11 cannot answer your question.

12 Q As I understand your testimony, Tables 2 through 7
13 do not meet Appendix K. Is that correct, or do not
14 necessarily meet Appendix K.

15 A (WITNESS JONES) Well, Tables 2 through 7 were not
16 done to demonstrate compliance with Appendix K or 50.46.
17 They were done to develop operator guidelines.

18 Q I understand that.

19 A (WITNESS JONES) I do believe they meet Appendix
20 K, however, all the assumptions --

21 Q That you used in the scenarios meet Appendix K?

22 A (WITNESS JONES) Some of the scenarios that we
23 have analyzed beyond the bounds of, say, what I would
24 consider an Appendix K analysis. If I made appropriate
25 modifications to make it meet Appendix K, then the specific

1 events would meet Appendix K.

2 For a quick example, Table 2, loss of all
3 feedwater without small break LOCA, it has both a failure of
4 the emergency feedwater system, a single failure in the HPI,
5 and the core decay heat is 1.0 times the ANS standard. If I
6 take my single failure to be the loss of emergency
7 feedwater, then I would have two HPI pumps. If I had two
8 HPI pumps, I could meet a core decay heat of 1.2 times the
9 ANS standard value.

10 Similarly, the other analyses run the same way.

11 Specifically, no, some of the tables will not meet
12 Appendix K because they are beyond the Appendix K
13 assumptions on failures, for example.

14

15

16

17

18

19

20

21

22

23

24

25

1 BY MR. ROBERT ADLER: (Resuming)

2 Q Let me ask you this. Are there any LOCA's that
3 should not have to meet the requirements of Appendix K,
4 notwithstanding the fact that you didn't perform these
5 studies for that purpose?

6 A (WITNESS JONES) I am having trouble answering
7 questions when you say meet Appendix K. You mean 10 CFR
8 50.46, the specific criteria? Because Appendix K, the
9 requirement features of a model and analyzed in a LOCA, that
10 is one item, and then there are the specific design
11 criteria, so I am having trouble directly answering your
12 question.

13 Q Okay. You used .46.

14 A (WITNESS JONES) In my opinion, the LOCA's by law
15 are required to meet 10 CFR 50.46 using an evaluation model
16 which is in compliance with Appendix K, and I believe that
17 is the circumstance for TMI 1.

18 Q So none of the analyses that you have performed
19 here should fall without the Appendix K bounce.

20 A (WITNESS JONES) Well, some of the analyses would
21 never meet Appendix K. I think I -- them directly. Table 2
22 would never be done for an Appendix K analysis -- it is
23 beyond the design basis -- because of the multiple failure
24 scenario. Table 3, you could state, would be within the
25 Appendix K bounds, and has indeed been shown to meet 50.46.

1 Table 4 is within Appendix K. That meets 54.46.
2 Table 5 again is beyond the Appendix K failure criteria.
3 Table 6 meets Appendix K assumptions in all respects, and
4 meets 50.46. Table 7 is not really a 50.46 analysis, except
5 what it demonstrates is -- It is a specific scenario. What
6 it demonstrates is that if the operator terminates the
7 reactor coolant pumps upon receipt of the appropriate
8 signal, then the Appendix K analyses remain valid, and Table
9 8 again, Table 8 would be covered by the Appendix K
10 assumptions, and meets 50.46.

11 Q Mr. Jones, what I don't understand is this. It
12 seems that whenever you say an analysis is outside the scope
13 of 50.46, you then modify one of your assumptions. For
14 example, in Table 5, you use a 1.0 ANSI instead of a 1.2. I
15 am trying to understand why whenever you perform the LOCA
16 analysis you don't automatically use the assumptions that
17 would be required by 50.46 in Appendix K in light of your
18 statement that no LOCA should be outside of the bounds of
19 50.46.

20 A (WITNESS JONES) I said no LOCA analyzed within
21 the Appendix K guidelines should be outside of the bounds of
22 50.46, and to go and discuss -- well, first off, as I
23 stated, the specific reasons for doing Tables 2 through 8
24 ultimately were to develop operator guidelines. They were
25 not done for 50.46 compliance. Those are listed on Table 1.

1 Now, as far as Table 5 is concerned, Appendix K
2 requires you take a single failure, and in fact, Appendix K
3 is quite specific in what that single failure is. It is a
4 failure of one of the safety systems, but then that becomes
5 the only failure you have to consider.

6 Now, if I take that as a failure, then I have my
7 feedwater system available to me, my emergency feedwater
8 system, at least one pump, and with that, I can take a PORV
9 failure with 1.02 MNS, emergency feedwater available and a
10 single failure and a high pressure injection system and end
11 up with results that meet the 50.46 compliance.

12 Now, when I said these other cases also met
13 Appendix K --

14 Q Before you get to that case -- excuse me --
15 doesn't that assume that emergency feedwater is completely
16 safety grade?

17 A (WITNESS JONES) It is my understanding that the
18 emergency feedwater system is safety grade for a LOCA.

19 Q Okay. Go on.

20 A (WITNESS JONES) Now, as far as the other analyses
21 that I was referencing, what I did was, I made one minor
22 little twist of the Appendix K assumption, which was,
23 instead of taking a single failure specifically listed in
24 Appendix K, which is in the emergency core cooling system, I
25 am just changing that or had in answering that question just

1 changed that to the very general design philosophy which was
2 a single failure.

3 Now, if I do that, then, while I don't know of any
4 single failures that completely eliminate the emergency
5 feedwater system personally, I have assumed that a single
6 failure exists which wipes out the emergency feedwater
7 system. Given that, a LOCA 2 HPI is available, 1.2 ANS, I
8 can meet the 10 CFR 50.46 limits, and I believe that meets
9 the intent of Appendix K, as far as the single failure
10 requirement.

11 MR. ROBERT ADLER: We have no more questions.

12 CHAIRMAN SMITH: Dr. Jordan has a few questions
13 that appropriately belong before your redirect.

14 DR. JORDAN: Mostly clarifying questions. First
15 of all, with respect to small break LOCA's, no matter what
16 size, with no other failures, can you meet the 50.46
17 criteria without any operator actions?

18 WITNESS JONES: In the short term, yes. There is
19 a long-term manual action of raising the steam generator
20 level and also the sump switchover.

21 DR. JORDAN: What was the first one?

22 WITNESS JONES: Raising the steam generator level.

23 DR. JORDAN: I see. That is a long-term action?

24 WITNESS JONES: That is correct. All of the
25 analyses done to demonstrate compliance with 50.46 and all

1 these other evaluations which have been performed which you
2 feel are based on the normally controlled subpart and the
3 steam generator, 50 percent on the operating range

4 DR. JORDAN: You are saying that even if he fails
5 to ever go to the 95 percent, he will still meet the
6 temperature criteria? I really don't understand quite.

7 WITNESS JONES: In the long term. It is break
8 size dependent, again, like many of the small break. In the
9 long term, the breaks which require the steam generator or
10 were to utilize the steam generator for heat rejection, then
11 I believe it is at least prudent to raise the level to 95
12 percent or thereabouts. I am not sure of whether it is
13 absolutely necessary or when that time has to occur, but it
14 would be on the order of, say, an hour after the accident,
15 and it would be a very long-term action, not a short-term
16 action.

17 DR. JORDAN: Now, those cases, other than the
18 Table 1, were all assuming a failure beyond a single
19 failure. Is that right? Well, it was a failure -- Table 1
20 was the failure being a break. The other tables were a
21 break plus another failure or a failure of a major system
22 such as the emergency feedwater system. Is that right?

23 WITNESS JONES: No, I wish the tables grouped up
24 and simplified that easily. Generally speaking, that is
25 correct, but Table 1 is not all the break, but includes a

1 single failure which specifically is a -- for the analysis,
2 which it loses its HPI pump.

3 DR. JORDAN: Yes, but not a failure of any system.

4 WITNESS JONES: That is correct. As far as the
5 tables that follow, there are -- the scenarios, which are a
6 loss of all feedwater type scenarios with the small break
7 LOCA or without are indeed beyond the design basis type
8 failures.

9 DR. JORDAN: I see.

10 WITNESS JONES: But there are cases, for example
11 -- Table 6 specifically, which is basically a typical small
12 break LOCA scenario, except that we have just analyzed
13 smaller sized breaks. That is all Table 6 represents. They
14 are the typical normal small break LOCA assumptions right
15 there in Table 6.

16 DR. JORDAN: Why wasn't Table 6 included in Table 1?

17 WITNESS JONES: They were not included in Table 1
18 from the sense that Table 1 was first to present only the
19 pre-TMI 2 LOCA evaluations.

20 DR. JORDAN: I see. Table 1 goes down to 0. --

21 WITNESS JONES: .04.

22 DR. JORDAN: .04. And Table 6 goes to smaller
23 breaks. Is that the main difference?

24 WITNESS JONES: That is correct. Table 1 is not
25 only -- it is not just the pre-TMI LOCA evaluations. They

1 are also the 50.46 spectrum analysis.

2 DR. JORDAN: I see. Does 50.46 say you only have
3 to go to .04?

4 WITNESS JONES: No, 50.46 and Appendix X coupled
5 up say you must demonstrate that all small break LOCAs which
6 are defined as breaks greater than that which can be handled
7 directly by the make-up system can be controlled within the
8 limits or mitigated within the limits of 50.46, but the
9 typical design analyses are only performed -- are performed
10 on a sufficient spectrum to demonstrate compliance and
11 provide the reasonable assurance. That is what Table 1
12 represents.

13 Basically, all that Table 6 does is confirm that
14 judgment.

15 DR. JORDAN: I see. Table 6 then requires no more
16 operator actions than you had in Table 1, which was zero,
17 excepting for, as you say, the long-term reactions of sump
18 and steam generator height.

19 WITNESS JONES: That is correct except for, as I
20 stated in the testimony, when we did Table 1, we had assumed
21 an operator action which has since been --

22 DR. JORDAN: That has been obviated?

23 WITNESS JONES: That has been obviated by the
24 design changes to the HPI system. Now, there is, of course
25 -- we have added one.

1 DR. JORDAN: There is what?

2 WITNESS JONES: We have now, of course, added an
3 operator action, which is the prompt tripping of the reactor
4 coolant pumps upon receipt of an ESFAS signal. And that is
5 by analyses which are discussed in Table 7.

6 DR. JORDAN: Did you not get an ESFAS signal in
7 Table 6?

8 WITNESS JONES: You do get an ESFAS signal for
9 Table 6.

10 DR. JORDAN: You do get it.

11 WITNESS JONES: Yes. Which means that the
12 operator today, by today's procedures, would be required to
13 trip the reactor coolant pumps for those breaks.

14 DR. JORDAN: All right. Then, is this not a case
15 where an additional operator action is required, excepting,
16 as you say, if he doesn't do it, it is conceivable as the
17 pumps continue to run you would be all right?

18 WITNESS JONES: Well, I wouldn't want to call that
19 the only case that fits that circumstance. Basically, all
20 the cases have assumed, with the exception of the analysis
21 in Table 7, I would assume the reactor coolant pumps were
22 lost. Now, all of the analyses done between Table 1 through
23 Table 6 were done without the knowledge of this delayed
24 reactor coolant pump trip are a potential problem.

25 And then what Table 7, the analyses on the reactor

1 coolant pump trip did was to make the procedure such that
2 you would have the pump trip as assumed in the evaluations
3 for all cases now.

4 DR. JORDAN: Well, you can gather my concern is
5 with the requirement for operator action, particularly
6 short-term operator action, and the signals that the
7 operator gets to trigger him to take the proper action. But
8 first, I want to make sure that we have considered all of
9 those cases where a single failure requires operator action.

10 Now, then, is pump trip then the only short-term
11 action that must be taken by the operator?

12 WITNESS JONES: Yes.

13 DR. JORDAN: All right. Now, how strongly is the
14 operator triggered? What is the basis? What instruments is
15 he looking at? What warning signals is he getting?. How
16 sure is he that he knows what operator action should be
17 required and would he take the right action?

18 WITNESS JONES: Let me discuss that first from the
19 guidelines, and how we developed the action. Once we found
20 this problem and looked at the short-term nature of the
21 short-term time frame required for the action, we decided
22 that we needed to have an alarmed signal in the control
23 room. It was also felt that the operator should not be
24 required to diagnose the accident. That is, if he has a low
25 pressure ESFAS actuation, he just goes and does it no matter

1 what the accident is.

2 There have then been several evaluations which
3 have been performed to demonstrate that for other
4 transients, not LOCA related, and that action does not
5 result in unsafe consequences, and so what we did when we
6 developed it was simply say, ESPAS, trip it, and as a matter
7 of fact, in the guidelines, they state that that is his
8 first priority, basically.

9 DR. JORDAN: I see. And there is no question that
10 when there is an ESPAS signal, the operator knows it. Is
11 this right?

12 WITNESS JOYES: That is my understanding. There
13 are in the control room.

14 DR. JORDAN: Can you supplement that answer?

15 WITNESS BROUGHTON: Yes. If an emergency safety
16 feature actuation signal were generated in addition to the
17 enunciators, the lighted windows above the control panels,
18 there is a specific enunciator that would indicate that the
19 signal had degenerated. In addition to that, there is a
20 complete status panel which indicates the conditions of all
21 of the competence in the safeguard system, and when the
22 safeguards signal is generated, those components begin to
23 move from their standby condition into their functioning
24 condition.

25 So, there are many indicators that would indicate

1 that indeed there was an ESFAS signal which would tell the
2 operator to take this prepared action.

3 DR. JORDAN: Mr. Baxter, we will be getting into
4 the nature of the instruments available to the operator at a
5 later time. Isn't this correct?

6 MR. BAXTER: We have a contention, several
7 contentions on the control room configuration and the
8 instrumentation available, yes, and the human factor is
9 reviewed.

10 DR. JORDAN: All right. Then I think I won't ask
11 about that at this time.

12 Now, we did discuss the case where high pressure
13 injection was initiated either by operator action or
14 automatic action, and you mentioned conditions for
15 terminating high pressure injection. Among them was the 50
16 degree subcooling margin. Was that correct?

17 WITNESS JONES That is correct.

18 DR. JORDAN: Now, I know we do get into this
19 later, but is there a meter which says what the subcooling
20 margin is?

21 WITNESS JONES: That is my understanding. There
22 will be such a meter in there.

23 DR. JORDAN: Mr. Broughton?

24 WITNESS BROUGHTON: Yes, at the time of restart of
25 TMI 1, there will be an indication in degrees Fahrenheit of

1 subcooling.

2 DR. JORDAN: I see. And I gather it is the
3 licensee's position that that is adequate. You do not have
4 to have a meter which indicates level of the cooling or
5 inventory.

6 WITNESS BROUGHTON: That is correct. The current
7 guidelines which were developed to deal with the small break
8 LOCA can be implemented using instrumentation that will be
9 available at TMI at the time of restart. They did not rely
10 at the time on any level indicators within it.

11 DR. JORDAN: Level indicators what?

12 WITNESS BROUGHTON: Within the reactor vessel or
13 the primary coolant system.

14 DR. JORDAN: All right. That is what I am
15 interested in. Just give me a moment to look through this.

16 (Pause.)

17 DR. JORDAN: I believe that is all the questions I
18 have for these witnesses.

19 CHAIRMAN SMITH: Mr. Baxter? I thought we might
20 take our afternoon break a little bit later today, because
21 we are going to be running late, but if you would prefer to
22 have that now --

23 MR. BAXTER: No, this is fine.

24 REDIRECT EXAMINATION

25 BY MR. BAXTER:

1 Q Mr. Jones, there were several questions about your
2 use in two instances of a core decay heat value of 1.0 times
3 the standard ANS value as opposed to the use in other cases
4 of 1.2 times the standard ANS value. Can you tell me if you
5 are familiar at all with the process of selecting the ANS
6 standard value, whether indeed that itself is a realistic
7 value or whether there are conservatisms built into that
8 value, and if so, what they are.

9 A (WITNESS JONES) Well, the ANS standard value that
10 I am quoting in the testimony is the -- I guess, the 1971
11 proposed standard that is referenced in Appendix Y, and in
12 Appendix X and in that standard there was an uncertainty
13 listed on the decay heat of plus or minus 20 percent in the
14 first 1,000 seconds after shutdown.

15 There have been a substantial number of
16 investigations over the last few years looking at the decay
17 heat curve, and performing core decay heat experiments, and
18 those studies have demonstrated that the original ANS
19 standard, the 1971 version, is somewhat conservative, and
20 best estimates in the long-term for core decay heat based
21 on, you know, for a realistic determination, and that a
22 factor of 1.0 is adequate to properly define the core decay
23 heat with time.

24 MR. BAXTER: I have no other questions.

25 CHAIRMAN SMITH: Anything further of this witness

1 over this series? Anything further on this testimony?

2 MS. WEISS: Yes.

3 RE-CROSS EXAMINATION

4 BY MS. WEISS:

5 Q It is true so far as you know, Mr. Jones, that
6 Appendix K still stipulates use of the ANS standard value
7 for core decay heat?

8 A (WITNESS JONES) Well, Appendix K stipulates the
9 use of 1.2 times the 1971 ANS standard, yes, along with a
10 whole host of other assumptions.

11 Q Dr. Little asked you questions, Mr. Broughton, I
12 think, about the capability of the low and high pressure
13 injection pumps to handle particulate matter, and I believe
14 you said that the HPI pumps can handle anything under a
15 quarter of an inch. Is that correct?

16 A (WITNESS BROUGHTON) Mr. Jones is the one who
17 provided those.

18 Q Okay.

19 A (WITNESS JONES) Yes, that is what I stated, that
20 that is the size that I have some knowledge about the
21 ability of the pump to handle. It does not necessarily mean
22 it could not handle more. I just don't know.

23 Q Have there been any tests run on this?

24 A (WITNESS JONES) I really don't know. What I
25 answered Dr. Little with was what I had read in internal

1 memoranda, not from my own firsthand examinations and
2 calculations.

3 Q Mr. Broughton, do you know if any tests have been
4 run on this?

5 A (WITNESS BROUGHTON) No, I do not.

6 Q With respect to the memos that you saw, Mr. Jones,
7 do you recall how long the pumps were assumed to operate?

8 A (WITNESS JONES) The analysis that I can remember
9 did not have a specific time in it. What it did was looked
10 at the effect of the circulation of the particulate matter,
11 what it would do mechanically, which was to wear down some
12 of the clearance range of some port in the pump. The
13 wearings, I believe, were called. They were called. And
14 the effect of that would be to decrease the ability of the
15 pump to produce head somewhat, and other than that, that is
16 all I know about the analysis. I do not know any more than
17 that.

18 Q You discussed with Mr. Adler the fact that typical
19 Appendix K analyses assume a loss of off-site power. Did
20 that appear anywhere in Appendix K?

21 A (WITNESS JONES) I believe it does.

22 Q Does it specify at what time off-site power is
23 lost?

24 A (WITNESS JONES) I do not believe it specifies the
25 time.

1 Q You testified that the post-accident analyses were
2 done to prepare operator guidelines rather than to
3 demonstrate 50.46. That is generally correct, isn't it?

4 A (WITNESS JONES) That is correct.

5 Q Are those operator guidelines for operator
6 scenarios that you do not consider in demonstrating
7 compliance with 50.46 and Appendix K?

8 A (WITNESS JONES) Those are indeed scenarios which
9 are not normally considered in demonstrating compliance to
10 50.46.

11 MS. WEISS: Thank you, gentlemen. I have no
12 further questions on this piece of testimony.

13 CHAIRMAN SMITH: Anything further?

14 DR. JORDAN: I guess one thing further on that
15 last question. Is this then -- these scenarios, are they
16 made to answer one of the lessons learned requirements?

17 WITNESS JONES: I don't really know the exact
18 source. I do know that following the accident there were
19 seven meetings with BSW and NRC along with the licensees,
20 and that the staff wanted operator guidelines developed by
21 the vendors, and to perform additional analyses, and picked
22 some of the specific scenarios.

23 DR. JORDAN: I see. All right.

24 MR. BAXTER: Dr. Jordan, I believe the Board could
25 take notice that this requirement is embodied in orders by

1 the Commission to each of the P&W operator licensees.

2 DR. JORDAN: This is one of the original orders.

3 MR. BAXTER: Yes, sir.

4 DR. JORDAN: Okay.

5 MR. CATCHIN: Mr. Chairman?

6 CHAIRMAN SMITH: Is that incorporated in I&E
7 Bulletin 7905, C&O6C, and by reference incorporated into the
8 notice of hearing of this case?

9 (Pause.)

10 MR. BAXTER: Mr. Chairman, I was just reading Item
11 D of the short-term actions complete for the potentials for
12 small breaks and developing and implementing operating
13 instructions to define operator action.

14 CHAIRMAN SMITH: Then you will have three on I&E
15 Bulletin Numbers 7905C and 7906C requiring analyses and then
16 guidelines for operator action.

17 DR. JORDAN: What I had in mind was whether this
18 was aimed at Item 2.1.9 of NUPEG-0578, namely, the analysis
19 of design and off-normal transients and accidents. But I
20 don't need an answer from these witnesses with regard to
21 that question.

22 CHAIRMAN SMITH: Shall we proceed, then, with the
23 next item of testimony?

24 Let's take out afternoon break. We will return at
25 3:20.

1 (Whereupon, a brief recess was taken.)

2 CHAIRMAN SMITH: Mr. Baxter, are you ready to
3 proceed? The testimony is already in. I had overlooked
4 that. Ms. Weiss?

5 CROSS EXAMINATION

6 BY MS. WEISS:

7 Q Gentlemen, the questions I will be asking you now
8 refer to licensee's testimony of Robert C. Jones, Jr., and
9 T. Gary Broughton in response to the Board question on UCS
10 Contention 8. That testimony is dated October 28th, 1980.

11 Let me refer you first to Page 3, which discusses
12 Recommendation 2.1.2.A of NUREG-0565. That recommendation
13 is that you provide a system which will assure that the
14 block valve protects against a stuck open PORV. Your answer
15 states that the need for such a system has not been
16 determined by appropriate analysis which is called for by
17 Item 2.K.3.7 of NUREG-0660. What is the publication date of
18 NUREG-0660?

19 A (WITNESS BROUGHTON) I don't know.

20 Q Do you have a copy of it in front of you? I would
21 like you to locate Section 2.K.3.7 in that document.

22 A (WITNESS BROUGHTON) That may be a confusing
23 reference, because the items in 0660 were not specifically
24 enumerated, and this particular reference 2.K.3.7 is one
25 which was attached to an 0660 item by a clarification letter

1 which was provided, I believe, in September. I think it
2 would help if I explain what I have referred to here.

3 Q Just one second, before you get to that. It is
4 true, isn't it, that there is no Item 2.K.3.7 in NUREG-0660?

5 A (WITNESS BROUGHTON) There is nothing there that
6 has that specific label on it. The way that items have been
7 referenced in 0660 is through a system which goes through
8 the recommendations of other documents and has assigned them
9 numbers. I believe the first place that that was published
10 was in a clarification letter on items which were in 0660.

11 Q You are speaking of the clarification letter dated
12 September 5th, 1980?

13 A (WITNESS BROUGHTON) That would be the letter from
14 Mr. Eisenhut, I believe. It is the September Eisenhut
15 letter that I was referring to.

16 Q Now, let me refer you to the section of 0565, and
17 I ask you to read, if you will, to yourself the section
18 entitled, 2.1, Expected Frequency of Small Break Loss of
19 Coolants Accident, 2.1.1, Conclusions, and 2.1.2,
20 Recommendations. Those appear on Pages 2-1 and 2-2 of
21 NUREG-0565.

22 A (WITNESS BROUGHTON) Yes, I have read that section.

23 Q Isn't it true that the purpose of recommendation
24 2.1.2.A is to mitigate occasions when a POPV may stick open?

25 A (WITNESS BROUGHTON) That would be the purpose of

1 having a block valve which automatically shut.

2 Q And in fact the staff considered doing this by
3 permanently closing the block valve but rejected that
4 precisely because that would increase challenges to the
5 safety valve. Is that correct?

6 A (WITNESS BROUGHTON) Yes.

7 Q And instead of permanently closing the block
8 valves, they recommended an automatic PORV block valve
9 closure system. Is that correct?

10 A (WITNESS BROUGHTON) Yes.

11 Q Then this recommendation takes account of your
12 stated concern of not increasing challenges to the safety
13 valves. Isn't that correct?

14 A (WITNESS BROUGHTON) It would take care of that
15 concern with regard to the first time in a scenario that the
16 power operated relief valve would be challenged. However,
17 if there were a subsequent challenge to the primary system
18 pressure boundary with a closed block valve on the PORV,
19 then that might in turn challenge the safety valve.

20 Q Isn't it true that there is a separate concern in
21 0565 to reduce the challenges to the PORV and that that
22 concern resulted in Recommendation 2.1.2B. That is, that
23 you provide analyses showing that the PORV will open in less
24 than 5 percent of all anticipated overpressure transients.

25 A (WITNESS BROUGHTON) Yes. The attempt there is to

1 release challenges to the PORV.

2 Q So in this section of 0565, there are two concerns
3 expressed. The first, to reduce challenges to the PORV.
4 The second, to mitigate the consequences of a PORV, and
5 Recommendation 2.1.2A goes to the latter. Is that correct?

6 A (WITNESS BROUGHTON) Yes.

7 Q And isn't it true that the clarification to which
8 you refer in Section 2.K.3.7 of the staff's September 5th
9 letter goes to the former? In other words, that is what the
10 analyses are for.

11 A (WITNESS BROUGHTON) Yes, I believe .7 does adopt
12 Recommendation B from 0565.

13 Q And for purposes of clarity, the licensee has not
14 provided us an automatic block valve closure system for TMI
15 1.

16 A (WITNESS BROUGHTON) That is correct.

17 Q Wouldn't you say, then, that your testimony on
18 Page 3 is really addressing Recommendation 2.1.2B and not
19 2.1.2A?

20 A (WITNESS BROUGHTON) Well, I don't believe so,
21 because the work done to identify the frequency of
22 challenges to the valve would identify scenarios in which
23 the valve was challenged and allow us to look at how those
24 challenges might be altered by an automatic block valve, a
25 system that we might instal.

1 Q Do you know of any accidents that have been
2 identified and analyzed where the pressure would go twice to
3 the PORV set point?

4 A (WITNESS BROUGHTON) Well, we have looked at
5 scenarios which would cause cycling of the PORV. 's a
6 matter of fact, the extended loss of feedwater case that was
7 presented in the loss of coolant accident testimony was such
8 a scenario.

9 Q Are you referring to bleed and feed?

10 A (WITNESS BROUGHTON) I am referring to an item
11 which was listed in one of the tables of the last testimony,
12 which looked at the plant response following an extended
13 loss of main and emergency feedwater, which would have then
14 used feed and bleed after a period of some minutes.

15 Q So you would in fact -- this would be a bleed and
16 feed scenario?

17 A (WITNESS BROUGHTON) It would be a bleed and feed
18 scenario or a scenario which could be terminated by
19 restoring main or emergency feedwater.

20 Q Isn't it true that for bleed and feed scenarios,
21 your analysis relies on the safety valves?

22 A (WITNESS BROUGHTON) The feed and bleed could be
23 accomplished either by safety valves or by power operated
24 relief valves.

25 Q But power operated relief valve is not safety

1 grade. Is that correct?

2 A (WITNESS BROUGHTON) It is not safety grade, but
3 if it functioned, it would be used in place of the safety
4 valves.

5 Q I understand that, but in those circumstances, the
6 concern of reducing challenges to the safety valves hardly
7 seems a valid one.

8 A (WITNESS BROUGHTON) I don't agree. For example,
9 in that scenario, if the power operated relief valve is
10 being used, and emergency feedwater can be restored, then by
11 having used the power operated relief valve, should it fail
12 to shut, the block valve would allow that flow path to be
13 isolated. . If instead the safety valve had been in
14 operation, there is no isolation path for the safety valve,
15 so it is desirable to use the power operated relief valve
16 when it is available.

17 Q Is it your understanding, before we go on to the
18 next item, that Recommendation 2.1.2A referring to the
19 automatic block valve closure system calls for some further
20 analyses to justify installation of that system?

21 A (WITNESS BROUGHTON) Yes.

22 DR. JORDAN: Isn't it even further than that? If
23 you read the September 5th letter of Eisenhut, on Page 7,
24 Enclosure 2 refers to automatic PORV isolation and calls for
25 completion of design by 7/1/81.

1 Now, doesn't that mean the design must be started
2 by now?

3 WITNESS BROUGHTON: I believe we initiated work on
4 the design, and I don't know the status of that work, but
5 certainly one of the inputs to the design would be this
6 review of other events, and the method in which a design
7 might challenge safety valves instead of reduce challenges
8 to those valves.

9 BY MS. WEISS:

10 Q Your testimony is, Mr. Broughton, that on Page 3,
11 that design and installation of an automatic PORV block valve
12 closure system is not being pursued at this time. Is that
13 correct?

14 A (WITNESS BROUGHTON) That is correct. I believe
15 we initiated the design work very shortly -- I don't know
16 the time frame we initiated the work, but the work is not
17 actively pursuing now.

18 DR. JORDAN: Well, I think it probably won't help
19 to pursue this question at this moment. However, this is
20 something that we will be asking the staff about. So, be
21 prepared.

22 BY MS. WEISS: (Resuming)

23 Q Your testimony on Page 4 with respect to
24 Recommendation 2.1.2.B of NUPEG-0565, this is the
25 recommendation that the clarification in the September 5th

1 letter refers to. Is that correct?

2 A (WITNESS BROUGHTON) Yes, that is correct.

3 Q It is not clear to me from the testimony whether
4 you are saying that there are or are not events which will
5 cause the PORV to open. Could you clarify that for me?

6 A (WITNESS JONES) There are events that would cause
7 the PORV to open.

8 Q Those include loss of feedwater, loss of external
9 electrical load, turbine trip, uncontrolled -- control rod
10 withdrawal from startup conditions, inadvertent closure of
11 main steam isolation valves, and inadvertent moderator boron
12 solution. Is that correct?

13 A (WITNESS JONES) That are not correct. Those are
14 anticipated transients. The recommendation states that you
15 demonstrate that you will not open the PORV in no more than
16 5 percent of all of those transients. Some of those
17 transients will open the PORV. Not all of them.

18 Q Okay, which?

19 A (WITNESS JONES) As was stated in the testimony on
20 Page 5, the inadvertent control rod withdrawal can possibly
21 result in PORV opening. And that is the only one.

22 Q That is the only event?

23 A (WITNESS JONES) That is the only anticipated
24 transient that is listed that would possibly cause an
25 opening of the PORV with the revised set points in the

1 anticipatory trip functions.

2 Q Are there other transients which are not listed on
3 Page 4 which might result in opening of the PORV?

4 A (WITNESS JONES) Well, there are total loss of
5 feedwater scenarios, of course, that can result in the PORV
6 being open. A feedwater line break. A rod withdrawal from
7 power could possibly cause it to occur. A rod ejection
8 accident. Those are some of them. But most of those
9 transients are not anticipated transients. A feedwater line
10 break, for example, is a design basis transient.

11 Q Right. So in the letter you have included both
12 anticipated transients and accidents?

13 A (WITNESS JONES) In that expanded list, the
14 majority of them were accidents.

15 Q This recommendation calls for the licensee to
16 document that the PORV will open in less than 5 percent of
17 all anticipated overpressure transients, et cetera. Has
18 that documentation been presented to NRC?

19 A (WITNESS JONES) Not to my knowledge.

20 Q Do you know when it will be?

21 A (WITNESS JONES) No, I do not.

22 Q Do you know if it is being prepared?

23 A (WITNESS JONES) I do not believe that such a
24 document is being prepared at this time.

25 Q With regard to Recommendation 2.2.2.A on Page 9 of

1 your testimony, and Recommendation 2.2.2.B -- they are
2 presented together -- they first state that the analysis
3 method used for small break LOCA analysis by B&W should be
4 revised, documented, and submitted to NRC for approval. The
5 second recommends or calls for plant specific calculations
6 using the NRC approved model for small breaks to be
7 submitted by all licensees to show compliance with 10 CFR
8 50.46.

9 Is it your testimony that NUREG-0565 does not
10 state that approved B&W small break evaluation is deficient
11 for demonstrating compliance of TMI 1 with respect to 1 CFR
12 50.46 and Appendix K?

13 A (WITNESS JONES) That is correct.

14 Q And in making that answer, did you consider the
15 sentence on Page 2-3 of NUREG-0565 that has been read
16 earlier into the record, and I quote, "The analysis methods
17 must be revised and verified before they can be considered
18 for NRC approval under 10 CFR 50.46?"

19 A (WITNESS JONES) Yes, I have.

20 Q Let me refer you to Chapter 4 of NUREG-0565.

21 DR. JORDAN: Where is this, Ms. Weiss?

22 MS. WEISS: Chapter 4 of NUREG-0565. Basically,
23 Page 4-1, 4-2, and 4-3.

24 BY MS. WEISS: (Resuming)

25 Q Did you consider making that statement the eight

1 listed concerns on Pages 4-1 through 4-3?

2 A (WITNESS JONES) Yes, I had.

3 Q Would you agree that for Item Number 1,
4 experimental data for the verification of methods for
5 two-phase natural circulation are currently not available?

6 A (WITNESS JONES) Not at this time I wouldn't.

7 Q You would not agree with it?

8 A (WITNESS JONES) No, I would not.

9 Q Where is that data?

10 A (WITNESS JONES) That data has been obtained from
11 the recent LOFT experiments.

12 Q Which tests are you referring to?

13 A (WITNESS JONES) It is my understanding that L35
14 exhibited periods of two-phased natural circulation.

15 Q Do you know approximately when LOFT Test L35 was
16 performed?

17 A (WITNESS JONES) It is a relatively recent test.
18 It is in the last month or two, but I do not remember the
19 exact date.

20 Q Can you describe that test?

21 A (WITNESS JONES) The experiment is roughly a
22 simulated .1 square foot break in the intact loop of the
23 LOFT facility. They tripped the reactor coolant pumps.
24 The system underwent a depressurization transient. I
25 believe they had no ECCS model in that transient. And after

1 some period of time later on, they isolated the break, and I
2 forget when they turned on the HPI. It was some time prior
3 to the isolation of the break. And it was expected that
4 there was reflux boiling or boiler condenser type operation
5 occurring during the experiment, or would occur. The exact
6 date of report has not been released on that experiment yet.

7 Q Did B&W predict results for that experiment before
8 it was conducted?

9 A (WITNESS JONES) No.

10 Q So you have no basis of comparing the experimental
11 data with model predictions for this particular test?

12 A (WITNESS JONES) Not as a pre-test prediction,
13 no. It is possible we may do some post-tests, but I do not
14 know whether we will or will not.

15 Q Do you know whether natural circulation was lost
16 at all during the test?

17 A (WITNESS JONES) Well, liquid natural circulation
18 would have been lost. I expect they lost two-phased natural
19 circulation also at some period of time, and then later on
20 in the transient, after they isolated the break, they did a
21 simulation of the plant depressurization by depressurizing
22 the secondary system of the plant. That was the counterpart
23 L35A experiment.

24 (Pause.)

25 BY MR. POLLARD:

1 Q Now, if I could direct your attention to the third
2 item beginning on 4-1 and continuing over to 4-2, which is
3 discussing the pressurizer model for analyses of small
4 breaks, and it states that these modeling differences may be
5 significant for various postulated breaks. Do you agree
6 with that concern expressed in Item 3?

7 A (WITNESS JONES) No, I do not.

8 Q Have you submitted further analyses to the NRC
9 since the document was published on this item?

10 A (WITNESS JONES) No, we have not.

11 (Pause.)

12 Q On Item 4 on Page 4-2, it states that, "The
13 calculation of core level and core heat transfer are
14 important features of the small break model. Limited
15 experimental data is currently available to justify these
16 models. Although the current capacities have been
17 satisfactory, the experiments are not challenging to the
18 codes. More experimental data must be obtained for code
19 verification."

20 Do you agree with that concern?

21 A (WITNESS JONES) Not totally.

22 Q Have you submitted any further analyses to address
23 this concern since this data was published?

24 A (WITNESS JONES) No, we have not.

25 Q Item 5 on Page 4-2 discusses a concern about the

1 number of nodes used to represent the primary system and
2 concludes by stating that thus the modeling detail could
3 have a significant effect on the calculated times for
4 various events such as ECCS actuation.

5 Do you agree with that concern?

6 A (WITNESS JONES) No, we do not.

7 Q Have you submitted any further analyses to the NRC
8 address this concern since this document was published?

9 A (WITNESS JONES) No.

10 DR. JORDAN: Mr. Pollard, I lost that item. Where
11 was it?

12 MR. POLLARD: That was Item 5 on Page 4-2 of
13 NUREG-0565.

14 DR. JORDAN: Thank you. I have it now.

15 BY MR. POLLARD: (Resuming)

16 Q Item 6 on Page 4-2 states, "During the recovery
17 period from a small break LOCA, the thermodynamic
18 equilibrium assumed and four control volumes could be
19 presumed in error if the predicted system pressure. This
20 could in turn introduce errors in both the break discharge
21 and safety injection flow. The rate at which the water is
22 refilling the system can affect speed condensation. If the
23 condensation efficiency is less than 100 percent, system
24 pressure would be higher than predicted."

25 Do you agree with that concern?

1 A (WITNESS JONES) Yes, I do.

2 Q Have you submitted any analysis to address this
3 concern to the NRC since this document was issued?

4 A (WITNESS JONES) No.

5 Q What are your plans for addressing this concern?

6 A (WITNESS JONES) At this time, B&W has proposed
7 some work to various of our licensees, and we will be
8 examining and developing a program to respond to this
9 document in total. As far as this specific item is
10 concerned, this is an analysis item or this is an item
11 talking about the later stages of the system refill and the
12 analyses do not go that far. The analyses are performed to
13 the time that long-term cooling has been established.

14 All this item addresses is, how fast can you
15 recover the system, that is, refill it, not whether you have
16 inadequate -- whether you are getting adequate core cooling
17 during this period. Here you are refilling the system
18 following the small break LOCA, and we will probably not
19 address this at all.

20 Q With respect to the licensee in this case, have
21 you made this proposal to Metropolitan Edison?

22 A (WITNESS JONES) Yes.

23 Q Have they responded?

24 A (WITNESS JONES) They have participated in some of
25 the planning and discussion of the concerns listed in this

1 document, not just this item specifically. As far as their
2 response to the Commission or whether they are going to
3 participate in the long-term program that may occur with
4 this document, I do not know of any response at this time.

5 Q When was that proposal originally presented to the
6 licensee?

7 A (WITNESS JONES) Well, let me try to put a little
8 bit of history on this. This document has been out since
9 January, well, some time -- Really, the end of February was
10 the first time this document was officially published,
11 irrespective of the date on the cover. And when the
12 document -- the Commission did not apply the document to
13 anybody. The first time that positions were asked that I
14 know of on the document were via the September 5th or
15 thereabouts, the September Eisenhut letter, the
16 clarification letter.

17 At that point in time, B&W had some meetings with
18 the owners of our plants to discuss the various concerns and
19 how to respond. That is still as of the last date that I
20 have been involved in, it was still progressing to develop a
21 response to the NRC officially and as far as I know, I was
22 not until just the end of October that the Commission -- the
23 Commissioners finally approved the clarification letter from
24 Mr. Eisenhut, and I believe that the response on this item
25 is due to the Commission some time around mid-November, but

1 I am not exactly sure on that, as far as development of a
2 plan to respond to this document.

3 Q November of which year?

4 A (WITNESS JONES) I believe this year. November
5 15th.

6 Q So you personally are not involved in developing
7 the response. Is that correct?

8 A (WITNESS JONES) Not since I have started coming
9 to the hearing.

10 Q We can move to Item 7, which begins on Page 4-2
11 and continues on Page 4-3. It states that "The discharge
12 rate of two-phased fluid through the PORV and safety valves
13 is an important consideration for some transients. These
14 include postulated stuck open PORV or safety valves and
15 primary system depressurization for very small or zero break
16 LOCA's by opening the PORV if all feedwater is lost. There
17 is a lack of discharge rate data for two-phase fluid at high
18 pressure.

19 "Most experimental data is for steam at low
20 pressure. If the actual valve flow is lower than assumed in
21 the calculations, primary system depressurization to the
22 high pressure injection set point might not occur within the
23 calculated times."

24 Do you agree with that concern?

25 A (WITNESS JONES) Not really.

1 Q Is it that you disagree with every single sentence
2 in the concern, or is it only a portion of it that you
3 disagree with?

4 A (WITNESS JONES) Well, that is the problem with
5 all of these. There may be a feature here and there which
6 is characterized correctly, but as a whole, I disagree with
7 the item.

8 Q Let me just take the last sentence, then. If that
9 sentence is true, would you agree that there might then be
10 some additional accident scenarios which would require
11 manual initiation of high pressure injection?

12 A (WITNESS JONES) Well, it depends on your concept
13 of lower. In my opinion -- no. I do not totally agree with
14 that thing. I think that a break in a stuck open PORV or
15 safety valve, because of its direct impact, because it is a
16 steam space leak, which is what the valves have been
17 qualified for, would depressurize the primary system down to
18 the high pressure injection subpoint in very rapid fashion,
19 and in fact the TMI 2 incident proves opening a PORV will
20 depressurize you to the high pressure injection subpoint,
21 and the safety valve is a heck of a lot bigger than a PORV.

22 Q Was there not a case in your testimony on UCS
23 Contention 8 and ECRP Contention 1E where you discussed a
24 transition flow from steam through the PORV and then a
25 two-phased fluid and then pure liquid and back again?

1 A (WITNESS JONES) That was a response to a total
2 loss of feedwater scenario, and that was the safety valve I
3 was talking about. But if you had the PORV then you would
4 actuate it -- you would see the same conditions.

5 Q And that is, of course, what this item is
6 addressing, zero break LOCA's, which means no break?

7 A (WITNESS JONES) That is right, and this item is,
8 in my opinion -- well, if you go back and look at the
9 clarification for this item, which is later in the document,
10 it is basically an item for the Davis Besse plant which does
11 not have the high head, the high head HPI pumps, that is,
12 HPI pumps capable of pressurizing the system at the 2700 psi.

13 Q And for them, if they could not restore feedwater,
14 you would have to open the PORV and wait for a system
15 depressurization to allow their HPI's to function belows
16 their shutoff head, which is about 1800 psi. It is a
17 generic item for all other plants such as Westinghouse and
18 combustion engineering plants which generally do not have
19 such high head pumps as the B&W high pressure injection
20 system is.

21 Q Your last comment moves me to draw your attention
22 to the first sentence on Page 4-1, where it appears that to
23 me, at least, from the first sentence, that this section is
24 being written with respect to B&W. And now you are telling
25 me that here we have an item that may apply to one B&W plant

1 but it is primarily being addressed to Westinghouse plants.

2 Did I understand you?

3 A (WITNESS JONES) Well, this is not the only
4 bulletin known as -- this is not the only generic evaluation
5 of small break loss of coolant accidents around. There are
6 three others, for GE, Westinghouse, combustion Engineering
7 plants that are very similar to this, and in fact most of
8 these concerns are interwoven between each of the documents,
9 and in fact in the clarification letter I understand that we
10 were to address the recommendations of every document,
11 because they weren't sure they got them all intertwined
12 properly.

13 So, it is addressed to -- some of these items may
14 be much more appropriate to a Westinghouse plant than they
15 are for a B&W plant, and this is one of them, with the
16 exception of, again, the Davis Besse plant.

17 Q If we could move on, please, to Item 8 on Page
18 4-3, I won't read the whole Item 8. It says, beginning
19 about the fourth sentence, "The amount of steam present at
20 the injection location is the predominant factor which
21 determines the core flood tank master lift. The results of
22 an analysis will be influenced by the model and the modeling
23 assumptions used to calculate the core flood tank flow.
24 Additional studies will be required to obtain the necessary
25 information to perform an Appendix K analysis."

1 And then it goes on to note, "Additional work to
2 do this is under way."

3 Do you agree with any part of the concern
4 expressed in Item 8?

5 A (WITNESS JONES) Well, I agree with it in the
6 sense -- with the equilibrium models that currently exist
7 throughout almost all reactor vendors in the country and
8 throughout most of the country using equilibrium models in
9 the sense that the cold core flood tank water could
10 introduce a rapid depressurization of the system due to the
11 instantaneous condensation of steam as would be calculated
12 by the code.

13 My specific position relative to this item is
14 addressed on Page 11 of this testimony.

15 (Pause.)

16 BY MS. WEISS: (Resuming)

17 Q Are all of the concerns listed, the eight concerns
18 listed on Pages 4-1 through 4-3 of NUREG-0565 related to
19 performance of the models with the Commission's regulations
20 and Appendix K, 50.46?

21 A (WITNESS JONES) I missed your question. Could
22 you please repeat it?

23 Q Now, we have made a distinction some time in the
24 course of the testimony between analyses that were performed
25 under Appendix K to show conformity with 50.46 and analyses

1 which were done in order to provide operator guidelines. I
2 just wanted to make it clear at this point that all the
3 concerns listed in Chapter 4 of NUREG-0565 that we have
4 discussed relate to conformance of the B&W models for
5 Appendix K and 50.46 purposes.

6 A (WITNESS JONES) Well, let me try to characterize
7 it this way. First off, the specific document, 0565,
8 relates -- is a review of and relates to the analyses
9 performed to develop operator guidelines. They are not a
10 comprehensive review of the 10 CFR 50.46 analyses and
11 Appendix K analyses.

12 What the staff has listed that we have just been
13 discussing is based on some of these analyses and what they
14 have seen, if they now have some questions, and they just
15 want further justification.

16 To the best of my knowledge, the staff has not
17 said that our models are not in conformance with Appendix K
18 to date, and they are not valid for demonstrating
19 conformance to 50.46, but they do want to address some of
20 these -- they want some of these specific concerns addressed
21 over the next year or so.

22 Q At least they haven't said that anywhere outside
23 the context of NUREG-0565.

24 MR. BAXTER: I am sorry. I don't understand the
25 question. If the witness understands it, he can answer it.

1 CHAIRMAN SMITH: I didn't understand it either.
2 But that is hardly determinative.

3 Could you clarify it?

4 MS. WEISS: I am not sure it is necessary.

5 BY MS. WEISS: (Resuming)

6 Q In other words, beyond this document that we have
7 been discussing, NUREG-0565, you have not received any
8 direction from NRC to tell you that you were not in
9 compliance with 50.46.

10 A (WITNESS JONES) Well, in fact, I don't believe
11 the Commission has stated to date that we are not in
12 compliance with 50.46, even in this document as modified by
13 the clarification letter. It is my understanding that an
14 acceptable response to this document would be to provide
15 additional information to the staff that demonstrates that
16 the old model, the presently approved model is in compliance
17 with Appendix K, and that these items are not significant
18 actors for demonstrating adequate core cooling as defined by
19 the regulations.

20 Q Do you see anywhere in this document where it is
21 stated that these are not significant concerns, are not
22 significant efforts in terms of 50.46?

23 A (WITNESS JONES) No, I do not. But by the same
24 token, there was a letter out which clarifies -- The way I
25 understand it, it is a clarification of this document.

1 Q You think the September 5th letter clarifies
2 NUSEG-05665?

3 A (WITNESS JONES) It tells you or provides you some
4 guidance on how you could respond to this document if you
5 wish.

6 Q Well, we may have to talk to staff some more about
7 what they meant. They may be the appropriate people to
8 discuss that.

9 Let's go to Page 11 of your testimony,
10 Recommendation 2.2.2.C, which states, "The effects of core
11 flood tank injection on small break LOCA's should be further
12 investigated to determine the amount of condensation
13 realistically expected and to determine its effect on heatup
14 and core uncovering. The condensation model and modeling
15 procedures, i.e., injection location used in computer
16 analyses, require further investigations to assure that the
17 effects of CFT injection are biased in a conservative manner.

18 "Semi-scale and LOFT test data should be used to
19 verify the models."

20 So, is it accurate that that recommendation calls
21 for a comparison of your model results or your model
22 predictions with semi-scale and LOFT test data?

23 A (WITNESS JONES) It appears to call for such a
24 comparison, yes.

25 Q And your testimony does not discuss any such

1 comparison. It just reiterates the model results. Is that
2 correct?

3 A (WITNESS JONES) That is correct.

4 Q Do you know whether some LOFT data indicates less
5 depressurization than predicted by B&W model?

6 A (WITNESS JONES) Well, one of the large break
7 experiments indicates that effect, that the models will tend
8 to underpredict the system pressure after core flood tank
9 injection. The small break data such as L31, the recent
10 LOFT experiment, does not seem to indicate that the models
11 will tend to grossly overpredict the system depressurization
12 following core flood tank injection.

13 Q I have stated the question wrong, but you answered
14 it correctly. The LOFT data indicates less depressurization
15 than predicted, rather than less pressurization. Correct?

16 A (WITNESS JONES) Yes. It should be less
17 depressurization.

18 Q Do you have any experimental data from semi-scale
19 or LOFT to show that the B&W model is conservative in this
20 respect?

21 A (WITNESS JONES) Well, the analyses that are
22 generally done for comparison to both the LOFT and
23 semi-scale experiments are generally what you would call
24 best estimate analyses. They are not analyses performed to
25 demonstrate margins of conservatism in your model, but

1 rather to demonstrate whether your model can reasonably
2 predict the actual phenomena. There are problems in
3 performing such analysis in the fact that these models are
4 not designed to be totally best estimates, but we have
5 performed analyses of the semi-scale experiment SC710B.

6 The model was conservative in that it actually
7 predicted a slower depressurization and a total core
8 uncovering, which is -- the total core uncovering was a direct
9 result of how we treat heat addition in the code, and we do
10 that in a very conservative manner, and it caused us to
11 grossly underpredict or to grossly overpredict the amount of
12 core uncovering.

13 As far as the LOFT L31 experiment, we have
14 performed an analysis of that. The experimental comparison
15 was in reasonable agreement with the actual data, as best we
16 could determine.

17 MS. WEISS: Could we have just a moment?

18 (Pause.)

19 CHAIRMAN SMITH: Do you need more time, Ms. Weiss?

20 MS. WEISS: No, we can go. Thank you.

21 BY MS. WEISS: (Resuming)

22 Q Can I refer you to your testimony on
23 Recommendation 2.3.A of NUREG-0565, and related conclusions
24 from 0623 with regard to tripping of reactor coolant pumps?
25 The recommendations appear on Pages 12 and 13, and the

1 testimony appears on Page 13.

2 I am particularly concerned with the language of
3 NUREG-0565 itself, and you have quoted it. "Tripping of the
4 RCP's in the event of a LOCA is not an ideal solution. The
5 licensees should consider other solutions to the small break
6 problem. For example, an increase in HPI flow rate. In the
7 interim, until a better solution is found, the RCP should be
8 tripped automatically in the case of the small break LOCA."

9 Now, before I get into that, does that jog your
10 memory at all or refresh your memory at all with respect to
11 the questions Mr. Pollard was asking you earlier about ACRS
12 recommendations, with particular respect to HPI?

13 MS. BAXTER: This is on HPI pump capacity?

14 MS. WEISS: Flow rate. Yes.

15 WITNESS JONES: I still can't remember whether the
16 NRC -- I mean, whether the ACRS has indeed made this
17 recommendation or not. It is possible that they have. But
18 as I said, I just don't remember.

19 BY MS. WEISS: (Resuming)

20 Q An increase in HPI flow rate in particular is what
21 I am referring to.

22 A (WITNESS JONES) Well, this recommendation itself
23 from 0565 makes some statement to that effect, but again, as
24 far as an ACRS specific position, I just don't remember one.

25 Q Okay. Why isn't tripping of the reactor coolant

1 pumps in the event of a LOCA not an ideal solution?

2 MR. BAXTER: You are assuming that the witness
3 agrees with this statement.

4 BY MS. WEISS: (Resuming)

5 Q Yes, if you agree with it.

6 A (WITNESS JONES) Well, I am not so sure that I
7 agree with this statement. The general concerns raised or
8 the -- the very general comments along this vein are
9 relative to forced circulation cooling, not the cooling
10 process itself, but the better coupling to the steam
11 generator for finer plant control.

12 I mean, as far as the core cooling, as far as core
13 cooling is concerned, I don't believe it matters. I think
14 tripping the pumps is a fine solution.

15 Q Is it accurate that tripping of the reactor
16 coolant pumps can aggravate non-LOCA transients?

17 A (WITNESS JONES) It can make them -- well, I don't
18 know what you mean by aggravate, but in a very general sense
19 of, again, plant control, yes.

20 Q Well, there is a statement on this same page from
21 Conclusion 6.0(9). NUREG-0623 states that "For F&W plants,
22 tripping of the reactor coolant pumps during severe
23 overcooling events increases the potential for interruption
24 of the natural circulation due to steam formation in the
25 coolant loops."

1 Now, do you agree with that?

2 A (WITNESS JONES) Well, if you have the reactor
3 coolant pumps, you do not have to worry about an
4 interruption of natural circulation. Certainly, tripping
5 the pumps during a severe overcooling event which could pull
6 or result in a steam void in the reactor coolant loops could
7 possibly interrupt natural circulation.

8 However, we have performed analyses of overcooling
9 accidents, including a failure, a double-ended failure of
10 the steam lines which results in a very substantial
11 overcooling transient on the primary system, and natural
12 circulation was maintained in at least one loop throughout
13 the transient.

14 Q What did that assume with respect to the operation
15 of the reactor coolant pump?

16 A (WITNESS JONES) That they were tripped at the low
17 pressure ESPAS signal.

18 Q The recommendation speaks of a better solution.
19 It states, "In the interim, until a better solution is
20 found, the RCP should be tripped automatically." Has B&W
21 devised a better solution?

22 A (WITNESS JONES) We have not been actively
23 pursuing a better solution to the problem. One of the
24 recommendations or what O623 recognizes is that the analysis
25 models with the reactor coolant pumps running need further

1 analytical bases or experimental bases, excuse me, and has
2 recommended that a pre-test prediction of LOFT test L36 be
3 performed in order to benchmark the analytical methods with
4 the pumps running in a highly voided primary system during a
5 small break LOCA.

6 Following that analysis, we possibly may pursue
7 looking at alternate solutions. It may be found out that
8 the analysis methods are indeed highly conservative, and
9 that in fact the pump trip is not required, but there are
10 still mechanical problems relative to the pump operating at
11 high void actions and potential damage to the reactor
12 coolant pumps which would still have to be resolved, and I
13 am not so sure that we will actively pursue development of
14 alternate schemes or other ways of keeping the reactor
15 coolant pumps on indefinitely through a LOCA.

16 (Pause.)

17 BY MR. POLLARD: (Resuming)

18 Q If you did pursue the option of providing a much
19 higher capacity high pressure injection pump, would not such
20 a higher capacity pump also reduce the severity of the
21 problem you talked about of having reactor coolant pumps run
22 with a large number of voids in the system?

23 That is, if we have a high enough capacity pump,
24 won't the magnitude of that problem also be reduced?

25 A (WITNESS JONES) Oh, it would be reduced somewhat,

1 but we have performed studies with one and two HPI pumps,
2 for example, and the change in the management system void
3 fraction on a specific case, on the order of 5 percent.

4 So, if I added, say, two more high pressure
5 injection pumps and could guarantee that they would run, et
6 cetera, which might solve this problem, because you will
7 have excess refill capacity at that time, it might recover
8 the core fast enough. You still may run to 85 percent void
9 fractions in the primary system.

10 So, while they have reduced the severity somewhat,
11 it still could be a problem.

12 BY MS. WEISS: (Resuming)

13 Q What is the basis for assurance that the reactor
14 coolant pumps will be tripped within three minutes of the
15 onset of a LOCA?

16 A (WITNESS BROUGHTON) Well, we have implemented
17 procedures which require that, and we have trained operator
18 to those procedures. The evolution is simple. It can be
19 performed from the control room, and there are several
20 different indications in the control room that would
21 indicate that this action was required.

22 BY MR. POLLARD: (Resuming)

23 Q When you were answering a question, I believe,
24 from the Board earlier, before the break, as I understood
25 your testimony, you said that the training given to the

1 reactor operators is that any time that there is an
2 engineered safety feature actuation system signal, that they
3 should trip the pumps. Did I understand you correctly?

4 A (WITNESS BROUGHTON) That is correct.

5 Q I thought that he would only trip the pumps if
6 high pressure injection had been actuated by low reactor
7 coolant system pressure. But that he would not trip the
8 pumps if high pressure injection had been actuated, for
9 example, by high reactor building pressure.

10 A (WITNESS BROUGHTON) You were correct. I was not
11 explicit enough when I made the remark earlier. The
12 requirement for tripping the pumps, the requirement for
13 tripping the reactor coolant pumps is when high pressure
14 injection has been initiated.

15 Q Initiated automatically by specifically low
16 reactor coolant system pressure?

17 A (WITNESS BROUGHTON) The 1600 pound low reactor
18 coolant system pressure.

19 Q And for no other automatic initiation of high
20 pressure injection?

21 A (WITNESS BROUGHTON) That is correct.

22 Q Now, again, going back to your earlier answer to
23 us, what indication is available to the operator, I
24 understood you to refer to a status panel for emergency core
25 cooling system components. Wouldn't that status panel look

1 exactly -- excuse me. Wouldn't it lock exactly the same
2 whether high pressure injection was actuated by low pressure
3 or by high building pressure?

4 A (WITNESS BROUGHTON) That status panel would --

5 Q So he cannot rely upon that as an indication of
6 whether or not he should trip the reactor coolant pumps?

7 A (WITNESS BROUGHTON) I should retract what I said
8 just a minute ago. There are several indications on that
9 status panel, and I believe from the status panel that he
10 can tell exactly what signal has caused the engineered
11 safeguards feature to actuate. I am not familiar enough
12 with that panel to say certainly that is the case.

13 Q Let me ask the direct question that I thought the
14 Board has asked you originally, but before I ask that, let
15 me just clarify it one more time.

16 It is your testimony that the operators are
17 instructed to trip the reactor coolant pumps only when the
18 high pressure injection system has been automatically
19 initiated by low reactor coolant system pressure.

20 A (WITNESS BROUGHTON) Yes.

21 Q What indication or instrumentation does the
22 operator have to make the decision or the determination that
23 high pressure injection has been initiated automatically by
24 low reactor coolant system pressure?

25 A (WITNESS BROUGHTON) I am aware of seven

1 indications that he has. I am not sure that I know exactly
2 which one he uses to distinguish high pressure injection
3 initiation from low system pressure from some other reason
4 for initiating high pressure injection.

5 Q Perhaps we can turn to something else. Let's
6 assume there is some instrument in the control room which
7 directly indicates either reactor coolant system pressure or
8 directly indicates the cause of initiation of high pressure
9 injection.

10 You feel fairly certain there must be some kind of
11 instrument like that, do you not?

12 A (WITNESS BROUGHTON) Yes.

13 Q Is it not true that that instrument would also
14 indicate low pressure in the reactor cooling system if the
15 event was not a LOCA but perhaps an overcooling event on the
16 secondary side?

17 A (WITNESS BROUGHTON) Yes, that is true.

18 Q So that given your present instructions to the
19 operator -- by present instructions, I mean at the time of
20 TMI 1 restart -- the operator will trip the pumps without
21 trying to determine whether it is a LOCA or, for example,
22 any other kind of accident like an overcooling event?

23 A (WITNESS BROUGHTON) That is correct. He would
24 trip the pumps and then try to diagnose the event. He would
25 not try to make the diagnosis before tripping the pumps.

1 Q Then in your testimony, on Page 13, do I
2 understand it correctly that eventually when you install the
3 proposed reactor coolant pump trip system, that system will
4 have the ability or hopefully will have the ability to
5 distinguish between LOCA's versus overcooling transients,
6 and it would not trip the pump, would not trip the reactor
7 coolant pumps for secondary accidents?

8 A (WITNESS BROUGHTON) There are still some
9 secondary overcooling events which would cause both a low
10 reactor coolant system pressure and a low subcooling
11 margin. In those cases, the reactor coolant pumps would be
12 tripped automatically by the automatic system.

13 Q Let me ask it a different way.

14 After the installation of the automatic pump trip
15 circuit, are there some accident scenarios for which the
16 automatic circuit would not trip the reactor coolant pumps,
17 but that before this is installed the reactor operator would
18 trip the reactor coolant pumps?

19 A (WITNESS BROUGHTON) Yes.

20 Q Assume that we have an accident, a small break
21 LOCA, if you will, which is causing the reactor coolant
22 system pressure to decrease. The operator observes this
23 pressure decrease, and determines that it will eventually
24 get low enough to automatically start the high pressure
25 injection system. But he decides to help out and manually

1 initiates high pressure injection.

2 Under those circumstances, where the high pressure
3 injection was manually initiated, what are your instructions
4 to the operator with respect to manually tripping the
5 reactor coolant pumps?

6 A (WITNESS BROUGHTON) I would have to look at the
7 specific procedure to indicate what those requirements are.
8 My recollection is, he would still be tripping coolant
9 pumps, but I am not sure if he would trip them because he
10 started high pressure injection on some other signal, and
11 I would have to look at procedures to be sure.

12 Q Do you have those procedures here with you now?

13 A (WITNESS BROUGHTON) I do not.

14 Q Which procedures are they?

15 A (WITNESS BROUGHTON) I believe it would be the
16 small break, which does not cause an automatic
17 depressurization.

18 Q Let me back up again. I thought before we got to
19 this question, your testimony was unequivocal, that your
20 instructions to the operator were to only trip the reactor
21 coolant pumps if we had automatic initiation of high
22 pressure injection only on low reactor coolant system
23 pressure.

24 Are you now saying that you are not sure that that
25 is correct?

1 A (WITNESS BROUGHTON) It would also be that he
2 would trip for another scenario that doesn't include those
3 indications that I mentioned previously.

4 MR. POLLARD: Could we have the answer read back,
5 please? It was too soft.

6 (Whereupon, the Reporter read back the previous
7 answer.)

8 MS. WEISS: We think it important at this point in
9 the proceeding that we know exactly what the procedure calls
10 for. We don't have a copy of it. I wonder if you all have
11 a copy that is relatively accessible.

12 MR. BAXTER: We do. I just wonder if it is worth
13 breaking --

14 MS. WEISS: We can do it the next time the
15 gentlemen are on the stand or we can do it tomorrow morning.

16 MR. BAXTER: We will attempt to retrieve it now
17 while you are continuing.

18 (Pause.)

19 CHAIRMAN SMITH: I thought you were going to
20 proceed.

21 MS. WEISS: It is taking us a minute to regroup.

22 CHAIRMAN SMITH: Well, in the meantime, Dr. Little
23 has some questions.

24 DR. LITTLE: Mr. Broughton, on Page 13 of your
25 testimony, the last sentence reads, "The SAC staff has

1 accepted this approach as described in NUREG-0680, and
2 refers to C-218," and on reading that, it states, "We agree
3 in principle that the proposed method for pump trip in the
4 event of an ESPAS meets the intended long term requirement
5 of I&E Bulletin 79-05C," and it goes on to state that
6 "Further review is going to be required of the proposed
7 designs prior to installation," and so on.

8 Now, what is the correct status of acceptance by
9 the staff of this approach?

10 WITNESS BROUGHTON: When we develop a specific
11 design to implement this trip, we would then submit that
12 design to the NRC for additional review.

13 DR. LITTLE: So the approach is accepted in
14 principle, but there is a long way from that to acceptance
15 of Met Ed's proposed way of dealing with it, the actual
16 implementation.

17 WITNESS BROUGHTON: The actual implementation would
18 involve things like how many sensors were used to detect the
19 various conditions that were part of the trip, what would
20 the logic be within the design to cause the coolant pump
21 breakers to open, and those are additional things which we
22 have not yet been able to define.

23 When those are defined, that would be presented to
24 the staff for their review of how we actually implemented
25 the approach.

1 DR. LITTLE: I guess that is a long-term
2 requirement. Do you know right offhand when the schedule
3 for that is? The schedule to have final designs in?

4 WITNESS BROUGHTON: I do not know when the final
5 design is scheduled, no.

6 MS. WEISS: Is that it?

7 DR. LITTLE: Mr. Smith is looking something up.
8 He has a further question on it.

9 (Pause.)

10 CHAIRMAN SMITH: It seems that 79-05C is a
11 short-term requirement in the order. How does it happen to
12 slip into long-term in the SER? If I am correct. Let me
13 review it to see if I am correct.

14 It is the short-term action. Item Number 2
15 provides for NRC review and approval, so I can see the basis
16 upon which the staff might conclude that it is long-term in
17 their view.

18 MR. CATCHIN: Are you referring now to the order
19 itself?

20 CHAIRMAN SMITH: I am referring to the order and
21 notice of hearing. Short-Term Item Number 2 states that
22 "Licensees shall provide for NRC review and approval of all
23 applicable actions specified in I&E Bulletins 79-05A,
24 79-05B, and 7905C." And 79-05C being the one which is
25 referred to then as a long-term action, apparently, in the

1 SEP.

2 When I began the question, I was not sensitive to
3 the use of the terms "review and approval" rather than
4 "implementation," which I think could be an explanation.

5 MR. CUTCHIN: I don't have a ready explanation at
6 my fingertips. When we get our turn on the stand, I am sure
7 we can try to clear that up.

8 CHAIRMAN SMITH: Very good. Thank you.

9 (Pause.)

10 CHAIRMAN SMITH: Okay. I am surrounded by people
11 pointing out the error of my ways here. 79-05C in itself is
12 divided into short-term and long-term actions, too, and is
13 referred to elsewhere, too, so disregard it.

14 MR. JORDAN: In looking at the staff's table on
15 your long-term Item Number 1, the RC trip, they say the
16 licensee has complied.

17 MR. CUTCHIN: You are looking at which table, now,
18 in the restart, SEP, NUREG-0680?

19 DR. JORDAN: Yes, on Page B-7.

20 (Pause.)

21 CHAIRMAN SMITH: We are not seeking an answer
22 now. Proceed with the examination.

23 DR. LITTLE: We will probably get to this in
24 questioning people later on, but if you look at Page B-3 in
25 NUREG-0680, about two-thirds of the way down the page, at the

1 paragraph just before conclusions, it says in the column,
2 Comply Reference. "Comply" means that the licensee is in
3 full compliance with that part of the order, and that is the
4 designation that is given for the automatic PCP trip.

5 MR. CUTCHIN: I can only say, Dr. Little, that I
6 did not choose these categorizations, and if the Board is
7 interested in hearing an explanation, we will get the right
8 body on the stand to explain it. But I personally cannot
9 explain that.

10 DR. LITTLE: Yes, because right now, the further
11 we go, the more confused we get as to the current status of
12 it. We have got about three documents that say different
13 things up here.

14 MR. CUTCHIN: I am not at all surprised, and we
15 will assume a duty to try to clarify that for you.

16 We are shooting at constantly moving targets,
17 unfortunately, and the dates seem to keep changing. I
18 suspect when this NUREG-0737 that we referred to as
19 superseding the September 5th Eisenhower letter comes about,
20 that has, as I indicated the other day, been submitted to
21 the printer, some more of these dates will change.

22 Hopefully, we will have the last word when we get
23 that.

24 BY MS. WEISS: (Resuming)

25 Q With respect to your testimony on Page 14, on

1 Recommendation 2.3.2.B of NUREG-0566, first -- Well, the
2 recommendation states that "The P&W small break LOCA
3 analyses rely on equipment which has not previously been
4 characterized as part of the reactor protection system or
5 part of the engineered safety features, the equipment used
6 to provide the necessary ICF trip, pressurizer PORV and PORV
7 block valve and equipment used to actuate the PORV and PORV
8 block valve fall into this category."

9 As I understand your testimony, you disagree with
10 that. Is that correct? Or are you talking about different
11 analyses?

12 A (WITNESS JONES) Well, I think the testimony
13 states my position, that, you know, as far as some of the
14 specific items mentioned there, we have not relied upon
15 them, and the only items that we have used are the emergency
16 feedwater system and the equipment used to provide the
17 reactor coolant pump trip are the only items we have
18 utilized in the analyses.

19 Q But specifically, you state that you have not
20 relied on the power operated relief valve and the PORV block
21 valves. Is that correct?

22 A (WITNESS JONES) That is correct.

23 Q What about the concern with limiting challenges to
24 the safety valve that Mr. Broughton talked about earlier?

25 A (WITNESS JONES) We have not relied upon these

1 within the LOCA analyses. While the PORV may serve the
2 function to limit challenges to the safety valves, as far as
3 demonstrating that the core can be kept cool, we do not rely
4 on the PORV or the PORV block valve.

5 Q I am tempted to talk some more about the operator
6 procedures, but I think that is all on the record. I won't
7 belabor it at this point.

8 A (WITNESS JONES) Well, again, the recommendation
9 is specific to the LOCA analyses, and that is how it has
10 been addressed.

11 Q Okay.

12 DR. JORDAN: Excuse me. When you say the
13 equipment used to provide reactor coolant pump trip, are you
14 referring now to automatic pump trip or what equipment?

15 WITNESS JONES: Basically, I was referring to the
16 present equipment in the plant, the breakers, et cetera,
17 whatever equipment is necessary to trip the pumps. You have
18 to press a button which does something, as they say,
19 something else, and which does something else, and it may be
20 trips the pump. I don't know the actual mechanics.

21 DR. JORDAN: I see. Okay. I didn't know what you
22 meant by equipment, whether it was equipment that the
23 operator relied on or whether it was equipment required to
24 actually trip the pump itself. Okay. I understand.

25 BY MS. WEISS: (Resuming)

1 Q Your testimony on Page 16 covers Recommendation
2 2.6.2.A of NUREG-0565. And that recommendation is, "The
3 various modes of two-phase natural circulation which are
4 expected to play a significant role in plant response
5 following a small break LOCA should be demonstrated
6 experimentally. In addition, the staff requires that the
7 licensee provide verification of their analysis models to
8 predict two-phase natural circulation by comparison of the
9 analytical model result to appropriate integral systems
10 tests.

11 The recommendation calls for experimental
12 demonstration of multiple and two-phase natural circulation,
13 but your testimony does not mention any experiments. Do you
14 plan to do any?

15 A (WITNESS JONES) Well, the testimony says that
16 further work may be done in this area. At the present time,
17 we have not developed any formal plans to examine the
18 various roles of two-phased natural circulation and the
19 ability of the codes to predict them, at least not
20 formally. Such work may occur, however.

21 Q Mr. Broughton, do you intend to do any tests on
22 Three Mile Island Unit 1 to demonstrate that two-phased
23 natural circulation will work?

24 A (WITNESS BROUGHTON) To my knowledge, we will not
25 be doing any such tests.

1 Q Let me refer you to Page 18 of your testimony,
2 Page 18, Recommendation 2.6.2.B of NURRG-0565, which states
3 that "Appropriate means, including additional
4 instrumentation, if necessary, should be provide in the
5 control room to facilitate checking whether natural
6 circulation has been established."

7 Is it true that your testimony asserts that
8 verification of natural circulation is derived from
9 instrumentation showing, one, constant differential between
10 system hot and cold leg temperatures, and two, the cold leg
11 temperatures approaching secondary system saturation?

12 A (WITNESS BROUGHTON) Yes, that would allow you to
13 determine that subcooled natural circulation was taking
14 place.

15 Q And it is your testimony that if those conditions
16 are present, natural circulation has been established?

17 A (WITNESS BROUGHTON) That is correct.

18 Q On Page 19 --

19 DR. JORDAN: This is one, by the way, that I have
20 particularly marked for the staff's consideration.

21 BY MS. WEISS: (Resuming)

22 Q Page 19, Recommendation 2.6.2.C, calls for
23 licensees to provide analysis which shows the plant response
24 to a small break which is isolated and PORV fails to open
25 upon repressurization of the reactor coolant system at the

1 PORV set point.

2 Is it your testimony here that under these
3 circumstances, adequate core cooling would be achieved
4 through bleed and feed? Is that what this says?

5 A (WITNESS JONES) I believe it would be provided by
6 either bleed and feed or via the establishment of -- or with
7 use of the steam generator, and to remove energy in the ECCS
8 to provide the fluid to keep the core covered, irregardless
9 of the scenario that you would be dealing with, I believe.
10 It could be handled in either way.

11 Q Aren't you describing on Page 19 and 20 -- you say
12 "Adequate core cooling would be continuously maintained for
13 this transient by the fluid provided by RPT." Are you
14 describing bleed and feed there?

15 A (WITNESS JONES) I am really not trying to
16 describe bleed and feed at all. And in fact, I am
17 describing this more like a transient in which the steam
18 generator is continuously available, except what I have
19 assumed is that you have a very small break LOCA. You get
20 to an interruption in circulation. Then you isolate the
21 break. Now you have lost both the break as a heat sync and
22 the steam generator as a heat sync because the natural
23 circulation path has been interrupted.

24 The system repressurizes as a result of the
25 continued energy addition. The PORV opens. That will

1 result in liquid inventory loss and the probable
2 re-establishment of boiler condenser in the steam generator,
3 and that is your heat removal mechanism from the fluid in
4 the primary system, but the actual heat removal from the
5 core is provided by maintaining sufficient inventory via the
6 HPI pumps.

7 Q But if the PORV is stuck open and the block valve
8 also remains open, isn't it the case that you are losing
9 fluid through that break?

10 A (WITNESS JONES) Oh, certainly. It is just that
11 when I have been talking feed and bleed in the past, talking
12 about it without the steam generator cooling being
13 available, that is why I did not characterize it that way.
14 But yes, you would have fluid being lost continuously
15 through the PORV.

16 Q Recommendation 2.6.2.D of 0565, your testimony
17 appears on Pages 21 and 22. That calls for the licensees to
18 provide an analysis which shows the plant response to a
19 small break in the pressurizer spray line with the failure
20 of the spray isolation valve to close.

21 Have you done that analysis?

22 A (WITNESS JONES) No, I have not.

23 Q So your testimony on Pages 21 and 22 is with
24 reference to results of B&W pre-accident LOCA analysis. Is
25 that correct?

1 A (WITNESS JONES) The testimony is a general
2 description of the plant behavior and what would be expected
3 to occur during such a transient.

4 Q Do you intend to provide the analysis called for
5 by the recommendation?

6 A (WITNESS JONES) At this time, again, we have no
7 formal plans to perform this analysis.

8 Q Is it your testimony that no high pressure
9 injection water will escape through the break in the
10 pressurizer spray line without first entering the vessel?

11 A (WITNESS JONES) Yes.

12 Q Do you have Drawing 302-650 of the restart
13 report? That appears in Volume 2, Section 9. I am going to
14 get you with these drawings when you are real tired and can
15 barely read them.

16 CHAIRMAN SMITH: Would you give us that citation
17 again, please?

18 MS. WEISS: That is drawing 302-650, Volume 2,
19 Section 9 of the restart report.

20 (Pause.)

21 BY MR. POLLARD: (Resuming)

22 Q By the way, this figure is also noted as Revision
23 18.

24 Let me understand your testimony. You are talking
25 first about the analyses for TMI Unit 1 which show that less

1 than 70 percent of the high pressure injection was
2 calculated to enter the core due to the direct bypass of the
3 injected fluid at the break, which was assumed to be located
4 in the bottom of the cold leg pump discharge piping between
5 the HPI nozzle and the reactor vessel.

6 Just for illustration purposes, would that break,
7 for example, be located -- If you look on Zone F-3, we have
8 reactor coolant pump 1-A, and we show a pipe running from
9 reactor coolant pump 1-A, entering the reactor vessel at
10 Zone D-4.

11 So, is that correct, that you are assuming a break
12 somewhere along that line?

13 A (WITNESS JONES) No, I was specifically assuming
14 the break to be located -- This is not a very good drawing
15 to point it out, but --

16 Q Metropolitan Edison provided it.

17 A (WITNESS JONES) This is a schematic. And it
18 would be between the notation two and a half inch connecting
19 up to a makeup pump in Zone F-3, F-4, right at that
20 boundary. It was assumed to be located in the path from
21 that point to the vessel.

22 Q And looking at this figure, I can visualize how
23 water entering from the makeup pumps in that two and a half
24 inch nozzle and on its way flowing to the vessel might go
25 out the break. What I do not understand is your next

1 sentence, which says, "For a spray line break, no high
2 pressure injection fluid would bypass out the break."

3 Now, as I understand from this diagram, the spray
4 line is shown traveling from the discharge of reactor
5 coolant pump 1-A in Zone F-3, it goes up, straight up the
6 diagram through Zones E-3, D-3, and C-3, and then enters the
7 top of the pressurizer.

8 Is that the spray line?

9 A (WITNESS JONES) Yes, it is.

10 Q Can you please explain, using this diagram, how a
11 break on that spray line, that water entering from the high
12 pressure injection pumps would first go through the reactor
13 vessel without going out the break?

14 A (WITNESS JONES) Well, first off, you have to
15 understand the process that occurs during the small break
16 LOCA during the transient. Number One, you have a relief
17 path from the vessel to the break, from steam being
18 generated in the vessel via the vent valves, so that what
19 actually occurs during the analysis is, the vent valves
20 allow the steam to pass above the water surface while the
21 water runs into the vessel.

22 That steam velocity is very low and it is
23 insufficient to entrain any water, and that is the basic
24 reason for the statement that none of the HPI water would be
25 expected to go directly out the break without seeing the

1 reactor vessel.

2 And prior to that -- let me just -- I forgot to
3 mention one other point. Prior to that point in time, where
4 the valve -- the vent valves are open and passing steam, you
5 would have circulation through the loops, you would have a
6 mixing cap such that the HPI flow would tend to be
7 preferentially swept into the vessel.

8 Q Am I to understand that what you are saying is
9 that the reactor coolant pumps are either running or they
10 are still coasting down?

11 A (WITNESS JONES) No, no. Initially, when the
12 system remains in a subcooled state, you would still have a
13 circulation path around the system, and this is even after
14 the reactor coolant pumps are running. I mean, have tripped
15 and coasted down.

16 Now, I am not sure the exact timing for a two and
17 a half inch break, whether or not it would occur. What I am
18 saying is, as long as the system is subcooled and you have
19 natural circulation flow, you would have a circulation into
20 the vessel through that path.

21 With the formation of steam in the vessel and the
22 opening of the vent valves, then what you would get is a
23 countercurrent flow of steam back toward the break, with the
24 water preferentially draining into the vessel.

25 Q When you did this in computer analysis, did you

1 model this piping system for Three Mile Island Unit 1, or
2 did you do a generic analysis?

3 A (WITNESS JONES) Well, as I stated, this is not a
4 computer analysis that is in the testimony. It is based on
5 the analyses which have been performed for the plant. It is
6 a description of the expected plant behavior and what would
7 be expected to occur. It is not a specific computer
8 analysis.

9 Q If you haven't done a computer analysis, what is
10 your basis for expecting that in the event of a break in the
11 spray line, none of the high pressure injection water would
12 go out the break without first going through the vessel?

13 A (WITNESS JONES) It is based on just the general
14 comments I have just made, which are the results of analyses
15 of other small break LOCA's. That is the specific
16 phenomenon that occurs in that region of the system during a
17 typical small break in the cold leg.

18 Q Let me just ask you one final question. If I
19 direct your attention to Zone F-3 and 4, or perhaps it is
20 only F-3, can you tell me the distance between where the
21 spray line comes off reactor coolant pump 1-A discharge and
22 where the makeup pump injection line enters the discharge
23 piping of reactor coolant pump 1-A, the physical distance
24 between those two points?

25 A (WITNESS JONES) I don't remember it. I just

1 don't know.

2 Q Thank you.

3 BY MS. WEISS: (Resuming)

4 Q Page 25 of your testimony deals with
5 Recommendation 3.6.2.F of NUREG-0566. It calls for licensee
6 to provide an analysis of the possibility of impact director
7 coolant pump seal damage and leakage due to loss of seal
8 cooling on loss of off-site power. If damage can't be
9 precluded, licensees are called upon to provide an analysis
10 of the limiting small break LOCA with subsequent reactor
11 coolant pump seal failure.

12 Have you reviewed past occurrences of pump seal
13 failure?

14 A (WITNESS BROUGHTON) I have not personally done
15 that, but I believe that is something that was done in
16 preparing the analysis, that response to this.

17 Q So the analysis that you discuss in your testimony
18 was not personally performed by you?

19 A (WITNESS BROUGHTON) No, that is correct.

20 Q Did you supervise its performance?

21 A (WITNESS BROUGHTON) No, I did not.

22 I have reviewed the results of it.

23 Q You simply reviewed the results of it?

24 A (WITNESS BROUGHTON) I have reviewed the results
25 of the analysis, yes.

1 Q Do you know whether in any of the past occurrences
2 of pump seal failure, what the cause was of the damage to
3 the seal?

4 A (WITNESS BROUGHTON) For this particular event,
5 where we are looking at the loss of cooling, it is expected
6 that the mechanism would be damaged to a rubber seal in the
7 pump.

8 Q My question referred to historical instances of
9 pump seal failure and the causes of damage to the seal in
10 past instances.

11 A (WITNESS BROUGHTON) I am not aware of all causes
12 of seal failure in the past.

13 Q Are you aware of how long seal water had been lost
14 before damage to the pumps occurred?

15 A (WITNESS BROUGHTON) If you are speaking about
16 particular events other than loss of cooling water, I am not
17 aware of those events.

18 Q Where does the seal water come from?

19 A (WITNESS BROUGHTON) The seal water is injected
20 from the high pressure injection system.

21 Q And those are the same pumps as used for emergency
22 core cooling systems?

23 A (WITNESS BROUGHTON) Yes, they are.

24 Q If engineered safeguards are actuated, is the seal
25 water automatically shut off?

1 A (WITNESS BROUGHTON) I don't recall.

2 Q If you assume that loss of seal water occurs on
3 actuation of engineered safeguards, with that loss of
4 off-site power, so that the reactor coolant pumps continue
5 to run, wouldn't damage to the reactor coolant pump seals be
6 essentially instantaneous?

7 A (WITNESS BROUGHTON) The analysis done shows that
8 it would probably be several minutes before the seal began
9 to heat up and that it would take several minutes beyond
10 that before the seal was damaged enough to increase the
11 leakage.

12 Q What analysis are you talking about? Are you
13 talking about the analysis contained in Mr. Reed's letter,
14 which you discuss in your testimony?

15 A (WITNESS BROUGHTON) Yes, I am.

16 Q By several minutes, do you mean less than five
17 minutes, less than ten minutes?

18 A (WITNESS BROUGHTON) I believe the analysis showed
19 that within four to five minutes, the temperatures in the
20 cavity around the seal would begin to increase, and it is
21 not until the temperature begins the increase that then
22 there is any possibility of damage. So at least that four
23 to five minute period before any damage could be inflicted.

24 DR. JORDAN: While you are waiting, I would like a
25 little clarification there. Are you saying that you have

1 not considered a small break LOCA which is initiated by the
2 loss of a seal from the reactor coolant pump? Is this
3 outside of the design basis?

4 A (WITNESS JONES) Well, specific analysis of a
5 seal, a pump seal failure has not been directly considered.
6 Generally speaking, they have fairly low leakage rates that
7 can be handled by -- that would keep the system in solid
8 condition continuously upon activation of the HPI.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 DR. JORDAN: So you have no reason to believe that
2 such a leak would lead to loss of inventory or something of
3 that nature? Haven't you said essentially that the systems
4 that have been provided will handle such a leak?

5 WITNESS JONES: Yes, I believe it would. I don't
6 believe the core would ever become uncovered. It would be
7 much less severe than any of the LOCA's we have analyzed
8 specifically. And in fact, I do not believe that the system
9 will ever even become saturated.

10 DR. JORDAN: I see. Is this essentially what was
11 said in the letter?

12 WITNESS JONES: I have not read that letter.

13 WITNESS BROUGHTON: Yes, the analysis goes on to
14 indicate that it is estimated that at the end of 60 minutes
15 the leakage out of the seal might be as much as 10 gallons
16 per minute, but it is not expected to be any greater than
17 that.

18 DR. JORDAN: But even if it were greater than
19 that, wouldn't it still be within the capabilities of the
20 system to handle it?

21 WITNESS BROUGHTON: Yes. The 10 gallon per minute
22 leakage would be well within the capabilities of the normal
23 makeup system to handle.

24 DR. JORDAN: I see. Thank you.

25 BY MS. WEISS: (Resuming)

1 Q Is it possible for a single failure to interrupt
2 seal water flow to the reactor coolant pump? For example,
3 failure of the seal water control valve

4 A (WITNESS BROUGHTON) I do not know.

5 Q I want to refer you to a diagram we looked at this
6 morning, 302-661 in volume 2, chapter 9 of the restart
7 report.

8 A (WITNESS BROUGHTON) Would you repeat the number
9 of the figure again?

10 Q It is 302-661.

11 I would like you to review that diagram, please,
12 to yourself, and see if you can, after looking at it, answer
13 the question of whether it is possible for a single failure
14 to interrupt the seal water flow to the reactor coolant
15 pump.

16 (Witness inspects the document.)

17 A (WITNESS BROUGHTON) From this diagram, if MUV-20
18 were shut it would prevent seal water to the pumps.

19 Q Let me refer now to Recommendation 2.6.2.C of
20 NUREG-0565, which appears on page 26 of your testimony. And
21 you have also included some material from NUREG-0623. These
22 require the licensees to require three test predictions of
23 LOFT test with reactor coolant pumps running and
24 verification of small break models with pumps running
25 against interval systems experimental tests, in particular

1 the LOFT test.

2 Q Has any of this been done?

3 A (WITNESS BROUGHTON) The LOFT test L36 has not yet
4 been run.

5 Q Wasn't the LOFT test originally scheduled for
6 March of 1980, the LOFT test referred to?

7 A (WITNESS BROUGHTON) I'm not sure if it was L36,
8 scheduled for March 1980.

9 Q Well, you say -- you quoted from 0623, and the
10 last line indicates that that test was scheduled to be
11 performed in March of 1980. You have no reason to
12 disbelieve that, do you?

13 A (WITNESS BROUGHTON) There are several LOFT tests
14 in the series, and I don't know which specific test had
15 originally been scheduled for March 1980.

16 Q Well, in any case, they haven't taken place yet.
17 Do you have any idea when they have been scheduled for?

18 A (WITNESS BROUGHTON) I believe LOFT 3-6 is in
19 December. I believe LOFT 3-6 will be in December, but I
20 don't follow the schedule of those tests closely enough to
21 know for sure.

22 Q December 1980?

23 A (WITNESS BROUGHTON) December 1980.

24 Q And when will you provide your test predictions?

25 A (WITNESS BROUGHTON) I don't know what schedule

1 those are on. Those are being done for us by E&W, as I
2 indicated.

3 Q Do you know, Mr. Jones?

4 A (WITNESS JONES) Yes. The LOFT test is scheduled
5 to be run some time around the middle of December. The
6 blind prediction will be provided around, I expect, the end
7 of January.

8 Now, to understand what that means, because it
9 doesn't sound like a pretest prediction, what it is is the
10 models are to be created prior to the actual LOFT test.
11 That is, the computer simulation model and the time zero
12 edit of the model is to be provided to the staff roughly a
13 week to two weeks ahead of the test.

14 The test will then be run. Engineers at EG&G in
15 Idaho will review the tests, will assure that the test
16 specifications given to each of the vendors were
17 appropriate, that no abnormal occurrences occurred during
18 the test or, if such did, like a system failure or
19 something, they would tell us about it. They would give us
20 the actual initial conditions of the experiment. We would
21 modify the model, submit it to the staff as appropriate,
22 based on this information, showing where the deviations are,
23 the why's and wherefore's, run it, and then provide them
24 with the prediction.

25 So it is basically a blind -- it is essentially a

1 pretest prediction except for getting the actual
2 experimental conditions.

3 Q So you would make no changes in the model except
4 to accommodate any unexpected conditions during that test
5 itself?

6 A (WITNESS JONES) Unexpected conditions or the
7 actual temperatures, et cetera, around the loop that they
8 will get, that they will have during the experiment.
9 Because we get a wide range that we are asked to set them
10 all up for.

11 Q We have some confusion about Mr. Broughton's
12 answer that he was not sure that the LOFT tests previously
13 scheduled for March 1980, and particularly referred to in
14 0623, in the language that you quote on page 26, is the same
15 LOFT test -- that is, test I-36 -- which is mentioned in
16 0565, and which is also mentioned in your testimony.

17 And our question is: Didn't you, in preparing the
18 answer, have to determine whether these were all the same
19 tests? And this would be to Mr. Broughton, because he
20 prepared the answer. Didn't you in fact -- didn't you have
21 to determine whether they were talking about the same test
22 in order to make the question -- the answer responsive to
23 the question?

24 A (WITNESS BROUGHTON) Yes, but the answer is
25 primarily directed toward LOFT 3-6.

1 Q The answer is directed entirely toward LOFT L 3-6;
2 is that correct?

3 A (WITNESS BROUGHTON) Yes.

4 Q And it is still your testimony that you are not
5 sure whether the tests referred to in the quoted section of
6 0623 is LOFT L 3-6?

7 A (WITNESS BROUGHTON) No, I'm not.

8 Q On page 27, recommendation 2.6.2.8, on page 27 of
9 your testimony, direct licensees to provide certain
10 information with regard to the effects of noncondensable
11 gases during a small break LOCA. And you describe -- in the
12 last sentence on page 27, you say: "While further
13 examination of the effect of noncondensibles on the
14 condensing heat transfer process within the steam generator
15 may be performed, provisions are available at TMI-1 to
16 assure adequate core cooling."

17 Is this another -- well, what provisions are you
18 talking about? Are you referring to bleed and feed?

19 A (WITNESS JONES) Yes, assuming, as they stated
20 above on that page, that the noncondensable gases somehow
21 magically grew to a size which would totally prohibit
22 condensing heat transfer.

23 Q And you have not provided the information called
24 for specifically in the recommendation at items 1 and 2 of
25 recommendation 2.6.2.8?

1 A (WITNESS JONES) No, we have not. We have not
2 provided information to the staff on those two, the NRC, on
3 those two items.

4 MS. WEISS: Thank you, gentlemen. Those are all
5 the questions we have for you at this time.

6 MR. BAXTER: Mr. Broughton, do you have an answer
7 to the previously posed question about procedures perhaps
8 requiring tripping the reactor coolant pumps?

9 WITNESS BROUGHTON: Yes, I do. We were discussing
10 the conditions under which an operator would trip reactor
11 coolant pumps, and by some inconsistent use of terminology
12 on my part I confused what the operators had been told to do
13 through their training and their procedures.

14 I have reviewed the three particular procedures
15 which apply to small break LOCA's that are large enough to
16 cause automatic safeguard system actuation at 1600 pounds,
17 ones which are too small to cause automatic actuation at
18 1600 pounds, and a more general procedure which covers
19 operator actions following a trip of the reactor, in which
20 it would not be expected to have pressure go below 1600
21 pounds, but which is possible.

22 And in those procedures the instructions to the
23 operators are that when reactor coolant system pressure
24 reaches the 1600 pound set point for high pressure injection
25 that he is to manually trip the reactor coolant pump. So,

1 based on that instruction, if the pressure drops to 1600
2 pounds and automatically starts high pressure injection, he
3 would manually trip reactor coolant pump or, if he has
4 already restarted high pressure injection but the system
5 pressure continues to drop and goes below 1600 pounds, he
6 would also manually trip reactor coolant pumps.

7 BY MS. WEISS: (Resuming)

8 Q Can you tell us the numbers of the procedures you
9 are looking at, and also the revision number?

10 A (WITNESS BROUGHTON) Yes. The procedure which
11 deals with automatic initiation of high pressure injection
12 is 1202-6(b), Revision 4. The procedure which deals with a
13 leak in the reactor coolant system which does not result in
14 automatic high pressure injection initiation is 1202-6(a),
15 Revision 4. And the procedure which applies following
16 reactor trip is 1202-4, Revision 17.

17 Q Are these all emergency procedures? Are they all
18 prefixed "EP"?

19 A (WITNESS BROUGHTON) They are all emergency
20 procedures, with the prefix "EP."

21 MS. WEISS: We would like to take a look at those,
22 either now or overnight. We have 6(b), but I don't think we
23 have either of the other two.

24 CHAIRMAN SMITH: Why don't you do it overnight,
25 and we can proceed, then, with the examination.

1 Mr. Cutchin, do you have any questions?

2 MR. CUTCHIN: I have no questions, sir.

3 CHAIRMAN SMITH: Mr. Robert Adler?

4 MR. ROBERT ADLER: No questions.

5 CHAIRMAN SMITH: Dr. Jordan has only a very few
6 questions. We could possibly wind up tonight if you could
7 look at those procedures and then Mr. Broughton could be
8 excused, as can Mr. Jones.

9 MS. WEISS: I also forgot something. I am very
10 sorry. We want to move 0565 into evidence. It is my
11 understanding that nobody else intends to do so, and we
12 would like to get it on the record at this point. I think
13 it is probably a matter of sufficient notice, but I would
14 like to get it in at this point.

15 MR. BAXTER: I don't think it is a matter of
16 sufficient notice. We don't have a sponsoring witness. And
17 among other things, I would like to review the document with
18 the potential offer in mind. I am not prepared to offer
19 objection at this point as to its relevancy.

20 CHAIRMAN SMITH: Mr. Cutchin?

21 MR. CUTCHIN: I'm not even sure that the staff
22 wants to put it in evidence. Mr. Chairman, I believe if
23 there are problems she can mark it as an exhibit for
24 purposes of examination. But I don't even have a sponsoring
25 witness here to support that document as representative of

1 anything at the moment.

2 CHAIRMAN SMITH: Well, I am convinced that one way
3 or the other Ms. Weiss can get at least appropriate parts of
4 it into evidence. And the question may be how hard it is
5 going to be for her to do that.

6 MS. WEISS: Well, the Board did ask specific
7 questions on it, and all the testimony that we went over
8 today was specifically referenced to the references in
9 0565. I cannot imagine a circumstance where it could be
10 successfully argued that the document is irrelevant.

11 We've had Mr. Jensen on, who stated that he was
12 one of the authors of the document. If they want to get a
13 principal author here, that's fine.

14 CHAIRMAN SMITH: There's going to have to be an
15 accommodation to the Union of Concerned Scientists on it,
16 and it can be reasonably operated. 0565 so pervades the
17 issue, pervades the testimony and is relied upon, or
18 distinguished, shall we say, so frequently; and then the
19 Board question I believe specifically referenced the
20 document.

21 However, there is a problem with just receiving it
22 into evidence without in the first place limiting it to the
23 portions upon which you want to rely, and, second, giving
24 the licensee in particular an opportunity to address the
25 recommendations, the merits of the recommendations, which

1 you have pretty much done anyway.

2 MS. WEISS: That was the testimony.

3 CHAIRMAN SMITH: That was the thrust of the
4 testimony. However --

5 MR. BAXTER: Mr. Chairman, our testimony does not
6 rely on the document at all. We have addressed it in
7 response to the Board question because we were asked to.
8 But there are chapters in there which discuss bases for some
9 of the recommendations which I cannot attest have or haven't
10 been addressed, and the implications of citing those in
11 proposed findings in the abstract I'm just not prepared to
12 address today.

13 CHAIRMAN SMITH: When I say they have had an
14 opportunity to address it, they have had an opportunity to
15 address it. Accepting the report as it is, which we may not
16 wish to do, if it's going to be offered into evidence --
17 well, let's consider that problem overnight, and maybe
18 tomorrow something will occur to us that will satisfy your
19 needs.

20 MR. CULICHIN: Mr. Chairman, maybe I can help. I'm
21 not sure whether it will help or hinder. But if Ms. Weiss
22 wishes to put the document in for the purpose of evidencing
23 the truth of the recommendations made by the staff, I have
24 no problem. But if it is for something more, I would have
25 to hear for what purpose she's offering it before I know

1 whether I would have an objection.

2 Clearly those are staff recommendations. Our
3 witnesses tomorrow will address the staff's interpretation
4 of those recommendations and give its position as to the
5 acceptability of the Licensee's comments on those
6 recommendations. But I am not sure for what purpose she
7 wishes to move it into evidence.

8 MS. WEISS: I am not sure I understand the nature
9 of --

10 CHAIRMAN SMITH: Well, I think that is pretty
11 clear. If you're going to offer it solely as evidence that
12 the staff has made such recommendations, you'll have no
13 problem. But if you're going to try to attach to the
14 recommendations a presumptive quality that those
15 recommendations have merit, which I think is the whole idea
16 of your testimony, then you're going to have some problems.

17 MS. WEISS: Well, you know, the recommendations
18 have been interwoven throughout the testimony, throughout
19 the questioning that we've had of these two witnesses, and
20 indeed with Mr. Jensen, and the document was specifically
21 the subject for the Board questions. And we are interested
22 in, as our questions indicated, not only what are the
23 recommendations, but is the purpose behind them and what is
24 the basis for them.

25 Now, I can understand a problem with parties being

1 afraid that we are going to cite at some later date portions
2 of the document which we have not gone over. It is not our
3 intention to do that.

4 CHAIRMAN SMITH: That is a separate problem.

5 MS. WEISS: Yes, that is a separate problem. But
6 we do intend to rely on it as a substantive matter, and I
7 think that --

8 CHAIRMAN SMITH: And you will probably be filing
9 proposed findings that, to the extent that the licensee
10 fails to comply with those recommendations, somehow it is
11 not doing what it should do. And this is exactly what Mr.
12 Baxter's point is, and he has a full opportunity to, not
13 only to, as licensee has done, address the recommendations
14 in this manner, but even address it that it is going to be
15 offered for that purpose, the basis for the recommendation
16 in the first instance.

17 MS. WEISS: Well, he can. They've got a heck of a
18 better opportunity to address it than we do, through the
19 direct witnesses. And I thought that was the purpose of
20 this testimony. We did not question on any sections of this
21 that were not directly within the scope of the direct
22 testimony today.

23 So I don't know whether he is anticipating
24 rebuttal or what the problem is. I don't think we have
25 expanded the scope at all with the references that we've

1 made to 0565 thus far.

2 CHAIRMAN SMITH: Well, you have the essential
3 problem. Well, Mr. Baxter, you offer your objections to
4 it. I don't want to -- maybe I'm stating objections you
5 don't really have.

6 MR. BAXTER: Well, we have been asked questions,
7 to address recommendations made in the document. We have
8 taken those we thought applied to Licensee and we have given
9 a status report, if you will, on the way they stand.

10 The document is a broad one. It's got a lengthy
11 chapter, I think chapter 4, of 60-some pages which discuss a
12 lot of experience at higher loop plants of B&W, at some CE
13 plants. I just don't think, unless we have some further
14 elucidation of what the purpose of the offer is, that I
15 could agree to put that in.

16 If I were going to say that I was going to have to
17 come back and rebut, I'm not sure what I'd have to rebut at
18 this point.

19 MS. WEISS: Well, I understand him to have stated
20 the objection that we just discussed, that he is afraid that
21 we are going to cite parts lurking in here that we haven't
22 asked questions about. And we do not intend to so do.

23 MR. BAXTER: Well, the recommendations are quoted
24 in the testimony.

25 CHAIRMAN SMITH: Has there been a point of

1 discussion of the main reason that the document will be
2 cited by the Union of Concerned Scientists, and that is that
3 there is a presumption that the staff recommendations are
4 necessary within the scope of this proceeding, and any
5 failure to comply with them has to be met by a preponderance
6 of the evidence by the licensee? That would be the effect
7 of it, and the way she's trying to offer it, she's trying to
8 offer it, as I understand it, that whatever the staff is
9 recommending in the document is entitled to a presumption
10 that those actions are necessary for the restart of the
11 unit, which would change the burden to the licensee to
12 establish either that they have agreed and complied or they
13 have disagreed.

14 MR. BAXTER: And I don't think we have had any
15 witness that testified that those recommendations have that
16 status.

17 CHAIRMAN SMITH: That is exactly right.

18 MR. BAXTER: In fact, some of them may have been
19 abandoned by the staff.

20 CHAIRMAN SMITH: That's right.

21 DR. JORDAN: My question -- I was the one
22 responsible for getting this in here. And the presumption
23 was indeed that this was a staff document. And my question
24 therefore not only went to the licensee, but to the staff.
25 And I will be asking the staff particularly now, having

1 heard the Licensee's testimony, having heard that in some
2 cases the Licensee does not plan to meet the requirements,
3 does the staff really believe the requirements are necessary
4 requirements, do they plan to enforce them, and if so when?

5 And so I believe, therefore, since I started it,
6 that was the reason for it.

7 CHAIRMAN SMITH: After that the problem will go
8 away as far as the exhibit is concerned.

9 MR. CUTCHIN: We understand that to be Dr.
10 Jordan's concern, and it is our intent tomorrow to have
11 someone on the stand who can address particularly each of
12 the NUREG-0565 recommendations related somehow to either a
13 NUREG-0660 or a recommendation, and then an 0660
14 implementation requirement or NUREG-0737, which as I said
15 before is the official version of the Eisenhower September
16 15th letter.

17 If and only if there is some implementation
18 requirement laid on the Licensee by one of these mechanisms,
19 you will see, does the staff consider it something that is
20 required, and then it may be pre-restart, it may be
21 post-restart, that the implementation is required. And we
22 will be prepared to address that item by item tomorrow.

23 CHAIRMAN SMITH: Well, the problem still remains
24 about Mrs. Weiss' request that it be marked for
25 identification. I think that you can do whatever you wish,

1 mark it and offer it and we can rule. But wouldn't it be
2 better for you to come back to this document after the staff
3 has addressed the issues in there, and then argue that
4 you've had your foundation for it?

5 MS. WEISS: That's fine. I still understand Mr.
6 Cutchin to say that they'll raise the same objection. But
7 we'll argue it in that context. There's no reason to get
8 into it today instead of tomorrow.

9 I have a question about what he just said. What
10 piece of direct testimony is it that you were referring to
11 that goes to each of these recommendations one by one? If I
12 may direct that question.

13 MR. CUTCHIN: I'll be handing out a chart
14 tomorrow. I'd be happy to hand it out to the parties
15 tonight so they can study it in advance. But that is a
16 document that we have put together since we had the
17 discussion last Friday, for the purpose of putting on a live
18 witness who can walk the Board and the parties through that
19 document and key it to various recommendations between 0565,
20 0660, 0737, and whatever is appropriate.

21 But it is a key, if you will. I'd be happy to
22 pass it out tonight and we can decide tomorrow what we label
23 it as.

24 DR. JORDAN: Don't you have a key in some of the
25 documents you submitted last week?

1 MR. CUTCHIN: We have, in response to Board
2 Question 2, a key between 0660 and I believe it is 0694
3 documents. Now, we also have another character, and that is
4 0737, which is the Eisenhut letter transformed. It gets
5 more confusing as we go along.

6 CHAIRMAN SMITH: Well, I think you had better
7 provide the key to the parties.

8 MR. CUTCHIN: I'll hand it out tonight and we'll
9 decide what we do with it tomorrow, or how we label it and
10 so on.

11 MS. WEISS: Is that it for the surprise witnesses
12 or do you have anything else up your sleeve?

13 CHAIRMAN SMITH: Anything further? Now, we were
14 considering the possibility of finishing with these
15 witnesses. Have you had an opportunity to review the
16 operating procedures?

17 If it is not realistic to conclude with these
18 witnesses, let's not try. It's after 6:00, but Dr. Jordan
19 doesn't have much to go. No one else has examination. And
20 you have a vague, narrow area on these operating procedures.

21 MS. WEISS: If you give us about five minutes to
22 look this over.

23 CHAIRMAN SMITH: Is that what you wish? It's up
24 to you. Do you want to try to excuse the witnesses this
25 evening?

1 MR. BAXTER: Well, frankly, they'd like to be, but
2 they'll both be here tomorrow.

3 CHAIRMAN SMITH: Anyway? That would really be
4 helpful if they can.

5 MR. BAXTER: If we could, though, I would like to
6 proceed and finish with them at 9:00 o'clock instead of our
7 previous arrangement, because it looks like we're within
8 close range, and it keeps the record together.

9 CHAIRMAN SMITH: All right, that's good.

10 Is there anything further, then? All right, we
11 will adjourn and meet tomorrow at 9:00 a.m.

12 Let the record show that the chart referred to by
13 Mr. Cutchin has been distributed to the Board, at least, and
14 the parties I can see.

15 MR. CUTCHIN: And I understand, Mr. Chairman, that
16 it is substantively correct. There may be a couple of minor
17 modifications in the morning, in which case we will hand out
18 the as-corrected copy for use.

19 (Whereupon, at 6:04 p.m., the hearing was
20 adjourned, to reconvene at 9:00 a.m. on Tuesday, November
21 12, 1980.)

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: METROPOLITAN EDISON COMPANY (TMI UNIT 1)

Date of Proceeding: November 11, 1980

Docket Number: 50-289

Place of Proceeding: Harrisburg, Pa.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Alfred H. Ward

Official Reporter (Typed)

Alfred H. Ward

Official Reporter (Signature)