

ACRST-1995

ORIGINAL

OFFICIAL TRANSCRIPT OF PROCEEDINGS

Agency: Nuclear Regulatory Commission
Advisory Committee on Reactor Safeguards

Title: 405th General Meeting

Docket No.

LOCATION: Bethesda, Maryland

DATE: Thursday, January 6, 1994

PAGES: 1 - 237

ACRS Office Copy - Retain
for the Life of the Committee

120032

ANN RILEY & ASSOCIATES, LTD.

1612 K St., N.W., Suite 300
Washington, D.C. 20006
(202) 293-3950

9401130004 940106
PDR ACRS
T-1995 PDR

ACRST-1995

ORIGINAL

OFFICIAL TRANSCRIPT OF PROCEEDINGS

Agency: Nuclear Regulatory Commission
Advisory Committee on Reactor Safeguards

Title: 405th General Meeting

Docket No.

LOCATION: Bethesda, Maryland

DATE: Thursday, January 6, 1994

PAGES: 1 - 237

ACRS Office Copy - Retain
for the Life of the Committee

120092

ANN RILEY & ASSOCIATES, LTD.
1612 K St., N.W., Suite 300
Washington, D.C. 20006
(202) 293-3950

9401130004 940106
PDR ACRS
T-1995 PDR

PUBLIC NOTICE BY THE
UNITED STATES NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

DATE: January 6, 1994

The contents of this transcript of the proceedings of the United States Nuclear Regulatory Commission's Advisory Committee on Reactor Safeguards, (date) January 6, 1994, as Reported herein, are a record of the discussions recorded at the meeting held on the above date.

This transcript has not been reviewed, corrected or edited, and it may contain inaccuracies.

ANN RILEY & ASSOCIATES, Ltd.
Court Reporters
1612 K. Street, N.W., Suite 300
Washington, D. C. 20006
(202) 293-3950

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
4 405th GENERAL MEETING

5 Nuclear Regulatory Commission
6 7920 Norfolk Avenue
7 Bethesda, Maryland
8 Thursday, January 6, 1994

9 The meeting convened, pursuant to notice, at 8:30
10 a.m., J. Ernest Wilkins, Chairman of the Committee,
11 presiding.

12 Members Present:

13 J. Ernest Wilkins, Chairman
14 Thomas S. Kress, Vice Chairman
15 James C. Carroll
16 Ivan Catton
17 Peter R. Davis
18 Harold W. Lewis
19 William J. Lindblad
20 Robert L. Seale
21 William J. Shack
22 Charles J. Wylie

23 Designated Federal Official:

24 Sam Duraiswamy
25

P R O C E E D I N G S

[8:30 a.m.]

MR. WILKINS: The meeting will come to order.

This is the first day of the 405th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting the Committee will discuss and/or hear reports on the following: Proposed final rule for revising emergency planning regulations; proposed resolution of Generic Issue 67.5.1, reassessment of steam generator tube rupture, radiological consequences; result of the public workshop on license renewal; status of resolution of issues associated with BWR core power stability; reliability assurance program for advanced lightwater reactors; proposed ACRS report on certified design material for ABWR; and preparation of ACRS reports.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the designated Federal Official for the initial portion of the meeting.

We have received no written statements or requests for time to make oral statements from members of the public regarding today's sessions.

A transcript of portions of the meeting is being kept. I is requested that each speaker use one of the microphones, identify himself or herself and speak with

1 sufficient clarity and volume so that he or she can be
2 readily heard.

3 I will begin with some items of current interest.
4 I would like to make formal recognition of the fact that Mr.
5 Johnny Mathis, who has been with us for the last few months,
6 is going to -- is coming to the end of his assignment with
7 us. As you know, he has been particularly helpful to us in
8 connection with the EPRI passive requirements documents, the
9 thermal-lag issues and CE 80-plus reviews. Johnny, it has
10 been a real pleasure having you here. We wish you well in
11 your subsequent career.

12 MR. DAVIS: Where is John going?

13 MR. MATHIS: I will be rotating through AEOD for
14 approximately six months.

15 MR. LEWIS: Do you get a certificate for having
16 survived contact with the ACRS?

17 MR. WILKINS: No. He just shows the scars.

18 MR. LEWIS: The scars.

19 MR. WILKINS: He just shows the scars.

20 MR. SEALE: I think it is a disclaimer actually.

21 [Laughter.]

22 MR. WILKINS: It may be worth mentioning to the
23 Committee that Dr. Eerkholder from Germany was in the United
24 States last month. I had an opportunity to chat with him on
25 the phone. He did speak in more detail with Forest Remick

1 and Eric Beckjord about some possible ideas for future
2 cooperation between the countries and the advisory
3 committees. There is nothing specific that came out of
4 those meetings, but conversations are in progress.

5 Dr. Martin Steindler has become the Chairman of
6 the ACNW, replacing Dave Moeller as the Chairman, and John
7 Garrick, whose name will be familiar to most of us around
8 this table, has replaced Moeller as a member of that
9 Committee.

10 I should remind you that Paul Boehnert is
11 arranging a submarine trip sometime soon. A tentative date
12 of March 18th had been suggested. I told Paul I can't make
13 March 18th. He is going to try to find out what alternates
14 are available. I hope that we will be able to pin that down
15 before the next meeting.

16 You all have received a letter from Jim Johnston
17 soliciting your individual comments on the ASP program. Hal
18 Lewis, in particular, has already responded to that
19 invitation and I believe that you have in front of you a
20 copy of Hal's comments. I don't plan that the Committee
21 should take any -- make any formal response to that
22 invitation and to the letter. In fact, we weren't invited
23 to make a formal response. But, if any other members of the
24 Committee wish to comment, they should certainly feel free
25 to do so. I would appreciate it when they do so, if they

1 would let the other members of the Committee see copies of
2 what they send.

3 I think you also have in front of you at your
4 place a memorandum from our good friend Mr. Scroggins
5 dealing with transportation, travel procedures and the like.
6 I would prefer simply to say that you ought to read it and
7 act accordingly.

8 I anticipate that the meeting will end tomorrow.
9 The agenda shows a 4:30 termination time. I am aware that
10 4:30 does the West Coast people no good at all. It is
11 either going to be 3:00 o'clock or we might as well go into
12 Saturday morning. I believe that we can finish by 3:00
13 o'clock, of course, it depends on how loquacious, verbose,
14 argumentative and the like the members of the Committee
15 become. We do not have a great many letters to get out. We
16 do have at least two and perhaps three letters that we need
17 to get out. I don't know how controversial those letters
18 will be. Bear in mind as we discuss those letters that, if
19 you really want to leave at 3:00 o'clock tomorrow afternoon
20 --

21 MR. SHACK: Friday afternoon.

22 MR. WILKINS: Tomorrow afternoon. I want to make
23 it sooner than Friday. I want to call it tomorrow. We will
24 have to exercise a little bit of restraint. Part of our
25 reason for our being able to get away early stems from the

1 fact that this meeting was scheduled for the first week in
2 January. It turns out that the two or three items that we
3 had hoped to have on the agenda for this meeting were
4 dropped off because of the unavailability of the NRC staff
5 to support those meetings. People take advantage of this
6 week to take extended vacations. I am told that every
7 institution has a rule that says if you don't take your
8 vacation you are going to use it. This week and next week I
9 believe are sort of deadlines for using the vacation that
10 you accrued last year, or at least maybe accrued two years
11 ago. So, if they don't take it now, they really are going
12 to lose it. So, we lost some topics from the agenda.

13 MR. LEWIS: Ernest, in that context, going back
14 for a moment to the Scroggins thing, you might want to have
15 somebody read it, for its implications for ACRS because, in
16 skimming through it how, as usual, he ignored the fact that
17 people have a job to do. Many of the definitions assume
18 that there is a leeway of 24 hours.

19 MR. WILKINS: Yes.

20 MR. LEWIS: That is, of course, stupid for ACRS.

21 MR. WILKINS: It is "stupid."

22 MR. LEWIS: Yes, that is true too, but our concern
23 is ACRS.

24 MR. WILKINS: The ACRS.

25 MR. LEWIS: I think we should respond.

1 MR. WILKINS: Even if I were a full-time employee,
2 the thought that I can hang around waiting for 24 hours to
3 take care of some business is --

4 MR. LEWIS: Absolutely, but we cannot. I think he
5 should be told that.

6 MR. WILKINS: In any case, I -- you know -- never
7 mind, never mind. I don't wish to say what I really want to
8 say.

9 MR. CARROLL: At least not on the record.

10 MR. WILKINS: Not on the record anyway.

11 All right. Are there any other items of this sort
12 that members would like to call to our attention right now?

13 [No response.]

14 MR. WILKINS: All right. If not, then let's
15 discuss the priorities for the letters that we plan to get
16 out.

17 We have a letter on the certified design material
18 for ABWR that we started discussing at the meeting in
19 December. I guess we are up to draft two now. It wasn't
20 completed partly because of lack of time, and also partly I
21 think because Hal had to leave before we could get to the
22 I&C part of that letter. We really need to finish that
23 letter. That letter has a high priority. It is one I think
24 we really need to do.

25 Jay?

1 MR. CARROLL: I don't agree that -- I mean, it is
2 something we have to get out, but I wouldn't say it has a
3 high priority.

4 MR. WILKINS: Well, it may be higher than any of
5 the others that we have to get out.

6 MR. CARROLL: Okay. I mean, the world doesn't
7 come to an end if we don't get it out at this meeting.

8 MR. WILKINS: Okay. I will accept that correction
9 to my statement.

10 The next is a proposed -- a letter on the proposed
11 final rule to revise emergency planning regulations. We
12 will hear a presentation on that as the very next agenda
13 item. As the cognizant Subcommittee Chairman, it is my
14 opinion that this letter need not be particularly
15 controversial. At least it can be reasonably short.

16 The third letter, which is proposed resolution of
17 Generic Issue 67.5.1, Mr. Igne advises me that the staff is
18 going to give us only a status report at this meeting and
19 that they will not be requesting a formal letter from the
20 ACRS at this time. So, I think, in light of that, we just
21 cross that letter off anyway.

22 And then there is a fourth letter which -- which I
23 can describe briefly with one word, that is the diversity
24 letter, which Hal has prepared a draft of. I don't know --
25 has it been distributed?

1 MR. BOENHERT: No. I have it right here.

2 MR. WILKINS: All right. Well, no need to pass it
3 out instantly --

4 MR. BOENHERT: All right.

5 MR. WILKINS: -- but sometime this morning pass it
6 around so that people can take a look at it. It is not
7 drafted as a letter. It is more a series of thoughts as to
8 what might go into such a letter. It is something that we
9 ought to come to grips with during our letter-writer --
10 during the portion of our agenda that is devoted to letters.

11 Okay. I think that ends our ministerial
12 activities. Ivan?

13 MR. CATTON: I have some copies of the program for
14 the PCM-II Meeting in San Diego that one of my colleagues
15 asked to give to whoever is interested.

16 MR. WILKINS: What does that stand for?

17 MR. CATTON: I do not know what PCM stands for
18 anymore. I think it is Probabilistic Safety Analysis or
19 something like that. But, the meeting title is
20 International Conference Devoted to the Advancement of
21 System-Based Methods for the Design and Operation of
22 Technological Systems and Processes. It was actually a very
23 good meeting. It brings all sorts of disciplines together
24 that use probabilistic methods for risk assessment.

25 MR. WILKINS: What are the dates of the meeting?

1 MR. CATTON: I will send this around and you can
2 look at it if you want to.

3 MR. WILKINS: All right. He may have enough for
4 all of the people who really want to know.

5 MR. CATTON: Well, that is what I figured. I
6 attended it the last time it was in Beverly Hills, which was
7 a very nice location. It was at a very nice hotel, and it
8 was almost within walking distance of my house. It was a
9 very good meeting.

10 MR. LEWIS: Incidentally, many of you may have
11 noticed -- I don't know any of the details -- but, the thing
12 in the morning paper about the Mars Observer was a
13 particularly interesting use of probabilistic analysis,
14 because they don't have the foggiest notion what went wrong
15 with it, but they took the most probable thing that could
16 have gone wrong with it and decided that that was what
17 happened.

18 MR. DAVIS: Oh, the fuel line rupture?

19 MR. LEWIS: Yes. There was absolutely no evidence
20 that that is what happened; but it was the highest
21 probability thing on the list, so they decided it happened.

22 MR. WILKINS: With all due respect, it was --

23 MR. LEWIS: I am sure I am over-simplifying.

24 MR. WILKINS: -- was the highest probability .2 or
25 .8?

1 MR. LEWIS: I don't know any more than I read in
2 the newspaper.

3 MR. WILKINS: The newspaper article didn't address
4 that issue.

5 MR. LEWIS: They also pointed out that NASA is
6 really getting a little sloppy.

7 MR. WILKINS: Okay. Let's proceed to item number
8 two on the agenda, proposed final rule to revise Emergency
9 Planning Regulations. I believe you have in your notebook a
10 package. It is in the notebook. Mine is outside of the
11 notebook for some interesting historical reasons that are of
12 no great importance. This deals with a proposal to clarify
13 some of the emergency planning regulations that relate to
14 the emergency exercises, at least with respect to the
15 participation by states and local governments in these
16 exercises. I will let the staff tell you more precisely
17 what the proposal is. But, part of the proposal is that
18 part of the regulation that requires state to participate at
19 least once every seven years would be deleted. Then there
20 are some other things I believe also. You have the floor.

21 MR. JAMGOCHIAN: Thank you. Good morning. My
22 name is Mike Jamgochian, I am from the Office of Research.
23 The slides are being handed out. Mr. Igne is passing them
24 out.

25 MR. WILKINS: Yes.

1 [Slide.]

2 MR. JAMGOCHIAN: This rulemaking, to give you some
3 background while the handout is being distributed -- this
4 rulemaking has been discussed by the staff over several
5 years. Probably we started work on this in 1988. Basically
6 the Commission at that time wanted to re-think or re-look at
7 areas that could be cleaned up in the Emergency Planning
8 Regulations. Fundamentally, it is 10 CFR 54, 10 CFR 47, and
9 Appendix E.

10 The staff at first looked at these regulations and
11 focused on several areas that could use clarification, that
12 could use updating and proposed to the Commission many areas
13 that could be re-thought, re-written.

14 Okay, since everything has been passed out, slide
15 number two, the background.

16 [Slide.]

17 MR. JAMGOCHIAN: A formal memo was written in June
18 of 1989 where the EDO proposed to the Commission 15 areas in
19 the Emergency Planning Regulation that needed updating and
20 clarification. Now, again, try to recall the Emergency
21 Planning Regulations were written or codified right after
22 TMI, 1980. Then in early 1992 the Commission directed the
23 staff to revise only three areas of the Emergency Planning
24 Regulations. Now, they changed their mind from 15 to three
25 areas primarily due to recent adjudicatory decisions and

1 other Commission actions in Shoreham and Seabrook.

2 On June 12th of '92 the staff sent to the ACRS a
3 package of the proposed rulemaking that we were planning on
4 sending to the EDO for rulemaking. The ACRS declined to
5 review that proposed rule primarily because -- and this is
6 something that the ACRS has looked at for the last five
7 years, when Dave Moeller was Chairman. He and I sat down
8 and we looked at the beg delta between proposed rulemakings
9 in emergency planning and final rulemakings in emergency
10 planning, and the change is very significant.

11 Emergency planning, as many of you may know, is a
12 very controversial area, and it very significantly changes
13 between the proposed rule and the final rule, as a result of
14 public comment. So, the ACRS declined to review the
15 proposed rule in '92 -- in June of '92. In June of 1993, a
16 proposed rulemaking was published in the Federal Register
17 for Public Comment for a 75-day public comment period.

18 Next slide, please.

19 [Slide.]

20 MR. JAMGOCHIAN: This lists the area of revisions
21 that the EDO was proposing. Now, this is not a Commission
22 rulemaking, this is an EDO rulemaking. One was to clarify
23 exercise requirements. The regulations, as we wrote them in
24 1980 after TMI, tended to be very confusing for states that
25 were in the Emergency Planning Zones for two or more

1 reactors. Again, in 1980, we developed that rulemaking,
2 Appendix E, quite quickly, and the focus was really on the
3 upgrading of emergency planning at that time. After several
4 years, after 10, 12 years of using the exercise
5 requirements, many licensees, as well as the staff, noted
6 how complicated those words tended to be. So, we felt that
7 it was necessary just to clean them up and clarify them.

8 The second change that was proposed was to change
9 the ingestion pathway exercise from every five to six years.
10 And the last change was to delete the requirement that a
11 state return to a specific site every seven years in order
12 to participate fully in an exercise. To give you some
13 background on this, in 1984 we changed the Emergency
14 Planning Regulations to require biennial full participation
15 exercises from what we originally wrote in 1980, an annual
16 exercise. At that time, the Chairman, Chairman Ahern, was
17 very concern about a state like Illinois, who may not get
18 back to a specific site and would prefer to let's say
19 exercise at one site rather than the other four sites over
20 several years. So, he wanted a return frequency, which was
21 called a seven-year itch, to get back -- make sure that a
22 state did exercise that one particular site within several
23 years. At that time we picked seven because it was
24 anticipated the State of Illinois would have seven reactors.
25 Okay, so that is why we wanted the state to get to each site

1 once a year.

2 FEMA objected strenuously to that requirement
3 because that was not in their regulation. In fact, their
4 Deputy Director, who was then Lee Thomas, who became the
5 head of EPA, made a presentation to the Commission
6 requesting them not to put that seven-year return frequency.
7 The Commission nonetheless voted for that seven-year
8 frequency. But, in the Federal Register, we put a notice
9 that said we will look, after several years of experience at
10 this return frequency, to see if it is in fact necessary.
11 After these several years, we have now found that it is not
12 necessary, so we are now in the process of deleting it.

13 So, again, it is a cleanup kind of thing. We are
14 going back as to what we promised to do in '84 and '85 and
15 taking care of things.

16 MR. CARROLL: Why do you believe it is no longer
17 necessary?

18 MR. JAMGOCHIAN: Well, after using the regulation
19 for nine, 10 years now, this seven-year return frequency, we
20 found that, number one, states respond to emergencies on a
21 constant basis. They are all over the state. There are
22 emergency preparedness capabilities functioning all over.
23 So, in reality, there is no need -- they do not negate one
24 part of the state as far as our emergency planning
25 organization.

1 Secondly, a state participates every two years in
2 their local emergency plan -- when local entities
3 participate in the annual exercises, the state participates
4 to some extent as well. Okay. So --

5 MR. CARROLL: You know that as universal, or you
6 are assuming that?

7 MR. JAMGOCHIAN: Oh, no, no. That is a fact. The
8 staff has found that to be so. FEMA has found that to be so
9 as well.

10 MR. CARROLL: Okay.

11 MR. KRESS: Along those same lines, why is -- on
12 your second bullet, why is six years better than five years?

13 MR. JAMGOCHIAN: Well, number one, it is
14 consistent with the FEMA regulation; number two, we now have
15 a biennial exercise -- full participation exercise that is
16 every two years. Now that you have this, the ingestion
17 pathway, every six years, it nicely fits into the -- it can
18 be factored into that biennial.

19 MR. LINDBLAD: While you are answering questions,
20 what is the average turnover rate for players and their
21 roles?

22 MR. JAMGOCHIAN: Let's see, my NRR -- Paul, could
23 you answer that question?

24 MR. CARROLL: What is a player and what is a role?

25 MR. KANTOR: Paul Kantor, NRC, NRR Staff,

1 Emergency Preparedness Branch. It is a little difficult to
2 say what the turnover is. Generally, states -- my
3 experience is it isn't that radical of a turnover -- state
4 decision-making, emergency management agencies.

5 MR. LINDBLAD: Is it more or less in five years?

6 MR. KANTOR: I don't have any specific data to
7 specifically respond. It is just a general impression.
8 Also, I would like to point out that every two years the
9 local organizations are participating fully. Those are your
10 first-line responders.

11 MR. CARROLL: You said earlier -- or something
12 caught my ear -- you said something to the effect that this
13 is an EDO rulemaking, as contrasted to a Commission
14 rulemaking?

15 MR. JAMGOCHIAN: Yes, sir.

16 MR. CARROLL: Tell me about that. I have never
17 heard of that distinction.

18 MR. JAMGOCHIAN: Well, that is more or less a
19 legal distinction. When you have a major rulemaking and, as
20 certain criteria in the regulations, that definitely has to
21 go to the Commission for consideration, for vote and then
22 for codification. There are certain elements by which, if a
23 rulemaking can -- the Commission can designate to the EDO
24 that rulemaking authority, and this is one of them.

25 When memos were going back and forth to the staff

1 as to how many areas to clean up, when the Commission
2 finally agreed to the three areas that warranted
3 codification to changes, they told the EDO you go ahead and
4 do this rulemaking, it is not necessary. These are more
5 cleanup types of changes. These are not real controversial.
6 For instance, we have only received 12 public comment
7 periods. I have been working in emergency planning for 20
8 years. I have never seen a rulemaking or any emergency
9 planning that we have received 12 comment periods.
10 Typically they are in the hundreds. So, this is -- it is
11 really a homework type of thing.

12 MR. CARROLL: But, the Commission, in this
13 instance, has specifically said, Jim Taylor, you go clean
14 this mess up?

15 MR. JAMGOCHIAN: Yes, sir.

16 MR. WILKINS: Let me ask that same question a
17 different way. Is this a case-by-case delegation of
18 authority or is there some generic delegation of authority
19 that describes some general areas in which the EDO has the
20 authority?

21 MR. JAMGOCHIAN: Okay.

22 MR. ADER: I don't know if I can help very much.
23 My name is Charles Ader from the Office of Research. There
24 has been some criteria and it has been so long since I have
25 seen them, I don't remember the specifics.

1 MR. WILKINS: I am aware that the Commission has,
2 in certain instances, delegated this rulemaking authority to
3 the EDO.

4 MR. ADER: It's generally on minor policy-type
5 issues.

6 MR. WILKINS: Or operational issues, not even
7 policy issues, which is what is involved here. But, I
8 wasn't clear in my own mind as to whether this was done on a
9 case-by-case basis or there was some -- there was a general
10 overall policy that says if the issue falls within these
11 criteria, then the EDO has the authority to do it. You
12 don't know that either I gather?

13 MR. ADER: I believe -- it has been some time, but
14 I remember seeing some guidance or criteria.

15 MR. WILKINS: All right.

16 MR. JAMGOCHIAN: There is criteria but, very
17 typically what I have seen is that either the EDO says I
18 plan on doing this and the Commission comes back and says
19 yes, go ahead, or the Commission says --

20 MR. WILKINS: Or there is a negative consent.

21 MR. JAMGOCHIAN: -- this meets this criteria, you
22 go ahead and do it. But, it is usually documented.

23 [Slide.]

24 MR. JAMGOCHIAN: Okay. Public comment analysis.

25 MR. CARROLL: Mr. Scroggins can write a

1 prescription on how this ought to be done.

2 MR. WILKINS: Oh, I am sure he could.

3 MR. JAMGOCHIAN: There were 12 public comment
4 letters received -- five from the utilities, six from state
5 Governmental agencies, and one from NUMARC. All commenters
6 fundamentally agreed with the proposed rulemaking, except
7 for the following. One state Government agency disagreed
8 with deleting the seven-year return frequency requirement.
9 He felt that we are liberalizing the regulations and that it
10 really wasn't warranted.

11 MR. CARROLL: It didn't happen to be Illinois did
12 it?

13 MR. JAMGOCHIAN: As a matter of fact, it was.

14 MR. CARROLL: Oh, really?

15 MR. JAMGOCHIAN: As a matter of fact.

16 Now, I believe we have accommodated his comment.
17 In the Federal Register we have put in there that a state
18 can go back and exercise whenever it perceives it has a need
19 to or a desire to. This does not preclude a state from
20 exercising or returning every several years or every five
21 years, whenever they want. Nonetheless, we feel, as all of
22 the other states do, and other commenters, that it is not
23 necessary to have it as a requirement.

24 Three commenters suggested additional revisions.
25 Now, these were perceived by the staff to be not within the

1 scope of this rulemaking. Several suggested we rewording
2 the requirement -- the proposed requirement for the
3 ingestion pathway exercise. Now, this suggested wording was
4 due to potential misinterpretation. And they suggested that
5 we simply use the wording that FEMA has used in their
6 regulation which, in fact, the staff felt explained it just
7 exactly the way we wanted, so that is what we have done.
8 So, we have incorporated really two elements of the public
9 comment concerns. Also, FEMA was consulted during the
10 development of this rulemaking and since this regulation
11 makes our regulations consistent with theirs, they did in
12 fact concur with all of the provisions.

13 The next slide.

14 [Slide.]

15 MR. JAMGOCHIAN: The next three slides outline
16 what the final revisions are that the staff is proposing --
17 one, clarifying requirements relating to full and partial
18 participation by state and local governments that are within
19 the EPZ for more than two power reactors. Their logic is,
20 after using these regulations for 12 years, the staff and
21 licensees have found them to be unnecessarily complicated
22 and therefore warranted clarification. And the language
23 that we do have basically says, if you are within the EPZ
24 for more than two reactors, you still have to fully
25 participate in an exercise every two years. It is that

1 simple.

2 MR. SEALE: For each reactor.

3 MR. JAMGOCHIAN: That's correct. That's correct.
4 The next slide.

5 [Slide.]

6 MR. JAMGOCHIAN: The proposed revision two. The
7 interval for the ingestion exposure pathway exercise shall
8 be changed from five to six years. Again, the logic is
9 being consistent with the biennial frequency required in
10 exercises for offsite plans and also being consistent with
11 FEMA requirements.

12 Now, again, as I mentioned, the wording in this
13 revision was changed as a result of the public comment
14 period in order to eliminate potential misunderstandings.

15 MR. WILKINS: May I ask a question about the
16 language of the proposal? I am reading from something that
17 I believe is the new language. "A state should fully
18 participate in the ingestion pathway portion of exercises at
19 least once every six years." It doesn't say a state must
20 fully participate, it says it should. Does that mean that
21 the state has the option of not participating fully?

22 MR. JAMGOCHIAN: Well, when Appendix E was written
23 and we incorporated state functions, you have to -- you come
24 very close to a very delicate issue.

25 MR. WILKINS: Yes.

1 MR. JAMGOCHIAN: We do not regulate states.

2 MR. WILKINS: In fact the country fought a Civil
3 War on this question of states' rights.

4 MR. JAMGOCHIAN: Yes. Yes.

5 MR. SEALE: States' laws.

6 MR. WILKINS: States' laws. I know they did.

7 MR. JAMGOCHIAN: Well, let's go back to 1980 where
8 a licensee -- we put in the regulations a licensee could
9 lose his license based on the non-performance of a state.
10 So, those state involvements in emergency planning was a
11 very delegate, and still continues to be a very delegate
12 issue. So, that is the reason why the wording is such. A
13 state should fully participate in the ingestion pathway
14 portion of an exercise at least every six years.

15 MR. WILKINS: But the previous language said shall
16 exercise, rather than should.

17 MR. JAMGOCHIAN: That's correct.

18 MR. WILKINS: I interpret shall as a much stronger
19 modal auxiliary than should.

20 MR. JAMGOCHIAN: It is. In the writing of
21 regulation we always use shall.

22 MR. WILKINS: Except this time when you used
23 should.

24 MR. JAMGOCHIAN: Because I -- we cannot regulate a
25 state.

1 MR. KRESS: What does that mean then if a state
2 fails to comply with this regulation?

3 MR. JAMGOCHIAN: Well, NUREG 0654, which
4 embellishes -- which amplifies our regulation, was rewritten
5 and revised in order to accommodate those states that do not
6 participate in any of our exercises. Ingestion pathway
7 exercise is not our real concern. The biennial exercise --
8 in the State of Massachusetts several years ago, many of you
9 may remember, refused to participate in the biennial
10 exercise. That is a much bigger problem than this. And,
11 clearly, they have a right not to participate. So, the
12 regulations -- in fact, there was an executive order written
13 by the President that said FEMA and NRC shall develop
14 criteria in the instance that a state does not wish to
15 participate, and permitted licensees to embellish their
16 emergency plan to accommodate states.

17 Clearly, a state does not -- we are not going to
18 fight a Civil War over it.

19 MR. KRESS: But you wouldn't shut down the plant?
20 I mean, you do have the authority to do that.

21 MR. JAMGOCHIAN: Yes. We have the authority to
22 shut down the plant, but there are written contingencies for
23 when a state in fact does not wish to participate, as in the
24 case with the State of Massachusetts.

25 MR. WILKINS: I guess the only point I wanted to

1 make was that the language in other sections of this rule
2 use the word shall --

3 MR. JAMGOCHIAN: Yes, sir.

4 MR. WILKINS: -- and without any qualification or
5 exceptions for states. Offsite plans for each site shall be
6 exercised biennially, with full participation by each
7 offsite authority having a role under the plan. I assume
8 that would include the states.

9 MR. JAMGOCHIAN: Yes, sir.

10 MR. WILKINS: What you are saying is that, as a
11 result of this Executive Order, the Agency has the power to
12 proceed even though a state or any other offsite authority
13 chooses not to participate?

14 MR. JAMGOCHIAN: Exactly.

15 MR. WILKINS: All right.

16 MR. JAMGOCHIAN: As in the past, and I am sure
17 many of you are familiar -- a licensee was in the middle -
18 sort of the man in the middle between political battles
19 between states and local Governments. So, that executive
20 order permitted us to rewrite the criteria which then
21 permitted licensees to continue operation if they took over
22 certain emergency planning functions of the state and local
23 government.

24 MR. SEALE: Well, this then reduces the
25 possibility of the spectacle of the NRC not abiding by its

1 own regulations, is that it?

2 MR. JAMGOCHIAN: That's correct.

3 MR. CARROLL: This brings up another issue that
4 obviously isn't something you write regulations about. But,
5 are you satisfied today that you have a clear understanding
6 with FEMA about Restart, following an event of some sort --
7 I have in mind the fiasco that developed after Turkey Point,
8 Hurricane Andrew?

9 MR. JAMGOCHIAN: Well, rather than just give you a
10 yes, and I would prefer to do that, I would like to turn to
11 the NRR person, Faulk Kantor.

12 MR. KANTOR: Faulk Kantor again of the NRR staff.
13 Yes. I think we are pretty confident, as a result of the
14 lessons learned from the Turkey Point restart or start-up
15 that we have an understanding with FEMA. In fact, it has
16 been you might say codified or reflected not in our MOU
17 between the two agencies that we will keep each other
18 informed of situations, similar to --

19 MR. CARROLL: You did. As I read the record in
20 the case of Hurricane Andrew, you just didn't talk to the
21 right people in FEMA I guess.

22 MR. KANTOR: Right. There was a breakdown in
23 communications there which both agencies recognize. We took
24 -- we have taken steps to correct that. In fact, we
25 followed the new procedure, you might say, during the

1 flooding episodes we had here this past summer. There were
2 several plants and offsite areas that were affected by the
3 flooding situation where we worked very closely with FEMA,
4 the states, and the licensees in the regions to just see --
5 to prevent any other -- another occasion like that.

6 MR. CARROLL: Thank you.

7 MR. JAMGOCHIAN: Okay, the next slide, page seven.

8 [Slide.]

9 MR. JAMGOCHIAN: This is our last revision. This
10 is consistent with what was proposed for public comment --
11 is delete the requirement that a state return to a specific
12 site every seven years in order to participate fully in an
13 exercise. Again, the logic is that experience has indicated
14 that this requirement is unnecessary, and eliminating it is
15 consistent with FEMA's requirements.

16 Now, again, I would like to emphasize we did very
17 seriously consider the comments and we did put a provision
18 in the supplemental information, and I will quote: "Nothing
19 prevents a state from returning to a specific site to
20 participate in an exercise whenever it deems warranted."
21 And this spells out what most states know anyway. They can
22 do very much what they would like. So, I think we did
23 accommodate the concerns of that individual or of that
24 individual comment letter.

25 [Slide.]

1 MR. JAMGOCHIAN: And the last slide is the
2 conclusion that the staff recommends that the EDO approve
3 this final rulemaking package.

4 MR. DAVIS: I have a question.

5 MR. JAMGOCHIAN: Yes, sir?

6 MR. DAVIS: You said that there were 15 areas
7 originally proposed by the EDO. Can you say what the nature
8 of those areas was in general? Was it a relaxation or --

9 MR. JAMGOCHIAN: Oh, no, no, no. They were all of
10 the areas that were involved in the Seabrook and Shoreham
11 adjudication and where the Commission in fact made decisions
12 and it was felt part of the staff wanted to codify those
13 decisions and other parts of the staff do not -- let's not
14 bring these to the surface again and open them up to a
15 rulemaking proceeding, which then permits public comments
16 and things. If these decisions in fact had been made by the
17 Commission, let them stand as such.

18 MR. DAVIS: Okay.

19 MR. JAMGOCHIAN: Now, to give you specifics, I
20 really --

21 MR. DAVIS: No, that's find.

22 MR. JAMGOCHIAN: -- it has been four years.

23 MR. WILKINS: Are there any other questions for
24 Mr. -- I will pronounce his name correctly?

25 MR. JAMGOCHIAN: Jamgochian?

1 MR. WILKINS: Jamgochian?

2 MR. JAMGOCHIAN: Jamgochian. Mike.

3 MR. WILKINS: Jamgochian. Yes.

4 MR. LINDBLAD: I have no questions. I think you
5 did a fine job in making the presentation though.

6 MR. JAMGOCHIAN: Thank you.

7 MR. DAVIS: I just had a minor comment. Are you
8 aware that the Europeans are moving away from any emergency
9 planning requirements for their more recent designs? Have
10 you been following their progress?

11 MR. JAMGOCHIAN: Well, I think that is a very good
12 reason for my boss to send me to Europe. I appreciate that
13 comment.

14 [Laughter.]

15 MR. SEALE: We just gave you the word.

16 MR. JAMGOCHIAN: Yes. I appreciate that. Yes, we
17 have been keeping abreast, especially for advanced reactors.
18 I am involved with the development of emergency planning for
19 advanced reactors.

20 MR. DAVIS: Thank you.

21 MR. WILKINS: That is a consequence of their
22 design philosophy. They want to design the containment and
23 so on so that the possibilities of accidents that would
24 require emergency planning is greatly reduced. I am careful
25 not to say eliminated, just greatly reduced.

1 MR. JAMGOCHIAN: Well, it depends on who you talk
2 to.

3 MR. WILKINS: I understand.

4 MR. JAMGOCHIAN: If it is a vendor, they may want
5 to eliminate it.

6 MR. WILKINS: They might say eliminate it. Yes.
7 I am a little more cautious than that. Okay.

8 MR. CARROLL: Well, following up on -- I was going
9 to ask the same question Pete did. But, then it leads me to
10 another question, and that is suppose you do come to the
11 conclusion that say the AP-600 is just so much better, from
12 a risk point of view, and an accident mitigation point of
13 view, and so forth than the present fleet of plants and that
14 some relaxation and emergency planning requirements is
15 warranted, get rid of the damn sirens or whatever, how
16 difficult is that going to be with the present regulations?

17 MR. JAMGOCHIAN: Well, to answer your question,
18 not difficult at all. We write regulations for every type
19 of licensee. I am in the middle of writing a regulation
20 right now for independent spent fuel storage facilities and
21 MRS's, okay. We developed rulemaking for Part 30, 40 and 70
22 licensees three or four years ago. Okay? Now, we have also
23 wrote a regulation for nuclear power plants. This was for
24 Seabrook and for low-power operation. Now, for low-power
25 operation, for MRS's, for independent spent-fuel storage

1 facilities, we do not have sirens. We clearly do not have
2 10-mile emergency planning zones.

3 These are the things that really -- when someone
4 says -- and many vendors of the --

5 MR. CARROLL: My point is that the regulations
6 have specific requirements for power reactors.

7 MR. JAMGOCHIAN: Yes. But, for advanced reactors,
8 it is our perception that we are looking at -- first, the
9 vendor tells me the sourceterm. Once I can appreciate the
10 sourceterm and I understand the risk offsite, then we
11 develop the Emergency Planning Requirements.

12 MR. SEALE: So, you are truly thinking in terms of
13 risk-based regulation rather than generic plant
14 deterministic regulations --

15 MR. JAMGOCHIAN: In emergency planning?

16 MR. SEALE: -- in emergency planning?

17 MR. JAMGOCHIAN: Yes, sir. We look at
18 sourceterms, and potential offsite doses.

19 MR. SEALE: That is interesting.

20 MR. JAMGOCHIAN: I am sorry. Maybe I said
21 something wrong.

22 MR. KANTOR: No. I just wanted to add that, as a
23 result of a question -- a specific question like that from
24 the Commission, NRR and Research are embarking on a study of
25 this very issue to -- with the object being to develop some

1 criteria for these various reactors. Perhaps that would
2 eventually be reflected in some rulemaking. We are thinking
3 in terms of, you know, a year's study or something to get to
4 that point.

5 MR. CARROLL: I guess one thing I am curious about
6 is does a -- do the Emergency Planning Regulations in Part
7 50 apply necessarily to a Part 52 applicant, or could
8 emergency planning be covered by the Part 52 rulemaking that
9 he would be subjected to? Could he have his own unique
10 emergency planning requirements under Part 52?

11 MR. JAMGOCHIAN: If the advanced reactor is
12 licensed under 52, it would then meet the requirements under
13 52. Currently, they have to meet the planning standards,
14 50.47. I don't believe they have to meet Appendix E. Oh,
15 they do? But, nonetheless, even Appendix E has an area in
16 it that talks of research reactors for gas-cooled reactors
17 at Fort St. Vrain, when we wrote it in 1980, we said
18 reactors that have lower potential consequences offsite need
19 not have the enhanced -- I am using that -- my own term --
20 the enhanced emergency planning requirements -- 10-mile
21 EPZs, sirens, FEMA involvement, okay, which research
22 reactors, test reactors, and the gas-cooled reactors were
23 covered in Appendix E when -- from 1980. So, I -- as Faulk
24 had mentioned from NRR, we are seriously looking at what the
25 criteria would be for the Emergency Planning requirements

1 for reactors that certainly have less concern offsite.

2 MR. CARROLL: Okay. Thank you.

3 MR. WILKINS: Okay. We have a few minutes that we
4 could devote to giving guidance to the Subcommittee Chairman
5 on a letter. I would propose that the letter actually be
6 reasonably short and recognize that we have had this
7 presentation, that we have looked at the proposed rule and
8 that we are in agreement with it. Now, we could expand on
9 that at the Committee's desire, or we could write a
10 different letter, if the Committee so desires. Does anyone
11 have any opinions or suggestions to the Subcommittee
12 chairman?

13 MR. LINDBLAD: I am thinking about Friday at 3:00
14 o'clock.

15 [Laughter.]

16 MR. KRESS: It is not a criteria. I think you are
17 basically right.

18 MR. WILKINS: All right. Well, thank you very
19 much --

20 MR. JAMGOCHIAN: Thank you very much.

21 MR. WILKINS: -- and the other gentleman who spoke
22 from NRR and RES. We appreciate your assistance this
23 morning. We are a little early for the next agenda item.
24 We are quite a bit early for the next agenda item, which is
25 okay with me.

1 MR. CARROLL: I don't know, as long as we have got
2 these emergency planning types here, would it be interesting
3 to spend a couple of minutes hearing or getting some
4 insights into what the problems were during the flooding
5 this spring and summer?

6 MR. WILKINS: Well, I am not sure that they are
7 prepared to discuss that off-the-cuff; but, if they are, we
8 will certainly be interested in hearing what they have to
9 say.

10 MR. KANTOR: Basically, we had situations where
11 evacuation routes would be flooded. There was also some
12 concern about access to the plants themselves. When these
13 issues came up the licensees generally worked with state and
14 local organizations to come up with alternative means of
15 evacuation, if necessary, or some of these areas were
16 already evacuated. But, I don't have specifics on each of
17 these. There were about three plants that were involved --
18 Calloway was one, I think Prairie Island was another one,
19 Fort Calhoun maybe, Cooper maybe also.

20 MR. CARROLL: Quad Cities?

21 MR. KANTOR: Quad Cities initially, right. In
22 fact, I think Quad Cities, they were down. The restart was
23 delayed for about a week until the flooding situation became
24 manageable in that area. So, generally, there was
25 cooperation. And we didn't have to go out and jawbone

1 anybody to take action. Generally, the licensees and the
2 states were working very closely. That was gratifying to
3 us. We and FEMA coordinated very well, both at the
4 headquarters level and at the regional level.

5 MR. LINDBLAD: Weren't those areas where tornadoes
6 were common? Wasn't sheltering a good alternative?

7 MR. KANTOR: Right. If you can't evacuate, then
8 you have the option of sheltering.

9 MR. LINDBLAD: If they have tornado cellars, they
10 probably are in better shape to shelter than others?

11 MR. KANTOR: Right. And also, emergency planning
12 is our forth level of defense, so it is highly unlikely you
13 would have an accident as a result of any kind of a flooding
14 situation. And the plants do have criteria for shutting
15 down the plant, if the water levels do reach a certain
16 height. In fact, one plant -- I forget which one, probably
17 Cooper, did reach an unusual event-type level, but they were
18 I think a considerable way away from having to declare an
19 alert or actually go into any kind of operational shutdown.
20 Most of the sites seem to have flood plans, where they do
21 have provisions for taking action to secure the plant for
22 high water situations, and so they exercise those.

23 MR. LINDBLAD: What were the risks to offsite
24 communications?

25 MR. KANTOR: For the flooding it was minimal. I

1 am not aware of any communication problem; whereas, Turkey
2 Point, as you know, we lost communications down there. But,
3 with the flooding situation, we didn't have that problem.

4 MR. WILKINS: I infer that you didn't detect any
5 necessity for changing your regulations as a result of it?

6 MR. KANTOR: No, not at all. As I mentioned, the
7 agreement procedure we set up as a result of Turkey Point
8 for keeping everybody informed and reacting to the situation
9 worked very well for the flooding situation.

10 MR. DAVIS: There is a related problem of seismic
11 events. We are seeing seismic now as being a major
12 contributor to risk in a lot of the PRAs, and we are talking
13 about fairly substantial events of .3G and up, which would
14 be, you know, a serious seismic event which would disrupt
15 traffic arteries, bridges and so forth. I think that that
16 is a concern also in this evacuation program. I have not
17 seen very many contingencies for a seismic event evacuation.

18 MR. LINDBLAD: Which projects do you see where
19 seismic PRAs have reported to be the significant area?
20 Which ones are those?

21 MR. DAVIS: Which plants or --

22 MR. LINDBLAD: Yes.

23 MR. DAVIS: Well, I would have to go back to some
24 of the data. But, I believe at the higher seismic sites
25 where these safe shutdown events have been fairly low, like

1 in the Northeast for example, Pilgrim, Seabrook, we see
2 seismic as --

3 MR. LINDBLAD: Have they done a seismic PRA yet?

4 MR. DAVIS: Seabrook has, yes.

5 MR. KRESS: Are these PRAs coming in high for
6 seismic events because they factor into the emergency
7 response part of them -- the fact that you have trouble
8 evacuating?

9 MR. DAVIS: The only one I know that has taken any
10 detrimental factor for the seismic event is I believe
11 Millstone III, where they actually reduced the evacuation
12 speed assumed in the PRA by a factor of two for seismic
13 events. It didn't -- it didn't make much difference in the
14 overall risk. I am not suggesting that the risks are
15 significant. I am just saying that seismic is showing up as
16 a dominant initiating event in the PRAs.

17 MR. CARROLL: Does some of that go away now that
18 the controversy between the EPRI and the Livermore --

19 MR. DAVIS: No. These earlier PRAs did not use
20 the Livermore hazard curve, they used something that was
21 developed by their own analysts.

22 MR. LINDBLAD: You are suggesting that the
23 sensitivity to seismic is in the community rather than in
24 the plant? If they want an evacuation, the community's
25 bridges and highways and school buildings may be in danger,

1 is that --

2 MR. DAVIS: Yes.

3 MR. WILKINS: All right. I am informed that the
4 NRC staff people who are to make the presentation on agenda
5 item three are in fact already here. So, we don't need to
6 wait for them to show up at a quarter till 10:00. They are
7 already here. I am grateful to them for that. So, I think
8 we will close the discussion on item two, and then move to
9 item three, which is the proposed resolution of Generic
10 Issue 67.5.1 dealing with steam generator tube rupture,
11 radiological consequences. It is my understanding that this
12 will be a status report, and that we are not expected to
13 prepare a letter to the Commission or to the EDO on this
14 issue. Just bring us up to date and inform us and allow us
15 to ask questions for information and so on.

16 MR. MURPHY: I am Joe Murphy. For the information
17 of the Committee, our former Director of the Division of
18 Safety Issue Resolution, Warren Minners, retired I guess it
19 was last Monday. During the near future at least I will be
20 Acting Director of the division.

21 I want to make two comments before I start into
22 the detailed comments. The first is to apologize to the
23 Committee. We had a little mix-up in our communications
24 with the Committee staff and became aware of this
25 presentation a little late in the game. As a result, we

1 don't have a complete presentation for you. I think we have
2 an informative one however. I would also like to express my
3 appreciation to Joe Hopenfeld. He came in off of vacation
4 to be with us today. I really want to express my
5 appreciation to him.

6 [Slide.]

7 MR. MURPHY: With that, let me get to Generic
8 Issue 67.5.1, which is the work we are doing on the
9 reassessment of steam generator tube rupture consequences.
10 Let me figure out how to get all of these slides in a
11 position where --

12 MR. WILKINS: Mr. Murphy, you may be interested to
13 know that the Committee has taken formal note of this
14 problem and has tried to ensure that in the Two White Flint
15 Building to which we will move sometime in this century,
16 there will be space at the podium so you can do what you are
17 trying to do gracefully and conveniently.

18 MR. MURPHY: It would be nice if it were about six
19 inches away.

20 [Laughter.]

21 MR. MURPHY: Basically, we have a situation where
22 --

23 MR. LEWIS: When he said six inches, he meant 15
24 centimeters.

25 MR. MURPHY: I also seem to have a tendency to put

1 my arm through this loop here too. If you are fixing stuff,
2 that is something you might look at.

3 MR. CARROLL: Maybe we ought to fix the
4 presenters.

5 [Laughter.]

6 MR. MURPHY: Maybe that is the real answer.

7 [Slide.]

8 MR. MURPHY: The standard review plan that
9 addresses steam generator tube ruptures was developed in the
10 mid to late '70s. There wasn't a lot of data available in
11 those days. And since then, there's -- some data has become
12 available from a study of transient response, some work that
13 has been done in Oak Ridge, and some operational events in
14 which an item was released to the reactor coolant system.
15 These weren't tube ruptures, but they represent changes in
16 power level and that sort of thing, where we can get a
17 better feel for the item spiking problem.

18 [Slide.]

19 MR. MURPHY: The results of the radiological
20 consequences of the tube rupture are assessed under the
21 conditions looking at both the pre-accident item spike and
22 the item spike initiated by the accident. In the process of
23 looking at the calculation, we look at item transport to the
24 atmosphere, and calculate it using a model in which the item
25 is then carried through the steam line directly within the

1 droplets by entrainment, or indirectly, after scrubbing by
2 the liquid in the secondary system in the form of a
3 partitioning.

4 Basically, the work we have done on this generic
5 issue shows that there are some changes that are advisable
6 in the standard review plan as it now exists. The example
7 of these -- the standards review plan has an item
8 partitioning factor of a hundred. It does not indicate
9 whether that is on a mass or a volume basis which of course
10 makes a difference. The work was --

11 MR. WILKINS: Do you want to tell us what an item
12 partitioning coefficient is?

13 MR. MURPHY: Okay. That is the -- if you have a
14 solution of iodine and water, you will get a partitioning
15 between the iodine and the vapor phase above the liquid and
16 the iodine in the liquid phase. This is the ratio of those
17 two.

18 MR. KRESS: It is basically Henry's law with an
19 activity coefficient.

20 [Slide.]

21 MR. MURPHY: There is an effect for some degree of
22 the pH of the secondary water. I wouldn't call that a major
23 consideration. The data supports some reduction in the
24 magnitude of the items spiked and a significantly lower
25 amount of carry-over. I will get to these quantitatively in

1 a minute, or at least the more important ones. Then, as a
2 result of this, we have specific changes to the SRP which we
3 can recommend.

4 We are looking at part of the problem. As you
5 know, there is a much broader effort going on steam
6 generator tube ruptures within NRR. What we see this as --
7 we are not trying to solve the whole problem, but we have
8 some information which we can then provide to NRR in the
9 context of the bigger problem. And the work we have done is
10 specifically for U-tube steam generators rather than the
11 once through steam generator of the B&W type.

12 MR. KRESS: Joe, is this an issue of meeting 10
13 CFR 100 requirements?

14 MR. MURPHY: It is mainly a Part 100
15 consideration, yes.

16 MR. KRESS: Yes.

17 MR. LINDBLAD: And do you mean U-tube steam
18 generators, or do you mean recirculating steam generators?

19 MR. MURPHY: I really mean recirculating steam
20 generators.

21 MR. WILKINS: Just for my information, what
22 fraction of the total population of reactors uses these
23 recirculating steam generators, and what fraction uses
24 those?

25 MR. MURPHY: I would guess it has got to be in the

1 70 to 80 percent range. The B&W plants don't -- there are
2 six of them. The difference -- how many of the U-tubes are
3 not recirculating, I don't really know, but I think the
4 number is small.

5 MR. CARROLL: No. They are all recirculating.

6 MR. MURPHY: That is what I thought. Yes.

7 MR. SEALE: More like 90 percent.

8 MR. CATTON: Maybe 50 to 60 percent of the total.

9 MR. CARROLL: What?

10 [Discussion held off recrd.]

11 MR. MURPHY: Let me give you an example of where
12 we are coming out on the things we have looked at.

13 [Slide.]

14 MR. MURPHY: On the partition coefficient, as I
15 mentioned, the Standard Review Plan says a hundred -- use a
16 factor of a hundred. What we have come up with on a mass
17 basis is a factor of 35. So, this may be a little
18 restrictive than what is on the standard review plan,
19 depending upon whether you interpret it on a mass or a
20 volume basis.

21 There is a significant difference though on pool
22 entrainment.

23 MR. LINDBLAD: What did you do previously, mass or
24 volume?

25 MR. MURPHY: The Standard Review Plan doesn't say.

1 MR. LINDBLAD: What did you do?

2 MR. MURPHY: And that I don't know.

3 MR. HOPENFELD: May I add, sir? What you did --

4 MR. WILKINS: Identify yourself, please.

5 MR. HOPENFELD: My name is Joe Hopenfeld.

6 MR. WILKINS: Can you hear him?

7 THE REPORTER: He needs a microphone.

8 MR. MURPHY: There is one on the table.

9 MR. HOPENFELD: Well, one reason for the revision
10 of this RP was that we frequently were getting calls asking
11 us what number should you use. Obviously, there is a
12 difference in the density ratio, which is a factor of 20,
13 which makes a difference. So, we had a program at Oak
14 Ridge, where we defined by actually running tests under
15 simulated condition, and we have numbers that would -- the
16 temperature range and pressure ranges were interested -- the
17 numbers are on the order of between 10 to a hundred. The
18 most probable number is 35 for the condition we are
19 interested in.

20 MR. KRESS: The partition coefficient. That tells
21 you how much vapor phase iodine is in the amount of steam
22 that flashes when this event occurs?

23 MR. HOPENFELD: Yes.

24 Let me amplify this a little bit. There are two
25 phenomena occurring here. When you have a tube rupture,

1 because of an integral difference, you have a certain amount
2 of steam -- I mean liquid that will flash into steam.
3 During that time, which occurs on a very fast scale, it is
4 difficult to say what a partition coefficient is. It
5 probably is one. Because what you have -- you have a
6 droplet that the surrounding surface is -- becomes vapor.
7 So, all that that was in that droplet becomes vapor. So,
8 you can assume it is one. However, later on during the
9 transient, where you have liquid in the pool and that --
10 what we are talking about here is the steady state
11 partition, which is between the liquid and the pool, it is
12 not that transient portion. They bring that transient part
13 of the problem when the steam flushes to the break, the
14 assumption is one, because it is a nonreportable condition.

15 Did I answer your question, sir?

16 MR. KRESS: Yes. When water flashes into steam -
17 -

18 MR. HOPENFELD: Correct.

19 MR. KRESS: -- the vapor itself will contain some
20 vapor phase iodine, and that depends on the partition
21 coefficient at that temperature and pressure that it is
22 flashing at the moment. It will also tear up and carry-
23 over some droplets.

24 MR. HOPENFELD: That is correct.

25 MR. KRESS: That part of the droplets, whatever

1 iodine is in it could be considered one? Is that what you
2 are saying for that part?

3 MR. HOPENFELD: No. That is not what I am saying.
4 There are two things -- you are absolutely right. There are
5 two things here. One is entrainment of actual liquid phase
6 within the gas phase.

7 MR. KRESS: Yes.

8 MR. HOPENFELD: That is the entrainment part of
9 it.

10 MR. KRESS: Right.

11 MR. HOPENFELD: The other part of it, if you have
12 a liquid during the microsecond, if this time scale is for
13 flashing, during that time imagine yourself -- you start
14 with a liquid, okay, with a droplet of liquid. The outside
15 surface or layer so to speak evaporates because of the
16 properties.

17 MR. KRESS: Yes.

18 MR. HOPENFELD: That liquid within that time, the
19 assumption is that that liquid, whatever it contained
20 before, is in the vapor phase without considering the
21 activity, whatever the activity requires. It is a
22 nonreportable condition. That is the way we will visualize
23 it at this point. On a longer time scale, you have to take
24 that into account. But, for practical purposes, it is not
25 really significant, because you don't know where the break

1 occurs anyway.

2 MR. MURPHY: Yes. I think we have this in the
3 next item down.

4 [Slide.]

5 MR. MURPHY: As Joe said, this is more a quasi
6 steady-state condition.

7 MR. LINDBLAD: Mr. Murphy?

8 MR. MURPHY: The pool entrainment --

9 MR. LINDBLAD: Excuse me, Mr. Murphy. Before we
10 leave the partition coefficient --

11 MR. MURPHY: Yes?

12 MR. LINDBLAD: -- I listened to Mr. Hopenfeld, but
13 I still didn't hear an answer to my question. What has the
14 staff currently used when they are using 100? Do they use
15 mass or volume?

16 MR. MURPHY: I believe it is mass. Joe, do you
17 know?

18 MR. HOPENFELD: That is correct.

19 MR. LINDBLAD: And so this is a change by a factor
20 of three?

21 MR. MURPHY: A change by a factor of three --

22 MR. LINDBLAD: Thank you.

23 MR. MURPHY: -- in a more conservative direction.

24 MR. KRESS: Let me ask my question another way. I
25 am still not quite sure. On your value of 35, partition

1 coefficients usually are a function of temperature. During
2 a steam generator rupture, your primary system pressure is
3 decreasing, as well as the temperature. Now, so, a real
4 partition coefficient is a variable in time --

5 MR. MURPHY: Yes.

6 MR. KRESS: -- depending on this process of
7 blowdown. This 35 then represents a sort of an integrative
8 value over that time period?

9 MR. MURPHY: It is an integrated average over the
10 transient.

11 MR. KRESS: So, at the end point of the blowdown
12 you will have converted a given amount of water to a given
13 amount of steam and water. The 35 is the number you should
14 use to get the amount in that steam volume for that
15 transient.

16 MR. MURPHY: Now, the entrainment question -- and
17 we have looked at it both in terms of the pool entrainment
18 and the bypass entrainment -- in the standard review plan
19 equations are given and, of course, they are functions of
20 time also. But, the value of these tends to be high,
21 greater than -- on the order of .1 or higher, when you
22 quantify these things, averaged over the transient. This
23 work now shows that these numbers are more in the 10 to the
24 minus five range. So, the difference in entrainment changes
25 substantially by orders of magnitude.

1 MR. SEALE: Tell me what entrainment does exactly?

2 MR. MURPHY: Entrainment is during the tube
3 rupture event, as liquid comes out of the primary system, it
4 is expelled, still in liquid form, up into the steam line

5 --

6 MR. SEALE: Okay.

7 MR. MURPHY: -- and then out the relief valve.

8 MR. SEALE: And 005 is percent?

9 MR. MURPHY: That is a percent. So, that is five
10 times 10 to the minus five percent of what comes out the
11 break gets released into the --

12 MR. KRESS: Did that --

13 MR. MURPHY: -- as opposed to a number before that
14 was closer roughly to .1 or so.

15 MR. KRESS: That includes the fact that it is
16 blowing down into water --

17 MR. MURPHY: Yes.

18 MR. KRESS: -- and that the water will tend to --

19 MR. MURPHY: This is the primary system
20 entrainment rate, rather than secondary water, if I
21 understand right.

22 MR. HOPENFELD: Can I amplify on this for a
23 minute, sir? In the early '80s, as you alluded to it, the
24 concept was that when you flush into steam, bubbles
25 entrained are microscopic and very small liquid droplets,

1 and they would go up with the liquid and carry it through
2 the dryers because they are small amounts, so the dryer
3 efficiency will just go through and find the stuff in the
4 steam line. Now, the concept was formulated in SRP, but it
5 was very vague. At the time it wasn't understood. I
6 believe Westinghouse, and it could be CE also had models on
7 thermal hydraulic codes to take that into account. We
8 couldn't really calculate something like that. It is
9 extremely difficult. There were some models formulated at
10 Bechtel, but they had a lot of problems with them.

11 Because of that very reason, a program was
12 formulated, which was called AMBI, to find out what that
13 entrainment was. There was no radioactive iodine. We were
14 just plain looking for how much stuff was coming out. We
15 found it was zero for all practical purposes. That is the
16 major impact of this because it cost a lot of money to
17 formulate thermal hydraulic codes with droplets all over,
18 where you don't really know what it is.

19 Now, the relief here is that you get away from
20 that. We have run about 15 tests, even taking the dryers
21 out completely because of the distance that you have -- the
22 boards that you have and the thought that the liquid stays
23 in. That was the major impact and nothing else.

24 MR. MURPHY: On the iodine spikes. The standard
25 review --

1 MR. LINDBLAD: Mr. Murphy, before we leave the
2 mechanics of steam coming out of water, are these roughly
3 the same mechanisms that apply in boiling water reactors
4 with the steam line break?

5 MR. MURPHY: Well, the mechanisms have to be
6 fairly similar.

7 MR. LINDBLAD: I beg your pardon?

8 MR. MURPHY: I would think the mechanisms would
9 have to be.

10 MR. LINDBLAD: So, would we use the same SRP
11 numbers in evaluating them?

12 MR. MURPHY: I must admit, I don't know what is
13 used in the boiler in this area. Joe, do you have a feel?

14 MR. HOPENFELD: We haven't looked into the boiling
15 tube rupture. The chemistry is different however. This was
16 exclusively focused on the recirculating tube rupture.

17 MR. LINDBLAD: So, it is a chemical problem rather
18 than a mechanical problem?

19 MR. HOPENFELD: I believe that is the case,
20 because the iodine spike is --

21 MR. LINDBLAD: I understand that.

22 MR. HOPENFELD: -- we have been putting a lot of
23 concentration on that.

24 MR. LINDBLAD: Yes. I understand item spike. I
25 was talking about before we got to the iodine spike. Thank

1 you.

2 MR. MURPHY: On the iodine spikes we were running
3 -- the standard review plan has 60 to 275 microcuries per
4 gram. This is where the steam generator tube rupture
5 following the iodine spike, where the iodine spike has come
6 from an operational transient before the tube rupture. Now
7 we would recommend more like 12. Where it is a coincident
8 iodine spike, the standard review plan calls for a factor of
9 500 increase in release rate. We have an equation that
10 expresses our current recommendation. The difference
11 between these two is about a factor of 10 with our
12 recommendation being about a factor of 10 lower than what
13 was currently in the standard review plan.

14 MR. DAVIS: Joe, is the composite effect of these
15 changes to increase or decrease the sourceterm?

16 MR. MURPHY: To decrease it.

17 MR. DAVIS: Okay. Because it looks like some are
18 going up and some are going down.

19 MR. MURPHY: We have got one going up essentially,
20 and basically, the rest of them are going down.

21 MR. CATTON: Okay. By a significant factor?

22 MR. MURPHY: Yes. And one is going up by about a
23 factor of three, and the other is really -- for instance,
24 the entrainment is coming down by several orders of
25 magnitude.

1 MR. HOPENFELD: May I make one more comment? The
2 important thing is the initial transient -- the initial
3 blowdown, the initial break period. At that point, the
4 partition coefficient is of secondary importance. The
5 partition coefficient comes in after -- basically after the
6 accident is practically terminated. It comes in later on.
7 During the initial half an hour, the main thing -- the main
8 thing is the iodine spike. That is where the release comes
9 in. On the integrated effect, it would depend on the -- it
10 would be accident-specific.

11 MR. KRESS: Does it depend on in any way on
12 whether you have one tube rupture or multi-tube ruptures, or
13 does that matter at all?

14 MR. HOPENFELD: No, it does not. The iodine spike
15 is clearly the fraction that you get released from defective
16 fuel.

17 MR. KRESS: How many of these numbers carry over
18 in the steam release -- the sourceterm?

19 MR. HOPENFELD: Yes.

20 MR. KRESS: Does that depend on whether you have
21 multi-tube ruptures or a single tube?

22 MR. HOPENFELD: Most of the tests that we have
23 simulated were with one steam generator tube rupture because
24 it was the design basis. So, I cannot answer your question,
25 but I believe that it would probably follow for several

1 tubes.

2 [Slide.]

3 MR. MURPHY: Our position on this is somewhat
4 different than the package we sent you then which was some
5 time ago. I think it was in August. Because we didn't
6 place a high priority on this, it has taken so long to get
7 on to the Committee's agenda.

8 Basically what has happened is NRR, as you know,
9 is reassessing the way in which radiological doses from the
10 steam generator tube failures are calculated as part of all
11 of the work they are doing on steam generator inspection and
12 repair criteria, which I am sure the Committee knows a lot
13 more about than I do.

14 What we intend to do is provide the results of our
15 study to NRR and let them fold it into their ongoing
16 activity. What we sent you earlier was that we were going
17 to have separate rulemaking activities on our own. What we
18 propose to do now is to provide this information to NRR and
19 fold it into the broader activity on steam generator tube
20 ruptures. For that reason, we are really not requesting an
21 ACRS letter at this time. Certainly, if you choose to give
22 us advice or comments, we would appreciate it. But,
23 because of the fact that we have decided that it is more
24 appropriate for us to provide this information to NRR and
25 fold it into their broader activities, it is not absolutely

1 required.

2 MR. CATTON: Is the radiological dose the only
3 thing that enters into this recommendation? I recollect
4 reading a report that came out of one of Research's projects
5 somewhere on risk-based regulation that showed that steam
6 generator tube rupture was an initiator of lots of other
7 things that contributed to core melt. Is that a
8 consideration in developing your steam generator inspection
9 and repair criteria?

10 MR. MURPHY: You will have to speak to NRR on the
11 details of this program.

12 MR. CATTON: It seems to me it is a little near-
13 sighted if you just use this as the criterion for steam
14 generator inspection.

15 MR. MURPHY: Well what this -- no -- let me.

16 MR. CATTON: Either that, or the PRA was wrong.

17 MR. MURPHY: Let me clarify. What we worked on
18 was the radiological doses from a tube rupture. NRR is
19 involved in a much broader activity where they are looking
20 at the proper way of inspecting and all of the new
21 information that is available on steam generators and a much
22 broader area.

23 MR. CATTON: Maybe I will ask NRR. Are
24 radiological doses the only consideration in developing
25 steam generator inspection and repair criteria?

1 MR. KADAMBI: My name is Presad Kadambi. The
2 answer to your question is no. They are not the only
3 consideration. In fact, the work that is going on in NRR
4 will encompass many severe accident issues. It is a very
5 wide-ranging activity. What we have done here contributes
6 to a very small portion of this activity.

7 MR. CATTON: That is better. I feel better.

8 MR. SEALE: But it is NRR's intent then to pick up
9 on this as a part of the input to the overall response that
10 you are preparing?

11 MR. KADAMBI: That is what we intend to recommend.

12 MR. SEALE: Okay.

13 MR. CATTON: Is there some place where we can get
14 a sort of broader picture? I am having a little difficulty
15 in figuring out how you are going to put it all together.

16 MR. KADAMBI: There is a task group and a steering
17 committee that is looking into this issue, and they would
18 probably be the best source of information.

19 MR. WILKINS: Who is the chairman of that task
20 group?

21 MR. KADAMBI: Jack Stosneyder I believe would be
22 the right person.

23 MR. KRESS: But, it is basically guidance on how
24 you deal with the design basis accident and chapter 15?

25 MR. MURPHY: Yes.

1 MR. KRESS: And we will rechange the standard
2 review plan and give a different way -- guidance on how you
3 calculate that? It is whether or not you look at 10 CFR
4 100. Then there are equipment qualifications -- issues
5 related to it and worker exposure, in terms of what you do
6 afterward.

7 MR. CATTON: The reason I raise this question is
8 that we keep talking about risk-based regulation. In my
9 view, the radiological release following a steam generator
10 tube rupture is a small part of that.

11 MR. KRESS: This is strictly design basis. That
12 has nothing to do with the risk-based regulation.

13 MR. CATTON: It doesn't?

14 MR. KRESS: No.

15 MR. DAVIS: Ivan, I am even more concerned about
16 another aspect. We can chase these small releases and try
17 and prevent them, but sometime that is at the detriment of
18 the larger accidents. And a good example is one I brought
19 up before, and that is the main steam line isolation valve
20 closures, which cuts off a good way to remove heat from the
21 core in an effort to try to remove the possibility of these
22 very small releases.

23 MR. CATTON: Are you worried about leading
24 yourself into a transient because of the --

25 MR. DAVIS: Exactly.

1 MR. CATTON: -- core melt instead?

2 MR. DAVIS: Exactly. And I know Joe is aware of
3 this. That is my concern. That is why we need to integrate
4 all of these things, instead of just looking at one thing.

5 MR. CATTON: So, maybe we should invite this
6 fellow, Jack Stosneyder in here to tell us about it, if he
7 is the one that is responsible for the global picture.

8 MR. SEALE: Could I ask another question just
9 quickly? Is there a research participant on this task group
10 that is looking into the steam generator thing generally?

11 MR. KADAMBI: Yes. John Craig, who is the Deputy
12 Director of the Division of Engineering in the Office of
13 Research is --

14 MR. SEALE: Oh, okay.

15 MR. KADAMBI: -- a member of the Steering
16 Committee.

17 MR. SEALE: Okay.

18 MR. HOPENFELD: Can I make one comment? Maybe
19 that was the answer to your question. One consequence of
20 the Trojan experience has been that we are looking into the
21 situation when you have an occurrence -- you have a leakage
22 from the primary site through some tubes, on top of it you
23 have a steam line break, where there could be a stuck open
24 valve or whatever. So, that situation is different than a
25 strictly design-basis accident. Now, the difference is, and

1 I think that that is what maybe you weren't so comfortable
2 with -- the difference is that now you have a situation
3 where you have a large over-cone, and you have a very large
4 pressure drop because of the steam line break, plus the
5 energy that you removed through the break. That situation -
6 - especially with respect to the iodine spike is different.
7 EPRI is coming here I believe in two or three weeks to
8 address that issue. But, it is different. This is strictly
9 -- this was formulated a long time ago and was focused only
10 on the design basis. Now, this thing that Mr. Kadambi
11 referred to is a different -- it is something that came up
12 last year.

13 Have I answered your question?

14 MR. CATTON: Sort of.

15 MR. LINDBLAD: Mr. Murphy, you say that it is your
16 intention to communicate these results to NRR. Do you do
17 that by revising the standard review plan or do you do it by
18 a memo without revising the standard review plan?

19 MR. MURPHY: We haven't decided yet. My guess is
20 we will send a memo to NRR making specific suggestions on
21 portions of the Standard Review Plan, but won't attempt to
22 go back and rewrite the whole thing for them.

23 MR. LINDBLAD: Who is responsible for the
24 authorship -- the editing of the Standard Review Plan?

25 MR. MURPHY: That is NRR.

1 MR. KADAMBI: NRR has the responsibility.

2 MR. LINDBLAD: Thank you.

3 MR. MURPHY: That completes my presentation, Mr.
4 Chairman.

5 MR. WILKINS: Are there any other questions that
6 any members of the Committee would like to ask?

7 MR. CARROLL: Let's see, when Minners was up
8 there, we always got a good lesson in statistics. You
9 haven't given us one yet.

10 MR. CATTON: Jay, could you take down some of this
11 for me -- how this whole thing is being brought together?
12 Your know, every time I read about the Myama incident and
13 all the strange and bizarre things that go on following a
14 steam generator tube rupture, it just makes me a little bit
15 nervous.

16 MR. KRESS: I would like to ask Joe Hopenfled if
17 he had anything to do with the work at OR&M?

18 MR. HOPENFELD: Yes. That was the prime
19 contractor on measuring these partitioning coefficients.

20 MR. KRESS: It must be awfully good work then.

21 [Laughter.]

22 MR. HOPENFELD: It is good work.

23 MR. KRESS: I should recuse myself from this
24 issue.

25 MR. HOPENFELD: I guess, with the academics of

1 this staff, there are certain aspects that came out during
2 this program that really probably would be worth further
3 examination. We found out that the partition coefficient
4 here at -- what a difference is that we are dealing with
5 extremely small concentrations, 10 to the minus 12. You are
6 playing statistics here. We found out a completely
7 different phenomena that you would predict theoretically.
8 But, you can justify further looking at it, although I
9 believe it is worth looking into, because it is not the way
10 statistical theory would predict because the partition
11 coefficient would appropriate differently.

12 But, to answer your question, yes, they were the
13 prime contractor.

14 MR. WILKINS: All right. Let me thank Mr. Murphy,
15 and particularly thank Mr. Hopenfeld for coming in from
16 vacation. One of the members of the Committee, by the way,
17 reminded us that he also is here off of his vacation. And
18 maybe the Chairman has learned a lesson about scheduling
19 this meeting in January.

20 MR. CARROLL: I would point out one thing. A year
21 ago January we had a full meeting in the first week of the
22 year. I looked at my records.

23 MR. WILKINS: It generally tends to depend on when
24 the first of the year actually occurs. This time the first
25 of the year was on Saturday, and so people almost had no

1 time to get ready. But, anyway, that is not your problem,
2 gentlemen, that is our problem. We appreciate your
3 presentation, and we look forward to hearing final
4 presentations when you are prepared to go ahead.

5 We are moving right along, aren't we? Moving
6 right along. I wouldn't expect the next people to be here.
7 They are not due here until 11:00 o'clock.

8 I have been looking ahead at the agenda to see if
9 there is anything we might shift forward without doing
10 damage to the fundamental principle that we have told the
11 public in the Federal Register Notice what our agenda is.
12 It is not easy to do so. Well, if I had a draft of the
13 letter on the first issue, we might even talk about it, but
14 I don't have a draft of that yet.

15 MR. SEALE: What about the design certification?

16 MR. CARROLL: I don't know. Sam, do you know
17 where my letter is? We could --

18 MR. SHACK: Just a comment on Ivan's question. We
19 did have a Subcommittee meeting on the steam generator thing
20 in December where Stosneyder and his group were here. They
21 beat him up pretty good on this overall risk perspective
22 thing. I think that the next time they are in, there will
23 be a much more coherent response to that question. I don't
24 think they were really prepared to address it at that time.
25 So, I think they will probably need some time before they

1 are really ready to address your questions from that point
2 of view. But, they have certainly been made aware that the
3 Committee is interested in that question.

4 MR. CATTON: They have published a NUREG on this
5 issue.

6 MR. SHACK: This particular task group was what I
7 meant. I think the ingredients are all there probably.

8 MR. CATTON: So, what you are saying is this
9 particular task group doesn't read NUREGs?

10 MR. SHACK: Well, they have to get themselves up
11 to speed.

12 MR. CATTON: I see.

13 MR. SEALE: But they did get worked over pretty
14 well on a risk-basis approach.

15 MR. CATTON: Good.

16 MR. LEWIS: I admire your optimism in thinking
17 that that will result in an improvement.

18 MR. SEALE: I didn't say that. I said they got
19 worked over.

20 [Laughter.]

21 MR. CARROLL: But he is new.

22 MR. KRESS: It takes a while to become cynical.

23 MR. WILKINS: You start out believing that when
24 you say something that it will produce an instantaneous
25 response and improvement.

1 MR. CATTON: It doesn't have to be instantaneous,
2 there could be some time delay. The problem is the time
3 delay approaches infinity.

4 MR. DAVIS: Incidentally, Mr. Chairman, while we
5 are on this risk-based regulation issue, I guess we are on
6 it -- we were told last fall I believe by Ashook Thadani
7 that the Agency was preparing a memo that was going to be
8 signed by all of the division directors on risk-based
9 regulations, as I recall, and it was supposed to have been
10 completed by the end of the year. I am wondering what the
11 status of that is. I think we would all be very interested
12 in that. Maybe that would be the subject of a future
13 presentation or if we could get a copy of the letter. You
14 recall what I am talking about?

15 MR. WILKINS: Yes, I know what you are talking
16 about. It is a fact that we have a meeting scheduled with
17 Mr. Sniezak tomorrow morning. That might be an appropriate
18 question to direct to him at that time.

19 MR. DAVIS: Very good.

20 MR. WILKINS: I don't know whether he will be
21 prepared to answer it because we haven't alerted him to the
22 fact that we will be asking him.

23 MR. LEWIS: He does have a good point. It keeps
24 coming up.

25 MR. CARROLL: In the last issue of ANS News, or

1 whatever it is, they published the ANS Policy Statement on
2 Risk-Based Regulation, which I gave to Sam this morning to
3 make copies of for all of you. It is very well written. I
4 liked it. Except they said PSA.

5 MR. WILKINS: Well, the ANS calls itself an
6 international organizational these days. We don't know yet.

7 MR. CARROLL: Maybe if we take the break it will
8 be here.

9 MR. WILKINS: Yes. Why don't we take our 15-
10 minute break now rather than later? Is that legal?

11 MR. LEWIS: Is this a scheduled break?

12 MR. WILKINS: The break isn't scheduled until a
13 quarter till 11:00. Since I assume you gentlemen all look
14 at the agenda and you have got your bladders planned for a
15 quarter till 11:00 -- programmed.

16 MR. SHACK: We had a Subcommittee meeting in
17 December to review the steam generator task action plan. It
18 was really, in this case, directed by the fact that the
19 utilities are having a severe problem with their steam
20 generators, vast instances of cracking. Based on
21 essentially, the conventional Reg Guide wisdom that you have
22 to plug a steam generator tube every time a crack approaches
23 40 percent through a wall, you would end up plugging huge
24 numbers of these tubes and essentially you would have non-
25 functional steam generators very rapidly under those

1 conditions.

2 Now, it turns out that the cracking that is
3 occurring is a very special sort of instance where the
4 cracks, although they can be in fact through a wall, are
5 very short and don't lead to significant leakage, don't lead
6 to particularly higher risks of steam generator tube
7 ruptures. That is because the cracks are so short the
8 actual structural integrity of the tube is not particularly
9 degraded by these short cracks, so that there is an attempt
10 to develop an alternate plugging criteria, different from
11 that in the current Reg Guide, which is based on this 40
12 percent through-wall limit.

13 And this plugging criteria is -- in fact, the NRC
14 has tried to develop a more mechanistic one based on crack
15 length and such. It turns out that it is very difficult to
16 do that. And the industry has proposed and NRR is about to
17 accept an interim plugging criteria based on a purely
18 empirical measure -- a voltage limit off of essentially an
19 eddy current measurement. What they have essentially is an
20 empirical correlation that this voltage is a measure of some
21 sort of integrated crack ability in this thing, so that
22 there was discussion of the nature of this interim plugging
23 criteria that they have developed.

24 Now, what happened I think at the Subcommittee
25 meeting was they were basically here to discuss that interim

1 plugging criteria in some detail. They were not prepared to
2 sort of discuss what this meant in the larger context of
3 risk-based analysis of the steam generator incident. They
4 were focused on a very specific question, which was
5 important to them because they have essentially immediate
6 response to a number of licensees who have these steam
7 generator problems.

8 MR. CARROLL: I wouldn't call it immediate
9 response, Bill. It has been on their plate for a couple of
10 years.

11 MR. SHACK: Well, the licensees would like an
12 immediate response. NRR responses in NRC time. But, they
13 are proceeding in what is for them a timely fashion.

14 MR. SEALE: It would be worth pointing out that
15 they did acknowledge that there are in fact cases where
16 there have been steam generator rupture events, where
17 significant leakage has occurred. But, these are a
18 different kind of leak, a different length of leak, and
19 generally they occur at other locations than the location of
20 these short length breaks or the basis for this voltage
21 rule. So, the voltage rule has a -- or the empirical
22 criterion has a location in the tube requirement on it that
23 specifically that rule or that criterion applies down in the
24 tube sheet range, but not say in the bow or places like that
25 where the Palo Verde type fish mouth occurred. So, it is

1 not a carte blanche rule on voltage. It is quite selective
2 with regard to where it happens or what part of the tube the
3 measurement is made.

4 MR. KRESS: I will tell you what bothered me most
5 about the interim plugging rule. It is the general
6 principle that you write a regulation or a rule that has in
7 it criteria that is specific for a given instrument.

8 MR. SEALE: Yes.

9 MR. KRESS: That really bothered me. I don't
10 think rules should be written that way. I agree with the
11 approach. What they should do is just say we will have a
12 rule on burse pressure, and the burse pressure we will allow
13 will be this. And then you measure that by -- we will give
14 you guidance. You may use this type of instrument. If it
15 has a voltage reading of this, we will accept that as the
16 burse pressure, or you may use some other means, if you can
17 justify it. That is what bothered me most about the rule.

18 MR. SHACK: I think they did believe that they
19 said when they wrote the rule that it was going to focus on
20 a broader measure, like structural integrity and would not
21 include the voltage-based measurements. That was strictly a
22 way of demonstrating structural integrity. But, the rule
23 was really focused on structural integrity.

24 What they did have was a draft -- a NUREG that
25 really discussed the NRC version of this interim plugging

1 criterion. They were responding to industry comments on
2 that NUREG. They were fairly polite in the meeting. The
3 letters I think had stronger disagreements. They seem to be
4 coming to closure on this interim plugging criteria. So,
5 they would have some sort of basis that they would proceed
6 for the interim plugging criteria.

7 In the larger context, there is a task group that
8 looks at the overall steam generator degradation problem
9 that has a longer time span and I think will address these
10 larger issues of the whole risk basis for steam generator
11 degradation and what that really means in a larger context.
12 That one they were very weak in responding to at the
13 Subcommittee meeting. They were really focused on their
14 interim plugging criteria, and getting that into action. I
15 think, from the industry's point of view they are probably
16 almost more concerned with that than they are with the
17 larger question. But, the overall steam generator task
18 action plan will discuss this larger issue of, as Bob
19 mentioned, the divulge requirement is for a very specific
20 kind of degradation, and that is where -- part of what they
21 are looking at is -- the industry and NRR seem to be
22 agreeing that you have to assess this degradation almost on
23 a phenomenon by phenomenon basis. That is, 40 percent
24 plugging makes -- or a 40 percent criterion is sensible if
25 you have uniform wastage, which was what the rule was really

1 designed to consider back in the early '70s. It makes no
2 sense for this kind of very short cracking in the tube
3 support plate, which is the kind of phenomena that they have
4 today. So, they are looking at some way to integrate this
5 whole degradation management thing that recognizes that
6 different forms of degradation will have different specific
7 criteria rather than what they have now which is this 40
8 percent plugging which is supposed to apply to all
9 mechanisms and everybody agrees is no longer applicable.

10 MR. CATTON: Will the measuring devices -- can
11 they distinguish between the different types?

12 MR. SHACK: Yes. Although, again, the people at
13 the Subcommittee meeting were asked that question and they
14 did not give a particularly responsive -- part of the way
15 that they will do that is that you will simply have to pull
16 a number of tubes and verify that the mechanism that you are
17 discussing is measurable -- is the mechanism that we are
18 talking about -- that is, that there are short cracks in the
19 vicinity of the tube generator support plate.

20 Part of the debate over the NUREG is how many of
21 these tube pools do you do?

22 MR. CATTON: I gather there is not a lot of faith
23 in the ability to distinguish the kinds of insults to the
24 tubes?

25 MR. SHACK: Well, you know, the faith is in the

1 eye of the beholder. Come people have considerably more
2 faith than others do. So, the question of how many tubes
3 you have to pull to support that faith I think is one of the
4 major issues that remains to be resolved between industry
5 and NRR in the NUREG.

6 MR. SEALE: Conversion is a personal decision.

7 MR. CATTON: I would have hoped that it would be a
8 little tighter than that.

9 MR. SEALE: Well, there is quite a bit of debate
10 on how many tubes you have to sacrifice in order to
11 essentially confirm that you are measuring what you thought
12 you were measuring.

13 MR. SHACK: It is this ouija board think that you
14 that you know, you are looking at these eddy current signals
15 and you are looking at a particular interpretation of these
16 eddy current signals, and you will find an eddy current
17 expert who tells you that this is characteristic of this
18 kind of degradation.

19 MR. CATTON: And another one who says it is not.

20 MR. SHACK: And, yes, other people who are more -
21 - you know -- you have looked at a database of 200 pooled
22 tubes worldwide to build this thing. Well, of course, the
23 population of tubes out there is really several million. Is
24 200 a representative database? We obviously have different
25 answers to that. I think they are coming to closure. At

1 least we will have an interim plugging criteria that will
2 come back to the Committee fairly soon.

3 MR. SEALE: And hopefully it will be physically
4 based.

5 MR. SHACK: Well, the interim plugging criteria
6 won't. The regulation eventually will be.

7 MR. CARROLL: Now, there is no new data since we
8 heard about this a year or so ago? Nobody has found a case
9 where all of these short cracks link up and a big plug blows
10 out or anything of that sort?

11 MR. SHACK: No. Apparently they did make some
12 more data available on leak rates through these cracks that
13 were making the NRR people happier with the notion -- the -
14 - one other one of the very controversial issues in the
15 NUREG was how you were going to actually compute leak rates.
16 The NUREG had a very conservative way to do that -- the
17 draft NUREG did. There seems to be some agreement now that
18 there is sufficient data that they will back off to a
19 certain degree, which was unspecified at the meeting, to a
20 somewhat less conservative approach to computing those leak
21 rates; however, that was not defined. As I say, there does
22 seem to be some merging though.

23 MR. WILKINS: Is there any action that the Full
24 Committee ought to take as a result of the Subcommittee
25 activities?

1 MR. SHACK: I don't think so. They are going to
2 come back to us in the February time span. That is, at the
3 moment, I think there is probably more disagreement within
4 the staff over how this -- you know, this particular NUREG,
5 this short-term problem should be addressed for the interim
6 plugging criteria.

7 The schedule we got was that by the end of this
8 month NRR was supposed to have a coherent internal position.
9 I think what we felt was that they would then come back and
10 present to the Committee that position and, at that point,
11 we would be prepared to respond. They are still working on
12 getting their own ducks in order.

13 MR. LINDBLAD: Theoretically at least, after NRR
14 does something, does it have to go through CRGR or whatever?

15 MR. SHACK: Yes.

16 MR. WILKINS: Any questions that any members of
17 the Committee have?

18 MR. CARROLL: In the meantime, utilities are
19 plugging tubes that don't need to be plugged and going down
20 a river of no return.

21 MR. WILKINS: I don't know anything at all about
22 steam generators, except from a theoretical, thermodynamic
23 point of view. How many tubes can you plug -- or what
24 fraction of the tubes can you plug before you don't have a
25 steam generator anymore?

1 MR. DAVIS: 10 percent.

2 MR. CARROLL: There is usually a 10 percent margin
3 before you have to de-rate the plant. Then you can de-rate
4 the plant.

5 MR. CATTON: I guess then you could order it right
6 down to zero?

7 MR. SHACK: Yes.

8 MR. SEALE: Yes.

9 MR. SHACK: But, derating the plant is obviously a
10 step that is extraordinarily painful.

11 MR. WILKINS: I would think, if I were running a
12 plant, I wouldn't want to derate it at all. I might be
13 compelled to, but I certainly wouldn't want to.

14 MR. CARROLL: Well, a lot of people derate
15 intentionally to stretch a fuel cycle out to an appropriate
16 time to take an outage.

17 MR. WILKINS: All right. Now I have got a reason
18 to do it. Now I have got some benefits to achieve from it.

19 MR. SEALE: In fact, there is a lot of soul-
20 searching going on right now about reducing hotleg
21 temperatures, which effectively derates the plant in order
22 to extend steam generator tube life.

23 MR. CATTON: Well, the AP-600 just did that in
24 their design.

25 MR. SEALE: Well, I mean in operating plants.

1 MR. CATTON: They also upped their power.

2 MR. CARROLL: Palo Verde is running at 85 percent.

3 MR. SEALE: Unit 2 is running at 85 percent
4 specifically for that purpose.

5 MR. SHACK: Again, they are approving these
6 interim plugging criteria on a plant-by-plant basis, even
7 now. I think one of the things that they were facing is
8 that they think -- I believe the numbers were something like
9 perhaps 20 to 25 utilities would be coming in over the next
10 few years asking for relief. Well, obviously, they don't
11 want to be doing this on a case-by-case basis, it is just
12 simply too extraordinarily intensive in man hours. So, the
13 staff has an incentive to get this interim plugging criteria
14 into place, as well as the utilities, who sort of don't want
15 to plug up tubes when they don't have to.

16 MR. WILKINS: Okay. Thank you for that report.

17 MR. SEALE: If we have got a minute, could I raise
18 a question which is very closely related to this?

19 MR. WILKINS: Go ahead.

20 MR. SEALE: We have something called the
21 individual plant assignments or identifications that
22 supposedly members of this Committee have. There are a few
23 plants which do have some specific things like, for example,
24 Hal, you are the Palo Verde person as I understand -- would
25 it be appropriate -- you know, I really don't know -- would

1 it be appropriate to try to get a more specific
2 understanding off chapter and verse of what has happened in
3 that particular instance for -- by the appropriate member of
4 the Committee so that we would understand that problem
5 perhaps in greater detail? And how do we do that vis-a-vis
6 the plant representatives and so on so that we are not
7 getting ourselves out of joint with NRR and so on?

8 MR. WILKINS: I don't know how to answer your
9 question, let me put it that way.

10 MR. CATTON: Ernest, we have done it. We have
11 done it.

12 MR. CARROLL: Hal is Chairman, or Hal is having -
13 - that plant invited Ivan and I to go with him a couple of
14 years ago.

15 MR. LEWIS: Right.

16 MR. CARROLL: We went and visited Palo Verde and
17 had a very good day.

18 MR. CATTON: We also did it with San Onofre.

19 MR. CARROLL: And we also visited Trojan, and we
20 visited Diablo.

21 MR. WILKINS: Let me try to address Bob's question
22 by sharpening it up a little bit. What steps need to be
23 taken by a member of this Committee, who wishes to exercise
24 his responsibility as the Cognizant member of the Committee
25 for a particular plant, if he wishes to visit the plant?

1 What did you guys do?

2 MR. LEWIS: We just told the staff.

3 MR. CATTON: We told the staff guy whose name is
4 associated with that plant.

5 MR. WILKINS: The ACRS staff guy?

6 MR. CATTON: Yes.

7 MR. WILKINS: All right.

8 MR. CATTON: And then that person takes care of -
9 - he makes the appropriate arrangements.

10 MR. LEWIS: The NRC staff.

11 MR. CARROLL: And the region.

12 MR. CATTON: He lets them all know what we are
13 coming and then we do it.

14 MR. LEWIS: It is a tricky number.

15 MR. CARROLL: Now, the one thing that I guess we
16 have observed when we have gone to these is that the plants
17 put in an enormous amount of effort to prepare for the
18 agenda that we give them. I wish that we could discourage
19 that. I would just as soon have some off-the-cuff answers.
20 When we went to Trojan, they had worked all weekend --

21 MR. WILKINS: And they put together a real dog and
22 pony show.

23 MR. CARROLL: And a couple of casual things -- how
24 is the hot particle thing going -- hell, they had a three-
25 hour tutorial on the subject. I didn't need that.

1 MR. CATTON: Well, for some of us, that is okay.

2 MR. DAVIS: And needed.

3 MR. CARROLL: That is just a caution.

4 MR. WILKINS: Jay is calling attention to an issue
5 that has concerned me too. I have been a little reluctant
6 to go charging say up to Vogtle, which is right in my
7 backyard.

8 MR. CARROLL: First you better learn how to
9 pronounce it -- Vogtle.

10 MR. WILKINS: I don't even know how to pronounce
11 it.

12 [Laughter.]

13 MR. LEWIS: I think that Bob has raised another
14 class of questions which I think we might want to consider,
15 and that is that we have usually, for specific issues, like
16 the ones we are talking about here, we have usually used the
17 issue-oriented Subcommittee of the Committee to follow that
18 up, even if it involves going to a specific plant, and we
19 have used the individual associations as fairly casual
20 efforts to keep some members of the Committee cognizant of
21 what is going on in a particular plant. We used to have an
22 individual for each plant, and it made no sense at all. I
23 think that that was directed more at the idea that, if there
24 were a major event, it would be nice to have somebody know
25 what the plant was like. So, the issue of substance-

1 oriented subcommittees, versus individual assignments --
2 there is a sort of fuzzy breakdown. The individual
3 assignments were usually not used in a trouble-shooting
4 mode. That is I think what you were raising in the
5 question.

6 MR. SEALE: Well, in particular, the Palo Verde
7 situation is that the thing we are talking about here on the
8 steam generator tubes generally aren't addressed at the fish
9 mouth problem, which is what they had --

10 MR. LEWIS: Yes.

11 MR. SEALE: -- and which is likely to affect all
12 three units there, or will possibly affect all of them.

13 MR. LEWIS: No, I understand that. What I am
14 saying is that typically, in order to follow that up at a
15 particular plant, I think the history of the Committee, you
16 know, you can do it anyway you like -- the history of the
17 Committee would be to follow it up through the substance-
18 oriented subcommittee, which would be this particular one -
19 - your subcommittee. But, as Jay and Ivan have said, you
20 know, when we visited these three plants, we simply
21 collected people to go along and do it. I would love to
22 shovel the responsibility to these people. This one could
23 be followed up either through your Subcommittee or through
24 the individuals or by combining them. All one has to do is
25 tell our staff to arrange it with the NRC staff and, poof,

1 there you go.

2 MR. WYLIE: Ernest, I am Chairman of the Adopt A
3 Plant Subcommittee. I started some guidelines several years
4 ago. We had some objection by some of the Committee members
5 that they didn't need the guidelines -- they are no longer
6 here. I will try to put something together for you at the
7 next Committee meeting.

8 MR. WILKINS: Well, I think that would be useful,
9 Charlie. We have -- in fact, when I look around the table
10 and realize that -- excuse me -- when I look around the
11 table and realize how senior I am on this Committee, I get
12 disturbed, because I haven't really participated in this
13 Adopt A Plant Program. You may have, and Hal may have, and
14 Ivan and Jay may have. As a matter of fact, you folks have,
15 but the rest of us haven't, and we could appreciate -- we
16 would appreciate some assistance along those lines.

17 MR. WYLIE: I will put that together and pass it
18 around and get the idea. It wasn't to instruct the
19 Committee member on what he should do, it was basically the
20 procedure that you went through to set the thing up to keep
21 out of trouble with NRR and the regions and so forth.

22 MR. CARROLL: Now, there is another part of this
23 which I guess most of us or we all understand, and that is
24 when you adopt a plant, you also automatically get all of
25 the licensing correspondence on that plant.

1 MR. CATTON: That can be a headache.

2 MR. CARROLL: Or a benefit. I mean, it doesn't
3 take me very long to say I am not interested in this and
4 toss it.

5 MR. WILKINS: Well, I can read that and say, oh
6 yes, they are changing this tech spec this way, thank you,
7 zip.

8 MR. CARROLL: Once in a while I will see
9 something.

10 MR. CATTON: It is a curious way of signing up
11 adopted plants. Now we have a lot of stuff to do this time.

12 MR. CARROLL: Well, but I will occasionally see
13 something that is of great interest, or flag something.

14 MR. LEWIS: Some people's interest span is wider
15 than others.

16 MR. KRESS: When you adopt a plant, are you also
17 adopting that particular utility?

18 MR. CARROLL: No.

19 MR. WILKINS: No. I am not sure I understand the
20 thrust of your question, but the answer is no.

21 MR. CATTON: I deliberately chose the Northeast
22 Utility's plants because at one site they have three
23 different kinds of plants. Millstone I and II are different
24 and III. They are all different. It is a nice place to
25 visit. You see everything.

1 MR. WILKINS: El reminds me that it is possible to
2 visit these plants when they are involved in a full
3 emergency exercise.

4 MR. CARROLL: Or a refueling outage.

5 MR. WILKINS: Or a refueling outage. There are a
6 number of good times to visit these things. In fact, we
7 have occasionally chided the staff because we don't know
8 about these emergency exercises. From time to time I get
9 information and it is generally too late for me to decide to
10 go do something.

11 MR. CATTON: They are not very helpful in how they
12 schedule these things.

13 MR. WILKINS: Well, they don't take our
14 convenience into consideration, and I am not sure they
15 should. But, these are also things for you to keep in mind.

16 MR. CARROLL: Anyway, Bob didn't really get his
17 question answered -- a very specific question. He thinks
18 somebody ought to go to Palo Verde and find out what is
19 going on.

20 MR. LEWIS: That is what he was saying.

21 MR. CARROLL: I am sure Dr. Lewis would be very
22 happy to arrange for Seale to go.

23 MR. LEWIS: I think that would be a splendid idea.
24 It is a long trip for him you understand.

25 MR. CARROLL: Yes.

1 MR. WILKINS: But, not as long as it would be for
2 me, so --

3 MR. SEALE: I don't know. Three hours is a long
4 time.

5 MR. WILKINS: I am just wondering -- I think we -
6 - Ivan, are you willing or prepared to give us a brief
7 report on the thermal hydraulics?

8 MR. CATTON: Yes. We have got 20 minutes until we
9 break.

10 MR. WILKINS: Yes.

11 MR. CATTON: I think that will be more than enough
12 time.

13 MR. WILKINS: All right.

14 MR. CATTON: The Thermal Hydraulics Subcommittee
15 met Tuesday and most of Wednesday in its continuing review
16 of RELAP5 Mod 3.01 or 1.1. The meeting was very good. We
17 had been quite concerned about the ability of a code like
18 RELAP5 to yield simulation of plants like the AP-600. In
19 particular, have were several areas. One was the IRWST
20 modeling, also the CMT. The meeting was --

21 MR. WILKINS: Excuse me, Ivan. Do you guys know
22 what all of that jargon is?

23 MR. CATTON: Yes. It is the IRWST, I think is the

24 --

25 MR. DAVIS: In-Reactor Water Storage.

1 MR. CATTON: Well, RW is Reactor Water Storage
2 Tank. What the I stands for, I don't know.

3 MR. CARROLL: In-Containment.

4 MR. CATTON: In-Containment. Okay. The CMT is
5 this big tank that drains into the system following a leak
6 of some kind or another. Well, in order to model these
7 things, there are a number of problems. This is where the
8 basic differences occur between the new advanced plant and
9 the old plants. The codes were never written with these
10 kinds of things in mind. As a result, there is some
11 physical phenomena that just wasn't treated very well.

12 We have had a problem in the review in the past.
13 The reason is that documentation is just not available. We
14 got caught up in a push-pull where you are sent the
15 documentation, you read the documentation, you hear a
16 presentation, and things are really very different. And
17 then when you push -- start pressing the buttons while it
18 turns out that this particular aspect of the code, it really
19 hasn't been documented yet. Well, that is because we have
20 got documentation that is vintage 1990, '91 or something.
21 We have been assured that all of this is changing. I think
22 it is changing as a result of our pushing. I have seen
23 significant changes in several areas.

24 In the past there has always been the view I have
25 got a code, the code is good, I don't need to do anything to

1 it. That has really changed. The two areas are this IRWST
2 modeling. Here the problem was trying to model stratified
3 flow with a finite difference code for very coarse
4 nodalization. And not only is it finite difference, it is
5 one-dimensional. You just really can't do it. Well, they
6 have come around.

7 They now have a person from Idaho who is
8 developing what appears to me to be very sensible models of
9 this process. I think that his efforts, at this point, are
10 bit elementary would be a nice way to put it, but he is on
11 the right track. They have not or will not admit, at this
12 point, that this is the model they will use. They still
13 want to do it using one-dimensional finite difference code,
14 and they don't accept the fact that that is not going to
15 work. But, we have hope, because there will be a back-up
16 model.

17 In the CMT the problems were different. What
18 happened in the operation is that initially there is a
19 recirculation of the cold water in the CMT and the hot water
20 that is in the reactor primary system. This hot water
21 bleeds into the top of the CMT. So, what you have is a
22 layer of hot water overlaying a layer of cold water. Now,
23 the diffusion of energy between the two is very low, so the
24 -- you really do have a rather well-defined line between the
25 two regions. They need to know where that is, because when

1 the ADS system operates, the hot fluid flashes. And, if you
2 are going to model the thing right, you have got to know
3 where it is, and that means level tracking. They don't know
4 what to do about the tracking of this particular kind of
5 level, which is the cold water level.

6 There are other problems because small break LOCA,
7 and a lot of what goes on in the AP-600 are processes that
8 are very slow on a relative basis, and relative, I mean
9 relative to the large break LOCA. They are almost at a
10 stop. They are quasi-steady. When that happens you get a
11 lot of pipes that are going to be half full of water, and
12 the surface is extremely well-defined. You need to have a
13 way to track that surface. The way the codes are presently
14 written, they won't do that. You have a one-dimensional
15 code; and when it is a horizontal pipe, that whole node is
16 full with fluid. It may have some void fraction. This is
17 difficult, but they are it appears attempting to develop
18 techniques to do it. I don't know how quickly they will be
19 successful.

20 At the March meeting in Idaho we had a lot of
21 difficulty with people who just really didn't understand the
22 physical processes. In particular, one of the areas was
23 film condensation. Now, again, in a large break LOCA, film
24 condensation is relatively unimportant. And where it is
25 important, you can kind of ignore it, because that part of

1 the transient is gone very quickly. It is not the case
2 particularly in the CMT, for example, when you are injecting
3 steam into the system, and you have got cold water and cold
4 surfaces. They had a model, but it -- the model that they
5 described in Idaho was hung on to the structure of RELAP5
6 which uses what they call two-fluid modeling. As a result,
7 the model really just wasn't any good.

8 Well, they have found a man named Joe Kelly. This
9 guy is really super. It is the first time in a number of
10 years I think that we have had somebody from research in
11 this area stand up in front of us and talk like he really
12 knew what he was doing. He has laid out an approach for
13 dealing with it that I think is probably one of the best
14 treatments of film condensation I have seen here or
15 elsewhere in a number of years. He really did a good job.

16 The modeling that he -- and he has a difficult
17 task because the two-fluid modeling is used in these codes
18 doesn't extend to the pipe wall. So, they are always stuck
19 with correlations that are based on some overall gross
20 characteristics and trying to take that apart and put it
21 into a two-fluid model. He has come up with a really
22 sensible way of doing that. It was really a pleasure to
23 listen to him. So, both the IRWST and the CMT modeling are
24 being dealt with.

25 We had a little bit of difficulty with some of the

1 ways they do business. In the early CMT modeling they just
2 pulled some natural convection correlations out of the air,
3 so you have a surface where condensation is occurring, and
4 they used natural convection based on liquid on the bottom,
5 and natural convection based on steam characteristics on the
6 top. Well, in the circumstance where you are condensing on
7 the top of -- from the top on a layer of water, you have no
8 convection below the surface because it is stably
9 stratified. And you have got to treat it some other way.
10 Well, we sort of got -- I am not sure we convinced them that
11 that was the case, but they are doing something about it.

12 All in all it was a good meeting. We were assured
13 by some of the Idaho people that they had taken the lesson
14 of the March meeting to heart, and that they realized that a
15 lot of the people who were put before us are really code
16 people. Code people don't understand or don't deal enough
17 with the physical processes that they are at ease with them
18 or even understand them. As a result, when a question is
19 asked as to why do you do it this way, they can't answer it.
20 What that leads you into is a very uncomfortable feeling
21 about the use of the code. The people that put the code
22 together weren't that way. That is a long time ago. We
23 were assured that this is changing.

24 There were a number of people who were at the
25 meeting: Pete, Bob, Ernest and Tom. Do you want to add to

1 my comments?

2 MR. DAVIS: I would like to.

3 MR. KRESS: I certainly agree with you on the
4 staff, Joe Kelly, being a really bright spot in that whole
5 meeting.

6 MR. DAVIS: I am concerned that they are not going
7 to be able to get all of this work done on time to service
8 the AP-600 design certification schedule. They are talking
9 about having to have this completed by summer -- these new
10 models -- and I just don't think they are going to be able
11 to do it, particularly in view of the budget cut that Brian
12 has had to assume. He is going to have to make some
13 decisions about what to do. I guess I am a little
14 encouraged by the very extensive experimental program that
15 is going on in support of the AP-600. That may be the thing
16 that will have to be relied on to assure ourselves that the
17 design is adequate.

18 I was personally surprised when Brian said that
19 RELAP is not a large break code, because that in fact was
20 what it was started out to be. As Ivan said, some of these
21 small break, and very slow transients require different
22 things that a one-dimensional code cannot do. They are
23 trying to make it now adequate to do those things. I think
24 they are going to have a lot of trouble.

25 MR. CATTON: Well, there is a history behind the

1 choice of RELAP5 as a small break LOCA code. At the outset
2 there was kind of a competition between three codes. There
3 was one at Brookhaven, there was Track and RELAP5. It got
4 to the point where NRC was going to choose one of the codes.
5 The Brookhaven one lost totally, Thor or something -- Track
6 One, and they were going to get rid of RELAP5. The ACRS,
7 through Milt Plesset at the time, suggested that they should
8 keep RELAP5. In particular, it was the code that was most
9 tested against actual plants, namely the loft. They
10 exercised the hell out of that code, because every
11 experiment they were going to run on loft they had to run
12 their safety evaluation. RELAP5 -- and you know this,
13 Ernest -- RELAP5 was the code. So, the feeling at that time
14 was that you ought to keep RELAP5 because part of what makes
15 these codes good is people knowing how to use them. RELAP5
16 was certainly being exercised.

17 Somewhere along the line, changes were made.
18 There is a problem with the finite difference point of view.
19 I mean, you have to somehow lay over these things an
20 analytical way of doing business, and reflood is one of
21 them. They got all caught up in how you treat where the
22 quench front is and a bunch of other things, so it really
23 didn't do a very good job when they tried to predict reflood
24 from a large break LOCA.

25 Well, Research decided to get out of the arguments

1 about how bad RELAP5 was by saying okay, Track is a large
2 break code, and RELAP5 is a small break code. I don't think
3 the people at Idaho or the rest of the world ever fully
4 accepted that because RELAP5 has basically the same package
5 that Track does. But, that as a choice made by Research.
6 The Germans use it as a reflood code, and so do the
7 Japanese.

8 MR. SEALE: There is one other aspect that came
9 out yesterday in some of the discussions. It goes back to
10 this problem that the people who are the care and feeders of
11 the code now are computer analysts rather than people who
12 understand the processes -- and that is that when one
13 questions any particular segment of the procedure, there is
14 a tendency to defend the validity of what is done with
15 uniform vehemence. Clearly, there are compromises that are
16 made in some cases in the treatment, and hopefully that
17 compromise reflects the fact that the thing that has been
18 compromised is a never mind -- that is it is something that
19 is really not significant in the overall analysis. The
20 difficulty you have is that when the defender stakes his
21 life on the validity of the approach, rather than on the
22 fact that what I am calculating is not a very important
23 number, it gives us a real problem, because we know the
24 approach is really not the way it ought to be done.

25 I hope yesterday in the discussions -- and it is

1 certainly one of the few things that could help them work
2 effectively within the limited resource problem that they
3 have -- I hope that one of the things that came out of it
4 was an understanding, on their part, that they ought to come
5 clean on these cases. They ought to just tell us that we
6 believe this is good enough for the particular problem for
7 the following reasons. It is clearly not the best analysis,
8 and go from there. But, that is the nature of some of the
9 difficulty that really we have had in March and in some
10 parts of the meeting yesterday as well.

11 MR. CATTON: I don't know that we fully got that
12 point across.

13 MR. SEALE: Well, I hope -- yes -- that is
14 something to look for I think in the next few stages of this
15 process.

16 MR. CARROLL: How does the Thadani Task Force fit
17 into all of this?

18 MR. CATTON: The Thadani Task Force, as I
19 understand it, was brought together because Neal Tadreas,
20 who is the head of the NSRRC, said you guys had better
21 address the questions that are coming up about your codes,
22 because if you don't do it here, you are going to get to do
23 it later at hearings. I am assuming that this was -- at
24 least that is the feeling I got. The report I believe was
25 given to Beckjord last week.

1 MR. CARROLL: So, the Thadani Task Force has
2 completed its work?

3 MR. CATTON: Yes. We do not have a copy yet.

4 MR. BOEHNERT: Yes. They said they had to see
5 about making further distributions. I guess we may have to
6 push a little bit.

7 MR. CATTON: I don't know why we can't ask for it.

8 MR. WILKINS: If you run into any resistance, let
9 me know and we will try to use a different route.

10 MR. CATTON: Well, we have been told we can have
11 anything we want.

12 MR. WILKINS: In principle, I am prepared to go
13 all the way to Selin to make sure we get everything we want.

14 MR. CARROLL: Failing that, we have got the
15 Freedom of Information Act.

16 [Laughter.]

17 MR. WYLIE: Wouldn't that be a kick in the air.

18 MR. CATTON: It will be very interesting to see -
19 - you know, and particular, because Thadani was the Chairman
20 of that Committee and Thadani is the one who needs to have
21 the capability. So, I would expect he is very concerned
22 about the timeliness of things.

23 MR. CARROLL: He is probably also the point man in
24 terms of the hearing.

25 MR. CATTON: That's right. And he fully

1 understands that. That makes what Bob was saying all the
2 more important. When they put those natural convection
3 correlations up there for treating condensation, this is
4 just -- I mean, I would float somebody in the lowest level
5 heat transfer course for doing something like that. Now, it
6 is probably relatively unimportant. But, if that guy can't
7 get up there and tell you why it is relatively unimportant,
8 and if he can't defend its unimportance, what the hell is he
9 going to do in a hearing?

10 MR. SEALE: That is right.

11 MR. CATTON: The lawyers will kill him.

12 MR. SEALE: That's right.

13 MR. CATTON: I think a lot of the direction that
14 we have been taking is just that.

15 MR. CARROLL: You see a lot of that come through
16 on that table that was attached to the Thadani stuff we got,
17 where they consider ACRS consultant so and so's comment of
18 low priority because the answer isn't really very important.

19 MR. CATTON: They need to give the next sentence.
20 And without the why, they may well be right. Because when
21 you sit back here and he puts the thing up there, you see
22 that the correlation is absolutely inappropriate. I mean,
23 it is just wrong. Well, if it really doesn't matter --
24 well, first, why can't they use the right correlation? It
25 take about the same amount of computer time to do that. It

1 takes a guy with just a little bit of knowledge to pick the
2 right correlation.

3 MR. WILKINS: And it is just as easy to program.

4 MR. CATTON: That's right. Well, it takes
5 probably six months to program that correlation. We will
6 accept that. At least tell us why it doesn't matter.

7 MR. KRESS: A lot of the times though their
8 assessment of the importance of it is made by using the code
9 that has the wrong correlation in it.

10 MR. CATTON: And what they don't seem to
11 understand is that when you have an interface and there is a
12 process on either side of the interface and one of them
13 dominates, the other one doesn't matter. But, what about
14 the next set of circumstances where they are using this
15 general heat transfer package and it does matter? So,
16 unless you picked the right problem to look at, you don't
17 know whether you have demonstrated it doesn't matter. All
18 you have demonstrated is that for that particular
19 circumstance it doesn't matter.

20 I mean, they use the comparisons with George
21 Bankhoff's tests, where he actually had a flow of water in a
22 bottom of a chamber and steam and he would watch the
23 condensation on the surface. Well, they used -- they did a
24 calculation for that using RELAP five and the answers look
25 reasonably okay. But, they used a ditasfelter correlation

1 in order to get the heat transfer coefficient. The
2 ditasfelter correlation is not correct. It is for a pipe.

3 MR. KRESS: It is not even relevant.

4 MR. CATTON: Yet, because it is so built into
5 codes like RELAP5 or Track, it is used for everything. It
6 is just fortunate that, in a number of circumstances, like a
7 thick-walled pipe, the pipe thermal characteristics are what
8 dominate the process so it doesn't matter what you use. So,
9 you have got all of these cases where it really doesn't
10 matter. Now you look at one where it might --

11 MR. WILKINS: And they don't have a leg to stand
12 on.

13 MR. CATTON: That's right. And the thing is that
14 most of the problems that are chosen it just happens not to
15 matter.

16 Anyway, I thought it was a very good meeting.

17 MR. WILKINS: Let me say that I attended most of
18 this meeting and I was impressed by the give and take
19 between the contractor personnel and also this Mr. Kelly,
20 who I have referred to from NRR -- no, he is RES -- and our
21 consultants and members of the Subcommittee. It was a much
22 more constructive kind of interaction than I observed in
23 Idaho Falls in March. That is a real positive step forward.
24 From a philosophical point of view, I always wonder about
25 the appropriateness of the ACRS trying to micro-manage the

1 activities of Research. But, this is an area where, as Ivan
2 has said, we have pushed -- he has pushed, the Subcommittee
3 has pushed very hard, and there are starting to be some
4 results that are definitely positive and definitely
5 beneficial to the program.

6 I think I am going to call a break. We will
7 resume at 11:00 o'clock.

8 [Recess.]

9 MR. WILKINS: Will the Committee members, please
10 take their seats?

11 All right. Let's reconvene the session.

12 The next agenda item is to hear a discussion of
13 the public workshop on license renewal, and Mr. Lindblad is
14 the cognizant Subcommittee Chairman.

15 MR. LINDBLAD: This is a briefing, as the agenda
16 indicates. While we don't anticipate a need for a letter
17 from the Committee, it's very possible that in the course of
18 Mr. Newberry's presentation we'll find reason to. But we're
19 not going into it with the thought that a letter is required
20 at this point.

21 The meeting was held about six months ago and
22 Scott has prepared a presentation that deals with the
23 comments and the views of the staff with regard to this.
24 And I'll turn it over to Mr. Newberry.

25 MR. NEWBERRY: Okay. Thank you, Mr. Lindblad.

1 Good morning. My name is Scott Newberry. I'm the
2 Director of the License Renewal Project Directorate in NNR.

3 What I'd like to cover today is a summary of the
4 more significant comments that we received at our workshop,
5 as well as the activities that have occurred since the
6 workshop. The most significant of which are the proposals
7 that we recently made to the Commission in SECY-93-331 in
8 early December.

9 The SECY paper addresses how we think considerably
10 more credit should be given for existing programs and plants
11 and specifically recommends how we could better integrate
12 the maintenance rule directly into the license renewal rule.

13 I want to point out here before I get into the
14 presentation that the SECY paper 331 does include in an
15 attachment specific rulemaking language that we have
16 recommended as a starting point for moving towards proposed
17 rulemaking.

18 I hadn't -- I don't plan on specifically in my
19 remarks getting into the particular words in that
20 rulemaking. We can, if you have questions. But the way I
21 have set up the presentation is to really talk about the key
22 issues that are pertinent for the approach that we're
23 recommending to the Commission.

24 I'll try to emphasize progress since we last
25 talked and, of course, the changes that we've made since we

1 last talked. I'll try to stay away from the jargon. I
2 think we have a habit of moving into jargon here in license
3 renewal with many acronyms. And please stop me -- I know
4 you will, if I say something you don't understand.

5 Most of my comments pertain to what's happened
6 since we last talked, but I just have one brief viewgraph on
7 background.

8 Since the rule became effective, of course you're
9 aware as the staff and industry started to gain
10 implementation experience with it, we received considerable
11 comments from the industry that without at least more
12 implementation guidance the process was simply too
13 burdensome and was not really sufficiently stable or
14 predictable to proceed with an application.

15 So about a year ago, a little more than a year
16 ago, an NRC senior staff management review of the rule and
17 the process was undertaken and two SECY papers with
18 recommendations were developed last Spring, 049 and 113,
19 which contain implementation approaches which we thought
20 could make the rule more workable.

21 Now within the language of the existing rule the
22 approach recommended in those papers attempted to lighten
23 the burden by giving more credit to existing programs within
24 the context of the current rule.

25 That credit was you still had a broad definition

1 of what was considered to be age-related degradation unique
2 to license renewal, a term I'll use considerably today. But
3 the credit was given in the context of discussing the
4 necessary content and the application for these effective
5 programs that would be required by the rule.

6 We developed those approaches and met with you
7 several times earlier last year to discuss them. Of course,
8 you responded with your letters.

9 Now, potential renewal applicants and industry
10 and, of course, the Committee, after those presentations and
11 approaches in the SECY papers, I think still had rather
12 substantial concerns regarding the amount of documentation
13 even with revised approaches that would be drawn into the
14 regulatory process, change control systems, things of that
15 nature.

16 As a matter of fact, looking back at your June 18
17 letter, you offered that much more could be done to reduce
18 the necessary scope of license renewal review by giving full
19 credit to maintenance programs currently in place at plants
20 during the initial term of the license and that the rule
21 should be changed.

22 You recommended specifically that the rule should
23 be changed to permit the staff to recognize these programs.

24 So, that was in June. Later in June we did
25 receive an SRM from the Commission directing us to conduct a

1 workshop with a special emphasis of how best to take
2 advantage of existing programs.

3 And so, I'll move on and get into the workshop.

4 The License Renewal Workshop was held in September
5 and was attended by more than 180 representatives of the
6 nuclear industry, engineering and consulting firms, federal
7 and state agencies and a few public interest groups.

8 Those who accepted our invitation to make actual
9 presentations included representatives from the Department
10 of Energy, NUMARC, Yankee Atomic Electric Company -- and
11 Yankee Atomic. Written comments were received from these
12 organizations as well as others; Ohio Citizens for
13 Responsible Energy and Virginia Power Company.

14 Copies of the workshop transcript and these
15 written comments have been provided to the Commission and
16 the Committee, I believe, and were also made available to
17 the public.

18 All presenters -- all presenters and commenters at
19 the workshop indicated that the rule needed to be changed.

20 DOE and industry organizations all indicated the
21 need to simplify the rule; to place more explicit reliance
22 on existing licensee programs, and particularly on programs
23 which are required as a result of the maintenance rule.

24 They argued that the existing programs and the
25 current NRC regulatory process, as enhanced by the

1 maintenance rule, already focused on ensuring functionality
2 of important structures and components. That these
3 programs, if simply continued into the renewal period --
4 because they were continued into the renewal period, that as
5 a result, specific technical evaluations for this equipment
6 shouldn't be required to support an agency license renewal
7 decision.

8 Let me get into a little bit of the substance, at
9 least in a general way, of the comments at the workshop.

10 So to accomplish this objective, the Department of
11 Energy and NUMARC recommended a retention of the integrated
12 plan assessment methodology in the rule and the concept of
13 age-related degradation unique to license renewal.

14 I'll talk about that more -- ARDUTLR. The
15 definition of what ARDUTLR is and is not, however, would be
16 significantly changed. The new definition would be used to
17 establish a license renewal review focus on a certain set of
18 long-lived passive structures and components and on other
19 structures and components whose importance to license
20 renewal -- having important license renewal functions, as
21 defined in the rule, would not be assured by existing
22 programs or the maintenance rule implementation
23 requirements.

24 Specifically, the proposal would establish via the
25 rule -- via rulemaking, that except for these certain long-

1 lived passive structures and components all structures and
2 components subject to the maintenance rule -- all structures
3 and components subject to the maintenance rule would not,
4 cannot be subject to age-related degradation unique to
5 license renewal.

6 Since the staff recommendations for proceeding
7 with rulemaking are quite similar to this NUMARC proposal,
8 I'll explain this in more detail in a few minutes by
9 including some of the differences that have been identified
10 between our approach and the NUMARC proposal.

11 I'll mention a couple of the other important
12 comments from the workshop, but in contrast to the NUMARC
13 approach, to their proposal, Yankee Atomic and Virginia
14 Power recommended that the term ARDUTLR be eliminated
15 altogether. They believe that the term is an obstacle to
16 establishing a simple straightforward license renewal
17 process. They viewed it as a confusing term and it simply
18 does not account for the fact that aging is a continuous
19 process regardless of time and does not have any unique
20 characteristics in the renewal term as opposed to the
21 initial operating term.

22 Yankee Atomic's proposal would also eliminate the
23 integrated plan assessment methodology currently in the
24 rule, and their revised rule would establish a requirement
25 for review of programs applicable to the reactor vessel

1 containment -- you know, specific important structures and
2 other long-lived equipment to ensure that their functions
3 would be reasonably assured in the renewal term.

4 Yankee's proposal would also include the
5 evaluation of all time limited exemptions and time limited
6 analytical assumptions which are a part of a plant's current
7 licensing basis.

8 MR. CARROLL: What does that mean, Scott, time
9 limited?

10 MR. NEWBERRY: Time limited means -- I've got
11 viewgraph on that later, but it's an important point. Those
12 analyses for plants where a time limit, a 40-year -- you
13 know, the intended plant life, was explicitly used, not
14 indirectly but explicitly used in a calculation such that
15 you simply would have to technically consider 60 years.

16 MR. CARROLL: Like the number of heating and
17 cooling cycles on a vessel in 40 years?

18 MR. NEWBERRY: If explicitly; yes. Not
19 indirectly. Right.

20 MR. CARROLL: Fluids?

21 MR. NEWBERRY: Fluids, I think, is probably the
22 best example. There aren't many to my knowledge. We've
23 looked and haven't found too many, but those are certainly
24 two examples.

25 The only non-government or non-industry comments

1 the staff received were submitted in writing from the Ohio
2 Citizens for Responsible Energy, and that was subsequent to
3 the workshop. The OCRE, O-C-R-E comments, urged elimination
4 of the ARDUTLR term in favor of a broader focus, broader
5 review of the management of age-related degradation in
6 general.

7 They also indicated the belief that ARD mechanisms
8 could be different in the renewal term and that licensee
9 programs that are adequate today might therefore not be
10 adequate in the renewal term.

11 They made a number of other points. One concern
12 was that documentation to support the license renewal
13 application might not be contained in the application, such
14 that might not be available for public scrutiny. That's not
15 a directly related issue to what we're talking about today,
16 but issues like that are certainly going to be germane to
17 what we're going to have to think about in rulemaking.

18 MR. CARROLL: Help me out. Now where do we stand
19 right now? There is a rule on the street, or --

20 MR. NEWBERRY: There's a rule on the street. Part
21 54 is on the street.

22 MR. CARROLL: And what we're talking about it how
23 to modify it to have it make --

24 MR. NEWBERRY: Right. You'll see my final
25 recommendation today to this proposal to go to rulemaking to

1 modify the existing rule.

2 MR. CARROLL: And for a while there there was some
3 thought that maybe we could finesse the thing by a policy
4 statement that would explain what the rule meant?

5 MR. NEWBERRY: Yes, yes. Within that rule, with
6 the constraints of the rule, the Statement of Considerations
7 which supports the rule. I think we did make progress to
8 make it more workable and I think this is one point here
9 where we made substantial progress, but given the input at
10 the workshop, we think it's time to go ahead and change the
11 rule.

12 Our recommendations for proceeding to revise Part
13 54, based on our consideration of the input we've received
14 so far, I think can be addressed in a number of key issues,
15 as I mentioned earlier. So the next few slides are on these
16 key issues, and that's what I'll go through now.

17 [Slide.]

18 MR. NEWBERRY: The first one, which we addressed
19 actually previously with the Committee in our presentations
20 earlier last year -- and the Commission -- and which has
21 continued to receive some significant attention as recently
22 as the workshop, is the issue of whether or not license
23 renewal should require a detailed evaluation of aging
24 mechanisms.

25 The alternative to this would be a focus on

1 identifying the effects of aging on important plant
2 equipment in terms of degraded performance or condition.
3 Although a technical understanding of the aging mechanisms
4 that are applicable plays a role in developing your
5 monitoring programs and requirements at the plant, the focus
6 of management on aging today is principally on monitoring
7 performance, plant equipment, condition of plant equipment.

8 Performance and condition monitoring is relied
9 upon to ensure equipment functionality against the effects
10 of aging, regardless of the specific mechanisms involved.

11 Now the existing rule Statement of Considerations
12 we think contains conflicting language on the need for an
13 aging mechanism evaluation versus a reliance on a monitoring
14 program to look at aging effects. So, this was identified
15 in our previous SECY papers and as I said, I think we talked
16 to you about this before.

17 And in these papers we acknowledged the
18 inconsistencies in the SOC, Statement of Considerations. We
19 also pointed out importantly that we thought the rule
20 language didn't specify the need for this type of
21 mechanistic evaluation. And we endorsed the technical
22 adequacy from a safety point of view of performance and
23 condition monitoring as being appropriate to manage aging
24 not only today but in the renewal term.

25 Our current proposal continues to endorse the

1 appropriateness of programs which focus on performance and
2 condition monitoring, and so we've recommended that if the
3 Commission approves our recommendation to revise the rule,
4 that the Statement of Consideration needs to be made much
5 more clearer. That we would not require in all cases a
6 specific mechanistic evaluation for aging mechanisms that
7 might occur.

8 As I said, this really flows from actually the
9 senior management review a year ago on the original rule.
10 And this would have been a change we would have made without
11 rulemaking, but since we think we're going to change the
12 rule -- should change the rule, we will do some additional
13 improvement.

14 Current licensing basis. The concept of current
15 licensing basis as it's used on Part 54 is focused on what's
16 required to demonstrate that this COB, if you will, Current
17 Licensing Basis, will be maintained throughout the renewal
18 term.

19 This concept is an important one. It's
20 fundamental to the rule, the current rule, and is actually
21 included in the two principles discussed in the Statement of
22 Consideration for the rule.

23 It's the adequacy of the COB, the Current
24 Licensing Basis, ensured by the broad range of regulatory
25 processes that the NRC oversees which has been used by the

1 Commission in Part 54 to conclude that only ARDUTLR, age-
2 related degradation unique to license renewal, should be the
3 focus of license renewal and that other issues, issues
4 previously considered, a broad range of issues that when a
5 plant is initially licensed and operated, need not -- need
6 not be evaluated for license renewal.

7 The specific issue that's been raised and raised
8 now and has begun to get raised more and more as we looked
9 at examples and were implementing the rule with respect to
10 maintaining the current licensing basis, is whether or not
11 the application or review should have an exclusive focus on
12 ensuring equipment function and whether this is a sufficient
13 basis for concluding that the COB can be maintained or will
14 be maintained.

15 Our proposal modifying Part 54 endorses this focus
16 to ensure that the equipment will be able to perform its
17 function during the renewal term.

18 If you look at the definition of what the current
19 licensing basis is, which is defined in Part 54 -- and we
20 would not change that -- is very broad. The definition is
21 very broad and it encompasses many aspects of the regulatory
22 process. Such things as technical specifications,
23 requirements that look at operational aspects of the plant,
24 as well as design aspects of the plant, original design
25 aspects of the plant in some cases.

1 And it's our belief that the license renewal focus
2 should provide the flexibility to focus in on functionality.
3 All COB programs, and I think as you have pointed out to us
4 in your last letter, will carry over into the renewal term.
5 To implement that point would require a rule change and
6 we've recommended that to the Commission.

7 Age-related degradation unique to license renewal
8 is the next important issue. Perhaps the most important
9 issue. This issue has been very controversial to date. I
10 think just as a point of background, the term was introduced
11 relatively late in the Commission's final rulemaking
12 decision.

13 The purpose -- and it was good purpose -- to focus
14 on issues that were uniquely relevant and applicable to the
15 license renewal period.

16 Our experience has been that the current
17 definition, however, has not been totally successful in
18 focusing the renewal review. We've certainly had a lot of
19 discussion at the workshop on this and in virtually every
20 meeting we've had on license renewal on what age-related
21 degradation unique to license renewal is or is not.

22 The current definition results in a relatively
23 large portion of the plant at least being subject to the
24 possibility of ARDUTLR. We pointed that out to you the last
25 time we were here. It's what the definition results in.

1 Although the previous staff proposals have
2 indicated how such equipment could be dispositioned with
3 relatively little information based on existing programs,
4 again, the industry, as I said, has expressed fundamental
5 concern with this approach because of the still significant
6 regulatory burden.

7 As I mentioned, while some industry commenters
8 would eliminate the term altogether, the NUMARC proposal
9 would retain it and retain it as a vehicle or a means to
10 focus the license renewal review. They would, however,
11 significantly, as I mentioned, modify the definition to more
12 directly credit existing programs. And this is where I
13 think one of the major changes we are recommending takes
14 place in the redefinition of ARDUTLR and would thereby
15 greatly reduce the amount of the plant equipment that would
16 be identified as subject to or even possibly subject to
17 ARDUTLR.

18 In developing our position on license renewal, we
19 took a hard look I think at this point. And I think I
20 should point out to the Committee, we think there's
21 advantages and disadvantages of retaining the ARDUTLR
22 concept. We think it's a useful vehicle to better focus the
23 license renewal review and limit the issues to those
24 stipulated by the Commission and clarified in the Statement
25 of Considerations.

1 On the other hand, the term unique aging I think
2 can be confusing and I think it gives me -- us trouble with
3 our technical understanding of how aging is a continuous
4 process. The processes in place at the plant in year 39 are
5 really no different than those in place at year 41. But I
6 think on balance our proposal recommends the retention of
7 the term primarily as a means to continue to focus the
8 renewal review.

9 I met with the Commission just before the holiday
10 and told them that we felt this was a close call, but we do
11 believe that a rule can be developed and effectively
12 implemented doing it this way. But we also acknowledge that
13 we thought you could come up with an effective rule without
14 the term ARDUTLR. As I said, it was a close call.

15 Our proposal to retain ARDUTLR does recognize I
16 think -- and this is an important point -- that NUMARC
17 represents the industry on this point, particularly those
18 industry organizations which are actively involved in
19 license renewal, have been involved and are involved today.
20 And they've endorsed retention of the ARDUTLR concept.

21 I think another factor is that the term itself is
22 a principle element in the current rule -- in the
23 principles, actual principles for the original license
24 renewal rule, which we think are good and should be
25 retained.

1 And related to that then, by not revising the
2 principles but by explaining ourselves in the Statement of
3 Considerations, perhaps the rulemaking could be more
4 efficient.

5 So, --

6 MR. LINDBLAD: Mr. Newberry, I understand you to
7 say that you're proposing keeping the term. But did I
8 understand that the definition or the description of what
9 the term is intended to mean will change?

10 MR. NEWBERRY: It sure will. And that's what I'm
11 going to go through right now.

12 MR. LINDBLAD: And before we leave this slide,
13 where are you say in the slide "concept explicitly linked to
14 first principle," can you remind me again what the first
15 principle was?

16 MR. NEWBERRY: Yes.

17 MR. LINDBLAD: Is that the first principle of
18 mechanics or does it have to do with the rulemaking itself?

19 MR. NEWBERRY: Principles of license renewal.

20 MR. LINDBLAD: And so it's that long one there?

21 MR. NEWBERRY: It's that long one that talks about
22 our reliance on the regulatory process with this exception.
23 So we're going to redefine the exception.

24 MR. LINDBLAD: Thank you.

25 MR. CARROLL: I'm disappointed that that's the way

1 it came out. I wanted to hear about the first principle of
2 mechanics.

3 MR. KRESS: Stress is proportional to strain or
4 vice versa.

5 MR. CARROLL: And that's true of Bingham Plastics,
6 is it?

7 MR. NEWBERRY: Okay. I'm going to discuss now the
8 four points on the viewgraph, use the main aspects of the
9 redefinition of ARDUTLR and really constitute what the focus
10 of license renewal would be.

11 The first one is it would be a principle focus on
12 certain passive long-lived structures and components that
13 would be specified in the rule. The rule would require an
14 applicant to carry out a relatively detailed evaluation of
15 plant equipment which is not normally replaced and which
16 performs a passive important to license renewal function.
17 Only those functions that are, for example, safety related
18 rather than other non-safety related functions. We use the
19 term important to license renewal function.

20 Important equipment, such as the reactor vessel,
21 associated primary system piping and the containment whose
22 failure would result in a functional system failure -- that
23 is, they're non-redundant -- would be specifically evaluated
24 and the evaluation results would be included in the license
25 renewal application. This is the primary focus for what

1 ARDUTLR is.

2 MR. SHACK: I'm probably getting ahead of you
3 here, but since you're going to list these components
4 specifically in the rule, what's the purpose of the
5 integrated plan assessment?

6 MR. NEWBERRY: No.

7 MR. SHACK: Oh, you're not?

8 MR. NEWBERRY: No.

9 MR. SHACK: I thought you said you were.

10 MR. NEWBERRY: No. That has been a proposal.
11 This would be done by each plant in their application based
12 on what is in their current licensing basis. They would
13 methodically do that and then do the evaluation.

14 Sorry. I didn't -- that's a good question. You
15 should understand that.

16 MR. DAVIS: Scott, what did you have in mind with
17 respect to the containment? Are you concerned about the
18 penetrations or the structure itself? Is an applicant
19 really going to know what he's supposed to do with the
20 containment?

21 MR. NEWBERRY: Let me try to answer your question,
22 Pete, by not answering your question. And that is, I think
23 what I'm trying to go through here is a process rather than
24 a particular equipment or structure concern.

25 In that first point there, rather than me telling

1 you why I'm particularly concerned about the containment,
2 I'm deciding that if they get down in here there's much of
3 the plant that I'm not going to look at in license renewal.
4 Diesel generators, MOV's, redundant, active equipment, maybe
5 even passive equipment. But we're going to focus on the
6 containment, including things like penetration, I suppose,
7 but --

8 MR. DAVIS: But -- okay. It's only because it's a
9 passive part of the system that puts it on the list?

10 MR. NEWBERRY: Yes. It's passive. And should
11 there be a failure, you've lost that function. I think
12 that's the key. A single failure, if you will, you have
13 lost the function as opposed to a single failure in most
14 other systems in the plant.

15 MR. DAVIS: But part of the containment system is
16 active like the containment isolation.

17 MR. NEWBERRY: That's correct. Good question.
18 You're getting ahead here, but this is important.

19 Containment isolation and active control system or
20 engineered safety features which would actuate the
21 containment isolation or sprays or what have you, would
22 under Number 2 be categorically excluded from the license
23 renewal review.

24 We would rely on the regulatory process, what
25 we're doing today, to ensure that those systems are doing

1 their job ensuring that plant operates. So under Number 1,
2 we're going to take a piece of this plant and it would
3 become the focus of the license renewal; the reactor vessel,
4 the containment, single tanks, parts of the plant that
5 should they fail you're lost the important function.

6 We've talked a long time about that; where to draw
7 that line. We've spent many hours going back and forth with
8 the industry talking about that.

9 MR. SEALE: Well, similarly, with some
10 penetrations that would you perhaps rework under your Number
11 3, I assume?

12 MR. NEWBERRY: Yes. You're ahead of me.

13 MR. CARROLL: One example of ARDUTLR --

14 MR. NEWBERRY: I didn't say that.

15 MR. CARROLL: I know. -- on containment, would be
16 some of the PWR containments that are experiencing
17 corrosion.

18 MR. NEWBERRY: Yes, sir. Yes, sir.

19 MR. CARROLL: That's certainly age related.

20 MR. KRESS: Would some redundant passive systems
21 or components be subject to simultaneous aging?

22 MR. NEWBERRY: Yes, sir.

23 MR. KRESS: Why would they then be categorically
24 excluded from consideration?

25 MR. NEWBERRY: It's a good question. That's

1 probably the one we spent the most time on asking ourselves.
2 And in fact, some of our earlier proposals said let's draw
3 the line between active and passive because of that concern.
4 And it's a judgment call on where to focus license renewal
5 and we concluded -- and we have a surge in those areas and
6 there are some concerns today in those areas, we should be
7 doing something about them today rather than in license
8 renewal.

9 MR. CARROLL: Yes. I think the answer is the
10 maintenance rule should, if properly implemented, take care
11 of that.

12 MR. KRESS: I see. That is it. I see. There's
13 more to the sentence than first light.

14 MR. NEWBERRY: Right. I think in discussions with
15 the Committee here we were asked the question about why are
16 we looking at a particular issue in license renewal as
17 opposed to following our process to look at the issue on
18 operating reactors. And I think that's the way we're going
19 through the maintenance rule and regulatory programs that
20 way.

21 MR. CARROLL: And later today we will be asking
22 your colleagues that are working on operational reliability
23 assurance programs that same question.

24 MR. NEWBERRY: Okay. So, just before I leave the
25 first point there, let me just say something. If additional

1 programs are determined to be needed to manage the effects
2 of aging under Number 1, the license renewal applicant looks
3 at it. The staff looks at it. There's that focused review.

4 That structure component would be identified as
5 subject to ARDUTLR and then you'd go into the rule and say,
6 okay, now what do I do about ARDUTLR.

7 Prior to that -- prior to this approach, much of
8 the plant was there. We were down to perhaps a major
9 fraction of the components in the plant as being subject to
10 ARDUTLR and then into effective programs.

11 Number 1 would lead you to the possibility of the
12 need for effective programs only if you find that current
13 programs are determined to be in need of supplement.

14 MR. CARROLL: Let's take as an example the cooling
15 water storage tanks, the PWR. Suppose -- I don't know what
16 the practice is but suppose the utility every five years has
17 during a refueling outage gone in looking at the tank and
18 making sure that there's no internal corrosion problems and
19 checking it externally and checking the bolting to see that
20 it's held down properly on some regular basis, would that be
21 a basis for excluding that?

22 MR. NEWBERRY: If we would look at it and agree,
23 it certainly would.

24 MR. CARROLL: Just simply because it's a passive
25 long-lived component that you don't do any direct

1 maintenance on ordinarily doesn't mean that it gets backed
2 into 1?

3 MR. NEWBERRY: Because it's passive and long-
4 lived means that the applicant would give us an evaluation
5 on it. And perhaps the evaluation contained just what you
6 suggested. We would review that. And if we agreed aging
7 was being managed adequately with reasonable assurance, the
8 conclusion that there would be no ARDUTLR could be an
9 acceptable conclusion. And that's the end of it. But there
10 would be an application and a review, no categorical
11 exclusion. That would be the focus of the review on tanks
12 and plants.

13 MR. CARROLL: Okay. Good. You're making progress.

14 MR. NEWBERRY: I think the second point here is
15 important, too. The second practical effect of the proposed
16 definition would be an explicit allowance in the rule that
17 active SC's -- I'm looking for what an active structure is,
18 but bear with me. Active SC's. Let's make sure we're
19 covering everything here.

20 Active SC's and redundant passive SC's which are
21 within the scope of the maintenance rule cannot be subject
22 to ARDUTLR. We use the term categorical exclusion. That
23 is, in the rule this would be made clear and this is a
24 position that provides, and we believe certainly, maximum
25 credit for licensee programs which are or will be in place

1 to meet the requirements of the maintenance rule.

2 We recognize that this is a significant change
3 that is going to require considerable justification in the
4 new Statement of Considerations or the rule. We have to
5 justify ourselves. But we think that we can support this
6 justification based on our experience with maintenance
7 programs in the past and today and, of course, our
8 expectations on what's going to happen with implementation
9 of the maintenance rule which you're all familiar with,
10 which has been required now to supplement the regulatory
11 process.

12 That's all I plan to say about categorical
13 exclusion on Number 2.

14 Now, there's a question here about Number 3. The
15 next effect of our proposed definition is the specification
16 of equipment which is replaced to preclude a service life
17 greater than 40 years would also be identified quickly is
18 not subject to ARDUTLR. The applicant would tell us that
19 and that's sufficient. That could apply to a considerable
20 amount of equipment in the plant.

21 Of course, we took this position in our proposals
22 last Spring and I think we discussed it with you. And we
23 don't see it as a big change from what we said before. But
24 I think it's still an important one with respect to focusing
25 the license renewal review.

1 The last point in the revised definition would
2 permit structures and components which are not subject to
3 the maintenance rule also to be determined as not subject to
4 ARDUTLR. Now, this in our view should not be a categorical
5 exclusion as we've proposed it but would require some
6 information in the application as a minimum. For example, a
7 reference perhaps to the presence of the program at the
8 plant. And this is one area, I should point out, where I
9 think we have some difference with NUMARC.

10 NUMARC --

11 MR. CARROLL: Help me out. I thought the
12 definition of what is included in the maintenance rule was
13 very broad. It's more than safety related. It's important
14 to safety.

15 What is not included under the maintenance rule?

16 MR. NEWBERRY: Not much. Very small set of
17 equipment here.

18 MR. CARROLL: Name one piece?

19 MR. NEWBERRY: Fire protection.

20 MR. CARROLL: That isn't covered by the
21 maintenance rule?

22 MR. NEWBERRY: I don't believe so. Now, unless -
23 - not explicitly, but --

24 MR. CARROLL: If I'm going to use it in some
25 severe accident mitigation system, it would be?

1 MR. NEWBERRY: Yes, yes. The proposal that we
2 reacted to here was that for equipment in a plant that was
3 not in the scope of the maintenance rule but there was a
4 program somewhere in the CLB in the licensing basis on the
5 docket, there would be categorical exclusion. Based on what
6 we knew, questions like you just asked, we weren't sure
7 what that was. Therefore, we said, at least tell us in the
8 application what that is.

9 MR. CARROLL: If there are any of these guys?

10 MR. NEWBERRY: Yes. And that's why I said in terms
11 of the level of detail, it would probably be a reference or
12 a statement about what the program was.

13 MR. CARROLL: Okay.

14 MR. NEWBERRY: So I think your questions were
15 helpful in me going through those four. They are four
16 important points and I think, you know, just in summary on
17 this definition, I think I said it but I'll reemphasize it.
18 In practical terms the result is going to be a much reduced
19 amount of plant equipment being identified as either subject
20 to or possibly subject to age-related degradation unique to
21 license renewal.

22 Now, Mr. Carroll already asked me a question on
23 time limited issues and I think I responded. I gave the
24 example of reactor vessel toughness, surveillance
25 requirements. These are certainly two examples.

1 Now I think to support operation beyond 40 years,
2 it is our view that these issues would need to be -- the
3 evaluations of these issues would need to be carried out by
4 a licensee and approved by the NRC.

5 We've tried to take a pretty good look at plants
6 to see how many kinds of these issues there are and we
7 haven't found very many. I'm not sure our look has been
8 exhaustive but we're pretty confident there aren't very many
9 issues.

10 Now in it's proposal for revised rulemaking NUMARC
11 indicated that although they agree that technical resolution
12 and staff approval would be require to support operation
13 beyond the time limited analysis point, I think it's their
14 view that these issues ought not be part of the license
15 renewal review. It would be a reliance on the regulatory
16 process.

17 So there's no technical disagreement as to whether
18 the issue has to be looked at by the licensee and looked at
19 by the staff. But I think we see it as a policy matter more
20 than a technical one and our recommendation as a policy
21 matter is to include these issues under the license renewal
22 review umbrella.

23 MR. SHACK: Just to get more concrete, for
24 example, would this mean that you would have to redo your
25 whole fatigue analysis or would you simply rely on your

1 inspection? That if you had a fatigue problem you'd find
2 it?

3 MR. NEWBERRY: That's a good question. I'm not
4 sure we've decided on what you'd have to do rather than
5 whether you have to consider it or not. Our recommendation
6 here is that it's on the table for license renewal. We're
7 still discussing it.

8 I had a call the other day about, well, what do
9 you think we have to do. If a plant comes in with an
10 application at year 22, 18 years away from your 40, would we
11 expect all the analyses to be done and included or
12 referenced in the application? I'm not sure. Well, what do
13 we want? At the other end, how's their commitment to meet
14 the code? Would that be sufficient? Well, I'm not sure
15 that's sufficient.

16 So I think we have to work that out to answer your
17 question.

18 MR. CARROLL: That brings up the issue of -- I
19 don't know what the lawyers call it, but if an applicant
20 makes a timely submittal at whatever year your regulations
21 are going to require and 40 years expires before the staff
22 settles all these issues. Can he keep operating?

23 What do you call that?

24 MR. LINDBLAD: The Administrative Procedures.

25 MR. CARROLL: Well, there's another term for it

1 and I can't think of what it is.

2 MR. TRAVERS: It's -- excuse me. I'm Bill
3 Travers, NRC. And I think the term is timely renewal. But
4 it is within the Administrative Procedures Act, more
5 specifically. And it does allow, Jay, as you say, for
6 continued operation in the face of continued staff review,
7 as long as that timely renewal period has been met.

8 In the case of license renewal, I believe it's
9 five years prior to the expiration of your license you have
10 to have all these things.

11 MR. CARROLL: Okay. And that would apply to both
12 the present version of the rule and to what you're
13 contemplating in the revision?

14 MR. NEWBERRY: Yes, sir. Yes, sir.

15 MR. CARROLL: All right. Thank you.

16 MR. NEWBERRY: So, in summary on this point, you
17 know, it was our view that with the old definition these
18 issues were captured by the definition. So as we
19 restructured the definition, they seemed to fall out, so we
20 have taken and inserted in our proposed rule with the paper,
21 a separate paragraph on time limited.

22 Our proposal retains the integrated plant
23 assessment concept. We believe that the IPA concept can be
24 used to systematically determine which plant equipment
25 should require additional review.

1 As with the existing rule, the IPA would begin
2 with essentially the entire plant. Following that, and
3 combined with the revised definition of ARDUTLR, we believe
4 that one can be provided with an effective and efficient
5 means to focus their renewal review. And so we have
6 retained this IPA concept. NUMARC has proposed that and we
7 agree.

8 MR. SHACK: Presumably because of the categorical
9 exclusions this would no longer wipe out the forest to do
10 it?

11 MR. NEWBERRY: Perhaps. Perhaps. I don't know
12 how big the forest would be to do that. It would take a
13 little work to do that screening to justify what is and is
14 not importance to license renewal. It's a good question.
15 My hope is that we can get a lot smarter, and I think the
16 industry can, on how to be effective.

17 MR. LINDBLAD: By then we'll be talking about the
18 bandwidth on the information highway.

19 MR. CARROLL: A number of the things we've been
20 discussing today, Scott, seem to me to be amenable to an
21 industry topical report approach that sort of fell apart in
22 the original license renewal thing. Does there seem to be
23 interest on the part of NUMARC and the industry in reviving
24 that effort?

25 MR. NEWBERRY: Yes. We're reminded continually

1 that we should be -- should we go to rulemaking -- be
2 prepared to continue to work with the industry. And that's
3 our intent. I think they're doing some reconfiguration in
4 terms of their focus because of the rule change, but there's
5 considerable activity in the owners groups to eventually
6 start coming in with topical type reports to do the things I
7 think that you're thinking about.

8 MR. CARROLL: Okay. That's good.

9 MR. NEWBERRY: The B&W Owners Group, Westinghouse
10 Owners Group and NUMARC have talked to us about those sorts
11 of activities.

12 MR. CARROLL: Okay.

13 MR. NEWBERRY: Part 54. In addition to the rule
14 changes I've already discussed, we've proposed or are
15 considering a number of other changes to the rule, if the
16 Commission agrees with us, if we're going to rulemaking.

17 Other changes identified in SECY-93-31 are focused
18 on doing conditional efficiencies based on this experience.
19 And particularly in the amount of information which needs to
20 be included in the FSAR supplement and as a result subject
21 to change processes and reporting requirements.

22 The proposal would permit much of the IPA
23 information to be submitted in the application for staff
24 review, but outside the FSAR supplement. For example, the
25 lists of equipment identified in each IPA step would not be

1 included in the FSAR supplement, such as they would not be
2 subject to the same regulatory oversight as what is required
3 for information in the FSAR.

4 The FSAR supplement would contain information
5 related to new or enhanced programs required to mitigate
6 ARDULTR and it would also contain a description of the
7 methodology used in preparing the application for actually
8 conducting the integrated plan assessment. It's this
9 information we believe should be subject to the stipulated
10 change processes rather than all the detailed information in
11 the IPA.

12 In addition, if rulemaking is undertaken, there's
13 a number of other areas in the rule and the Statement of
14 Considerations that we think need to be addressed. For
15 example, we've included in our draft definition, in an
16 attachment to the paper -- or in the draft or our proposed
17 rule, the attachment to the paper, a draft definition of
18 passive as far as license renewal is concerned.

19 We recognize that this is an important definition
20 given the approach that we're using here, but we think it
21 needs some additional consideration prior to issuing a
22 proposed rule. And we're still working on that one.

23 So, in conclusion, we've endorsed rulemaking in
24 our SECY paper. We think it's a substantial effort.
25 There's a lot of work to rewrite the Statement of

1 Considerations to justify our approach, but it's
2 fundamentally directed at a more explicit credit for
3 existing programs that are going to continue through the
4 initial term into the renewal period.

5 I think -- just making a note here. I think these
6 are the two major points in your June letter in terms of
7 need to change the rule and need to look at giving
8 considerably more credit to existing programs. That's our
9 intent here.

10 As previously noted, we would retain the concept
11 of ARDUTLR even though the definition would be significantly
12 altered and we would also retain the integrated plant
13 assessment approach for the screening.

14 Just a little bit on how we would do this. In our
15 paper, if the Commission does endorse rulemaking, we made an
16 estimate that a proposed rule could be forwarded to the
17 Commission within about four months of receiving direction
18 from them and we would target a final rule to be published
19 within about a year.

20 I think this, as far as the Committee concern,
21 would require close interaction between our staff working on
22 the rule and the Committee to achieve those milestones.
23 Given the nature of the proposed changes, we recognize it's
24 an ambitious schedule, but just say a few things about how
25 we're going to try to make it happen.

1 Working with the EDO in coordination with OGC and
2 the Office of Research, Dr. Murley has established a
3 dedicated rulemaking team led by NRR with OGC and research
4 support, which has already started to complete all elements
5 of the rulemaking package. And to assure high level
6 management attention, Dr. Murley has set up and will chair a
7 steering group that includes Jim Sniezek and Jim Milhuan,
8 Jack Haltamous from Research and Marty Mulcher, OGC.

9 So, I guess the last thing I'd point out in
10 addition to rulemaking -- this is what you're mentioning.
11 If that's what the Commission decides to do, we are planning
12 to continue efforts to work with the industry organizations
13 to identify generic technical resolutions, if you will, on
14 as many matters as they would propose, some we have to be
15 careful of that are going to be priority decisions we're
16 going to have to make, but we're certainly planning on doing
17 that.

18 And that concludes my presentation.

19 MR. DAVIS: Scott, remind me. When is the first
20 plant scheduled to go through this process? It's not for
21 several years yet, is it?

22 MR. NEWBERRY: Not for several years. Get some
23 help over there. It was '96. Maybe '97, in that range.

24 MR. DAVIS: For an application?

25 VOICE: B&W.

1 MR. NEWBERRY: Well, yes. B&W Owners Group is on
2 a generic license renewal program plan with a goal of an
3 application in '96 time frame.

4 MR. CARROLL: That's five years before whatever
5 plant's 40 years is up?

6 MR. NEWBERRY: Yes. It certainly is. I think I
7 shared with the Committee some more recent information that
8 there may be an earlier application. Virginia Power is
9 coming in to talk with us later this month. They're
10 actively considering what to do with respect to an
11 application.

12 MR. CARROLL: For Surrey?

13 MR. NEWBERRY: I'm not sure which of their units.
14 Do you know which one?

15 VOICE: All four.

16 MR. NEWBERRY: All four is the answer.

17 MR. CARROLL: Well, five years may be fine for the
18 NRC but from a planning standpoint I think the utility
19 really needs to do it a lot earlier than that because it
20 takes a long time to get new generation or live power or
21 whatever you're going to do.

22 MR. TRAVERS: If I could just make a comment. The
23 rule as it's configured today and as we would expect it to
24 remain allows for application submittals between 20 years
25 and 5 years of your fixed rate license, so there's a broad

1 window.

2 MR. CARROLL: But it has to be at least five
3 years.

4 MR. DAVIS: Has there been an estimate made,
5 Scott, on what it's going to take in terms of manpower for a
6 utility to respond to this rule, either you or NUMARC?

7 MR. NEWBERRY: Not to this one, I don't believe.
8 I think the estimates we had were for the original rule and
9 I could probably get my staff to give you an estimate.

10 MR. DAVIS: Just an order of magnitude.

11 MR. NEWBERRY: Steve, do you remember the
12 estimates in the original rule for a utility?

13 MR. CARROLL: I think Monticello told us it was
14 going to cost them \$70 million and the price was going up
15 every day, just before they pulled out of it.

16 MR. NEWBERRY: Our estimate was obviously lower.
17 I think it was \$20 [million] to \$30 [million], an average of
18 \$25 [million] to \$30 million, wasn't it, for an application?

19 VOICE: Yes.

20 MR. NEWBERRY: This, I would hope, would be
21 certainly lower. That's the intent.

22 MR. CARROLL: Now a couple of years ago I was very
23 frustrated but it didn't seem like the people on the staff
24 that were worrying about license renewal were talking to the
25 people on the staff with blinders on that were looking at

1 the maintenance rule. I take that situation has greatly
2 improved.

3 MR. NEWBERRY: It's improved.

4 MR. CARROLL: You understand the maintenance rule
5 and how it's going to be implemented?

6 MR. NEWBERRY: We're still learning but we're
7 working at it, I think harder than we were before and in
8 fact, we've moved staff that worked on the maintenance rule
9 under my group.

10 MR. CARROLL: Good.

11 MR. NEWBERRY: And they're working on the
12 rulemaking team.

13 MR. CARROLL: Now, how about these cowboys that
14 are working on operational reliability assurance? Do you
15 ever see them? Do you know what you're doing?

16 MR. NEWBERRY: Maybe that's an area we need to
17 look at. I'll take that to the next meeting.

18 MR. CATTON: We can't do everything once.

19 MR. CARROLL: We'll talk to them this afternoon.

20 MR. NEWBERRY: Any other questions?

21 MR. LINDBLAD: Any other questions of the
22 Committee for Mr. Newberry?

23 [No response.]

24 MR. LINDBLAD: Thank you very much, Scott.

25 MR. NEWBERRY: You're welcome.

1 MR. SEALE: Let me turn to our visitors. Anyone
2 over here from industry to say anything? It might be that
3 they want to add anything.

4 MS. GINSBERG: My name is Ellen Ginsberg. I'm the
5 Assistant General Counsel for NUMARC and as Scott has said,
6 a lot of the proposal that is represented in the SECY is
7 very similar to that which NUMARC recommended, so that we
8 are encouraged at the very least to see that license renewal
9 rule is moving forward and forward in a way that we think
10 will be productive for everyone concerned.

11 There are still some issues outstanding. I
12 suppose it comes as no surprise to anyone. And we are
13 continuing to work on them and to develop our views and our
14 positions. And as we do, we are committed to passing them
15 on to the NRC.

16 It's been very productive working with the NRC
17 thus far and we expect it to continue to be so as the rule
18 progresses.

19 Questions?

20 MR. CARROLL: I'm just curious. How large is the
21 inside law firm at NUMARC or the house counsel or whatever
22 you call yourself?

23 MS. GINSBERG: You're looking at a large laboring
24 oar and the other laboring oar is Bob Bishop who's the
25 General Counsel.

1 MR. CARROLL: Oh, there's just the two of you?

2 MS. GINSBERG: There are two of us. But we work
3 very, very closely with the other law firms who represent a
4 good portion of the industry with respect to licensing
5 issues.

6 MR. CARROLL: Thank you.

7 MR. WILKINS: All right. I believe when we
8 started this discussion there was an agreement that we did
9 not need to write a letter at this time, so I'd like to
10 thank Mr. Newberry and the lady from NUMARC.

11 And we have 25 minutes on the schedule.

12 [Off the record discussion.]

13 MR. WILKINS: All right. Do you want me to read
14 it again?

15 MR. CARROLL: I don't believe so.

16 MR. WILKINS: I don't believe we can get through
17 with it by 12:30 but we may make significant progress.

18 MR. CARROLL: One section that has had no
19 Committee discussion is beginning on page 7.

20 MR. WILKINS: Yes. Paragraphs 17, 18.

21 MR. LEWIS: I think you've made the point very
22 scholarly, learned and --

23 MR. CARROLL: I actually plagiarized Bill Kerr's
24 consultant report. That's why it sounds -- has all those
25 adjectives. It's plagiarized.

1 MR. LEWIS: With good sources you can't go wrong.

2 MR. WILKINS: All right. Why don't we do what Jay
3 suggests, then.

4 MR. CARROLL: And then when we get to page 7 we
5 could read that. That's new.

6 MR. WILKINS: We don't need this on the record.

7 [Whereupon, following an off the record
8 discussion, the luncheon recess was taken from 12:00 noon to
9 1:30 p.m.]

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

AFTERNOON SESSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

[1:30

p.m.]

MR. WILKINS: Let's convene the meeting. The next agenda items deals with core power stability, BWR core power stability, and Ivan is chairman for the thermohydraulics subcommittee, and I'm chairman of the core performance subcommittee. Ivan has agreed to take the meeting on this issue, so why don't I defer.

MR. CATTON: I'm not sure when I agreed, but I'll do it. I think it just sort of happened. What we're going to do today, I believe, is to be brought up to the -- the staff is going to bring us up to speed as to where they're at. Our interest early on has been strictly with the ATWS portion of the oscillation question. The ACRS wrote a letter a couple of years ago indicating that --

MR. BOEHNERT: 1989 -- It's in the notebook.

MR. CATTON: Four years ago. We were only interested in ATWS with oscillations because it wasn't the -- oscillations under normal operating conditions was not perceived as an extreme safety issue. The regulations or whatever that were in place would allow the staff to take care of it.

With regard to the ATWS with oscillations, we came to the understanding that a way of dealing with it is to

1 lower the level, and I guess there was a meeting at Santa
2 Barbara that I attended where I heard the owners group talk
3 about lowering the level well into the core. The reason
4 they do this is when they drop the level, they can cut way
5 down on the power, and this reduces the heating of the
6 suppression pool. You hold it there until you get all the
7 boron you want in, then you raise the level back up, and the
8 fluid starts to recirculate again and mixes the boron and
9 then you shut it down. The argument is that overall you put
10 less energy into the containment and therefore the threat is
11 less.

12 I have some concerns, and I've expressed them to
13 these people in the past about how fast you will mix in this
14 boron. See, as you lower the level, you get to the point
15 that the gross circulation around the core and back up
16 through the core stops. There's internal circulation. Now,
17 any boron that they dump in just sinks into the bottom of
18 the vessel. Now you raise the level and you start this
19 recirculation process, and the cross flow and the bottom
20 part has to mix the boron in before it will do you any good.
21 We were told that there's lots of evidence about the mixing,
22 but no matter how many times we request to see it, it's
23 either proprietary or not in hand.

24 Anyway, I think that's enough from me unless
25 anybody has any questions.

1 MR. LINDBLAD: And it goes down to the bottom of
2 the vessel on a density difference?

3 MR. CATTON: Yes, and then it just sits there
4 stratified.

5 MR. LINDBLAD: What's the temperature? It's
6 colder than fluid as well?

7 MR. CATTON: I'd have to ask. Is the temperature
8 of the --

9 MR. JONES: The injected fluid would be colder.

10 MR. CATTON: It is cold. So, it's cold and
11 salted, but the main thing is, you lose the circulation
12 around the core. As long as you have that circulation, the
13 tests done by Thefanous seem to point to really good mixing.

14 MR. CARROLL: Why do you lose circulation?

15 MR. CATTON: Oh, you drop the level down into the
16 core.

17 MR. KRESS: Along with the downcomer.

18 MR. CARROLL: I know that, but why do you lose it
19 in general? If you didn't drop level, wouldn't you get --

20 MR. CATTON: Oh, it would continue to circulate
21 until you boil away the water. If you're adding water, it
22 would continue to reflux like --

23 MR. CARROLL: Wouldn't you get good mixing?

24 MR. CATTON: As long as you have the
25 recirculation, yes. It's thought that that is not the -- it

1 stops because the level is dropped into the core.

2 MR. CARROLL: And it's thought that intentionally
3 dropping the level is the better strategy?

4 MR. CATTON: Well, what they do is because they
5 reduce the power that's being produced, this reduces the
6 amount of steam that's being dumped into the suppression
7 pool and reduced the insult to the containment. Really what
8 it gets to be is how reliable is the mixing process or will
9 it happen versus the insult to the containment, which is
10 worse.

11 MR. DAVIS: I think it also stops these power
12 oscillations.

13 MR. CATTON: Well it does, yes. Lower it stops
14 the power oscillations, but how far do you want to lower it?

15 MR. DAVIS: And how far do you have to lower it.
16 But that's the reason for lowering it.

17 MR. KRESS: I understand there's a race going on
18 between while you're waiting for the right amount of boron
19 to get put into the core region, you're also adding steam to
20 the suppression pool and heating it up, heating it up to a
21 level of temperature that you're going to have an action
22 then. The idea is to have that race won by getting enough
23 boron in before you turn the thing back on.

24 MR. CATTON: That's correct.

25 MR. KRESS: I'm particularly interested in the

1 calculations that go into deciding how you know when you've
2 got enough boron into the system.

3 MR. CATTON: We've seen the calculations, and I
4 saw them at the meeting that was held in Santa Barbara. The
5 problem is certain assumptions are made about the rate of
6 mixing the boron back into the recirculating flow.

7 MR. KRESS: I'm not too interested in that. I
8 want to know how they know when they have enough boron into
9 the system before they start remixing.

10 MR. CATTON: Okay. I imagine the staff will be
11 able to answer some of these questions, but my concern is
12 the assumptions that they make about the remixing rate. I
13 don't know that I have seen anything that tells them what
14 that rate is. I think they are somewhat optimistic on how
15 fast they think it will remix.

16 Anyway, with that, I will introduce Bob Jones.

17 MR. JONES: Okay.

18 MR. CARROLL: Who really needs no introduction.

19 MR. CATTON: Who needs no introduction.

20 MR. JONES: I've been here before. Ivan, you were
21 right. We are here to provide a status report on our
22 efforts on the stability issue, primarily focusing, as you
23 stated, on the ATWS with instability concerns. Larry
24 Phillips will get up and go through all the slides and go
25 through some of the issues you've touched upon. We're not

1 going to answer all your questions here. We don't have all
2 the answers yet. We are going to tell you where we are with
3 the work we've been doing since we last talked to you, which
4 was back in May of '93 as a subcommittee. I think the full
5 committee, last time we talked to the full committee was
6 October of '92, and bring you up to speed with the work that
7 we've previously talked to with the subcommittee, and then
8 we'll move on to some new analyses and efforts we've done
9 which the subcommittee has not seen, just to give you a
10 flavor as to where we're going with the issue, and then our
11 long range plans for hopefully closing this thing out.

12 There's also a related issue here which is a
13 petition we have to reopen the ATWS rule, an OCRA petition,
14 Ohio Committee for Responsible Energy, I believe it stands
15 for -- citizens, that's correct, sorry, that we will also be
16 touching upon because it's all related to this issue, and
17 finally closing the whole item out. I do want to note,
18 although the committee's primary focus has been on the ATWS
19 with oscillations, the long term stability issue, solutions
20 issues related to suppressing and detecting oscillations
21 during normal operation. We've made substantial progress on
22 that. We have accepted the owners group proposed long term
23 solutions with some modifications that we've outlined in
24 SER. We have discussed this, I believe, with both the
25 subcommittee and the full committee. We have issued a

1 generic letter for public comment. We have the comments
2 back, including the industry comments. We are revising the
3 generic letter now, and we expect to issue it next month.
4 So, we are basically wrapping up what I would call normal
5 operation type issues and, indeed all that's left is the
6 ATWS stability concerns.

7 With that, I'm done and Mr. Phillips will present
8 where we are.

9 MR. PHILLIPS: I'm Larry Phillips. I don't get
10 here very often. NRR staff, reactor systems branch. So,
11 I'm going to talk about ATWS with power oscillation. These
12 are the key issues. Basically we're looking to see if the
13 power oscillations have impacted the results of ATWS
14 analyses that were done several years ago, and which were
15 the basis for the ATWS rule. We're looking at the impact,
16 primarily at the impact on the fuel coolable geometry and
17 the containment integrity, and the effectiveness of the
18 mitigation actions in response to ATWS. Our current
19 emergency procedure guidelines are used as a basis for the
20 mitigation actions.

21 A question which ACRS raised very early and which
22 has been the primary factor in the long delay in this study,
23 and that is to validate the analytical models and codes used
24 to predict the core behavior with power oscillations.

25 These are the documents prepared by the BWR owners

1 group which we have reviewed. We have done our own studies
2 with our consultants at Brookhaven National Lab and at Oak
3 Ridge and have done some of our own calculations. This
4 NUREG represents a study done on the engineering plan
5 analyzer at Brookhaven which substantially confirms the type
6 of results that General Electric is getting doing their
7 TRACG code. After some early disagreements, the results
8 tended to converge when we were calculating the same thing,
9 and so we have some fair degree of confidence in our ability
10 to predict what's going on. We also did a team audit at the
11 TRACG validation and verification. I believe that was
12 provided to you some time ago, and we are satisfied with the
13 capability of TRAC for these calculations.

14 The conclusions that were reached in these
15 analyses were that we could not preclude some fuel and clad
16 melting, and the occurrence of very large oscillations over
17 a short period of time until effective mitigation actions
18 are taken. These are based on rather bounding analyses, and
19 the chances of getting the particular conditions for which
20 calculations represent, that type of ATWS are remote.

21 MR. CARROLL: Now, when you say some fuel and
22 cladding and clad melting, this is centerline melting of the
23 fuel or melting of the entire pellet?

24 MR. PHILLIPS: Melting of the entire pellet, less
25 than one percent of the core.

1 MR. CARROLL: In that one percent or less than one
2 percent, you'd actually melt fuel pellets?

3 MR. PHILLIPS: Yes.

4 MR. CARROLL: And in turn melt the clad?

5 MR. PHILLIPS: Yes.

6 MR. CATTON: Jay, I suspect if you went in and did
7 an uncertainty analysis with the TRAC and boosted the heat
8 transfer as high and low as plus or minus 25 percent or so,
9 you'd get a bit more. That's why I think they use the word
10 can't preclude. The can't preclude is based on a small
11 amount being predicted by the TRAC code, I believe.

12 MR. CARROLL: I wasn't so much worried about the
13 amount. I just wanted to know what those words meant.

14 MR. CATTON: The words mean they can't calculate
15 it any closer, and it looks kind of bad. That's my
16 interpretation of those words.

17 MR. PHILLIPS: The fuel dries out and doesn't
18 rewet.

19 MR. CATTON: And also, there's been a pretty good
20 amount of energy deposited by these cycles, and that's kind
21 of iffy as to how well they can calculate it.

22 MR. PHILLIPS: We've looked at the emergency
23 procedure guideline changes to improve the mitigating
24 actions and reduce the probability that some fuel melting
25 will occur. The way to do this, of course, is to reduce the

1 time period what you're subject to the very large
2 oscillations. The worst case is the transient, is the
3 turbine trip with bypass, actually, wherein, the old ATWS
4 analyses we were mainly worrying about isolation transients
5 for the oscillations, we're more concerned with the non-
6 isolation transients because you need a large degree of
7 subcooling which you get from the feedwater in order to
8 promote the oscillations.

9 The most effective mitigating action to combat it
10 is to take immediate action to reduce the feedwater flow
11 actually to cut it off completely, and you keep it that way
12 until the water level drops to at least about one meter
13 below the feedwater spargers. At that level, if feedwater
14 flow is reinstated and maintained at that level, as it
15 falls through the steam, it will resaturate and oscillations
16 won't re-initiate.

17 MR. DAVIS: Larry, doesn't the operator also have
18 to disable the RCIC because it will come on automatically on
19 low vessel level?

20 MR. PHILLIPS: Yes.

21 MR. DAVIS: Yes, I think he does.

22 MR. PHILLIPS: Actually, the most important first
23 action he has to take is to bypass the MSIV closure. That's
24 the one that is tricky to get to. I'll get into that a
25 little later.

1 MR. CATTON: That's a nice opportunity for a PRA.

2 MR. DAVIS: Now, will ADS also activate on low
3 vessel level without RCIC?

4 MR. PHILLIPS: No. We try to avoid
5 depressurization. That's one of our primary objectives in
6 the EPGs, which I'll get to.

7 MR. DAVIS: I know, but I was just asking if the
8 operator had to disable the ADS.

9 MR. PHILLIPS: No.

10 MR. DAVIS: He'll start timing out -- okay.

11 MR. CATTON: No, the reason you don't want to
12 reduce pressure is that instability is promoted by lower
13 pressure.

14 MR. PHILLIPS: That's one reason, yes. We think
15 that if we blow down and depressurize or depressurize, the
16 core can become uncovered for some extended period, and it
17 just becomes very unpredictable on how much core damage you
18 might get.

19 MR. DAVIS: And you dump a lot of energy to the
20 suppression pool, too.

21 MR. PHILLIPS: Yes.

22 MR. DAVIS: Which is not good.

23 MR. PHILLIPS: So, the best course of action is to
24 try to avoid depressurization initially.

25 MR. CARROLL: Now, this strategy of reducing water

1 level implies that we have all sorts of confidence in the
2 ability of the level indication system telling us what's
3 going on. That is an assumption in all of this. We're
4 going to fix the problems we have on level indications.

5 MR. JONES: That is correct.

6 MR. PHILLIPS: Yes.

7 MR. CATTON: That's why we had a subcommittee
8 meeting on that subject, was for this reason, this concern.

9 MR. CARROLL: I know, I was there.

10 MR. WILKINS: Is it possible to say now what sort
11 of plus or minuses you can expect on level indication? I've
12 heard figures of three feet to three inches.

13 MR. PHILLIPS: There have been studies done on
14 that, and we do have some answers. This is independent of
15 the other water level problems, the condensation problems
16 and so forth. We were worried about the impact of
17 oscillations on water level, and EPRI did some studies for
18 the owners group, and it turned out that even under the
19 worst conditions, they were predicting that the instrument
20 behavior would be reasonable, and by reasonable, my
21 recollection is we were talking about a couple of feet on
22 the oscillations.

23 MR. CATTON: That's because of the large plenum,
24 isn't it? It's sort of any pressure pulse you might get
25 internal that drives the water out gets attenuated in the

1 upper and lower plumbing.

2 MR. KRESS: Does the indications of core power
3 help any under ATWS conditions or for establishing where the
4 water level is, or is that too crude a connection?

5 MR. PHILLIPS: Well, only in that when you start
6 dropping down into the core, you're going to get a fairly
7 sharp reduction of the water level. Incidentally, let me
8 just mention that the dropping of the water level was
9 nothing new. That's in the existing EPGs, and that was done
10 independent of the oscillation concerns. That was done in
11 order to do just what we're talking about, drop the water
12 level down, reduce power, reduce the load on containment
13 until the reactor could be shut down by boron injection.

14 So, the only thing that's changed here is that
15 we're hitting that much faster. We're taking quicker action
16 to shut down the feedwater so that we can get that
17 subcooling impact on the oscillations.

18 MR. CARROLL: What do the EPGs say about lowering
19 water level? Do they say drop the level to one meter below
20 the feedwater sparger come hell or high water, or do they
21 say drop the level until power level is reduced and is not
22 changing anymore, and in no case go below one meter?

23 MR. PHILLIPS: As I'll get to a little later, that
24 facet of the EPGs hasn't been implemented yet. That's a
25 change, the one meter below the feedwater sparger. That's

1 been recommended based on these studies. It hasn't actually
2 yet been implemented.

3 MR. CATTON: So, are they no longer recommending
4 drop it into the core?

5 MR. PHILLIPS: No, no. We're saying that you have
6 to drop it to at least one meter below the feedwater
7 spargers.

8 MR. CATTON: How far is that above the top of the
9 core?

10 MR. PHILLIPS: It's three, four feet. What is it,
11 Howard?

12 MR. JONES: It's about five feet above the core.

13 MR. PHILLIPS: Five feet.

14 MR. CATTON: But now, the owners group is talking
15 about taking it further down, aren't they, so that they can
16 stop the recirculation?

17 MR. JONES: Let me just try to go through the
18 procedures quickly, through how it works. Given the
19 indication of an ATWS event with oscillations, they're going
20 to drop the level down immediately to at least one foot, one
21 meter below the feedwater sparger. From there, the operator
22 is directed to continue to drop water level until he either
23 reduces power below some point, and I don't remember the
24 number, or he reaches the minimum steam cooling water level
25 which is the one that's about three feet below the top of

1 the core. It's a downcomer level. It's not an internal
2 vessel number that's three feet below the top of the core
3 based on the solid column of water in the downcomer. So, he
4 still has two phase level well above the core at this time.

5 MR. CATTON: And when does this gross
6 recirculation stop? At what level?

7 MR. JONES: Well, I think that's a matter of --
8 that's part of the issue, and we're still looking at that.
9 Larry will touch on that in a few minutes.

10 MR. PHILLIPS: Basically, his direction is to keep
11 dropping level until he reduces power based on some
12 criterion which I don't remember but which I believe is
13 related to the steam flow. The minimum he can take the
14 level is this minimum steam cooling water level, about three
15 feet into the core, and the way the EPGs currently read, if
16 he drops below that level, then he has to depressurize.

17 I'm now addressing the OCRE petition because we
18 feel that, and I'll get later into why we feel the EPGs were
19 converging at some point, but we feel that the studies that
20 were done in those two BWROG reports and our review as a
21 result of it has concluded that as soon as you drop the
22 level to this point below the feedwater spargers, and if you
23 maintain it there, that the stability issue is done. We
24 looked at alternatives like not tripping the recirculation
25 pumps and this, that and the other thing. We're fairly well

1 convinced that there are more problems than solutions that
2 result when you go to that approach, and that there's no
3 reason to change the ATWS rule.

4 So, we feel like that based on these studies, that
5 we've reached a conclusion that the ATWS rule is
6 appropriate, and we're going to proceed with the issuance of
7 the ATWS SER which provides the basis for that study, and
8 we're working with RES, NRR is working with RES on a
9 commission paper requesting approval of a staff
10 recommendation for denial of the rulemaking petition based
11 on the ATWS SER for those two reports.

12 MR. CATTON: What's the schedule on this?

13 MR. PHILLIPS: I'll give that to you at the end.

14 MR. CATTON: Okay. I can wait.

15 MR. CARROLL: What specifically did the Ohio group
16 ask for in their petition?

17 MR. PHILLIPS: All right. The Ohio group, their
18 petition was actually much broader than that. It was a
19 2.602, I believe it is, petition, which was asking for
20 relief because of the LaSalle oscillation event, and
21 basically was asking for all of the BWRs to be shut down.
22 That was reviewed and denied by the NRR director's decision,
23 but at the same time, he felt the portion of their petition
24 directed to the rulemaking and the recirculation trip had
25 some merit and should be studied further. So, he directed

1 RES to evaluate rulemaking in connection with this. So,
2 that's where we've been up until now.

3 This expanded also from not only a stability study
4 but an EPG study, as we already discussed. The existing
5 EPGs permit water level reduction to this minimum steam
6 cooling water level until the hot shutdown boron weight is
7 reached. That's actually a calculated way, and it's after
8 they've calculated the amount of boron it will take to shut
9 down the reactor completely. It's some 400 ppm or something
10 on that order in the core, and it takes them about 30
11 minutes to inject that much boron. So, essentially,
12 according to the existing procedures, you start the boron
13 injection fairly early, which is another one of the
14 recommended revisions that you started even earlier, but it
15 will effectively mix until you've dropped down into the core
16 and the flow is reduced according to the experiments down
17 around the order of four to five percent, the recirculating
18 flow. Then it stratifies.

19 We're still continuing to evaluate the most
20 effective shutdown strategy, and one of the considerations
21 is boron mixing, of course, and the other one is standby
22 liquid control system considerations.

23 MR. CATTON: Have you been able to get the reports
24 on the experiments that they claim to have carried out?

25 MR. PHILLIPS: Yes.

1 MR. CATTON: Is it possible for you to communicate
2 them to us?

3 MR. PHILLIPS: Sure.

4 MR. JONES: It's our understanding that GE did
5 send a set to the committee.

6 MR. BOEHNERT: I got a nonproprietary version,
7 Bob, and I just haven't gotten around to asking them for the
8 proprietary version because, you know, it doesn't say much
9 in the nonproprietary.

10 MR. PHILLIPS: I doubt that that was intentional.

11 MR. BOEHNERT: Yeah, I doubt it.

12 MR. JONES: Let us take an action to go back and
13 look, and we'll send you the propriety version. No problem.

14 MR. BOEHNERT: That's why I haven't sent it to
15 you, Ivan.

16 MR. CATTON: Nonproprietary, I mean, figures with
17 nothing on them doesn't do me much good.

18 MR. PHILLIPS: It has the title of the report
19 probably. Okay, just to review the boron mixing problem
20 again, and everything up until now, incidentally of course,
21 and including this boron mixing, has been previously heard
22 by the subcommittee.

23 For boron injection into the lower plenum
24 standpipes, and this is the BWR three and four reactors only
25 that inject this way. The boron mixing doesn't occur until

1 you get to a low core flow about four to six percent of
2 rated. This is true whether you're in the core or above it
3 because of course, if you're above the core and you're
4 shutting down, your flow will also reduce because as your
5 power drops, your driving head due to the thermal, the voids
6 in the core, the thermal circulation will drop, and this is
7 one of the big points that's made of the owners group
8 consultant. Whenever you argue against dropping it all the
9 way, is well, even if you keep it up, you're still going to
10 have to raise the level in order to accomplish complete
11 shutdown. I'm not sure that's too important. I mean,
12 temperature is going to do things too. It just means you
13 might be getting some bouncing around at low power for
14 awhile.

15 The experimental basis for the boron mixing is the
16 Theofanous study, fairly recent experimental data, in which
17 he basically concluded that the mixing efficiency is almost
18 perfect down to four to six percent of rated flow. So, he
19 actually shows a better mixing efficiency than was shown by
20 the OGE data, which shows that it decreases below 20 percent
21 flow and ceases at about the same point that Theofanous
22 said.

23 MR. CARROLL: What is mixing efficiency?

24 MR. PHILLIPS: Mixing efficiency means you inject
25 it, and 100 percent is it mixes uniformly in all of the

1 water.

2 MR. CATTON: A hundred percent carried up into the
3 core.

4 MR. PHILLIPS: Right, and then the water
5 circulating around.

6 MR. CATTON: It injects into the flow, and it's
7 all literally carried out. When they lose it, it drops into
8 the bottom.

9 MR. KRESS: Before you put that one off, could you
10 put that slide back for just a minute?

11 MR. PHILLIPS: Sure.

12 MR. KRESS: Could you clarify for me what's meant
13 by four to six percent of rated core flow? Is that four to
14 six percent of what you would have at full flow reactor
15 power?

16 MR. PHILLIPS: At 100 percent power, yes.

17 MR. KRESS: What level flow does it take, what
18 percentage of that flow does it take to hold the water level
19 at the desired position in here? You know, to keep it
20 there, you have to balance the steam by the thing, and
21 you're talking about four percent, five percent, six percent
22 power. I presume you need five percent of the flow or six
23 percent of the flow.

24 MR. PHILLIPS: Well, for natural circulation, say
25 if you get a reactor or pumps trip, for natural circulation

1 conditions, you would be at about 30 or 35 percent flow,
2 Howard? And what, 50 percent power, 60, something like
3 that. That's your normal -- that would be your normal
4 recirculation. You'd be at about 35 percent. And then of
5 course, as you reduce the water level, the recirculation
6 rate is going to decrease, and I suppose as you get -- but
7 you're also, at the same time, you're injecting boron, which
8 is helping to shut you down. So, that's going to further
9 reduce your natural circulation rate. So, you have two
10 factors that are reducing it. One, you're dropping level,
11 which is reducing your head, and then you're also --

12 MR. KRESS: But that core power level, I thought I
13 saw, goes down about five percent?

14 MR. PHILLIPS: At the four to six percent flow you
15 mean?

16 MR. KRESS: Yes.

17 MR. PHILLIPS: I don't know. Is that --

18 MR. KRESS: Yes, that's my question.

19 MR. PHILLIPS: Yes, the answer is yes.

20 MR. KRESS: So, you're almost at a case with
21 Theophanous's study where you don't stratify.

22 MR. PHILLIPS: But no, you're still injecting
23 boron. You want to shut the reactor power down completely,
24 and you can't do that. You'll start stratifying.

25 MR. CATTON: The point that Tom is making is that

1 from what you said, it sounds like the boron would still be
2 mixing and the power would still be coming down.

3 MR. PHILLIPS: Yes.

4 MR. CATTON: Well, but see, they continue to lower
5 the level, see, and they lose the head that drives the core
6 flow. Then they lose the circulation around the core and up
7 through the core.

8 MR. PHILLIPS: I understand, but even --

9 MR. CATTON: That's when they lose the boron
10 mixing.

11 MR. PHILLIPS: But according to Theophanous's, you
12 only need four to six percent of rated flow to mix it.

13 MR. CATTON: That's right, but they also --

14 MR. PHILLIPS: Which is well below that.

15 MR. CATTON: But he also maintains, and I haven't
16 seen anything to really prove one way or the other, that
17 this occurs with the level above the core.

18 MR. KRESS: So he's making use of that
19 recirculation. He's not counting that.

20 MR. PHILLIPS: Yes. In fact, his main point is to
21 keep the level high.

22 MR. KRESS: I didn't understand that part.

23 MR. PHILLIPS: So, you have competing shutdown
24 strategies that we're talking about. One is the existing
25 EPGs that does it the way where they drop it to the minimum

1 steam cooling water level, about three feet into the core,
2 but not necessarily. Keep in mind that when I say this,
3 they may be stopping well above there, depending on how the
4 power is responding. But, they're permitted to drop this
5 low is a better way to phrase it.

6 Then they're instructed to, after they've injected
7 this precalculated amount of boron that they have pretty
8 good confidence that it's going to shut down the reactor,
9 then they're instructed to raise the level and pick up the
10 stratified boron, which will shut down the reactor. If they
11 have miscalculated and it doesn't shut down the reactor,
12 then they go back down, but the idea is they haven't
13 miscalculated.

14 The advantage of this approach, or at least the
15 preconceived advantage and the one that's been argued for
16 some time, is that it minimizes the containment heat load,
17 the integrated heat load, until shutdown because of the high
18 void content when you drop the water level this far into the
19 core.

20 MR. KRESS: Let me ask you a question about your
21 last statement. You said let's presume they've
22 miscalculated and they turn the mixing back on the pumps,
23 and the power doesn't shut off. You say they can go through
24 the same procedure again.

25 MR. PHILLIPS: And inject some more boron.

1 MR. KRESS: Inject some more. Now, I worry a
2 little about that because I thought this was a race. Before
3 you heated up the suppression pool to the point where you
4 have to depressurize the whole system because of some rule
5 or some requirement.

6 MR. PHILLIPS: That's right.

7 MR. KRESS: So, it seems to me like you're
8 flirting with that race. If you didn't do it right the
9 first time, do you still have time to go back and do it
10 again?

11 MR. PHILLIPS: It depends on how conservative
12 their calculations are, and their calculations have been
13 extremely conservative until now, and because of other
14 problems, they're reducing the conservatism in the
15 calculation. So, that seems to be correct.

16 MR. KRESS: You say it's likely that they'll miss
17 it the first time.

18 MR. CATTON: There's one part in the conservatism
19 that's a little bit suspect, and that's the heat up rate of
20 the suppression pool. They assume they mix the whole damn
21 thing, and you know that the entire heat sink capability of
22 the suppression pool is not available to you. I don't know
23 how that's going to be accounted for. If it's 50 percent,
24 then you have the time. It depends on where the SRVs are
25 located and all sorts of things. Bob Jones probably

1 remembers. These were measurements that were going to be
2 made at Zimmer.

3 MR. PHILLIPS: The heat load or the suppression
4 pool cooling, though, is pretty small. Whether you have it
5 or not doesn't make a whole lot of difference I don't think.

6 MR. CATTON: I'm not talking about suppression
7 pool cooling. I'm talking about stratification. If you
8 have pumps that can move the water around, you have no
9 problem because then it's fully mixed. But if you for any
10 reason don't, you lose a good part of your heat sink,
11 possibly. I just wanted to temper your words about
12 conservatism.

13 MR. JONES: I think here what we've been looking
14 at in this hot shutdown boron load is they use an extremely
15 large, for example, an extremely large vessel volume. I
16 mean, I think it's basically a solid vessel almost for the
17 total volume of liquid. So, to come up with how much boron
18 you have to inject, well, it's a substantial, because just
19 the pure liquid volume you're trying to fill up, after the
20 shutdown margin, is just highly overestimated. I think it's
21 like a factor of two.

22 MR. KRESS: Do they include the hot legs and cold
23 legs and the water in the steam generator?

24 MR. JONES: It includes all the down pump, the
25 lower head, the vessel. It assumes it's non-voided. It

1 assumes some water level. I don't remember the exact point,
2 but it's fairly clear that how they're currently calculating
3 the hot shutdown boron weight is conservative. As far as
4 telling you when to raise the water level back up, that you
5 should have more than adequate shutdown margin at that time.

6 MR. PHILLIPS: Well, it's clear they were doing
7 that a couple of months ago.

8 MR. JONES: Right, now where they're going to be
9 in a few months related to the EPG changes, as you will hear
10 shortly, that's one of the areas they're looking at because
11 they would like to improve this race between the containment
12 and how quick they can bring this back, which is going to
13 put only more emphasis on better understanding of some of
14 this mixing phenomena or at least some of the uncertainties
15 associated with it to provide some assurance that these
16 uncertainties do not lead us to the wrong conclusion.

17 MR. KRESS: Are you going to talk about that more
18 later then?

19 MR. JONES: Just briefly. Again, a lot of this
20 information, the types of issues you're raising or exactly
21 the kind of issues we've been discussing with the owners
22 groups over the last year, roughly, and certainly the
23 meeting that was held in Santa Barbara was part of that
24 effort to give this information to the owners group for them
25 to look at. They have done some considering of it. They

1 still believe their position is right. We're waiting to see
2 what they're going to come back with. They have presented
3 to us some information, but we have nothing in hand. We are
4 trying to put together models of our own, simple models, to
5 try to look at some pros and cons of the GE data and the
6 Theophanous data to see what we can come up with
7 independently.

8 So, we're looking along those lines to help draw
9 that conclusion, but we're not there yet.

10 MR. KRESS: Are there plans or another meeting
11 with the owners group in the near future to talk about this?

12 MR. JONES: There will be future meetings with the
13 owners groups. There are several submittals that we are
14 awaiting in the next couple of months, as you will see, and
15 when we get them, I'm sure we will have further discussions
16 with the owners group.

17 MR. CARROLL: I'm not absolutely sure that you
18 understood Ivan's point about the ability of the suppression
19 pool to absorb energy.

20 MR. PHILLIPS: No, I didn't.

21 MR. CATTON: Well, part of the timing that's
22 associated with all of this is the effectiveness of the
23 suppression pool as a heat sink, because that's what
24 determines how fast it will heat up. I think what you're
25 trying to do is to avoid letting it -- is to get these

1 actions completed before it gets too hot.

2 MR. PHILLIPS: That's true.

3 MR. CATTON: That's right. How fast it gets hot
4 is a function of how effective it is. How effective it is
5 is determined by how much stratification you get, and we
6 have not yet addressed that question in any kind of
7 thoroughness.

8 MR. JONES: We certainly haven't, and these
9 evaluations --

10 MR. CATTON: And so, if you're going to start
11 getting close to the edge, we're going to have to go do
12 that. We're going to have to take a look at that.

13 MR. JONES: And that's fair, and we'll bring that
14 back.

15 MR. CATTON: That's right.

16 MR. PHILLIPS: And maybe half the water in there
17 never sees steam condensing.

18 MR. CATTON: That came up on the review of Zimmer,
19 and the Zimmer people at the time promised, and GE promised,
20 that they would put special instrumentation into the pool
21 and during startup testing, these things would be evaluated.
22 Well, we all know what happened to Zimmer, and nothing has
23 come along to replace it as far as evaluating the
24 effectiveness. So, I just think we don't know.

25 MR. PHILLIPS: Well, basically now they're

1 instructed to depressurize when they reach a temperature
2 limit in the separation pool, which we don't want to get to
3 because again --

4 MR. CATTON: Then you had better take a look at
5 the effectiveness of the suppression pool because you may
6 reach that limit a lot sooner than you thought.

7 MR. KRESS: Where is that temperature measured?

8 MR. JONES: I would have to have the containment
9 people here to answer that question. This is really more -
10 -

11 MR. CATTON: I've been watching for this issue for
12 a long time, and this is the first opportunity --

13 MR. JONES: We've got it. We have captured your
14 comment, and I will talk to Rich Barrett and his people to
15 try to make sure this is soon. I know that development,
16 there is a method of developing what this temperature limit
17 is. It considers plant specific volumes. It includes how
18 much heat you've got to dump in during a blowdown and things
19 like that. Now, how much it includes stratification in the
20 pool, et cetera, that I am not aware of, but we will check
21 it.

22 MR. CATTON: I asked the owners group people who
23 were at Santa Barbara about this, and they use a bulk
24 temperature, which means you dump the heat in they throw CP
25 and volume delta T. It's very simple.

1 MR. PHILLIPS: Okay, just one major point about
2 this. One of the reasons that they are so insistent on
3 taking this strategy on the shutdown is they feel that the
4 probability of the standby liquid control not working at all
5 is significant, and they want to buy as much time as they
6 can through the shutdown by voids if that's the case.
7 That's one argument that can't be refuted, at least as far
8 as -- yeah, this would definitely be better under those
9 conditions.

10 This is where the new GE data comes in regarding
11 the boron remixing from the lower plenum. The effectiveness
12 has depended upon this GE 1/6 scale model data, which we
13 still have under review and what you will get, although I'm
14 dubious at any firm conclusions that can be reached in that
15 regard.

16 MR. CATTON: One of the other arguments that the
17 owners group was making at Santa Barbara that came through
18 very loud and clear is that if they take this pathway, it
19 just deals with a whole lot of things, and they don't have
20 to have a number of different EPGs for different things.
21 That's a compelling argument.

22 MR. JONES: I mean, without taking away a little
23 bit of Larry's thunder, I mean, what we find when you --
24 let's not deal with the specifics of how the containment was
25 modeled, but the differences between whether you use a GE

1 type model with minimal mixing and lower water level to a
2 fully mixed model and play around with some of that a little
3 bit doesn't result in substantially difference in pressure
4 pool temperatures. You know, maybe it doubles or triples
5 because of a mixing deficiency or stratification if we
6 haven't considered it, but it still gives you roughly the
7 same answer. Then you get into these other considerations
8 like procedures being the same et cetera, that I think may
9 drive the problem.

10 At this point, what we're really finding is we're
11 really leaning pretty hard to conclude that the level detail
12 needs to be worked out in order to finalize the procedures,
13 but we don't see that that difference at this point to be
14 significant enough to not allow us to close the petition,
15 which is where we're going to get as we go through this
16 process.

17 MR. CATTON: You pulled that other slide off a
18 little too quick.

19 MR. PHILLIPS: I thought it was there a long time.

20 MR. CATTON: Well, we were having a lot of trouble
21 working our way down through it. This last issue, I think,
22 is where it's at, too. Now, the GE tests that I heard
23 about, the number was matched, but wasn't it done thermally?
24 There was some question about whether the tests that they
25 did with the salt were appropriate. Have you addressed

1 these issues?

2 MR. PHILLIPS: Tony is the only one that's looked
3 at that in any detail.

4 MR. ULSES: I'm Tony Ulses of the reactor systems
5 branch. When we did our review of this document, we
6 concluded basically that there were some potential
7 deficiencies in the density modeling due to the lack of
8 numbers scaling. They did a linear type of scaling, and
9 that lead us to believe that there were some problems in the
10 density scale, which basically you referred to the injection
11 that they used --

12 MR. CATTON: In other words, two sets of tests
13 done, I understand. One, they just had cool water in the
14 bottom, and then in the other test they actually had salted
15 water in the bottom. Is that correct?

16 MR. ULSES: The tests that we have the data from
17 deals with only the cold water, and then they start an
18 injected fluid at a certain time into the transient. You
19 know, they let the model stabilize, and they started their
20 injection.

21 MR. CATTON: So, that was thermal stratification,
22 is that what you're saying?

23 MR. ULSES: What I'm saying is that they didn't do
24 it at reactor temperatures. They did it at low temperature,
25 and then they scaled the temperatures.

1 MR. CATTON: The scaling parameter is density in
2 this case.

3 MR. ULSES: Right, and they did not scale the
4 density, like I said earlier, and that's --

5 MR. CATTON: How did they achieve the delta row?

6 MR. ULSES: I can't specifically answer that
7 because it wasn't referred to in their document. I think
8 that that's something that we'll need to look into further.

9 MR. CATTON: You bet, you see, because Theofanous
10 was making the arguments about their tests that they had
11 used cold water and hot water in order to get the delta row
12 that causes the stratification. Mixing processes are very
13 different for salted water than for hot water because the
14 salt has a very low thermal diffusivity, and you can even
15 mix it up, and it will fall back down, where if it's
16 thermal, it's very easy to mix it. It's much easier to mix
17 it. The big concern that I recollect in Santa Barbara was
18 the fact that they had used thermal stratification and tried
19 to extrapolate that to the salt stratification that would
20 exist in this case. That's why I'm eager to see these
21 reports.

22 Now, the owners group said that there were tests
23 done with salt but they wouldn't give them to us because
24 they said it was proprietary and whoever did it wouldn't
25 release it. Have you overcome that problem?

1 MR. ULSES: The only report we have is the one
2 from General Electric that is --

3 MR. CATTON: Thermal?

4 MR. ULSES: It is thermal. It's how they
5 developed their efficiencies.

6 MR. CATTON: I don't think this question is
7 addressed yet. You can't base anything on that.

8 MR. PHILLIPS: This is the one they say they're
9 relying on.

10 MR. CATTON: Well, I'm sorry.

11 MR. CARROLL: They can say anything they want, I
12 guess.

13 MR. JONES: Again, I think the point that I would
14 like to emphasize a little bit here, though, is that I'm not
15 sure we're going to conclude their tests are acceptable, as
16 to come up with what is the actual mixing. So, a lot of our
17 focus has been gee, Theofanous's tests look pretty good.
18 What's the difference? Well, Theofanous's tests were for
19 the mixing with circulation, and he established a cut-off.

20 MR. CATTON: The kind of mixing that you're going
21 to depend on when you raise the level is totally different.
22 I mean, it's completely different. You're literally having
23 to mix up off the bottom of the vessel. What Theofanous's
24 did is he's injecting it into the cross-flow. There are
25 very different processes. I think he established in my own

1 mind fairly well, that in the cross flow, down to this four
2 or 6 percent, the mixing is extremely effectively. The open
3 question is, can you mix salted fluid up off the bottom. I
4 use the word salted to keep it separate from thermal.

5 MR. SEALE: And it's really the pickup off the
6 bottom that's the problem.

7 MR. CATTON: That's right. You know, the Israelis
8 built solar collector or solar stills this way. What they
9 do is they run the salted water in on the bottom. It
10 stabilizes this whole thing when they heat it up in
11 stabilizing, and it doesn't mix.

12 MR. PHILLIPS: The alternate strategy is to
13 maintain the level higher, we say above the top of the
14 active fuel because we're more comfortable when you keep it
15 above the top of the active fuel, and you have a fairly
16 large height to work in between the meter below the
17 feedwater sparger and the top of the active fuel. It's our
18 judgment that you need that. The level is not all that easy
19 to control.

20 MR. CATTON: But you say then raise the level and
21 mix stratified boron. In this particular case, I thought
22 that boron would be mixed in. It doesn't stratify.

23 MR. PHILLIPS: Actually, I think what we're
24 talking about is when you get down to the point that the
25 power stops -- if Rogers is right and you get down to the

1 point where the power stops dropping with the boron
2 injection because your flow has gotten too low, then you
3 raise the level to increase the flow.

4 MR. CATTON: Okay, so in this case, you get below
5 the four or six percent recirculation because you don't have
6 the driving from the power.

7 MR. PHILLIPS: Right.

8 MR. CATTON: The same question still exists here
9 then, whether or not you can mix it back up.

10 MR. PHILLIPS: Right, and that's the point that he
11 keeps driving on, but I don't think it's nearly as critical
12 here. At least you're down to four percent power.

13 So, this starts getting new now, what the
14 subcommittee hasn't heard before. So, we've been continuing
15 to work with them on the EPG review, and basically our
16 objectives and what strategy we end up with here is to
17 minimize the time interval when the reactor is vulnerable to
18 very large power spikes during an ATWS event. That's taken
19 care of by the shut off or shut down the feedwater as soon
20 as you can.

21 Avoid a strategy which has a high probability of
22 leading to reactor pressure vessel depressurization, and
23 there's several strategies that can do this, but one of them
24 is the level control in that the current EPGs say if you go
25 below MSCWRL that you depressurize, correct it to do that.

1 You assure that the level control and the boron mixing
2 strategy in the EPGs provide a high confidence of acceptable
3 heat load to the containment during a reactor shutdown by
4 soluble poison which is what you were talking about. That's
5 been our review objectives.

6 We did a simulation at the technical training
7 center. Fortunately, they had upgraded the analytical model
8 in the simulator, and it was a fairly good neutronic thermal
9 hydraulic model. The simulator was an old -- our BWR
10 simulator was one that was originally built for Black Fox,
11 and it's now been modified to -- it's supposed to represent
12 Perry. So, you might say it's a little bit of a hybrid
13 between Perry and Black Fox.

14 We did identify several issues during the
15 simulation. The purpose of the simulation being let's see
16 if -- we've talked about these revisions. Now let's see if
17 they're workable, if there is any big pitfalls. One of them
18 which I will get to in a little more detail, though I don't
19 plan to go into a lot of technical detail here. It's
20 something the subcommittee hasn't heard.

21 The depressurization is a difficult void following
22 isolation in the BWR 5 and BWR 6 plants with high pressure
23 core spray. What I'm saying there is the BWR 5 and 6 plants
24 do have high pressure core spray. This is a large volume
25 system which is an on/off control basically. Now, if you

1 isolate the BWR/5-6 plants and you don't use the high
2 pressure core spray and you're instructed not to use it by
3 the current EPGs, you simply don't have enough capacity to
4 follow the power under these conditions. You don't have
5 enough makeup. You can't do it. So, you're going to drop
6 the level down to this level where you have to depressurize.
7 That's what our simulation found.

8 The first time they went through this scenario,
9 one of the operators turned on the high pressure core spray
10 because he knew this, but we found that he had the same
11 problem here. In a sense, the EPGs were right because with
12 this on/off high volume control, you hit the level going
13 like this. You can't control it anyway. You go below that
14 point anyway, and you're still instructed to depressurize.
15 So, that was one problem we identified.

16 Another problem we identified was man, you have to
17 jump on that control pretty quick to keep from isolating.
18 What you want to do is override the level one or two,
19 whichever it is, MSIV closure so that you keep on feedwater
20 control. For this plant, they didn't have a key lock
21 bypass. You had to send somebody out into the plant to do
22 it. So, we assumed, I think ten minutes it was going to
23 take them to do it, which isn't going to get done. We were
24 after a try or two, they were able to maintain the level,
25 but it took an awful lot of attention to a quick response,

1 and really good operator action. So, we felt that not
2 having a key lock bypass was a real problem because that
3 level had to be maintained until they could get out in the
4 plant and take care of it. If you isolate, it's a lost ball
5 game.

6 Finally, the proposed changes provide no guidance
7 to maintain the water level of the isolation set point or
8 training, and as I said, once he had done this a time or
9 two, he took the proper response, but initially, he didn't
10 realize what was going to happen if he didn't jump on it and
11 keep it from isolating.

12 Incidentally, we sent a letter to the owners group
13 this reference, which includes a report on the TTC
14 simulation. Did we send a copy of that report to you? I
15 think we did, and pointed out these problems.

16 MR. CARROLL: GE, or the owners group had never
17 tried to simulate this for purposes of validating their
18 EPGs?

19 MR. PHILLIPS: Well, that was the point of some of
20 our questions, yeah. Remember that this is one plant. This
21 is Perry, and they felt like there could be modeling
22 deficiencies here, which is an area we're still looking into
23 by modeling deficiencies. I mean, maybe we don't have
24 distances just right somewhere. I don't think that's the
25 case. They were pretty careful.

1 MR. CARROLL: My question is, though, have they
2 not tried their EPGs on some of their simulators?

3 MR. PHILLIPS: On some of their simulators, yes.

4 MR. CARROLL: And what was the result of that?

5 MR. PHILLIPS: Well, I can't really answer that.
6 They were -- let's say that some of these problems
7 apparently did not surprise them, particularly on the key
8 lock bypass. It did not surprise them, and they admitted
9 that they had similar concerns. It was part of what they
10 were looking into in their continuing review of the EPGs and
11 how they were going to respond.

12 MR. JONES: I think in all fairness to them, I'd
13 like to say that again, these were their what I would call
14 first cut at where they thought they were going with the
15 EPGs based on the analysis that had been done which had not
16 yet gotten to the point of really looking at what I would
17 call feasibility of using them at a plant. So, you had kind
18 of an outline as to what the EPGs would look like. They
19 still needed to go through the remainder of their evaluation
20 through their operator support committees, and come up with
21 a final EPG submittal. We took those EPGs and what I would
22 call concepts, and that's what we were playing with to look
23 at doability from our end.

24 MR. CARROLL: Okay, so you sort of jumped the gun
25 on it then?

1 MR. PHILLIPS: Yes, a little bit, and they were
2 very appreciative and cooperative, I think, in looking at
3 what happened here.

4 The reasons for our concerns are that the
5 simulations suggest that we get the unnecessary -- we may
6 get more unnecessary isolation events from level control and
7 isolation events increased risk. During the simulation, we
8 couldn't maintain the water level above the depressurization
9 point, the MSCRWL, and there were -- we also noted that when
10 you depressurized, there were long periods when the core was
11 uncovered during depressurization actions.

12 So, it made me at least -- I felt even less
13 comfortable about depressurization because I sure don't want
14 to -- I think it becomes very difficult to predict how much
15 core damage you're getting. When you've got low water
16 level, if you raise it up at low pressure, you may go back
17 into oscillations, whatever. So, depressurization, I think
18 it's a viable action, but it's not one that you want to make
19 part of your primary strategy. It's a backup. You've got
20 two containments for a reason. You want to use one of them
21 as long as you can.

22 MR. CATTON: This seems to me might be a good
23 place for application of some of your thoughts on risk based
24 regulation. You have alternatives in front of you. Use PRA
25 to decide which one.

1 MR. PHILLIPS: Well, I think basically that we're
2 -- I guess I'll get into a little bit here. I think we're
3 more converging. On looking at the problems with control,
4 level control that is, and problems, new problems that
5 they've been identifying and backing off a little bit on
6 where they are and what they're doing, and also looking at
7 the fact that -- well, one big item which made me a lot more
8 comfortable is in responding to these concerns, we've now -
9 - the BWR/5 and 6 plants, and it was after all, a five, or a
10 six actually, that we were simulating, and for those plants,
11 you're injecting the boron into the core spray spargers
12 above the core and within the shroud. You're concentrating
13 it in the core. So, they've been playing with their
14 calculations again. They're getting fairly fast reaction of
15 shutdown from the boron when they do this. So, it's very
16 likely it's unnecessary to go down into the core, to the way
17 they've been doing it.

18 MR. CATTON: Let me understand. Does this say
19 that the -- so, what's the path of the boron, over the top
20 of the core?

21 MR. PHILLIPS: Over the top of the core into the
22 core.

23 MR. CATTON: How does it get into the core if
24 you've got flow? Boron doesn't go upstream. It seems to me
25 it would be mixed, carried down the annulus and back up

1 through the core, not into the core.

2 MR. PHILLIPS: Well, you're --

3 MR. CATTON: If your analysis is showing it going
4 into the core, I suggest maybe you take another look at the
5 analysis.

6 MR. PHILLIPS: Yeah, you're still dropping water
7 level.

8 MR. CATTON: If you drop the water level down, oh,
9 then you're dumping right into the core?

10 MR. SEALE: If you haven't dropped the water
11 level, you've still got circulation.

12 MR. CATTON: Well, as long as you have
13 circulation, you're going to carry it around the core and up
14 into the bottom.

15 MR. PHILLIPS: So that's great. So, it's fine
16 then, and as soon as you drop the water level, you're going
17 to be injecting it directly into the core.

18 MR. CATTON: So gee, that's another alternative
19 that you probably, or another aspect that needs a PRA, right
20 Pete?

21 MR. JONES: I'm not sure I would agree that I want
22 to do a PRA on this issue, but I think what you're hearing
23 to a large extent is what this study showed us, and the
24 amplication, and then what we made the owners basically do
25 in response to this, was to look real hard at their plants

1 and the plant specific features and how it impacts this
2 problem. I think we were a little surprised with some of
3 our results, and then when the owners went back and looked
4 at it, what you find is oh yeah, we have key lock bypass
5 switches on the plants in general that are going to be
6 affected by this. So, it's probably not an issue.

7 MR. PHILLIPS: Others are talking about putting
8 them in now.

9 MR. JONES: Right.

10 MR. CATTON: I bet they are.

11 MR. JONES: The BWR/3, 4's don't have this
12 problem. They can maintain water level. So, I think what
13 we've done from this study and looking at the useabilities,
14 we learned something, and I think they learned something.
15 They've looked a lot harder as to where is their isolation
16 set points. Do they have a key lock bypass or not or would
17 it be helpful to put one in from the standpoint of operator
18 control.

19 So, I think we learned a lot and they went back
20 and looked at what they've got, and I think they presented a
21 pretty convincing argument in response to our concerns in
22 the meeting we had, and again, they still need to document
23 this. We and they have a much better appreciation for the
24 issue. I don't think it's a PRA issue. I think it's
25 understand your plant issue.

1 MR. PHILLIPS: I think it's converging, as I said,
2 because with the 5's and 6's, they may be shut down before
3 they ever get to that type of situation. With the 3's and
4 4's, they have high pressure coolant injection, which can be
5 controlled.

6 MR. CATTON: In the 5's and 6's, the boron is
7 injected all over the core in all of them?

8 MR. PHILLIPS: Yeah.

9 MR. CATTON: So, in that case, you're going to get
10 mixing down until the natural circulation stops.

11 MR. PHILLIPS: Right.

12 MR. CATTON: Which means down to one or two
13 percent you would still be getting your mixing.

14 MR. CARROLL: You're going to establish another
15 natural circulation situation at that point, Ivan, where
16 water is going to go down the cooler channels or between the
17 channels.

18 MR. CATTON: Yeah, that's right, so the mixing
19 would continue. You mix down -- actually, it might even be
20 more effective. So, it's really only the three's and four's
21 where you worry about this mixing up from the bottom.

22 MR. PHILLIPS: Right, and they have high pressure
23 coolant injection where they shouldn't have all these
24 control problems, although we haven't simulated it, I'm
25 sure.

1 MR. DAVIS: Larry, let me ask you something about
2 this key lock situation. Does that override all signals to
3 close the MSIVs?

4 MR. PHILLIPS: I'm sorry, I didn't hear the first
5 part of your question.

6 MR. DAVIS: Does this key lock bypass override all
7 signals to close the MSIV?

8 MR. PHILLIPS: Yes.

9 MR. DAVIS: Well, it seems to me that what you'll
10 get in this event is an iodine spike probably, so you're
11 going to be putting radioactive iodine into the MSIVs, which
12 normally would shut the MSIV valves.

13 MR. PHILLIPS: The EPGs tell them if they get
14 that, that's an area that's been discussed, and at least in
15 the discussions up until now, they are not supposed to
16 override if they get iodine spikes during the early part of
17 the --

18 MR. DAVIS: I think they will. And then you won't
19 bypass in that case?

20 MR. PHILLIPS: That's right.

21 MR. DAVIS: I think you've got the problem back
22 again.

23 MR. CARROLL: How do you know you had an iodine
24 spike?

25 MR. DAVIS: Because you've got --

1 MR. CARROLL: No, what instrument tells you?

2 MR. DAVIS: There's an radiation monitor in the
3 steam lines.

4 MR. CARROLL: But isn't it swamped out by hydrogen
5 16?

6 MR. DAVIS: No.

7 MR. CARROLL: It should be.

8 MR. DAVIS: I don't think so. If it sees high
9 radiation, it will close the MSIVs. If it doesn't, then the
10 iodine will get into the condenser, close the air rejectors,
11 you lose condenser vacuum, and then you'll close the MSIVs
12 for sure then. I think this needs to be looked at. I don't
13 think you can in this case override the MSIV closure.

14 MR. PHILLIPS: If you get MSIV closure on that
15 early stage, we have looked at that transient, and we're not
16 as bad off as we are on this other transient. We have
17 looked at that.

18 MR. DAVIS: I though you said if you couldn't keep
19 the MSIVs open, you lose control of the feedwater.

20 MR. PHILLIPS: Well, the reason we want to keep
21 the MSIVs open, one of the reasons is that when you close
22 the MSIV, it's a higher risk event than if you keep all your
23 water sources available for cooling. That's the reason we
24 want to keep it open. One of the early questions by ACRS,
25 what's the change in risk between -- of ATWS risk, impact of

1 oscillations, and the largest impact on risk is that you
2 turn a lot of non-isolation events into isolation events.

3 We found from a pure calculational standpoint that
4 the MSIV closure events are not as bad oscillation-wise I
5 should say, as the others. But yeah, you raise some
6 interesting points, and we'll think back that path again.

7 MR. DAVIS: Don, if this kind of thing is captured
8 in the simulators --

9 MR. PHILLIPS: Oh, no, it isn't.

10 MR. DAVIS: Yeah, I think you should look at it.
11 I think you're going to get an iodine spike, and that's
12 going to mess up the bypass of the MSIV closure. It seems
13 like this is a PRA issue to me, or a risk issue.

14 MR. CATTON: Well that's what I suggested.

15 MR. JONES: We have looked at the PRA, the effect
16 of some of these things and the increased number of
17 oscillation -- of isolation events which may occur due to
18 stability issues, including the control. In trying to look
19 at the answer here, I'm not sure I understand the details
20 quick enough to give it to you to say these are exactly
21 right, but just for illustrative purposes right now.

22 In the original SECY paper, it was estimated that
23 the core damage frequency was on the order of 12 times 10 to
24 the minus six for all ATWS events. When we tried to account
25 for the impact of stability -- the increased stability

1 effects or instability impacts, you end up with about 15
2 times 10 to the minus 6. So, it's not a large increase as a
3 result of that. Now again, I think we discussed this
4 before. I think you have the information. This is a
5 response to some questions that we did ask. We did get a
6 handle on how large in effect do large oscillations have on
7 risk? We don't think it's very significant.

8 MR. CATTON: My recollection is that when they
9 responded to this request for risk estimation, it was highly
10 based on arm waiving, strongly based on arm waiving.

11 MR. DAVIS: I remember those numbers, by the way.

12 MR. PHILLIPS: They have charts, in answer to our
13 question.

14 MR. CATTON: We haven't seen any of those, but I
15 think, Pete, you ought to take a look at it.

16 MR. CARROLL: What strikes me is if you look at
17 this whole can of worms from a safety goal point of view,
18 it's below the level where you should be really event
19 worrying about it.

20 MR. CATTON: If, indeed, the numbers are that low.

21 MR. PHILLIPS: Their calculation was a 10 percent
22 increase in risk.

23 MR. BOEHNERT: Yes, that's what I remember, was 10
24 percent.

25 MR. CARROLL: What does that mean, 10 percent

1 increase?

2 MR. PHILLIPS: In core damage frequency.

3 MR. BOEHNERT: But it sounds like it's highly
4 plant specific.

5 MR. CATTON: What about some specific numbers?
6 What fraction of ATWS events would you expect to have a
7 stability problem? Does it always coast through that
8 unstable zone?

9 MR. PHILLIPS: No. About half of them are non-
10 isolation events. Isn't that right, Bob, half of them are
11 non-isolation? You know, it's anybody's guess as to how
12 many, but I think it could be as high as half of those. It
13 depends on the conditions at the time that this takes place.

14 MR. JONES: I think that's why we tried to look at
15 -- we looked at the risk impacts or asked the owners to, we
16 asked them to take -- again, the issue is fundamental basis
17 for the ATWS rule. What we were looking at is challenges to
18 the ATWS rule, so we're trying to say given now that you
19 have large oscillations, it appears to us at first glance
20 that its effect is to lead to fuel failures based on the
21 calculations, which means an increased likelihood of going
22 to an isolation event, which means the risk numbers and
23 perception we had when we wrote the rule has been altered,
24 how much and how significant. So, what I'm saying is when
25 we do that, and I think that's what they've done here, and

1 these numbers are comparable to numbers I did on the back of
2 an envelope a couple of years ago. It's about a 10, 20
3 percent increase, but given the nature of that rule, I don't
4 think that's unreasonable. I don't think that's a big
5 change.

6 MR. CATTON: That's a 10 or 20 percent increase in
7 the ATWS risk.

8 MR. JONES: And the ATWS risk at the time that we
9 wrote the rule, given the rule changes, it would change that
10 number, about 10 to 20 percent. When you look at the impact
11 on all of the decision making, processes that went on
12 through that rule, you don't see anything that would really
13 have changed it. That's really the bottom line. So, from a
14 role perspective, we don't think it changes the role.

15 Now, that doesn't mean we want all of these
16 different oscillations, thus what we're trying to do with
17 the procedures is to try to quickly deal with oscillations?
18 Should they occur? Then take control of the plant so that
19 you don't bet these isolation events because those are the
20 ones that really are the challenge ultimately.

21 MR. PHILLIPS: But we have looked at it from the
22 standpoint of assuming a fuel failure an iodine spike also
23 when we got the big isolation peaks, and looking at
24 isolating when that happened. Incidentally, the isolation
25 isn't necessarily automatic anymore. That's been taken off,

1 out of the tech specs for many plants. They're all
2 permitted to. some of them haven't done it yet.

3 We said the procedures say isolate anyway. So, we
4 had them look at, do the calculations, assuming they had to
5 isolate under those conditions. Those were included in the
6 study. I don't remember the details of the result, but it
7 wasn't the worst path.

8 MR. JONES: Larry, why don't you just put up the
9 schedule slide. Our time's running out. I think we've
10 covered all of these bullets anyway by this time.

11 MR. PHILLIPS: So, this is a schedule. We're
12 proceeding, now that we've got Roy Woods from research back
13 in here from his long leave, we can get together and work on
14 his commission paper. We're going to -- we plan to issue
15 the SER essentially as is that we presented to you some time
16 ago, and we're shooting to get that out next month. We plan
17 to work on the commission paper and have it for denial of
18 the OCRE petition and have that at least to the commission
19 by March.

20 The owners are committing to get their EPG
21 document submittal in in March. That is, incorporating all
22 of the revised EPGs, both the early changes to take care of
23 stability and then later ones. In April, we'll get a TER
24 from Oak Ridge on what they submit. In May, we expect to
25 have our draft SER ready on the revised EPGs, and to go to

1 CRGR by June or whatever organization exists at that time.

2 MR. CARROLL: What does that mean?

3 MR. PHILLIPS: Well, there's been rumors that
4 that's all being changed. Forget I said it.

5 MR. WILKINS: Yeah, I think you should.

6 MR. PHILLIPS: Our final SER on the EPGs would be
7 issued in July.

8 MR. DAVIS: I think, Ivan, we should stay on top
9 of this. I wonder when would be a good time for us to have
10 another meeting, or do you plan to have another one?

11 MR. CATTON: Did we write a letter on the SCR?

12 MR. BOEHNERT: No, because they held off, you
13 know, after they came in, we were just about ready to go
14 forward, and correct me if I'm wrong, Larry, but you
15 understood, well, we're going to now combine this with the
16 solution for the EPG, so we all just stood back.

17 MR. CATTON: We've been carrying a subcommittee
18 meeting on this subject on our books now for a long time. I
19 think we probably ought to revisit the whole thing via a
20 subcommittee meeting. If you're going to do that in
21 February, it sounds like it ought to be tomorrow.

22 MR. PHILLIPS: Well, the SER you've reviewed.

23 MR. CATTON: Maybe we'll let you and Bob decide
24 when it would be best.

25 MR. BOEHNERT: Yeah, I'll harass Bob about that.

1 MR. WILKINS: Well, the question is, just
2 philosophically, where does it belong in this schedule?

3 MR. DAVIS: After the draft SER, I would think.

4 MR. WILKINS: F does it come before? It has
5 nothing to do with the OCRE rulemaking.

6 MR. PHILLIPS: Well, it does. As a matter of
7 fact, it does. The SER is the basis for the OCRE petition.

8 MR. WILKINS: Your recommendation can deny the
9 petition.

10 MR. PHILLIPS: Yes.

11 MR. JONES: Recognizing the SER and ATWS is
12 primarily -- it's not going to answer any of these control
13 problems on the EPGs. What it's really going to say is we
14 believe that these kind of controls, that is, lowering water
15 level, at least below the feedwater sparger, is effective
16 ways of stability oscillations during an ATWS event.
17 Subsequent to that and how you control it, the SER is
18 silent. As a matter of fact, I wouldn't say silent. The
19 SCR says we're still studying that, but from the standpoint
20 of ATWS oscillations, and its impact on safety, that's what
21 this SER deals with, and it deals with things like some of
22 the risk perspective. It deals with some of the things like
23 were there alternative hardware options that could have been
24 pursued to improve -- I guess improve is a bad word, but
25 were there other options available that seemed to be

1 practicable beyond what was in the current rule, and that
2 says no.

3 MR. CATTON: So your bottom line is that
4 oscillations may increase risk. Added elements of EPGs
5 balance that the net result is basically no change?

6 MR. JONES: Basically, I would say we don't say
7 it's no change. I think what we say is the change is small.

8 MR. CATTON: Okay.

9 MR. JONES: And that the EPGs need to continue to
10 be brought to fruition and just get this level control issue
11 resolved.

12 MR. PHILLIPS: Let me say the difference between
13 now and almost a year ago when we wrote this SER is that at
14 that time, we were so uncomfortable with the differences in
15 how we were going to get to an end in this, that we just
16 weren't -- we were not 100 percent positive that we may want
17 to go back and reconsider what we were doing with the pumps
18 again. We're now convinced that we can get there. We feel
19 we're converging, and we're not going to want to go back and
20 consider what we're doing with the pumps differently.

21 MR. CATTON: No, I can see where you can come to
22 that conclusion with the fives and sixes, but the three's
23 and four's, until you address the mixing issue, you are sort
24 of still in the dark.

25 MR. PHILLIPS: Well, I don't think we're in the

1 dark as far as dropping below the feedwater sparger.

2 MR. CATTON: But you still get caught in this four
3 to six percent recirculation rate.

4 MR. PHILLIPS: Well, we're going to get caught in
5 it either way. I mean --

6 MR. CATTON: Well, that's true.

7 MR. PHILLIPS: But I think we're going to have to
8 go through the first part of this the way it is to answer
9 that. So, what we're saying is look, there's no need to
10 reconsider the ATWS rule. The ATWS rule was fine. We've
11 completed that part of the study. We'll continue to look at
12 the EPGs.

13 MR. CARROLL: I would argue that there is a great
14 reason to reconsider the ATWS rule. It's totally
15 inconsistent with the safety goals.

16 MR. PHILLIPS: I think that's another petition.

17 MR. CARROLL: I don't understand these things.

18 MR. PHILLIPS: So that's basically our position.

19 MR. CATTON: So, what are you going to do if it
20 turns out that this remixing from the bottom of the vessel
21 just isn't going to do what it's supposed to do? Are you
22 going to ask for a hardware fix on the three's and four's?

23 MR. PHILLIPS: No, I think if that's the
24 conclusion we come to, we keep the level higher.

25 MR. CATTON: Okay.

1 MR. JONES: I think the whole point here is where
2 do you run level. So, we don't think the EPG issue is
3 anywhere near being done, but we don't think it's important
4 from the standpoint of the rule itself. Now, this is a
5 separate generic issue not related to the LaSalle event,
6 which is really, again, what the whole purpose of the
7 petition is. It's in response to the large oscillation
8 scene from LaSalle. This is not an oscillation related
9 issue. It is an ATWS issue we will continue to work on.

10 MR. CATTON: You sort of signed off on the LaSalle
11 type issue quite awhile ago.

12 MR. JONES: For the normal one but not the ATWS
13 implication of it, and that's what the OCRE petition
14 basically is, is what is the implications of the LaSalle
15 event with respect to the ATWS rule, and what we're doing is
16 wiping that out, saying we think we have the fix.
17 Procedures are sufficient. We don't need to change the
18 rule, and now we're just refining the details of some of the
19 other parts of the procedure.

20 MR. CATTON: So, in that case, we're talking about
21 May, June time frame?

22 MR. PHILLIPS: Yeah, right. Now, I think as far
23 as the commission paper goes, the part down to below the
24 feedwater sparger, you've heard all of the that and reviewed
25 it before.

1 MR. JONES: Larry, I'm not going to argue with
2 them about meeting with them. I'm more than willing to meet
3 with the committee.

4 MR. PHILLIPS: Oh, sure.

5 MR. JONES: And the subcommittee. I just wanted
6 to make sure you understood the relevant document, and I'll
7 just -- let Paul and I discuss this further on the side. I
8 just want to make sure that you understand what's in these
9 documents. I think you have a copy. You can take a quick
10 look yourself, and you can decide also whether you think you
11 want to do it earlier. We will be glad to come down at
12 whatever time the subcommittee finds convenient for both of
13 us.

14 MR. CATTON: Your cooperative nature is
15 overwhelming.

16 MR. WILKINS: Ivan, are we essentially finished
17 with this? And there's no action that the committee needs
18 to take at this time?

19 MR. CATTON: I don't think so, based on what I've
20 just heard. We don't need to interact with this at all
21 until it gets down further in that process.

22 MR. BOEHNERT: Okay. I'll make that note in the
23 minutes because you know, there's this business about the
24 SER. So, they're basically going to say they're going to go
25 forward with that, that we'll be looking at the EPG issue

1 down the road.

2 MR. CATTON: Right, as to whether or not they can
3 lower the level down there.

4 MR. BOEHNERT: Yes.

5 MR. WILKINS: Thank you very much, Mr. Jones and
6 Mr. Phillips. We should take a break and try to pick up the
7 six minutes we're behind on schedule. So, let's try to pick
8 up some of it. Let's be back at 20 after.

9 [Brief recess.]

10 MR. WILKINS: Gentlemen, the next item on our
11 agenda is the discussion of the reliability assurance
12 program. Jay, I guess you're the cognizant subcommittee
13 chairman.

14 MR. CARROLL: Okay. Well, I was responsible for
15 putting this on our agenda. We had been hearing about the
16 RAP program in connection with the ABWR, and a lot of things
17 that came up seemed to be overlaps of the maintenance rule,
18 license renewal rule, and I thought it might be useful if we
19 got the staff to tell us where they are on the RAP program
20 and how it will assure that individual components will have
21 high reliability. So with that, I will turn it over to Mr.
22 Polich.

23 MR. LEWIS: Jay, can you explain to me, the word
24 reliability means that you're sure of something. So,
25 reliability assurance program means the reliability of

1 reliability. Is that what it means?

2 MR. CARROLL: I don't know. Tim will tell you,
3 though.

4 MR. LEWIS: It seems to me what the English says.

5 MR. POLICH: Happy New Year and good afternoon.
6 I'm Tim Polich with the performance and quality evaluation
7 branch of NRR, and I'll be making the presentation this
8 afternoon. Also, my section chief, Rich Correia is here,
9 and from projects, Denny Crutchfield and Jerry Wilson are
10 here. We found out about this on Monday, and since
11 January 1 was my birthday, this is what they did for a
12 birthday present for me. So, thanks.

13 I'll briefly describe the ALWR reliability
14 assurance program, which we call RAP, concentrating on the
15 operational phase, and give a status of the staff reviews.
16 Also, I understand there was some interest, back in August
17 we answered some questions from Commissioner Remick on
18 reliability assurance, and then the staff's responses to
19 those questions.

20 MR. CARROLL: You'll find that correspondence that
21 Tim just referred to in Tab 6, page 7, the lower middle.

22 MR. POLICH: I've also got copies back here if you
23 need them. The reliability assurance program spans the
24 lifecycle of the plant, from the design all the way through
25 the operation, including the procurement construction,

1 maintenance and any modifications that might take place.
2 The program, if implemented, should provide a reasonable
3 assurance that the risk significant system structures and
4 components for those systems that the operational
5 reliability and the design reliability assumptions will be
6 consistent. This will be a two-phase program, starting with
7 the design or D-RAP, and continuing on with the operational,
8 or O-RAP.

9 In the D-RAP, now it has actually two parts. The
10 first part is the responsibility of the design certification
11 applicant, or the vendor, and that's what takes us up to
12 design certification. In there, there will be identifying
13 and prioritizing the risk significant system structures and
14 components. They will determine the dominant failure modes
15 of those risk significant SSCs, and they will be providing
16 the key reliability assumptions that they made to come up
17 with the basis for that.

18 The second part of the D-RAP program comes in with
19 the COL applicant. I just want to add here, this one's
20 based on the design certification PRA, and the other
21 reliability assumptions that they have at that point. For
22 the COL applicant, they will be doing a site specific PRA,
23 and any site specific information or any changes on other
24 risk significant items that may be added to the program at
25 that time, again in the identification and prioritization in

1 determining dominant failure modes, that would be the
2 responsibility of the applicant to provide that information
3 at that time.

4 MR. CARROLL: Tell me how I do all those good
5 things with respect to a -- oh, let's say control rod
6 system? How do I prioritize and identify the assumptions
7 and all that good stuff?

8 MR. POLICH: Through using the PRA as a primary
9 vehicle and by finding in there what they're using is the
10 risk achievement worths, and by using the risk achievement
11 worths, saying that that component fails all of the time,
12 they're saying if that risk achievement worth is above a
13 certain threshold, that should be included in the
14 reliability assurance program.

15 MR. CARROLL: But the PRA isn't done to that level
16 of detail for a system like the control rod system, is it?

17 MR. POLICH: I'm not sure of all of the details on
18 a control rod system for the PRA, but for a lot of the
19 systems, it is done to a level where they can make those
20 determinations.

21 MR. CARROLL: Let's talk about then an RHR pump
22 and its motor.

23 MR. POLICH: Okay.

24 MR. DAVIS: That certainly is included.

25 MR. POLICH: That would --

1 MR. DAVIS: And it's failure probability would be
2 included, and that would be --

3 MR. CARROLL: That won't help me with components
4 particularly or identifying --

5 MR. DAVIS: Well, not in all cases, no.

6 MR. POLICH: Yes, to the level that the PRA has
7 modeled that, and that's one way of getting there. Another
8 way of potentially getting there is from operational
9 experience with the item or just engineering judgment
10 between if the staff has a major -- and we found this out.
11 If the staff has a major concern with a particular component
12 because we have never seen that type of reliability before
13 or we question why that reliability number was used, then
14 from -- and some of this is coming from what we're calling
15 the PRA insights, maybe not necessarily the number, but
16 because that part of the PRA gives you a ten to the minus
17 six what assumptions did you make to get ten to the minus
18 six, and that this system always works. Well, maybe we
19 don't believe that that system always works or it isn't
20 designed yet, and in many cases, I would think, and like
21 where we have for the DAC, when we only have a bubble and a
22 black box for something, later on when the design specific
23 information comes in, that's where we would add to, through
24 a site specific PRA, we would add to the list of risk
25 significant components.

1 MR. LINDBLAD: This sounds very much like a
2 desktop program exercise. How does the RHR motor know that
3 it got higher reliability? What does the mechanic do in
4 this program?

5 MR. POLICH: Okay, that would move over into this
6 part of it, and at that point, when you identified your
7 systems and you've also identified your dominant failure
8 modes for that system, in the operational reliability
9 assurance program, you would come up with some maintenance
10 monitoring, either maintenance or condition monitoring
11 requirements for that system because if it's that important,
12 if it's risk significant, that you either through
13 engineering judgment or through the PRA, or maybe just
14 questions that you don't understand about it yet, you can't
15 quantify it very well, you would take the conservative
16 approach, put it in the program.

17 At that point, you would establish, as in the
18 maintenance rule, some goals and targets for reliability.
19 At that point --

20 MR. CARRULL: Different than what you'd have in
21 the maintenance rule?

22 MR. POLICH: Not necessarily different than what
23 you have in the maintenance rule. We would be looking for
24 an integrated program for this plant that would operate the
25 maintenance rule and the reliability assurance. We see

1 those working together. With the maintenance rule, I would
2 categorize as having actually a broader scope, and the
3 reliability assurance program I would categorize as having a
4 greater depth. There would be some overlap in the
5 components that would be in -- they're covered under the
6 maintenance rule, but they're also risk significant through
7 the PRA and therefore would fall under the program.

8 MR. CARROLL: Okay, let's explore that with the
9 depth notion. Let's talk about this RHR function.

10 MR. POLICH: Okay.

11 MR. CARROLL: What would I do with respect to the
12 maintenance rule if the O-RAP program didn't even exist, for
13 example? And now I'm going to ask you what do you have when
14 you put the O-RAP program in?

15 MR. CORREIA: If I could answer that, this is Rich
16 Correia. The maintenance rule doesn't necessarily require
17 looking at a PRA to determine risk significance. If a
18 utility or licensee chose to, they would either set
19 performance or condition goals and monitor against those
20 goals without a reliability assurance program.

21 With a reliability assurance program, I think that
22 would almost mandate that they do monitor against
23 reliability and availability goals under the maintenance
24 rule.

25 MR. POLICH: Yeah, the maintenance rule, by doing

1 proper maintenance, you can avoid monitoring, as I
2 understand it, and under the reliability assurance program,
3 you would put you into the monitoring box already, and you
4 wouldn't have a choice in that respect. So, those things
5 that overlapped in that case, if it fell in the reliability
6 assurance program, it would be in that case more restrictive
7 in that sense. But something that's not risk significant
8 but it is "designated safety related," could be handled in
9 the manner of just with maintenance, not specifically
10 monitoring.

11 MR. CARROLL: Okay. How do I go about monitoring
12 this RHR under the O-RAP program? Let's assume back in the
13 design that somebody plugged in some PRA numbers for the
14 pump.

15 MR. POLICH: Okay, maybe they picked a number of,
16 let's say ten to the minus six, and maybe for a target
17 value, maybe they want to pick something, you know, that's
18 more conservative than that so that they will get it before
19 it gets to that point as a goal, that they want to monitor
20 the reliability to make sure it doesn't get beyond that
21 number.

22 MR. CARROLL: So, they might pick ten to the minus
23 eight?

24 MR. POLICH: Sure.

25 MR. CARROLL: As more conservative than ten to the

1 minus six.

2 MR. POLICH: But the way we would do this was
3 monitoring it based on its performance through either its
4 tech specs or other maintenance that you're doing on it,
5 through any failures that you have, and any trending of any
6 maintenance that you have established through your
7 maintenance program. By monitoring for failures, it doesn't
8 take too many failures to prove that it's not meeting a ten
9 to the minus eight. So, in that case, you've got to do a
10 root cause and re-evaluate what was the real problem here,
11 and can you correct it.

12 MR. DAVIS: You won't have any pumps that
13 reliable. Generally, you're running around ten to the minus
14 three for failure to start, but even at that level, you're
15 not going to see any failures.

16 MR. POLICH: In how many hours?

17 MR. DAVIS: Well, I'm talking about per start. I
18 mean, you might start several times a year as part of the
19 surveillance program, and that still won't get you enough to
20 verify that number.

21 MR. POLICH: But you're also going to be looking -
22 - while you are running it, you're going to be looking at
23 other parameters of format, and that's the degradation also.
24 So, there's two pieces here --

25 MR. CARROLL: What's the degradation now?

1 MR. POLICH: That's the degradation of the pump.
2 If you're noticing that the flow is decreasing over time,
3 you're trending that. It's got to be monitored. So, you're
4 doing performance and condition monitoring. You look in to
5 see if it's got this -- for PWR, big boric acid stalactite
6 hanging off of it, and these kinds of things, which you
7 know, all of these things would add to the reasons why
8 you're looking at that component.

9 MR. CARROLL: But how do I relate this to some
10 quantitative reliability goal, the stalactite of boric acid
11 or a slight decreased in pump flow because the wear rings
12 are wearing or whatever.

13 MR. POLICH: This is what you would -- those
14 things would be the things that you would keep an eye on,
15 you're right. You wouldn't -- not necessarily saying that
16 yes, it's met a number by these things. This is kind of
17 objective evidence, but it's a subjective call on what the
18 number could be. The point is with the program is not to
19 statistically prove the target reliability, but to monitor
20 and provide a reliability for those components that you've
21 already predetermined that are risk significant.

22 On the other side, if you find something that you
23 hadn't categorized as risk significant and you start seeing
24 failures, the maintenance rule would probably pick that up,
25 and working these two programs in conjunction, if ones goes

1 back and looks at the PRA numbers for these new plants since
2 you have the PRA, you would look at that component, and that
3 would be a reason to put something that you hadn't thought
4 of that it was going to fail that often before into the
5 program which would require more monitoring and that sort of
6 thing.

7 MR. CARROLL: If I did a conscientious job under
8 the maintenance rule of putting everything that -- of every
9 structure system and component that played a role in safety,
10 if I got them all in under the maintenance rule, why do I
11 need this?

12 MR. DAVIS: Well, the maintenance rule won't do
13 anything for the procurement of the component.

14 MR. CARROLL: No, no, I'm talking about the O-RAP
15 program.

16 MR. POLICH: But the O-RAP includes the
17 construction and procurement, so you would want to --

18 MR. CARROLL: Let's move up to the fourth line.

19 MR. POLICH: Okay, so in here, because you've
20 already said that the thing and the design space is risk
21 significant, then you would want to procure a better
22 component.

23 MR. CARROLL: Fine, but now that I've got it and
24 it's installed and my plant is running, why do I need the
25 operation maintenance and modification part of the O-RAP

1 program if, in fact, I've included all of these things in my
2 maintenance program?

3 MR. CORREIA: This is Rich Correia again. The
4 maintenance program won't necessarily kick it back into a
5 designer modification change.

6 MR. CARROLL: How do you know that?

7 MR. CORREIA: There's no requirement.

8 MR. CARROLL: Are you sure? Have you talked to
9 the guys that are -- there has to be a requirement.

10 MR. CORREIA: If it was safety related, perhaps
11 under appendix B criterion, but basically, the approach
12 we've adopted for the maintenance rule is unless it's a
13 maintenance problem, it's outside the scope of the
14 maintenance rule.

15 MR. CARROLL: Yeah, but we've defined maintenance
16 so broadly under the maintenance rule, and I just, you know,
17 it's been a long time since I looked at the exact words, but
18 I'm pretty convinced that it bags in modifications you do
19 during the operating life of the plant.

20 MR. SEALE: Certainly if the maintenance rule is
21 going to be operating to be in connection with the life
22 extension and so on, it's got to cover all of that.

23 MR. POLICH: If a utility, right now they have a
24 choice whether they're just going to do good maintenance and
25 not monitor or that they put it into the thing to monitor,

1 so you may not keep the records. They may just be doing
2 maintenance, and all you would have was maintenance records
3 and not necessarily the trending which we found as a
4 shortcoming way back when we were doing the maintenance team
5 inspections, that trending was done at very few plants.
6 Having the operational reliability assurance program, it's
7 going to -- if they are those risk significant components,
8 then those are the ones that you would want to monitor and
9 keep track of.

10 MR. CARROLL: Now, we're not talking here about
11 the fleet of plants that are out there currently. This has
12 nothing to do with those.

13 MR. POLICH: That's correct.

14 MR. CARROLL: We're talking about plants that
15 would be licensed under part 52, and it would seem to me
16 that -- I'm playing devil's advocate here. Without an O-
17 RAP program for this last phase, you could so craft the
18 certification rule that in the tech specs that they'd have
19 to do exactly what you're talking about without having
20 something called an O-RAP program.

21 MR. CORREIA: I think in large part, the
22 maintenance rule will be the O-RAP, but as Tim said, the O-
23 RAP is more focused on those risk significance systems where
24 the maintenance rule is much, much broader than that.

25 MR. POLICH: For the most part, the O-RAP is only

1 a subset of the maintenance rule.

2 MR. CARROLL: Then why have a name for it? Why
3 not just make sure that all right things get into the
4 program.

5 MR. POLICH: Then we have to recraft the
6 maintenance rule for advanced reactors to say that for those
7 risk significant components as determined by the PRA and all
8 these other things, that's how you can craft it -- you'd
9 have to change the maintenance rule for the advance reactors
10 as opposed to what is there now.

11 MR. CARROLL: Is that not preferable to having
12 another kind of a maintenance rule? It seems to me that the
13 poor maintenance guy at this advanced boiling water reactor
14 plant that's bought some time off in the future is going to
15 have staring him in the face, let's see, I've got to comply
16 with this maintenance rule, and then I've got this thing
17 call O-RAP I've got to comply with, and then if my plant is
18 starting to get old, I've got to comply with something
19 called a license renewal rule. When it comes down to it,
20 any of those are a high quality maintenance program.

21 MR. POLICH: You're correct. I think if somebody
22 took under the maintenance rule and said everything that's
23 risk significant, I'm going to put that in the monitoring
24 category and I'm going to monitor that thing for the next
25 years, I don't think you would have a problem coming for

1 license renewal at that point because he would have all of
2 the data that people just aren't collecting at this point,
3 and that's what the problem is. You would have the records,
4 you would show the trends, you'd have it all the way from
5 design all the way through operation what you've done with
6 those components and how they behaved.

7 MR. LINDBLAD: If they all use the same scope and
8 definitions.

9 MR. POLICH: That's correct.

10 MR. CARROLL: Okay.

11 MR. LINDBLAD: Will the commitments of the
12 licensees under O-RAP and the like affect the tech specs and
13 LCOs?

14 MR. POLICH: Specifically, there isn't a tech spec
15 or that sort of thing, but one I would expect they would
16 use, the tech specs surveillance as when they establish
17 their monitoring and maintenance requirements, that they
18 would take a look at those kinds of tests that they're doing
19 and include those in saying this is risk significant and
20 part of my monitoring will be using that tech spec
21 surveillance and keeping track. Another piece of data would
22 be maybe keeping track of maintenance down time because you
23 took this tech spec piece of equipment out of service and
24 what was its availability.

25 MR. LINDBLAD: Well, is it expected that with the

1 maintenance rule and with the O-RAP we will have better
2 reliability than we have today?

3 MR. POLICH: Yes, because we're hoping, and we've
4 seen it, is that they're -- the big thing is they're making
5 the changes to designs. By using the PRA and a feedback,
6 they're making things that are even transparent before they
7 even get to this point. They're finding using the PRA, that
8 they can't meet some things out in the future for
9 reliability, so they're changing the design to increase the
10 reliability design and then going forward from there. So,
11 you make --

12 MR. LINDBLAD: You've also said the O-RAP is
13 substantial in maintaining that reliability.

14 MR. POLICH: Yes, because as you pointed out, this
15 is a paper exercise at the front end, and that's exactly
16 where you can get the more bang for your buck and changing
17 it while it's paper than when it's putting on a micro-flow -
18 - there's a mini-flow line, and then they had to put micro-
19 flow lines out there and things because they didn't do as
20 good a job in the design up front and that sort of thing.

21 MR. LINDBLAD: It seems to me if in our design
22 phase, we get more reliable equipment by doing this? We can
23 relax the surveillance requirements in the future.

24 MR. POLICH: And you very may well be able to do
25 that because you're going to be monitoring it, and because

1 you'll have an initial tech specs, and over time you're
2 going to have a trend of what this thing has been doing, how
3 it's been behaving, and I would think that the data there
4 one could use to come in for a tech spec amendment change to
5 move that surveillance interval our farther.

6 MR. LINDBLAD: Why wouldn't that be in the
7 original tech spec, though, if we have confidence in our
8 reliability assurance program will give us greater
9 reliability?

10 MR. POLICH: I would think that because of the --
11 depending on where they got the data, I mean, if they've
12 been testing a lot of these things, if they've got a
13 prototype testing, but if it's a brand new one, and we think
14 we've got the designs, the bugs worked out of it, I think
15 that's -- and you're right, with the PRA, they may have that
16 number, but another way is the deterministic, and if the
17 engineering judgment of the staff at the time is that --

18 MR. LINDBLAD: I think that tells me that you
19 don't have confidence that the O-RAP program will add value.
20 It may add value and you can only see and experience whether
21 it adds value or not, but if you're not willing at the
22 outset to say yes, it adds value and its going to be more
23 reliable, and yes, we can reduce surveillances in the
24 original tech spec. You really -- it's an experiment to see
25 if it adds value. Is that what you're saying to me?

1 MR. POLICH: It adds you --

2 MR. LINDBLAD: It adds value, improves
3 reliability. You've said well no, the original tech spec
4 couldn't reflect these improvements until they've been
5 realized with experience. I think that's what you told me.

6 MR. POLICH: Right.

7 MR. LINDBLAD: But we're telling the industry that
8 the agency believes that this definitely will improve
9 reliability.

10 MR. LEWIS: Bill, how are you going to tell, even
11 in retrospect, whether it improved reliability?

12 MR. LINDBLAD: I don't know. They say maybe they
13 will have data that will permit them to amend the tech spec
14 or maybe they won't.

15 MR. LEWIS: But in principle, you know, you --
16 well, you only can tell if you compare alternate worlds, and
17 you're never going to be able to do that, so it's always a
18 matter of faith.

19 MR. DAVIS: In my mind, it doesn't improve
20 reliability. It insures reliability. That's what it's
21 called. What we don't want to have happen is somebody to
22 have a lemon out there and a piece of equipment that's risk
23 significant. We've seen this happen.

24 The PRA now is using numbers from a generic
25 database, and what we want to do is make sure these

1 components are at least that good. That's the way I view
2 it, anyway. You may have a different view. But you don't
3 want any lemons slipping by.

4 MR. LINDBLAD: That's what the quality assurance
5 program does.

6 MR. DAVIS: That's part of it, yes.

7 MR. LINDBLAD: And the quality assurance program
8 applies to maintenance. So, tell me, why do we have
9 something call the reliability assurance program on top of
10 that.

11 MR. POLICH: The quality assurance only applies if
12 it's safety related. If it's not safety related but it is
13 risk significant --

14 MR. LINDBLAD: Now wait. I understood appendix B
15 to say that things applied to everything, depending on how
16 important they were. Is that not true? The sounds to me
17 like risk significant. Doesn't the QA program have a
18 graduated application?

19 MR. POLICH: It does.

20 MR. CORREIA: It can, but I think in practice,
21 though, it does not.

22 MR. CARROLL: Sure it does. I absolutely refuse
23 to --

24 MR. LINDBLAD: In my experience, it has had, yes.

25 MR. CARROLL: I absolutely refuse to buy quality

1 assured bullets for the guns for our security people, and I
2 got away with it. No, in practice, people have been using a
3 graded QA program for years. Emergency planning you use it,
4 reactor techs certainly use it, security you use it.

5 MR. LINDBLAD: But I, too, have the same problem
6 that Jay speaks of, of seeing whether there is any
7 difference between multiple names programs with multiple
8 named staffs with multiple named reports. They all seem to
9 come back to an original quality assurance program.

10 MR. POLICH: You're right. I think with the
11 quality assurance, a lot of that is done on the front end
12 and the effort is put in on the initial procurement and
13 getting that thing, but then over time a lot of those things
14 don't have trending over time. That's what the reliability
15 assurance program would be, the quality integrated over the
16 time factor.

17 MR. CARROLL: But Appendix B, Tim, is so broad and
18 so interpretable that it would seem to me that if Podunk
19 Light and Power comes in and says I'm going to build an
20 ABWR, under the QA program you could insist that they
21 include in their maintenance program this trending issue.
22 You could read that into Appendix B.

23 MR. LINDBLAD: I think it comes down to Part 52
24 which has the requirement for a reliability assurance
25 program that says they have got to come up with one.

1 MR. CARROLL: I think that's right.

2 MR. CORREIA: I believe it's really an integrated
3 program where reliability assurance integrates aspects of
4 QA, maintenance, tech specs, and not necessarily an
5 independent, separate function. Taking into consideration
6 information from those other programs, you develop your
7 reliability assurance program.

8 MR. POLICH: We've never wanted to do this thing
9 in isolation. It should have been integrated in kind of an
10 umbrella program that would use the inputs from the QA.
11 Under the procurement I would fully expect them to say it's
12 procured under this class of procurement under the quality
13 assurance program, Appendix B. I wouldn't expect them to
14 have a separate quality assurance program just for the O-
15 RAP.

16 MR. DAVIS: But this slide sort of implies that it
17 is separate. It would have been helpful to show the
18 relationship with these other programs on a slide like this.

19 I agree with what you just said, but that wasn't
20 the impression I got in looking.

21 MR. CORREIA: That was essentially the essence of
22 Commissioner Remick's question, which was, what is the
23 relationship between RAP, the maintenance rule, Appendix B,
24 and QA?

25 MR. POLICH: The only attempt that we are trying

1 to make here was that these things would all be in the
2 operations phase and all the pieces there. The maintenance
3 part of that could be covered by the maintenance rule; the
4 construction and procurement covered by Appendix B;
5 modifications also covered under the design part of Appendix
6 B; your operations covered by your tech specs.

7 It wasn't meant to be separate new things. These
8 were all the things that the licensee was responsible for.
9 If somebody else came in for a submittal and they wanted to
10 have a C-RAP for construction that did those kinds of things
11 under their QA program, we didn't want to preclude them if
12 they wanted to structure it that way because of their
13 organization.

14 MR. LINDBLAD: Is human performance excluded from
15 this scope, operator training and operator performance?

16 MR. POLICH: Yes. We are not looking into the
17 operations point of it. This was for structure, systems and
18 components.

19 MR. CARROLL: To quote Appendix B, "The quality
20 assurance program shall provide control over activities
21 affecting quality of identified SSCs to an extent consistent
22 with their importance to safety."

23 So Appendix B is not focusing identified safety-
24 related structure, systems and components; it's anything
25 that is important to safety.

1 MR. WYLIE: What is the intent, to simply say in
2 this operation phase that you procure equipment in
3 accordance with Appendix B?

4 MR. POLICH: Yes. This was not meant to have a
5 special procurement under O-RAP.

6 MR. LINDBLAD: Can you tell us how the RHR pump is
7 going to look different in this plant as distinguished from
8 Oconee's RHR pump? Do you have any feel for what is going
9 to be different about design and procurement of these
10 systems?

11 MR. POLICH: I would expect that, since they do
12 have the PRA and they have some numbers that could be used
13 as input into the procurement of what you want for your
14 plant. I don't know if that would be as much of an
15 improvement. By using the PRA maybe they decided that they
16 needed four pumps instead of three or something like that.

17 One of the examples that was used for one of the
18 vendors was they found by doing their PRA that the failure
19 to start of a pump made something very risk-significant. So
20 one of their potential design change options is that they
21 will have not only two trains with one pump in each loop,
22 which is what they initially had, but they would now have
23 two trains with two pumps in a loop and one pump always
24 running.

25 Maybe the hardware itself is the same but maybe

1 there are multiple pieces of hardware or maybe they have
2 decided to go with diverse pieces of hardware to get a
3 reliability number.

4 MR. WYLIE: What do you base that kind of decision
5 on?

6 MR. POLICH: That was an example that one of the
7 vendors gave me. They had done that by looking at their PRA
8 numbers. This is the example that is in the CE SSAR. It's
9 Chapter 17.3. The System 80+ component cooling water has
10 two trains, one pump in each loop, and they found by doing
11 the PRA and matching that to the System 80+ that one of
12 their potential design changes may be to have two pumps and
13 one pump always running in each loop.

14 MR. LEWIS: You used the word "diverse." Did you
15 mean "redundant"?

16 MR. POLICH: Yes.

17 MR. LINDBLAD: Can it go the other way as well?
18 Can they reduce the number of components if they find that
19 it has no other added value?

20 MR. POLICH: I think it's the risk reduction.
21 It's if it always worked and never failed, is there any kind
22 of an improvement there?

23 MR. DAVIS: In fact there is an example of that
24 also in the ABWR where they went from four trains to three.

25 MR. LINDBLAD: But he's talking about the design

1 phase. Doesn't that come after design certification, and on
2 these advanced plants aren't we identifying how many
3 components?

4 MR. POLICH: That would happen before design
5 certification. The one you procure would happen before
6 licensing.

7 MR. LINDBLAD: You're saying that people already
8 have a reliability assurance?

9 MR. POLICH: In practice it's being used in the
10 design phase.

11 MR. LINDBLAD: Is that being inspected by the
12 inspectors?

13 MR. POLICH: To my knowledge, we have not
14 specifically gone out to the vendors and done an inspection
15 on this. However, what we did request in the reliability
16 assurance program is provide an example. In both cases they
17 provided us an example. The example I gave you was
18 Combustion Engineering's example that they provided to see
19 if their program is indeed working.

20 MR. KRESS: That raises an interesting question.
21 How does NRC do anything with respect to assurance
22 compliance to any kind of rule if it's in the design phase?
23 That's not taking place at a reactor site. It may be in the
24 minds of the designers.

25 MR. POLICH: What we are requesting is that they

1 identify the risk-significant SSCs. While they are still
2 doing their design work, if they themselves realize that
3 they don't like the risk numbers they are getting from that
4 one, they'll make that change even before they present the
5 design to us. They have been making those changes prior to
6 that just by virtue of having to do a PRA.

7 MR. KRESS: Really all you are saying, though, is
8 when they hand you a design you want to see in it the risk-
9 significant components in a list.

10 MR. POLICH: That's correct. The design
11 reliability assurance program takes the design certification
12 PRA and takes those components by using their risk
13 achievement words, risk reduction words. They take those
14 and they say these are the ones that from our design as it
15 is now for design certification going forward are the ones
16 that are the most risk-significant. That is the information
17 that we want passed on. They would also determine the
18 dominant failure modes of those components and any other key
19 reliability assumptions. That is the design information
20 that would be passed on to the COL applicant.

21 When they do the site-specific PRA, if there are
22 any changes in delta, at that time we would review this
23 before the license. That is what we would look for as the
24 benchmark, if you will, to be used. From that they would
25 set up goals in the operations side and you would monitor

1 and trend the performance at that point.

2 MR. KRESS: What would you expect to find out from
3 the monitoring, which is the only real difference between it
4 and the maintenance? Let's say it's a pump. What are you
5 monitoring, flow? Whether or not it starts and stops when
6 you turn it on?

7 MR. POLICH: You would monitor probably the same
8 parameters that you are doing under a tech spec or something
9 equivalent to that.

10 MR. CARROLL: ISI.

11 MR. POLICH: ISI, IST.

12 MR. KRESS: What would you do with those sets of
13 data?

14 MR. CORREIA: That's the information that you
15 would use to compare against the goals that you've
16 established.

17 MR. KRESS: The goals are reliability?

18 MR. CORREIA: It can be reliability; it can be
19 availability. You can do condition monitoring where you
20 would monitor pressures, temperatures, delta T's. For the
21 maintenance rule those are all options. It depends on what
22 the licensee wants to monitor, parameters or performance.

23 The key is the reliability assurance program
24 focuses the licensee's attention to certain risk-
25 significant structure, systems and components.

1 MR. CARROLL: Where do I cut it off? I've done my
2 PRA and I do all these fancy things to find out what the
3 risk-significant components are. Are there some
4 quantitative rules that tell me this is risk-significant if
5 it's above this line and not risk-significant if it's below
6 the line? Or is this just good engineering judgment?

7 MR. KRESS: We heard in the regulatory treatment
8 of non-safety systems how they would do that.

9 MR. CARROLL: Oh, that thing.

10 MR. KRESS: Yes.

11 MR. CARROLL: That's ridiculous. Is that right?

12 MR. KRESS: That's the only possible way to do
13 this, isn't it? You do a focus PRA and use as guides the
14 safety goals, for example. You choose the equipment you
15 want to have in your focus PRA and those that have to go in
16 there at that reliability level to meet these goals are the
17 ones you put on the list.

18 MR. CARROLL: Is that what you plan to do?

19 MR. POLICH: That may be a method. The one method
20 that we have just gotten in from Combustion Engineering was
21 they have come up with a risk achievement worth greater than
22 5 would put the thing in the reliability assurance program.
23 They have come up with some parameters, saying that if you
24 procured the worst possible thing and it failed all the
25 time, you would still be a factor of two below the safety

1 goal for a current plant.

2 MR. CARROLL: You went on and said once we have
3 identified these risk-significant structure, systems and
4 components that you were also going to make m. as a vendor
5 identify the dominant failure modes; is that correct?

6 MR. POLICH: Yes.

7 MR. CARROLL: What is the dominant failure mode of
8 an RHR pump?

9 MR. POLICH: There could be several. It may be
10 failure to start. Through the PRA, what they used for the
11 failure within that PRA.

12 MR. CARROLL: Pete, correct me if I'm wrong. You
13 don't look at it to that level of detail.

14 MR. DAVIS: Oh, yes. You include failure to start
15 and failure to run, and usually one of those dominates.

16 MR. CARROLL: Okay. That's isn't very helpful to
17 me. If I'm the maintenance guy, I want to know that the
18 reason for failure to start is predominantly due the
19 overheating or the switch not working or whatever.

20 MR. CORREIA: Those would be the reasons for
21 failure but what you would trend is the fact that it did
22 fail. You would monitor that against what you assumed in
23 your PRA.

24 MR. POLICH: That's where in the operations side
25 your root cause analysis would come into play.

1 MR. CARROLL: But you do recognize that in a
2 component that has one chance in 100 of failing to start one
3 failure doesn't say that anything bad has happened.

4 MR. POLICH: Correct.

5 MR. CARROLL: It could be totally random.

6 MR. CORREIA: The key is that you identify the
7 failure, determine the root cause, correct the problem, and
8 continue trending performance or condition.

9 MR. WYLIE: I'm having a little difficulty
10 understanding what you do with procurement. Part of
11 procurement is specifications. That's the first step. You
12 write a spec. What are you looking for in a spec? Are you
13 looking for reliability numbers from your PRA?

14 MR. POLICH: I'm not looking for a specific
15 reliability number but within your QA program, which uses a
16 graded approach, we would expect that for the most risk-
17 significant stuff you are procuring the better stuff for
18 those kinds of components.

19 MR. WYLIE: How do you do that?

20 MR. POLICH: If there were two different pumps and
21 one came with an N stamp and one didn't, you would go ahead
22 and --

23 MR. WYLIE: If it's a safety system component,
24 it's going to have to meet safety system requirements, and
25 you are going to specify those. What else do you look for?

1 MR. CORREIA: In the case of a pump, for example,
2 if you told the vendor you needed something that was
3 required to be highly reliable, he may choose better
4 bearings, different materials.

5 MR. CARROLL: Like hell he will. Not unless you
6 tell him to, because from a competitive point of view he's
7 going to lose the bid.

8 MR. WYLIE: The truth of the matter is the only
9 way you get quality equipment is the procuring engineer has
10 to analyze each pump. You allow certain bidders to bid on
11 that pump and then he evaluates the bidders and he buys the
12 highest quality at a reasonable price. That's the way you
13 do it.

14 It says in here that you are consistent with the
15 reliability assumptions in the design PRA. I don't know how
16 you do that.

17 MR. POLICH: With the reliability assumptions from
18 the PRA you have now identified and prioritized which are
19 the most risk-significant, and for the most risk-significant
20 you would procure the better quality.

21 MR. WYLIE: You always do that.

22 MR. CARROLL: What is the better quality, Tim?
23 When I go out to four vendors for a pump, unless I very
24 specifically put in my spec details --

25 MR. POLICH: The procurement engineer would make

1 the call, that he understands that this is risk-significant
2 and he needs to procure the stuff to meet the specifications
3 for that.

4 MR. LINDBLAD: That's not new.

5 MR. POLICH: I'm not saying it's new.

6 MR. LINDBLAD: That's how all design has been done
7 for the last several years.

8 MR. DAVIS: Yes, but we didn't have the risk-
9 significant information.

10 MR. LINDBLAD: You didn't have the numerics. How
11 does a design engineer use the PRA numerics to relate to how
12 heavy a shaft he's going to put in his pump? If the
13 stiffness of the shaft has something to do with the
14 reliability, does the PRA man convert his numeric to a
15 design description?

16 MR. POLICH: What he would be doing would be
17 providing you the list and the relative importance on that
18 list. From there the procuring engineer would use his
19 judgment on saying this is at the top of the list, this is
20 at the bottom of the list, that sort of thing.

21 It is not specifically taking the numeric number
22 and plugging it in and saying I have to make this shaft this
23 good. If this covers the core damage frequency for this
24 thing, then it means I'd better try to put in as many things
25 in the specification that I can. For things that are at the

1 very bottom of the list maybe you don't need to put in all
2 those kinds of specifications; you are going to pick
3 something that is commercial grade, or whatever.

4 MR. CORREIA: Looking at the current industry
5 experience with a similar piece of equipment would give you
6 an indication also as to how reliable it performed under
7 similar conditions. You may want to say that's adequate for
8 my design or you may want to mandate certain design changes
9 to give you higher reliability or maybe longer intervals
10 between maintenance and things like that.

11 MR. WYLIE: How do you enforce that they buy
12 something that meets the reliability numbers used in the
13 PRA?

14 MR. KRESS: That was my question.

15 MR. POLICH: We're not trying to enforce a number
16 to meet the PRA.

17 MR. WYLIE: We talked about how you achieve
18 quality. You achieve quality by specifying certain
19 requirements for the piece of equipment. I don't know what
20 this program does to ensure that.

21 MR. CORREIA: It probably would be a similar
22 process to what we have now. These programs are implemented
23 by licensees' procedures as we do now largely in Appendix B
24 to assure that licensees are following the procedures that
25 they have implemented for their programs.

1 MR. CARROLL: For the record, let me say that Mr.
2 Wylie has probably spent more years procuring equipment than
3 the aggregate of the agency's expertise in procuring
4 equipment.

5 MR. LEWIS: You mean he's a professional procurer?

6 MR. CARROLL: Yes.

7 MR. DAVIS: And look where he ended up, at ACRS.

8 [Laughter.]

9 MR. LINDBLAD: I would like to point out that he's
10 wearing his letterman's sweater today too.

11 MR. CARROLL: Tim, we have five more minutes.
12 What are you going to tell us in your remaining five
13 minutes?

14 MR. POLICH: I think we pretty much went over this
15 portion of it.

16 A quick status of where we are with these things:
17 We have written the EPRI utilities requirements
18 document.

19 The FSARs for both passive and evolutionary have
20 been written.

21 The Chapter 17.3 for both GE and CE has been
22 written.

23 The draft RTNSS SECY paper, section E on
24 reliability assurance, is currently in concurrence.

25 I have under review the Westinghouse AP600 and GE

1 SBWR. As a matter of fact, five minutes before I came here
2 I just got the latest submittal from SBWR amending their
3 previous stuff. So those things are moving along.

4 MR. CARROLL: I guess I had the reaction that the
5 vendors at this stage aren't really sticking their neck out
6 very much. They are just sort of dumping a problem into the
7 laps of the COL holder by providing a lot of nice words
8 about what they are going to do.

9 MR. SEALE: It may make it awful hard to find one
10 of those.

11 MR. CARROLL: Yes, it might.

12 MR. POLICH: The questions that Commissioner
13 Remick asked were the relationship between reliability
14 assurance and Appendix B, the maintenance rule and the
15 utilities requirements documents. Both span the life of the
16 plant, both use a graded approach, and both consider
17 equipment selection and procurement. I would expect that
18 the procurement being done for the risk-significant stuff
19 would be Appendix B itself.

20 MR. CARROLL: You would almost conclude from this
21 slide, if you knew nothing else, that if both do this, why
22 do I need both?

23 MR. DAVIS: I would like to see what is different
24 about them. I guess you said the RAP is really an umbrella
25 for these things.

1 MR. CARROLL: The other way around.

2 MR. SEALE: The RAP is the thing that ties all of
3 these together.

4 MR. POLICH: For this one what the RAP does
5 differently is it now takes the integrated quality and it
6 measures it against the goal. So you are going to get more
7 of a feedback than you would for normal Appendix B, although
8 under Appendix B there is a corrective action and that sort
9 of thing for failures.

10 I think we talked a little bit earlier about the
11 difference between the maintenance rule and reliability
12 assurance, the maintenance rule being broader in scope and
13 reliability assurance being greater in depth.

14 For the last one, D-RAP is consistent with the
15 staff's position on reliability assurance.

16 MR. CARROLL: I guess I want to spend some more
17 time looking at FSAR sections. It has been helpful to hear
18 about this perspective.

19 MR. WILSON: On that note, I want to point out
20 that the ABWR SER has been delivered to the ACRS.

21 MR. CARROLL: I know that. In fact, I think that
22 is what triggered my suggestion that we hear a presentation
23 on this subject.

24 We thank you, Tim. I will turn it back to Mr.
25 Kress right on time.

1 MR. KRESS: Very good. We are at a point where we
2 need Mr. Wilkins back, and he is here.

3 MR. CARROLL: Before we leave O-RAP or RAP, let me
4 ask a question. Do others feel as uncomfortable about these
5 fine words as I do, or the way they are being implemented?

6 I think the staff and the vendors, just because
7 the words appeared in Part 52, are doing something, and what
8 they are doing is just dumping a mess in the hands of the
9 COL holder.

10 MR. LINDELAD: I think so too. I think the
11 vendors see there is a hurdle in the Part 52 and so they
12 will leap the hurdle rather than argue with it, because it's
13 basically a desktop exercise. We'll see what happens out on
14 the operating floor some day.

15 I don't see that there is a great amount of
16 attention to actually improving the reliability of some of
17 the systems other than what Pete Davis just mentioned to me,
18 reducing their complexity and taking off many of the trips
19 that shut down a system when it should be running. That, I
20 think, probably has more to do with reliability of the
21 systems than the mechanical reliability.

22 MR. WILSON: I want to make sure there is a
23 clarification here. As the crafter of Part 52, I don't
24 remember putting in a requirement for RAP. I'm not sure
25 what you are talking about when you say that Part 52

1 required a RAP. What the staff decided is that we wanted to
2 assure that the reliability that was there when we approve
3 the design will continue to be there, and so we developed a
4 RAP requirement. That is what you heard about. That's not
5 a spinoff from Part 52 per se. We are going to have that
6 become a requirement as part of our certification, but Part
7 52 doesn't say you have to have a RAP program.

8 MR. CARROLL: So Part 52 has no words in it about
9 reliability assurance programs?

10 MR. POLICH: The only words they have in there are
11 requiring a PRA.

12 MR. WILSON: And they have used that PRA as part
13 of this process of deciding what is significant. Now they
14 want to translate that into a program.

15 MR. CARROLL: So if the staff can invent
16 something, they can make it go away; it isn't part of the
17 regulation.

18 MR. SEALE: Or they could redefine it.

19 MR. WILSON: As part of the certification we are
20 going to specifically state which requirements apply and
21 which don't.

22 MR. LEWIS: Everyone is in favor of better
23 reliability. That's a given. Other industries have been
24 gradually improving their reliability over the years,
25 learning lessons. I ran into a friend on the airplane

1 coming in last night who is president of a large aircraft
2 manufacturing company and he mentioned to me out of the blue
3 that they have really learned a lot in the last ten years
4 about how to integrate maintenance reliability with
5 manufacturing reliability.

6 Have you had extensive interaction with such
7 people?

8 MR. POLICH: What I have done is looked back at
9 where reliability engineering started, and that was back in
10 the 1950s with the electron tubes, combining them with a jet
11 aircraft.

12 MR. LEWIS: I'm sorry. I was using electron tubes
13 a lot before the 1950s. But go on.

14 MR. POLICH: Putting it on a shaker table at one
15 frequency vibrated one grid and putting it on the jet was
16 causing white noise and things to short out and bad
17 communications and things like this. I did go back for this
18 and looked back through what had been done through the
19 electronics industry, through the military. They have
20 reliability programs based mostly on contracting. That's
21 Mil Standard 785 and 781. I looked through those.

22 As part of TMI there was an action item 2C4. That
23 was reliability engineering. I looked through what we did
24 for that.

25 As part of the Clinch River Breeder Reactor, at

1 that time we were requesting a reliability assurance
2 program. One was submitted for that, and we had a
3 contractor review that.

4 All those were linked to the aircraft industry and
5 to other industries. I've had conversations and discussions
6 with folks from some of the Navy programs, some of the folks
7 from NASA, and DOE.

8 MR. LEWIS: TMI was 14 years ago, nearly 15 years
9 ago. So that's pretty much obsolete. There is a lot that
10 has been learned in the last ten years. NASA has hardly
11 been a paragon for reliability engineering in recent years.
12 The military procurement people are really not at what you
13 might call the cutting edge of the issue of aircraft
14 reliability. That resides in the manufacturers of both
15 civilian and military aircraft. In fact the requirements
16 are much tighter on civilian aircraft than they are on
17 military aircraft because they are expected to fall down
18 from time to time.

19 MR. CARROLL: And parachutes.

20 MR. LEWIS: Yes.

21 Reading the reports doesn't give you the sense for
22 what people are really doing. While I recognize that
23 reactors are not the same as aircraft, there is an art of
24 reliability engineering and it has advanced a great deal in
25 the past ten or 15 years.

1 MR. CARROLL: Med just showed me something he got
2 just before the meeting. It is some comments that Gary
3 Mizuno of OGC wrote on a number of topics, one of which is
4 what we have just been discussing. He says, "At this time
5 it is unclear why O-RAP and D-RAP are necessary or why they
6 need to be addressed in Part 52 space. In many respects the
7 intended functions of O-RAP and D-RAP are covered by
8 existing Part 50 Appendix B requirements, Part 21
9 requirements, and the requirements of the maintenance rule.
10 Thus O-RAP and D-RAP appear to be superfluous and
11 unnecessary."

12 I couldn't have said it better myself.

13 MR. WILKINS: And that's a lawyer?

14 MR. CARROLL: That's a lawyer.

15 MR. LEWIS: You say that's OGC?

16 MR. CARROLL: Yes.

17 MR. LEWIS: So we have to change the sign.

18 MR. WILKINS: I guess we had better move on.

19 MR. DAVIS: I think we should thank Mr. Polich for
20 a good presentation. Despite our pestering, I think he did
21 quite well.

22 MR. POLICH: One last thing. I've also taken a
23 couple of classes over at the University of Maryland. There
24 are only two universities in the country that teach
25 reliability engineering. One of them is Maryland and the

1 other one is the University of Arizona.

2 MR. LEWIS: Maryland is one of the few
3 universities that has had a theoretical physicist as
4 president.

5 MR. CARROLL: But the real secret of Tim is the
6 fact that he got well broken in at Diablo as a resident
7 inspector.

8 MR. LEWIS: And survived.

9 MR. CARROLL: Apparently.

10 MR. WILFONGS: All right. Let's see how far we can
11 get on this green letter.

12 [Whereupon at 4:30 p.m., the recorded portion of
13 the meeting was concluded.]

14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings
before the United States Nuclear Regulatory
Commission
in the matter of:

NAME OF PROCEEDING: 405th ACRS Meeting

DOCKET NUMBER:

PLACE OF PROCEEDING: Bethesda, MD

were held as herein appears, and that this is the
original transcript thereof for the file of the
United States Nuclear Regulatory Commission taken
by me and thereafter reduced to typewriting by me
or under the direction of the court reporting
company, and that the transcript is a true and
accurate record of the foregoing proceedings.

Michael Fauler

Official Reporter
Ann Riley & Associates, Ltd.

**LICENSE RENEWAL BRIEFING
FOR THE
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS**



**January 6, 1994
Bethesda, Maryland**

PURPOSE

- Summarize the significant results of the September 30, 1993 license renewal workshop.
- Provide staff conclusions and proposals regarding an approach to license renewal that
 - (1) allows greater credit for existing licensee programs, and
 - (2) integrates the provisions and focus of the maintenance rule in the license renewal process.
- Discuss key license renewal issues.

BACKGROUND

- Industry and staff experience with final rule.
- Senior management review.
- SECY-93-049 and SECY-93-113 proposed interpretive implementation without rulemaking.
- Workshop to solicit comments.

WORKSHOP SUMMARY

- Conducted on September 30, 1993, in Bethesda, Maryland.
- Over 180 representatives from utility, organizations, consulting firms, engineer and architect firms, nuclear industry organizations, public interest groups, and state and local governments.
- Written comments received from the Department of Energy, the Nuclear Management and Resources Council, Yankee Atomic Electric Company, Virginia Power Company, and the Ohio Citizens for Responsible Energy.
- Consensus view that the license renewal rule needs to be revised to establish appropriate credit for existing licensee programs.

AGING MECHANISMS AND MANAGEMENT OF AGING EFFECTS

- The current SOC emphasizes the need to evaluate specific aging mechanisms and contains conflicting language regarding the acceptability of an "effects" approach.
- SECY-93-049 and -113 endorsed the concept of managing aging effects via performance or condition monitoring.
- SOC should be clarified to remove the inconsistencies.
- Revised rule will establish an "effects" approach.

CURRENT LICENSING BASIS

- CLB is the foundation for the two principles of license renewal.
- Intent of maintaining the CLB is to ensure continuation of an acceptable level of safety.
- The CLB encompasses operational, functional, and design aspects.
- License renewal process should focus on ensuring SC functions in the renewal term.
- Reasonable assurance that function will be maintained, together with other CLB requirements and the regulatory process being brought forward, are sufficient to conclude that the CLB will be maintained.
- Rule, SOC, and associated documents require revisions to reflect this position.

DEFINITION OF ARDUTLR

- Broad range of interpretations: difficult to implement.
- Concept explicitly linked to first principle.
- Proposed definition:
 - (1) principal focus on certain passive, long-lived SCs (e.g., vessel, containment, non-redundant portions of systems);
 - (2) categorical exclusion of active SCs and redundant passive SCs subject to the maintenance rule;
 - (3) categorical exclusion of SCs replaced within 40 years; and
 - (4) SCs not included in provisions of the maintenance rule, but subject to existing performance or condition monitoring programs, could be dispositioned as not subject to ARDUTLR with justification in application.

TIME-LIMITED ANALYSES

- The CLB contains certain explicit time-limited provisions or analyses.
- Time-limited analyses are considered to be within the definition of ARDUTLR in the existing rule.
- Revised rule clarifies time-limited analyses requirements.

INTEGRATED PLANT ASSESSMENT

- The IPA, together with the definitions of SSCs ITLR and ARDUTLR, provides a process which begins broadly and then focuses on significant SCs to determine the need for additional aging management programs in the renewal term.

ADDITIONAL AREAS FOR RULE CHANGE

- Proposed changes to the rule:
 - Clarify level of detail in the application
 - Separate the details of the IPA from the FSAR supplement
 - Clarify change processes and reporting requirements

- Other areas the staff is considering for potential rule/SOC change include:
 - Defining the term "passive" as it applies to ITLR SSCs and functions
 - Clarifying ITLR screening requirements for support systems
 - Clarifying licensee evaluation requirements for passive long-lived structures and components.

CONCLUSIONS

- Rule and SOC should be changed to:
 - (1) appropriately credit existing programs and the maintenance rule,
 - (2) resolve ambiguities between the SOC and the rule, and
 - (3) establish a more efficient, stable, and predictable license renewal process.

- Approve the general approach discussed in SECY-93-331 for revising the license renewal rule.

RULEMAKING

- Dedicated interoffice rulemaking team with oversight from an interoffice senior management steering group; NRR lead.
- Ambitious schedule which will forward a proposed rule to the Commission within 4 months after Commission directs the staff to proceed with rulemaking.
- Final rule published 12 months after Commission direction.
- Continue, as practicable, to work with industry organizations to identify and resolve license renewal inspection, technical, and implementation issues which are outside the scope of rulemaking.

FINAL RULEMAKING

CLARIFYING EMERGENCY PLANNING EXERCISES REQUIREMENTS

PRESENTED TO

THE ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

JANUARY 6, 1994

BY

MIKE JAMGOCHIAN
SEVERE ACCIDENTS ISSUES BRANCH
DIVISION OF SAFETY ISSUES RESOLUTION
OFFICE OF NUCLEAR REGULATORY RESEARCH

301 - 492-3918

BACKGROUND

- o MEMO ON JUNE 29, 1989; EDO PROPOSED TO COMMISSION TO REVISE 15 AREAS IN THE EMERGENCY PLANNING REGULATIONS
- o EARLY 1992; COMMISSION DIRECTED EDO TO REVISE ONLY 3 AREAS IN EP REGULATIONS
- o JUNE 12, 1992; ACRS DECLINED TO REVIEW PROPOSED RULEMAKING PACKAGE UNTIL AFTER PUBLIC COMMENT PERIOD.
- o JUNE 28, 1993, PROPOSED RULEMAKING PUBLISHED IN FEDERAL REGISTER FOR PUBLIC COMMENTS

PROPOSED REGULATORY REVISION

- o CLARIFY EXERCISE REQUIREMENTS
- o CHANGE THE INGESTION PATHWAY EXERCISE FROM ONCE EVERY 5 YEARS TO ONCE EVERY 6 YEARS
- o DELETE THE REQUIREMENT THAT A STATE RETURN TO A SPECIFIC SITE EVERY 7 YEARS IN ORDER TO PARTICIPATE FULLY IN AN EXERCISE

PUBLIC COMMENT ANALYSIS

- o 12 PUBLIC COMMENT LETTERS RECEIVED
 - 5 FROM UTILITIES
 - 6 FROM STATE AGENCIES
 - 1 FROM NUMARC

- o ALL COMMENTORS AGREED WITH PROPOSED RULEMAKING EXCEPT
 - 1 STATE AGENCY DISAGREED WITH DELETING 7 YEARS RETURN FREQUENCY
 - 3 COMMENTORS SUGGESTED ADDITIONAL REVISIONS
 - SEVERAL SUGGESTED REWORDING THE INGESTION PATHWAY EXERCISE REQUIREMENT

FINAL REGULATORY REVISIONS

PROPOSED REVISION 1: CLARIFY REQUIREMENTS RELATING TO "FULL" AND "PARTIAL" PARTICIPATION BY STATE AND LOCAL GOVERNMENTS THAT ARE WITHIN THE EPZ OF MORE THAN TWO NUCLEAR POWER PLANTS

RATIONAL: AFTER USING THIS REGULATION FOR YEARS, THE STAFF AND LICENSEE FOUND THEM TO BE UNNECESSARILY COMPLICATED AND THEREFORE WARRANTED CLARIFICATION

FINAL REGULATORY REVISIONS (CONTINUED)

PROPOSED REVISION 2: THE INTERVAL FOR AN INGESTION EXPOSURE PATHWAY EXERCISE SHALL BE CHANGED FROM 5 TO 6 YEARS.

RATIONAL: CONSISTANT WITH THE BIENNIAL FREQUENCY REQUIRED IN EXERCISES OF OFFSITE PLANS, AND CONSISTANT WITH FEMA REQUIREMENTS

FINAL REGULATORY REVISIONS (CONTINUED)

PROPOSED REVISION 3: DELETE THE REQUIREMENT THAT A STATE RETURN TO A SPECIFIC SITE EVERY 7 YEARS IN ORDER TO PARTICIPATE FULLY IN AN EXERCISE

RATIONAL: EXPERIENCE HAS INDICATED THAT THIS REQUIREMENT IS UNNECESSARY AND ELIMINATING IT IS CONSISTANT WITH FEMA'S REQUIREMENT.

CONCLUSION

- o STAFF RECOMMENDS THAT THE
EDO APPROVE THIS FINAL
RULEMAKING PACKAGE

GENERIC ISSUE 67.5.1

REASSESSMENT OF SGTR RADIOLOGICAL CONSEQUENCES

JANUARY 6, 1994

JOE MURPHY, RES

STANDARD REVIEW PLAN SECTION 15.6.3 ADDRESSES SGTR

SRP SECTION DEVELOPED IN LATE 1970S, WHEN VERY LITTLE DATA WAS AVAILABLE

SOME DATA BECAME AVAILABLE FROM THE MB-2 STEAM GENERATOR TRANSIENT RESPONSE PROGRAM, ORNL WORK ON IODINE SPECIATION AND PARTITIONING, AND OPERATIONAL EVENTS DURING WHICH IODINE WAS RELEASED TO THE REACTOR COOLANT

THE ACTIVITY UNDER THIS GENERIC ISSUE SOUGHT TO TAKE ACCOUNT OF THE NEW INFORMATION

SGTR RADIOLOGICAL ASSESSMENT IS ASSESSED UNDER
CONDITIONS OF PRE-ACCIDENT IODINE SPIKE AND ACCIDENT
INITIATED IODINE SPIKE

IODINE TRANSPORT TO ATMOSPHERE CALCULATED USING A
MODEL IN WHICH IODINE IS CARRIED TO STEAM LINE
DIRECTLY WITHIN DROPLETS AND INDIRECTLY AFTER
"SCRUBBING" IN THE SECONDARY SYSTEM

THE WORK DONE ON THE GENERIC ISSUE 67.5.1 SHOWED
THAT IMPROVEMENTS IN THE SRP SHOULD BE PURSUED

SRP SPECIFIES THAT IODINE PARTITIONING COEFFICIENT OF 100 BE USED, BUT DOES NOT INDICATE WHETHER IT SHOULD BE ON A MASS OR VOLUME BASIS

THERE IS SOME INDICATION THAT THE pH OF SECONDARY WATER SHOULD BE A CONSIDERATION

THE DATA APPEARS TO SUPPORT A REDUCTION IN THE MAGNITUDE OF THE IODINE SPIKE AND A LOWER AMOUNT OF IODINE CARRIED OVER DIRECTLY

OUR WORK LEADS US TO RECOMMENDATIONS OF SPECIFIC CHANGES TO THE SRP, BUT MAY NOT CONSTITUTE THE COMPLETE LIST OF CHANGES THAT OUGHT TO BE PURSUED

OUR RECOMMENDATIONS ARE ONLY FOR U-TUBE STEAM GENERATORS

	Current SRP Guidelines	Proposed Change to SRP
Partition Coefficient	100 No Basis given (Mass or Volume)	35 (MASS BASIS)
Pool Entrainment (Recirculating Type)	Equation 27, Ref. 8	0.005%
Bypass Entrainment (Recirculating Type)	Equation 32, Ref. 8	0.001%
Entrainment (Once through)	None	All Break Flow Enters Steamline
(a) SGTR Following Iodine Spike	Iodine Concentration In RCS 60 - 275 $\mu\text{Ci/g}$	12 $\mu\text{Ci/g}$
(b) SGTR with A Coincident Iodine Spike	500 Increase in release rate (Initial Concentration = 1 $\mu\text{Ci/gr}$)	1.33 $\frac{\text{Ci}}{\text{hr} \cdot \text{MW}(e)}$ (Initial Concentration 1 $\mu\text{Ci/gr}$)

SUMMARY OF RESULTS

NRR IS REASSESSING THE WAY IN WHICH RADIOLOGICAL
DOSES FROM STEAM GENERATOR TUBE FAILURES ARE
CALCULATED AS PART OF THE RESPONSE TO DEVELOPING
RECOMMENDATIONS ON STEAM GENERATOR INSPECTION AND
REPAIR CRITERIA

WE INTEND TO PROVIDE THE RES RESULTS TO NRR FOR
INCORPORATION INTO THE ON-GOING ACTIVITY

ACRS FULL COMMITTEE

**NRC Staff Presentation on
ATWS/Stability**

L. E. Phillips
NRC/NRR/DSSA/SRXB

January 6, 1994

ATWS With Power Oscillations

Key Issues

- Validity of Assumptions and Results of ATWS Analyses Supporting the ATWS Rule
 - Impact of Large Power Oscillations on Fuel Coolable Geometry and Containment Integrity
 - Effectiveness of Automatic and Manual (EPG) Mitigation Actions in Response to ATWS
 - Validation of Analytical Models and Codes Used to Predict the Core Behavior with Power Oscillations

NRC Review

- NEDO-32047 - ATWS Rule Issues Relative to BWR Core Thermal-Hydraulic Stability
- NEDO-32164 - Mitigation of BWR Core Thermal-Hydraulic Instabilities in ATWS
- NUREG/CR-5817 - BWR Stability Analysis with the BNL Engineering Plant Analyzer
- Team Audit of TRACG Validation & Verification

Summary of ATWS Review Conclusions

- TRACG is an adequate analytical tool to evaluate the impact of power oscillations on ATWS events though large uncertainties exist about quantitative results for very large oscillations
- Although some fuel and clad melting cannot be precluded by analysis, core coolability and containment integrity in the presence of large oscillations can be maintained and the prescriptive requirements of the ATWS rule remain appropriate

Summary of ATWS Review Conclusions (cont.)

- EPG changes to improve instability mitigating actions to reduce the probability of some fuel melting should be implemented:
 - Reduce core inlet subcooling by immediate actions to reduce feedwater flow until water level drops to about one meter below feedwater spargers
 - Earlier boron injection

Status of OCRE 2.802 Rulemaking Petition for ATWS

- Draft SER for preceding ATWS/Stability review provided to ACRS prior to May 1993 subcommittee meeting
- Issuance of the ATWS SER has been delayed awaiting resolution of related EPG issues
- NRR is now proceeding with issuance of the ATWS SER
- RES and NRR are working on a commission paper requesting approval of a staff recommendation for denial of the rulemaking petition based on the ATWS SER for NEDO-32047 and NEDO-32164

Other Unresolved EPG Issues

- Existing EPGs permit water level reduction below the TAF until HSBW is reached (up to about 30 minutes)
- The staff is continuing to evaluate the most effective shutdown strategy
 - Boron mixing considerations
 - Inoperable SLC considerations

Boron Mixing

● Stratification

- For boron injection via lower plenum standpipes (BWR/3 and BWR/4), boron mixing does not occur at low core flow (about 4 to 6 percent of rated)
- Complete shutdown by boron addition with a constantly maintained water level is not possible because recirculation flow will drop below the mixing threshold at low power
- Experimental basis for boron mixing
 - Theofanous Study - Mixing efficiency is almost perfect down to 4 to 6 percent of rated core flow
 - Old GE data - Mixing efficiency decreases below 20 percent flow and mixing ceases at about 5 percent flow

Competing Shutdown Strategies

- Existing EPGs maintain level above the MSCRWL (below TAF) during boron injection until HSBW has been injected. Then operators are instructed by the EPGs to raise the level to increase the recirculation flow and mix the stratified boron
- Advantage - Minimizes containment heat load versus time due to high core voids in the event the SLCS fails
- Issue - Assumptions regarding boron remixing from the lower plenum are dependent upon data from the GE 1/6 Froude number scaled model. These data are under review.

Competing Shutdown Strategies (continued)

- Alternate strategy - Maintain level between one meter below the feedwater sparger and TAF until reactor power reduction ceases. Then raise level and mix stratified boron.
- Advantage - Reactor shutdown is accomplished when sufficient boron has been injected to compensate for actual ATWS condition. Lesser ATWS events are not magnified by waiting until worst case HSBW has been injected

NRC EPG Review Objectives

- Minimize the time interval when the reactor is vulnerable to very large power spikes during an ATWS event
- Avoid an EPG strategy which has a high probability of leading to RPV depressurization
- Assure that the reactor vessel water level control and boron mixing strategy inherent in the EPGs provide high confidence of acceptable heat load to the containment during a reactor shutdown by soluble poison

Issues Raised During the NRC Simulation of the Proposed EPGs

Reference: Letter, A. Thadani to L. English, "Modification of BWROG emergency procedure guidelines for mitigation of thermal-hydraulic instability during ATWS," Aug. 17, 1993, with team report of simulation findings

- RPV depressurization is difficult to avoid following isolation in BWR/5 and BWR/6 plants with HPCS
- The proposed EPG changes may lead to unnecessary isolations at plants without a key-lock bypass
- The proposed EPG changes provide no guidance to maintain RPV water level above the isolation set point

Reasons for NRC Concerns

- The simulation suggests that the proposed EPGs may lead to unnecessary isolation events because the water level may dip below the isolation set point and plants without an isolation bypass would automatically isolate
- During the simulation the operators were unable to maintain the water level above the MSCRWL even when, contrary to procedures, HPCS was used
- Long periods when the core was uncovered were observed during depressurization actions at TTC

NRC/BWROG Meeting (Oct. 18, 1993)

EPG Issues

- BWROG evaluation of TTC issues
 - BWROG analyses concluded that existing EPGs are likely to require depressurization due to excess heat load under a full isolation ATWS from a high rod line
 - EPG revisions are in progress to reduce the boron injection time interval
 - Reduce the conservatism in the HSBW calculation assumptions
 - In order to decrease the probability of depressurization, increasing the heat capacity temperature limit is being considered
 - No problem with BWR/5 and BWR/6 plants which inject SLC via the sparger inside the shroud and above the core
 - Plant modifications (e.g., key-lock bypass) are being considered

NRC/BWROG Meeting (Oct. 18, 1993)

EPG Issues (continued)

- All non-HPCS plants (BWR/3 and BWR/4 series) have sufficient high pressure injection (HPCI) to maintain level
- The BWROG believes that modeling errors in the simulated plant contributed to water level control problems
 - BWROG agreed to evaluate the EPGs using the same inputs and model geometry used in the simulation

Submittal and Review Schedule

- FEB '94: SER on ATWS and mitigation actions to BWROG (response to NEDO-32047 and 32164)
- MAR '94: Commission paper for denial of OCRE 2.802 rulemaking petition
- MAR '94: EPG document submittal
- APR '94: TER on revised EPGs (ORNL)
- MAY '94: Draft SER on revised EPGs
- JUN '94: Draft SER to CRGR
- JUL '94: Final SER on EPGs

ACRS Full Committee
NRC Staff Presentation on ATWS/Stability

1. Introduction (Bob Jones)
 - Background
2. NRC ATWS/Stability Issues and Review Conclusions (Larry Phillips)
 - Previously presented to the ACRS Joint Subcommittee on Thermal-Hydraulic Phenomena and Core Performance (Sep. 1992 and May, 1993)
3. Status of OCRE 2.802 Rulemaking Petition for ATWS (Larry Phillips)
4. Other Unresolved EPG Issues (Larry Phillips)
 - Boron Mixing
(Previously presented to ACRS Joint Subcommittee)
5. Continuing Review of EPG Issues (Larry Phillips)
 - New information
6. NRC Review Schedule Milestones (Larry Phillips)

ACRS ATWS/Stability Meetings

- Full Committee Meetings
 - Dec. 1988
 - Jun. 1989
 - Oct. 1992
- Joint Subcommittee on Thermal-Hydraulic Phenomena and Core Performance
 - May 23, 1989
 - Apr. 27, 1990
 - Sept. 17, 1992
 - May 12, 1993
- Subcommittee on Thermal-Hydraulic Phenomena
 - Nov. 8-9, 1989

Reliability Assurance Program (RAP) Information in Support of the ACRS Briefing



Contact:

Timothy J. Polich

Performance and Quality Evaluation Branch

Division of Reactor Inspection

and Licensee Performance


Office of Nuclear Reactor Regulation

January 6, 1994

ALWR Reliability Assurance Program

- Spans complete lifecycle of plant
- Provides reasonable assurance that plant design, construction, and operations are consistent with reliability assumptions in design certification PRA and other sources
- Two part program: Design Reliability Assurance Program (D-RAP) and Operational Reliability Assurance Program (O-RAP)

ALWR RAP PLAN Implementation Phases



Reliability Assurance Program

O-RAP

- Applies to construction and operation phases and is the responsibility of the COL applicant
- Establishes the performance goals for risk-significant equipment based on input from the D-RAP (consistent with 10 CFR 50.65)
- Establishes the maintenance and condition monitoring requirements for risk-significant SSCs
- Provides a feedback mechanism for periodically re-evaluating risk significance based on actual equipment/system performance

Status of the RAP for ALWR's

EPRI Utility Requirements Document Chapter i
Section 6 — FSER Written

GE ABWR Chapter 17 Section 3 — FSER Written

CE System 80+ Chapter 17 Section 3 — FSER Written

DRAFT RTNSS SECY Section E — In concurrence

Westinghouse AP600 Chapter 16 Section 2 — Under
review

GE SBWR Chapter 17 Section 3 — Under review

Commissioner Remick's Questions On RAP

- The Relationship Between RAP and 10 CFR 50 Appendix B
- The Relationship Between RAP and the Maintenance Rule (10 CFR 50.65)
- The Relationship Between RAP and the Utility Requirements Document

Staff's Responses to Commissioner Remick's Questions

RAP and 10 CFR 50 Appendix B

- Both span the entire life of the plant.
- Both use a graded approach.
- Both consider equipment selection and procurement

RAP and the Maintenance Rule (10 CFR 50.65)

- Both use performance goals
- Both require a feedback mechanism for periodically re-evaluating.

RAP and the Utility Requirements Document

- The EPRI D-RAP is consistent with the staff position on RAP.