

T-1127


NUCLEAR REGULATORY COMMISSION

ORIGINAL

In the Matter of: ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
SUBCOMMITTEE ON TRANSPORTATION
OF RADIOACTIVE MATERIALS

DATE: August 24, 1982 PAGES: 1 - 282
AT: Washington, D. C.

TR04

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

8208260164 820824
PDR ACRS
T-1127 PDR

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
4 SUBCOMMITTEE ON TRANSPORTATION
5 OF RADIOACTIVE MATERIALS

6 - - -

7 Room 1046
8 Nuclear Regulatory Commission
9 1717 H Street, N.W.
10 Washington, D.C.

11 Tuesday, August 24, 1982

12 The meeting of the Subcommittee on
13 Transportation of Radioactive Materials was convened at
14 8:30 a.m.

15 PRESENT FOR THE ACRS:

16 CHESTER P. SIESS, Chairman
17 J. CARSON MARK, Member
18 MYER BENDER, Member
19 DADE W. MOELLER, Member
20 J. LANGHAAR, Consultant
21 Z. ZUDANS, Consultant

22 DESIGNATED FEDERAL EMPLOYEE:
23 SAM DURAISWAMY

24 ALSO PRESENT:

25 L. L. GORDON
P. R. HOPKINS
C. E. MacDONALD
W. H. LAKE, Jr.
R. CUNNINGHAM
AL GRELLA
DON SOLBERG
ROSS CHAPPELL

1 P R O C E E D I N G S

2 MR. SIESS: The meeting will come to order.

3 This is a meeting of the ACRS Subcommittee on
4 Transportation of Radioactive Materials.

5 I am Chester Siess, Subcommittee Chairman.
6 The other ACRS members that are present right now are
7 Carson Mark on my left, and Mike Bender will be back
8 shortly, and Dave Moeller will be joining us this
9 afternoon. We also have two of our consultants, John
10 Langhaar and Zenon Zudans. Larry Shaflett, who has been
11 a consultant to us on this, is on vacation, I think.

12 We have two purposes for the meeting today.
13 The first is to discuss a draft of our subcommittee
14 report on the adequacy of the procedures being used by
15 the Transportation Certification Branch for certifying
16 packages for transporting radioactive materials, and the
17 second is to discuss any comments the Subcommittee
18 members or the consultants might have on the proposed
19 revisions to Part 71 of 10 CFR, packaging of radioactive
20 material for transport and transportation of radioactive
21 material under certain conditions.

22 This meeting is being conducted in accordance
23 with the provisions of the Federal Advisory Committee
24 Act and the Government in the Sunshine Act. The
25 Designated Federal Employee is Mr. Sam Duraiswamy,

1 sitting on my right.

2 The rules for participation in today's meeting
3 have been announced as part of the notice of the Federal
4 Register on August 9th. We are having a transcript
5 kept, and it will be made available, as stated in the
6 Federal Register notice, and as usual, I will ask each
7 speaker to first identify himself or herself, and to use
8 the microphone, and otherwise speak loudly enough so
9 that the Reporter can get your remarks.

10 We have received no written statements from
11 members of the public, and we have received no requests
12 for time to make statements from members of the public.
13 Actually, as far as written statements from members of
14 the public, we have had the benefit of comments that
15 were submitted on the proposed rule. We received a copy
16 of those and the staff's response to them. I would just
17 like to mention that.

18 MR. MARK: Chet, do we have with us the
19 members of the public like Chem Nuclear and so forth?

20 MR. SIESS: Not today, I don't think.

21 MR. MARK: Okay.

22 MR. SIESS: So the first order of business is
23 the Subcommittee report, and actually these are two
24 entirely separate things. The review of the rule is
25 something that the ACRS does now, I guess, in response

1 to its request or recommendations by various people that
2 we take a more active part, and there are certain areas
3 in which we have looked at proposed rules, to comment on
4 them, and as you will recall, those rules come through
5 the Reg. Activities Committee, which I happen to be
6 chairman of, and then we refer them to the various
7 cognizant subcommittees. In this case, this is the
8 cognizant subcommittee.

9 So, we are reviewing the rule separately from
10 our other activity having to do with the Transportation
11 Certification Branch, but of course anything we learn in
12 one instance helps us in the other. We were given some
13 background on the proposed changes in the rules at one
14 of our very early meetings. I forget which one it was.
15 Now, you have a draft I roughed out of a report, and in
16 fact you probably have two copies, one that Same sent to
17 you earlier and another one that he passed out this
18 morning. They are identical. The type is the same in
19 both of them, but the copy passed out this morning has
20 the paragraphs numbered and the lines numbered for
21 easier reference, and that is the one we can probably
22 use. You have a marked up copy there, and if it is more
23 convenient to use it, that is fine. It won't be that
24 long a job.

25 Mike Bender has submitted an alternate

1 paragraph to Paragraph 24, and you can find that one in
2 the one that has the paragraphs marked. We will look at
3 that when we get to it.

4 John Langhaar has submitted some comments that
5 are being typed, and if we don't get them back before we
6 get to a particular point, you can just bring them up,
7 okay?

8 Now, it is not at all clear just how this will
9 be handled by the full committee, but let me just
10 explore that for a minute before we start looking at the
11 draft report, because it may have some bearing on what
12 you want to say. One possibility is for the full
13 committee to hear a report from the subcommittee and to
14 essentially accept the subcommittee's report, and
15 transmit it to the Commission as being responsive to
16 their request for this review.

17 This review did eventually come formally
18 through the Commission. The other possibility is that
19 the full committee would write a letter to the chairman
20 from the chairman, et cetera, and that letter probably
21 -- well, I guess it could be this report, or it could be
22 something else.

23 I don't really know how the full committee
24 would want to handle it. I would like to suggest to the
25 full committee that they transport this report as a

1 report from the subcommittee with an endorsement as they
2 wish. It could simply be an expression of confidence in
3 the subcommittee and the consultants to review this
4 matter.

5 If the full committee wants to write a letter,
6 then I think we will get into a little additional
7 effort, because it is not common for the full committee
8 to write a letter without having the people it is
9 writing about in for a full committee meeting. On
10 cases, we don't do this. This was an internal type of
11 review, and they might want to do it. I don't see how
12 they are going to find time to do it, but conceivably we
13 could have a two-hour session with the staff in and do
14 it, but it would be my suggestion that we submit this to
15 the full committee with the recommendation that they
16 accept it and pass it on.

17 MR. MARK: I would like to endorse that
18 suggestion. It seems to me this is acceptable except
19 possibly for a little detail, a good report. It seems
20 to me for the full committee we do not need further
21 supplementary comments from the staff in order to submit
22 such a report. I would very much like to see this as
23 our means of proceeding, that this is something we are
24 or you are going to submit to the full committee as a
25 proposal, that they endorse and forward this report.

1 MR. SIESS: Mike?

2 MR. BENDER: I agree with Carson.

3 MR. SIESS: I should mention that in the
4 Procedures Subcommittee, the ACRS Procedures
5 Subcommittee, we did have some discussions a few months
6 ago about better ways of utilizing subcommittee reviews
7 and extensive subcommittee reviews, and just how we
8 might handle this type of thing. I think this might be
9 a model for that.

10 I would assume that from the standpoint of the
11 staff, something that came from the full committee
12 transmitting such a report would be satisfactory?

13 MR. CUNNINGHAM: Yes.

14 MR. SIESS: With that for background, suppose
15 we just start in and read this. I would suggest that
16 since everybody has had a chance to read it, and I am
17 sure everybody has, that we just go through paragraph by
18 paragraph in somewhat full committee procedure, but not
19 reading it all the way through to begin with.

20 MR. MARK: I think that is fine. I do have
21 the feeling that somewhere in this report, possibly as
22 an additional paragraph, so it won't come out in the
23 paragraphs as they stand, there ought to be more said
24 along the lines -- I was not at the April meeting, but I
25 was much impressed with the results of the discussion

1 there. The need of saying more than I believe this
2 report says is about the absolute need for more
3 reporting on the incidents, more mandatory reporting on
4 the incidents as viewed by the receivers of the
5 packages. I don't think that is clearly or very clearly
6 brought out here. I think it should be a main point, at
7 least a very easily identifiable point in this report,
8 and I do not think it is in there. Otherwise, I really
9 have no objections.

10 MR. SIESS: Okay. Good point.

11 I am looking at Mike's alternate paragraph,
12 and I don't see that it's an alternate to Paragraph 24,
13 Mike. It deals with regulations.

14 MR. BENDER: Let me look at Paragraph 24. I
15 didn't have Paragraph 24 numbered at the time I looked
16 at it.

17 MR. SIESS: Your paragraph addresses the
18 format of the regulation, Part 71, and Paragraph 24
19 doesn't.

20 MR. BENDER: Well, I didn't intend to put it
21 in as something that I thought -- Paragraph 24 was as
22 good a place to put it as any.

23 MR. SIESS: You might watch for it. There are
24 two places in this report where we talk about the
25 regulation. Of course, we will have more to say about

1 Part 71 revised in a completely different context, but
2 in Paragraph 9 on Page 3, where I listed the scope of
3 the review, which was really what Cunningham stated
4 originally, one was the adequacy of guidance to
5 applicants and staff. I consider the regulation is part
6 of that guidance, or the Reg. Guide as guidance.

7 Then, in the findings, I summarized. I tried
8 to mention in Paragraph 19, Part 71 as guidance. I
9 mentioned that there is a proposed revision, and the
10 only other place that the guidance was mentioned was in
11 Paragraph 23, where there is a comment on the QA
12 Appendix E made earlier.

13 So, either we find another place to put this,
14 or -- part of this can go in our comments on revised 71,
15 and part of it can work in here somewhere, but watch for
16 it as we go through.

17 MR. BENDER: The point I am trying to make, in
18 looking at Paragraph 24, while I generally agree with
19 the point that the TCB staff is keeping this business on
20 track pretty well and are doing it conscientiously, it
21 would seem to me like if that is what we are relying
22 upon, then you could hardly say that the regulations
23 themselves are not in good shape. I thought it wise not
24 to put -- at least I think what we found is not minor in
25 importance. I think we have not exposed any public

1 safety problems, but what I think we have found is
2 probably indicating some things that really ought to be
3 done differently, and then hopefully the regulation will
4 fix it up.

5 MR. SIESS: I agree with what you said, Mike,
6 except I don't think it replaces 24, because 24, in the
7 first place, comes under the heading of recommendations
8 regarding the TCB, and much of this deals with either
9 the regulations or I&E, which should probably go under
10 the comments on the overall regulatory environment, so
11 let's keep that in mind and as we go through try to find
12 the appropriate places.

13 MR. BENDER: I may have misinterpreted what
14 your intent was. I had interpreted the report itself as
15 an assessment of the TCB per se, but more with the
16 procedural aspects of what they are doing, and that is
17 why -- well, I think we can work on it. We are just
18 talking about editorial things.

19 MR. SIESS: Go ahead.

20 MR. MARK: I have another question. I think
21 some of the things which were said at the April meeting,
22 and Mike was involved in that, why don't you learn more
23 quickly than what you have at present in managing to
24 learn about the way the system works? It comes to my
25 mind when I read about the long-range plan to have some

1 of this, some amendments in effect by FY '83 or possibly
2 by FY '84, and I don't know why they are not in effect
3 by September of calendar '82, about reporting, about
4 doing things which it is perfectly clear ought to be
5 changed.

6 Why are we stuck with the idea that it is
7 going to take a year or two or so to make a change which
8 is quite obviously called for?

9 MR. SIESS: Which long-range plan are you
10 talking about?

11 MR. MARK: I am talking about this fat thing
12 that Sam sent me, Part 71, and it really says that, you
13 know, by and by, we will get around to modifying this,
14 and I see no reason why we should put up with that sort
15 of wonderful thing. Now, maybe the staff can comment on
16 that. Why can they not, for example, within a matter of
17 weeks, institute a requirement that receivers start
18 sending reports? Surely it doesn't take until 1984 to
19 do such a straightforward thing. This is a question,
20 and you understand the situation better than I, but it
21 just makes me wonder.

22 MR. SIESS: I wonder if that should be
23 something we comment on in connection with the proposed
24 revision rather than --

25 MR. MARK: Oh, look, how we comment on it does

1 indeed require some thought.

2 MR. SIESS: Let me try to review something,
3 and get our perspective straightened out. We were asked
4 originally to review the activities of the
5 Transportation Certification Branch and that was the
6 scope as envisioned when the request came in. We
7 expanded that simply to understand where TCB fit into
8 the picture, to look at the whole process, and we
9 developed some ideas there.

10 What I tried to do in the report was to divide
11 the report into two parts. The findings and
12 recommendations regarding the TCB, which was the
13 original scope, was one, and then these additional
14 comments on the overall regulatory environment, as far
15 as I&E, and state programs, and DOT, and DOE, and IAEA,
16 and so forth.

17 MR. MARK: Where would you say that split
18 comes?

19 MR. SIESS: Well, if you look at Paragraph 11
20 on Page 4, where it talks about the scope of the
21 subcommittee review, it says, although the requested
22 review is limited to the activities of TCB, we looked at
23 a lot more, okay?

24 MR. MARK: Yes.

25 MR. SIESS: And then it says, although not

1 requested, we include in this report some general
2 comments on the multi-listed agencies and so forth.
3 Then, the next section of the report is entitled Review
4 Procedure, which says what we did. Then there is a
5 chapter or a section beginning with Paragraph 18 on Page
6 6 called Findings and Recommendations regarding the TCB,
7 and then on Page 8, at the bottom of the page, are the
8 comments on the overall regulatory environment.

9 So, I tried to divide it up into those two
10 parts. Now, you will recall that we agreed in our
11 second meeting, and this is stated in Paragraph 13, that
12 we would limit ourselves to reviewing what the TCB did
13 and how they did it, and that we would not comment on
14 the adequacy of the regulations, particularly in terms
15 of the environment. We knew a study was in progress,
16 and so forth.

17 I made the point that what we should keep in
18 mind was that if there were changes in the accident
19 conditions or something like that, we might keep in mind
20 whether the procedures would be as adequate for that as
21 they are now, whether the procedures were adequate to
22 cover another spectrum or some extension of the spectrum
23 of accidents, but that a review of whether it should be
24 a 30-foot drop or what point there should be on the
25 puncture device was something that could well be left

1 until the research was finished.

2 MR. BENDER: Chet, I --

3 MR. SIESS: And that scope was agreed on, and
4 from then on we sort of concentrated on the other
5 things.

6 MR. BENDER: I am trying not to be a nitpicker
7 about this thing, but when I read the statement by
8 Cunningham which you have quoted in Paragraph 8, to
9 obtain an independent evaluation of the Transportation
10 Certification process to determine if the review
11 procedures will provide reasonable assurance -- I guess
12 I am not sure whether the letter concentrates on the
13 process or on the procedures. I think the process that
14 they are using has picked up the problems that TCB can
15 pick up, but whether they are doing it by procedures
16 that result in that process or whether it is just
17 because they have their own understanding of how to do
18 it is, I think, a debatable point.

19 MR. SIESS: I think that quote may be
20 misleading, if taken by itself, because that quote
21 referred to the Transportation Certification Branch.
22 Everything we were asked came from that. Now, we
23 extended the thing from the procedures to the branch to
24 the overall picture just to find out where that fit in,
25 but again, we were asked to see how good a job TCB was

1 doing within the framework that they are operating in.

2 MR. BENDER: I am not sure, I guess. When we
3 started out, I guess I have always started that TCB has
4 done a good job. If they didn't, chaos would exist in
5 the shipping of radio nuclides. So I have never thought
6 that what they themselves were doing was really in
7 question. I thought the original intent, and Cunningham
8 is here, was to try to expose whether the system which
9 they had written down for doing things provided the
10 right kind of guidance.

11 Now, I don't know. Maybe you can comment on
12 what you are really shooting for, and that may help us
13 in what kind of letter we want to write you.

14 MR. CUNNINGHAM: First and foremost -- I am
15 Richard Cunningham.

16 MR. SIESS: Why don't you sit up at the table,
17 Dick? There is a mike up there.

18 MR. CUNNINGHAM: I am Richard Cunningham,
19 Director, Division of Fuel Cycle and Materials Safety.

20 To answer your specific question, Dr. Bender,
21 our first and foremost interest was to examine the
22 performance of the certification branch within the
23 context of the regulatory framework that they must work
24 in. Now, I believe you are going a step beyond that and
25 looking at the regulatory framework.

1 MR. BENDER: I see.

2 MR. SIESS: I have tried to separate those two
3 aspects of the report.

4 MR. BENDER: Well, that is a clarification.
5 It is helpful. I don't think it would hurt to review
6 the process any.

7 MR. CUNNINGHAM: Certainly not, but our
8 objective for coming to the ACRS was to look at how the
9 certification branch performed within the existing
10 framework.

11 MR. SIESS: You see, Mike, if you look at
12 Paragraph 25, it says, "Our findings and recommendations
13 above relate only to the activities of the TCB. This
14 branch, however, has only a relatively small though
15 important role in regulating the transportation of
16 radioactive materials. A substantial portion of our
17 review is devoted to the roles played by others."

18 Now, the others in this case to me meant I&E,
19 Region 3, which does vendor inspection, the other I&E's,
20 state programs. The whole question of feedback and
21 operating experience, et cetera, et cetera, is outside of
22 TCB, but it is part of the process. So, I think we need
23 to separate our thinking into the two parts. What TCB
24 does within the framework of the existing regulations,
25 which is what I have tried to do in one subset of

1 comments of findings and recommendations, and then the
2 other part.

3 Now, since the other part was not a part of
4 our original charge, I tried to separate it out, and as
5 you will recall, we at one time proposed to write a
6 letter saying, look, we think somebody needs to look at
7 this whole picture. In the meantime, we will
8 concentrate on what we were asked to do, and we decided
9 not to do that at that time, although that was a
10 decision we made, and from that point on in our review
11 we didn't look outside of essentially TCB activities.

12 So, we have incorporated some of those
13 comments into here. They may not be as extensive or as
14 strong as you want, and you have seen the memo to Dircks
15 which addresses many of those things. Carson?

16 MR. MARK: Chet, I really need a great deal of
17 assistance and clarification. I really do not have any
18 large complaints about the way in which TCB proceeds to
19 do the things which they are charged with doing. I do
20 have some considerably larger worries about the way in
21 which the system works, the interrelation between what
22 TCB does, is charged with doing, and so forth, and the
23 relationship between that and DOT and the agreement
24 states.

25

1 I think it is a pretty hideous mess. I wonder
2 if Cunningham could help me. What would it take to make
3 more sense of what is going on and what we in fact
4 have? Now, in that I have in mind, amongst other
5 things, and this may be the main one, someone has got to
6 be in the position to receive reports about what
7 actually happens. TCB is evidently not. Nobody is
8 charged with that responsibility.

9 The agreement states don't do it, and there is
10 no place to send them if they did. And those are the --
11 well, it is an instance, at least, of the kinds of
12 things which if you do not know those, you cannot say
13 too much about how we stand.

14 Now, can TCB call for these and get them and
15 do them on a short time, or does it take all of this
16 mechanical nonsense of saying, well, we have to put out
17 a rule for public comment and wait two years, and maybe
18 at some time we will get there.

19 MR. SIESS: If it is outside of NRC, it is DOT.

20 MR. CUNNINGHAM: Well, that is a rather large
21 question, Dr. Mark, and of course I have pretty strong
22 personal views on how this should be done. I believe
23 you have a copy of the paper we plan to send over to the
24 Commission, and I spent a lot of my time personally
25 preparing that paper. Probably the paper itself does

1 not go as far as I personally would like it to go, but I
2 think it provides a framework of some of the direction
3 we feel is needed.

4 Certainly, as this subcommittee has recognized
5 and as we have recognized, we need to have stronger
6 centralized management of transportation. Someone has
7 to have an overview of transportation within this agency.

8 MR. MARK: I don't like your use of the word
9 "management." It seems to me what you really must have
10 is information.

11 MR. CUNNINGHAM: Well, we must have
12 information, but we also must have an organization that
13 can do the things necessary to obtain the information.
14 Now, with regard -- there are a number of things that
15 should be done. As I said, the subcommittee has that
16 memo that set these forth.

17 With regard to the reporting requirement,
18 obtaining more information, I assume you are talking
19 about some reports that would require a rule change to
20 obtain information from the industry. I personally
21 think rules take too long to get around here.

22 There are some practical problems with
23 obtaining information from the industry. We do have to
24 go to OMB and get clearance any time we issue a rule
25 which requires the extraction of information from the

1 regulated industry. That in itself takes time. I
2 understand that OMB is not approving a large number of
3 these reports that require information, although if it
4 is justified, I believe we can obtain it. It does take
5 time.

6 But there are some practical problems with
7 issuing a rule. I personally do not think it should
8 take two years. I suspect if we have to go through a
9 notice of proposed rulemaking, which I am sure the
10 lawyers would require us to do, and then a final rule, I
11 would say it could be done in six months.

12 MR. SIESS: Carson, again let me try to put
13 this, well, not in perspective, but in the framework I
14 had in mind when I drafted the report. In the section
15 dealing with the TCB --

16 MR. MARK: Understand I am not complaining.

17 MR. SIESS: In the section dealing with TCB, I
18 have a Paragraph 22 that addresses reporting of
19 incidents as it affects TCB's activities. This says,
20 and I will read the paragraph with the few changes I
21 have made in it, "We note that most transportation
22 incidents involving potential exposure of the public to
23 radioactivity have resulted from deficiencies in
24 procedures for handling and transportation and not from
25 deficiencies in the design of packages. We note further

1 that the feedback to the TCB for package users and
2 transporters, from IE and from the DOT is far from
3 complete.

4 "We believe that more extensive feedback is
5 desirable and that the TCB should review the incidents
6 or accidents with a view toward changes in package
7 design that might reduce the probability of serious
8 procedural errors. We recognize that it is not possible
9 to design a foolproof package, and we believe little
10 attempt has been made so far in this direction."

11 Now, that addresses the external, I would say,
12 aspects, external to TCB as they affect TCB's
13 activities, which is package design and package approval.

14 MR. MARK: Look, Chet.

15 MR. SIESS: Let me finish.

16 MR. MARK: The modification you have made in
17 that paragraph helps me a great deal.

18 MR. SIESS: When we get to the comments on the
19 overall regulatory environment, I tone those down. I
20 simply brought it down to calling attention to this
21 extremely complex interaction in international, Federal
22 and State agencies, and the need for somebody to take a
23 look at it, and recognizing that Cunningham has already
24 started that with this proposed SECY thing, with the
25 idea that that was outside of our scope originally and

1 it would be sufficient to just call attention to it,
2 that it is a morass.

3 I did mention somewhere -- at the very end I
4 said in Paragraph 31 that this dispersion and complexity
5 of responsibility is statutory in origin, and I think
6 the Congress may be involved before you get everything
7 cleared up because the DOT has certain statutory
8 responsibilities and the NRC has certain ones, and it has
9 been a real mess trying to get them straightened out.

10 Let's go back. The specification package was
11 something that bothered people, but abolishing the
12 specification policy is a tremendous step. It is not
13 something anyone wants to go into lightly. As has been
14 pointed out, there are thousands of them around, and
15 this would be a burden -- I guess it would be a burden
16 on everybody, the industry and the NRC, if the
17 specification package is all of a sudden becoming
18 unusable.

19 And I am not sure there is any reason to
20 abolish the specification packages. They have
21 contributed relatively little to public risk in the
22 past, and I am not sure that strong and tight isn't a
23 pretty good criterion. But again, philosophically I
24 have tried to address the TCB and its activities and the
25 outside activities as they bear on it.

1 Then the others, I have said this is the
2 problem but we are not going to go into a lot of
3 detail. Now, within the NRC's capability on reporting
4 of incidents, obviously there could be better feedback
5 from IE to TCB, or IE activities could be increased.
6 And I guess something could be done with DOT as far as a
7 memorandum of understanding is concerned. But incidents
8 are DOT's job, and as we heard from DOT, they put
9 radioactivity incidents pretty low on their list
10 compared to the other stuff they are worried about being
11 spilled around the country, I guess for two reasons.
12 There is a heck of a lot more toxic stuff going around
13 than some of the things that we are dealing with, and
14 the record on radioactivity has been pretty good,
15 radioactive materials.

16 So again, I anticipated this problem because
17 we have had it all the way through our review,
18 separating out the TCB activities from the rest of
19 them. I tried very hard to separate them here.

20 MR. MARK: Look, Chet, I think you have
21 actually done at least close to the job that was
22 possible. I do not myself have specific criticisms at
23 all of what TCB is managing to do within the constraints
24 that they act or have the power to act. I think, as you
25 said, there is a morass that we are looking at, and to

1 the extent that we feel we can make any useful comment
2 on that, I believe we should. I think it might come out
3 stronger than you have done in your report, although it
4 is not clear to me just where and how they need better
5 reportage of things that actually happened.

6 The packages, for heaven's sake, are swell.
7 They are fine. As long as we knew that they were the
8 packages used. We do not know that well enough, but we
9 know that the packages called for are good enough, and
10 that is partly I&E rather than TCB, and partly the
11 general attention of the DOT and others to this question.

12 Are the packages used, the packages we have
13 described, or are they not? And we do not really know
14 that. That ought to be known better than it is.

15 MR. SIESS: I think we did hear from IE that
16 they are stepping up their inspection of shipments a lot
17 more than they were. Zenon?

18 MR. ZUDANS: I would like to make a comment
19 relative to this new paragraph that Mike wrote. I think
20 it fits nicely, maybe with just a minor adjustment, with
21 your Paragraphs 31 and 32 as a completely
22 self-supporting paragraph because it gives more detail
23 to the same subject, and I would suggest not to touch 24.

24 MR. SIESS: I would have a problem with that,
25 I think, but let's wait and look at it. I think some of

1 it fits better on our comments on the proposed Part 71
2 change.

3 MR. ZUDANS: Yes.

4 MR. SIESS: Which we have not looked at yet.

5 MR. ZUDANS: Mike's paragraph is a really good
6 one. I would like to just discard it because --

7 MR. SIESS: What bothers me, it starts by the
8 format and content of the regulation, which sounds more
9 like a comment on the revision to Part 71 than anything
10 else.

11 MR. ZUDANS: That is all right.

12 MR. SIESS: We have to write another letter on
13 that.

14 MR. ZUDANS: I made a recommendation.

15 MR. BENDER: One perception of this letter may
16 be different from another, but in trying to put myself
17 in the position of a reader reading your letter, who
18 doesn't quite understand the context in which Cunningham
19 asked us to review the thing, it seems to me we must
20 have some way of differentiating between how well the
21 TCB as an organization does its job and how well the
22 information it has which guides them is set out as a
23 basis for this. And it is very hard in reading your
24 letter as it is prepared right now to discern that
25 difference. That was the main reason why I wrote that

1 paragraph.

2 MR. SIESS: I don't see where your difficulty
3 comes because it states very clearly what the request
4 was, the purpose and the scope, and -- I had that
5 problem in mind when I wrote it, and I tried to make
6 very clear what we were requested to do, what we did,
7 and to separate our comments into those relating to the
8 request and those we are offering gratuitously. And if
9 I didn't succeed, let's see if we can fix it up.

10 For example, if we had written a separate
11 letter six months ago that said we were asked to do
12 this, we have been looking at the overall picture and we
13 find this morass, we call that to your attention and now
14 we will go about our business of reviewing the TCB, then
15 this letter would have ended, I think, with Paragraph 24
16 or thereabouts. So I tried to write the letter in two
17 parts.

18 About six months or a year ago we saw this
19 problem and it was proposed that we could dispose of
20 this overall picture by calling attention to it and then
21 getting back to the specifics. We have done two things
22 here: we have reviewed the TCB and we have reviewed the
23 overall activities. I have tried to comment on the other
24 activities which affect the TCB separately from others
25 as they affect the general area of transportation and

1 safety.

2 So let's go through paragraph by paragraph and
3 see if we can figure out where we can clarify the
4 objectives and the scope so that this gives us a lot to
5 think about as we go through it. I am not going to read
6 everything, but Paragraph 1 is fairly straightforward
7 with the typo in Line 4 corrected.

8 Paragraph 2 lists the meetings, and in
9 Paragraph 3 I have listed all of the subcommittee
10 members, including Steve Lawroski, who is no longer in
11 the committee, but he was at the first meeting and I
12 didn't see any way of listing just those that were at
13 two or more meetings. I didn't feel like putting which
14 meeting they attended.

15 Does anybody object to the complete list? I
16 have listed the consultants because this is a
17 subcommittee report. A full committee report normally
18 would not name the consultants, but in this case, since
19 it is the subcommittee report, I thought I would take
20 advantage of that since they have done a tremendous
21 amount of the work on this and have been very helpful.

22 The first line on that page 2, the last word
23 should be "expert," expert in one or several phases of
24 the activities.

25 I have tried to list the various groups we met

1 with. Does anybody have any questions there?

2 MR. ZUDANS: No.

3 MR. SIESS: It was a pretty impressive list.

4 MR. ZUDANS: Except for the typo in the last
5 line.

6 MR. CUNNINGHAM: I was just handed one.

7 MR. SIESS: Take one of the "t's" out of
8 "corporation," I guess. You can also fix up
9 "headquarters" in Line 30.

10 Okay, now I am going to read beginning on page
11 3. This has a subheading, "Request for Review." "In
12 September 1980, R.E. Cunningham, Director, Division of
13 Fuel Cycle, Material Safety, NMSS, requested the ACRS to
14 review the activities of the TCB as they relate to the
15 review procedures for certifying packages for the
16 transportaion of radioactive materials. This request
17 was discussed with representatives of NMSS and the ACRS
18 Subcommittee on December 1980, and the request for the
19 review was transmitted to the ACRS in my memorandum
20 dated 6 November 1980.

21 "During its 248th meeting on 5 December 1980,
22 the ACRS discussed the requested review with the
23 Commissioners, and such review subsequently was
24 requested by the Commission."

25 I think that could be one paragraph.

1 MR. BENDER: Chet, it might help, I believe,
2 if the heading were "Request for ACRS Review" instead of
3 just "Review."

4 MR. SIESS: Okay.

5 MR. MARK: What did you say, Mike, 7 should be
6 joined to 6?

7 MR. SIESS: The request for ACRS review in the
8 subheading. I think it would be worthwhile to make that
9 all one paragraph. I just wanted to get a little
10 background in there, for the ACRS as much as for anybody
11 else, or to the Commission. They may not remember what
12 they did.

13 MR. MARK: Sounds good.

14 MR. SIESS: "The purpose of the review, as
15 stated by Mr. Cunningham" -- this came off one of your
16 slides -- "was to obtain an independent evaluation of
17 the transportation certification process to determine if
18 the review procedures provide reasonable assurance the
19 regulations will be met."

20 Now, those words did not include
21 transportation certification branch, although those
22 words are in the first paragraph, Paragraph 6.

23 MR. ZUDANS: The scope would appear to be much
24 broader than just TCB if you take that sentence.

25 MR. SIESS: Yes. We could take the quotes

1 off. This was really what we were requested to do, and
2 I would hate to take the quotes off. I want to
3 attribute it to Cunningham. And since the line at the
4 very top of the page says to review the activities of
5 the TCB --

6 MR. BENDER: I will repeat the point I made
7 earlier, just because it may not have been intended that
8 way, but if you literally read the statement, it says to
9 determine if the review procedures provide reasonable
10 assurance. I think what we have determined is that the
11 "process" provides reasonable assurance.

12 MR. SIESS: I don't get your distinction
13 between procedures and process.

14 MR. BENDER: Procedures are an established or
15 written set of actions that are followed to get a result.

16 MR. SIESS: I see.

17 MR. BENDER: And a process is just an
18 arrangement that goes on without any specific
19 pre-established pattern. It just goes.

20 MR. SIESS: You interpret procedures, then, as
21 being strictly applicable to TCB, and the process as
22 extending outside of TCB?

23 MR. BENDER: That would be my interpretation
24 of it. I don't think that it is necessary that it be
25 the right one. I am just reading the words literally.

1 MR. SIESS: So that by quoting from Dick the
2 word "process," it has effectively expanded the scope in
3 your mind.

4 MR. BENDER: I'm not sure whether it has or
5 not. I think if I were sitting in the position of
6 somebody sitting on the outside looking at the
7 situation, I would say what is written down in the
8 regulations that says this is how these guys do these
9 things, and the answer is there isn't anything. There
10 is an understanding that it is done in a certain way,
11 and that is quite acceptable.

12 MR. SIESS: If I go back up to Paragraph 6
13 where it says that Cunningham requested the ACRS to
14 review the activities of the TCB as they relate to the
15 review procedures for certifying packages, that uses the
16 words "activities" and "review procedures," and we simply
17 deleted Paragraph 8, which doesn't add a hell of a lot --

18 MR. BENDER: I think that would help out, but
19 I think the literal reading of that thing will focus
20 attention on something that perhaps wasn't wanted.

21 MR. SIESS: Any objection to deleting
22 Paragraph 8?

23 MR. ZUDANS: No.

24 MR. SIESS: All right. Paragraph 8 is deleted.

25 MR. MARK: Coming to 9, then.

1 MR. SIESS: Paragraph 9 I included because
2 there were there three things mentioned and I tried to
3 address all three later on.

4 MR. MARK: TCB is a part of NMSS or not?

5 MR. SIESS: Sure. It is a branch within the
6 Division of Fuel Cycle Safety, which is under the Office
7 of Nuclear Material Safety and Safeguards.

8 MR. MARK: Then in 9 you have statements from
9 NMSS which are either identical with or not identical
10 with comments from TCB. They are, in fact, the same
11 part of the house.

12 MR. SIESS: Yes, this was the request. He
13 asked us to review the adequacy of the technical review
14 and the technical documentation.

15 MR. MARK: I am thinking, then, that in the
16 first line of Paragraph 9, that there could be something
17 clarifying if one should say that NMSS -- it sounds here
18 as if it is a different thing from TCB.

19 MR. SIESS: Okay. TCB didn't ask for this.
20 Why don't we start it off by saying we were asked to
21 review the following.

22 MR. MARK: Is that what Cunningham had in mind?

23 MR. CUNNINGHAM: Chet, are these quotes
24 attributed to me?

25 MR. SIESS: Well, they came off the slide.

1 MR. CUNNINGHAM: Well, then, if you attribute
2 them to me, this would carry it on from the first
3 sentence in Paragraph 6.

4 MR. SIESS: Yes.

5 MR. CUNNINGHAM: Because this is what I wanted
6 you to review.

7 MR. SIESS: These came out of the slide. We
8 don't have to put in NMSS at all. We can say --

9 MR. CUNNINGHAM: Okay, as envisioned in the
10 scope of the review.

11 MR. SIESS: We can just say we were asked to
12 review the following in relation to the activities of
13 the TCB. Would that be more specific?

14 MR. BENDER: I think that would help a great
15 deal.

16 MR. SIESS: I will try those words.

17 MR. LANGHAAR: What are those new words?

18 MR. SIESS: "We were asked to review the
19 following -- now just a minute -- "aspects of the
20 activities of the TCB." Is that all right?

21 MR. BENDER: That would make it fit better.

22 MR. SIESS: Okay. That gets a little more
23 specific. And I have addressed each of those,
24 incidentally.

25 MR. ZUDANS: You would take the quotes off, I

1 assume?

2 MR. SIESS: We can take the quotes off.

3 MR. ZUDANS: And put bullets on them?

4 MR. SIESS: Yes. The three things we were
5 asked to look at and we did look at were the adequacy of
6 the technical review to provide assurance that existing
7 regulations are met, technical review and the existing
8 regulations, the adequacy of the guidance to applicants
9 and staff, which I interpret later on as essentially
10 being the regulations and the reg guides, although I did
11 not comment on the reg guides, except I mentioned you
12 might use reg guides to explain the regulations. Then
13 the adequacy of documentation, which are SARs, SERs, which
14 we did address specifically.

15 MR. ZUDANS: That sounds fine.

16 MR. BENDER: Just to be -- and again, I may be
17 nitpicking a bit -- the term "documentation" can be so
18 broad that it is very hard to know what we mean.
19 Somewhere in here -- I didn't find it but it may be in
20 here. Have we defined what we mean by documentation?

21 MR. SIESS: We made two specific comments in
22 here about documentation. One is correcting errors in
23 SARs, and the other was documenting judgments or
24 exceptions.

25 MR. BENDER: I guess the point I am trying to

1 make is, in order to be sure that the people reading
2 this thing will know what we are saying, we ought to say
3 we are talking about the documentation as SARs and other
4 materials submitted to the NRC review. Is that what you
5 are saying?

6 MR. SIESS: Mike, whenever I write something,
7 the first thing I try to do is figure out who is going
8 to read it.

9 MR. BENDER: That is what I am thinking of,
10 too.

11 MR. SIESS: And this in part, in the first
12 part of it, at least down to the first couple of pages,
13 maybe a little beyond, I expected the readers to be the
14 ACRS, and perhaps the Commission to know why we are
15 doing this and refresh their memories, to tell them who
16 took part in it and so forth. Beyond there, down
17 through the part that addresses the complete regulatory
18 environment, to my mind the reader is going to be Dick
19 Cunningham, who asked us to make the review, and the TCB
20 staff. And then for the last part, which is the other
21 activities, that was addressed mainly to the Commission
22 and to Dick.

23 MR. ZUDANS: Chet, I think it would help to
24 understand the document if we qualified the
25 documentation by saying documentation of the licensing

1 process used, how they do it.

2 MR. SIESS: Of the licensing process what?

3 MR. ZUDANS: Of the licensing process by the
4 TCB, because that is what we addressed. We looked at
5 what is it you find afterward in the records to show
6 that the particular package was properly qualified, and
7 that was the SAR, and that also could be to the extent
8 that engineering judgments have or have not been
9 documented.

10 MR. SIESS: Yes. In view of what we say about
11 documentation, let's see if we can find some words.
12 Since we don't have quotes, we can put whatever we want
13 in here. "Adequacy of documentation of the review"?

14 MR. ZUDANS: That is all right.

15 MR. CUNNINGHAM: I would say perhaps the
16 certification process.

17 MR. ZUDANS: Yes, that is the word.
18 "Certification" is better.

19 MR. SIESS: "Adequacy of documentation of the
20 certification process"? Would that help you, Mike?

21 MR. BENDER: That would certainly help.

22 MR. LANGHAAR: I have a problem with the word
23 "process" there. We are not talking about documentation
24 of the findings.

25 MR. SIESS: What if we said the certification

1 revisi

2 MR. ZUDANS: Certification process. It's not
3 just findings, because there are conclusions.

4 MR. LANGHAAR: The process is one thing, but
5 what is found out from the process if another thing.

6 MR. MARK: But you have modified that, I
7 believe, by saying subsequently the AEC or the NRC or
8 somebody, does something. So the specifications need
9 not be overdone.

10 MR. SIESS: I don't mind getting it more
11 specific if we can agree on what specificity you want,
12 but so far I have three different versions.

13 MR. BENDER: Well, that is why we are having
14 this discussion, to find out what we really mean.

15 MR. ZUDANS: Is it the process or is it the
16 procedure?

17 MR. BENDER: It seems to me, if I interpret
18 what went on here properly, what we are trying to say is
19 that what has been submitted in the way of SERs and SARs
20 after correction is adequate with some exceptions.

21 MR. SIESS: But this is prefaced by activities
22 of the TCB. These things now follow a colon. They come
23 after TCB. So it is the documentation in the TCB
24 activities.

25 MR. LANGHAAR: How about documentation under

1 review and the basis for certification?

2 MR. BENDER: That is probably a good,
3 comprehensive description.

4 MR. ZUDANS: I have no problem with that.

5 MR. SIESS: That narrows the scope to include
6 what we commented on, which is a post hoc type of
7 operation.

8 MR. ZUDANS: John, would you repeat it again?

9 MR. SIESS: What it doesn't mean is adequacy
10 of the QA procedures. We didn't really look at that.

11 MR. ZUDANS: We did touch on that.

12 MR. BENDER: They are not in the TCB scope, as
13 I understand it.

14 MR. SIESS: That is right.

15 MR. BENDER: We are trying to find out --

16 MR. SIESS: That is IE, right?

17 MR. MAC DONALD: Yes. We approved the
18 findings.

19 MR. CUNNINGHAM: I'm sorry, I didn't hear what
20 Mr. Langhaar's recommendation was. It is a little bit
21 wordy, but it is adequacy of documentation which
22 substantiates conclusions and findings of the
23 certification review. That is what I think we are
24 really talking about.

25 MR. SIESS: They were originally your words,

1 Dick.

2 MR. CUNNINGHAM: That is right, but that is
3 what I had in mind.

4 MR. BENDER: With the benefit of this
5 committee's interpretation.

6 MR. ZUDANS: That says it exactly. It says the
7 same thing I tried to say.

8 MR. CUNNINGHAM: Somebody said it in shorter
9 words than I did.

10 MR. BENDER: We have an interpretation with
11 the original words.

12 MR. SIESS: Let's get the words. I will use
13 that. Your words, Dick, includes --

14 MR. CUNNINGHAM: "Adequacy of documentation
15 which substantiates conclusions and findings of the
16 certification review."

17 MR. ZUDANS: That is exactly what I had in
18 mind.

19 MR. SIESS: I will change your "which" to a
20 "that" - "conclusions and findings of the certification
21 review." Does anybody object to that?

22 MR. ZUDANS: Could you read it back? I lost
23 it.

24 MR. SIESS: It will say "Adequacy of
25 documentation substantiate conclusions and findings of

1 the certification review." What about "documentation to
2 substantiate conclusions and findings"?

3 MR. ZUDANS: Yes.

4 MR. CUNNINGHAM: Yes. That would be better.

5 MR. SIESS: Okay. Shall we go to the next
6 page? It says, "The review was to be limited to those
7 packages required for Type B and fissile Type A
8 quantities: that is, those packages which must be
9 certified to resist accident conditions as well as
10 normal conditions of transport. Spent fuel casks are
11 included in this category."

12 MR. ZUDANS: That is a good correction. I was
13 going to --

14 MR. MARK: That was one thing I had. Fine.
15 However, could someone remind me, Type B and Type A,
16 which is which? One is more horrendous than the other.

17 MR. SIESS: Which is the larger quantity?

18 MR. MAC DONALD: Type B.

19 MR. SIESS: Type A is smaller quantity by
20 fissile. The important distinction is the certification
21 for accident conditions. John?

22 MR. LANGHAAR: I have a little problem with
23 the fissile Type A. For one thing, we are also
24 concerned with fissile Type B, but I have been wondering
25 if we are not concerned with fissile materials in even

1 less than Type A quantities. Are they of any concern?
2 The regulations do cover fissile materials in less than
3 Type A quantities.

4 MR. MARK: Why would they be of a concern?

5 MR. LANGHAAR: Well, they may be exempt, but
6 they are in the regulations.

7 MR. MARK: Are they of concern perhaps because
8 of proliferation-type worries or radioactive-type
9 worries?

10 MR. LANGHAAR: They are of concern because of
11 their fissile nature.

12 MR. SIESS: As I understood it, and it is sort
13 of late to be misunderstanding things, I guess, the
14 chief concern was those packages that must be certified
15 to resist accident conditions. Am I correct?

16 MR. CUNNINGHAM: That is correct.

17 MR. SIESS: That that is really the definition
18 that defined our scope. Now, I don't know whether the
19 Type B and fissile Type A covers that completely or not,
20 but that was intended to be the scope of the review. If
21 less than fissile Type B doesn't require a package them
22 to withstand accident conditions, it was not within the
23 scope. Am I correct?

24 MR. ZUDANS: I think that is correct. That is
25 the way I understood it.

1 MR. SIESS: This was the language we were
2 given, and I interpreted it as simply a means of
3 defining those packages that must withstand accident
4 conditions rather than just normal. That is why I added
5 that in, because I think that is the operating part of
6 the definition.

7 MR. MARK: I would like to --

8 MR. SIESS: And I wanted to add it in for the
9 benefit of those who didn't know that that included
10 spent fuel casks because that seemed to be the major
11 concern.

12 MR. MARK: I would like to raise a question,
13 Chet, on this Paragraph 10. The review was to be
14 limited to those packages required for Type B and
15 fissile Type A quantities, period. These are the types
16 of packages that must be certified to resist accident
17 conditions as well as normal conditions in transport,
18 period. You put that second period in yourself. Spent
19 fuel casks are included in, now not this category, but
20 Category A.

21 MR. CUNNINGHAM: Type B.

22 MR. MARK: Or B, whichever it is.

23 MR. SIESS: Don't worry about that. I could
24 say spent fuel casks are included, period.

25 MR. MARK: Well, but it wouldn't hurt --

1 MR. SIESS: The category I had in mind is the
2 second category, accident conditions. If you break it
3 into two sentences, you can leave the last sentence like
4 it is.

5 MR. MARK: Very good. It wasn't clear to me
6 in my mind whether spent fuel is A or B.

7 MR. ZUDANS: But the category refers in this
8 case to the review, the group being reviewed.

9 MR. SIESS: Can we leave the first sentence
10 with a "that is" and then say spent fuel casks are
11 included?

12 MR. MARK: That would do.

13 MR. LANGHAAR: Should that be a separate
14 sentence?

15 MR. ZUDANS: It is. If you do it that way,
16 you have to put it in parentheses, that whole sentence.

17 MR. SIESS: Why?

18 MR. ZUDANS: Because it doesn't stand as a
19 nice, strong sentence by itself. The way it is now is
20 okay, but the category does not refer to Type A or Type
21 B. The category refers to --

22 MR. SIESS: Accident conditions.

23 MR. ZUDANS: To the one we reviewed.

24 MR. SIESS: Well, what Carson proposed was to
25 make the first sentence two sentences.

1 MR. ZUDANS: That would be all right the way
2 you said it.

3 MR. SIESS: Then the category in the second
4 sentence would refer to the accident condition category.

5 MR. ZUDANS: That is what it does now.

6 MR. SIESS: Well, he thought the category
7 could be B or A.

8 MR. ZUDANS: That is not what it refers to, at
9 least the way I understand it.

10 MR. MARK: Well look, I confess this is out of
11 my own ignorance rather than -- that area has not
12 previously been explained.

13 MR. ZUDANS: The fact is making a new sentence
14 is not a bad idea.

15 MR. SIESS: We put a period where there is a
16 semi-colon, this includes those packages. Okay?

17 MR. MARK: Fine. And then you have to face
18 accidents.

19 MR. SIESS: "These are" is better. "These are
20 the packages that must be" --

21 MR. MARK: That suits me great. That just
22 sounds fine to me.

23 MR. SIESS: Then another period. "Spent fuel
24 casks are included in this category."

25 MR. MARK: Do you want to say "this category,"

1 or do you want to say Category A or Category B?

2 MR. SIESS: How about just "are included"?

3 MR. MARK: That is fine, too.

4 MR. SIESS: They are included in the review,
5 they are included in everything else. The important
6 thing is that they are included.

7 MR. MARK: Right.

8 MR. SIESS: The only important thing.

9 Okay, it now reads, "The review is to be
10 limited to those packages required of the Type B and
11 fissile Type A quantities. These are the packages that
12 must be certified to resist accident conditions as well
13 as normal conditions of transport. Spent fuel packages
14 are included.

15 MR. BENDER: Can I suggest that we put,
16 between "to" and "those" in the first line of Paragraph
17 10, the words "TCB activities concerning," so that it
18 reads, "Review was to be limited to TCB activities"?

19 MR. SIESS: Well, how many times do you want
20 to repeat that?

21 MR. BENDER: The darned thing keeps appearing
22 to talk about the review of the packages rather than the
23 review of the activities, and even though it is in here
24 somewhere, the reader has his troubles with it. I guess
25 I don't --

1 MR. SIESS: Well, you have gotten away from
2 the statement four lines before, that we were asked to
3 review the following aspects of the activities of the
4 TCB, adequacy of this, adequacy of this, adequacy of
5 that. The review was to be limited to those packages.
6 It follows five lines after it says TCB activities.

7 MR. BENDER: But when you read it, it says
8 just that, the review was to be limited to the packages,
9 and that sounds very confusing.

10 MR. ZUDANS: There may be some confusion
11 there. I think it could be misunderstood that we are
12 reviewing the package design rather than the process by
13 which the package is certified.

14 MR. BENDER: That is all I'm saying.

15 MR. SIESS: Well, let's just say, then --

16 MR. BENDER: Limited to --

17 MR. SIESS: When you read the thing straight
18 through --

19 MR. MARK: Who is going to do that?

20 MR. SIESS: Anybody else but us. The review
21 was to be limited --

22 MR. ZUDANS: To the certification process of --

23 MR. BENDER: What I said was to TCB activities
24 concerning --

25 MR. BENDER: Concerning those packages.

1 MR. SIESS: Relating to those packages.

2 MR. BENDER: Fine.

3 MR. MARK: That looks awfully good to me.

4 MR. SIESS: The next section says "Scope." It
5 says, "Although the requested review was limited in
6 scope to the activities of the TCB, the Subcommittee
7 considered it desirable to become familiar with the
8 entire spectrum of the regulatory activities relating to
9 transportation of radioactive materials in order to
10 place the activities of the TCB in perspective. To this
11 end, we have presentations from and discussions with
12 representatives of other NRC offices, from the DOT, and
13 from industry as listed above. Although not requested,
14 we include in this report some general comments on the
15 multiplicity of agencies involved in the regulation of
16 transportation of radioactive material." There is a
17 typo in there.

18 MR. MARK: I wasn't at the April meeting, Chet.

19 MR. SIESS: April? I'm not not even sure
20 which one that was.

21 MR. MARK: The one before this.

22 MR. SIESS: The one with industry.

23 MR. MARK: And there you did indeed hear from
24 Chem Nuclear and the other.

25 MR. SIESS: Nuclear Assurance Corporation.

1 MR. MARK: But at that time you did not hear
2 from DOT.

3 MR. SIESS: We heard from DOT at the second or
4 third meeting.

5 MR. MARK: That is what I wanted to cover.

6 MR. DURAISWAMY: May 20th, May 1981.

7 MR. MARK: And we did have DOT people there?

8 MR. SIESS: Oh, yes. We found out they had
9 one health physicist.

10 MR. MARK: And 17 accountants and 37 lawyers.

11 [Laughter.]

12 MR. SIESS: Lots of experts in toxic
13 chemicals, which I am very pleased to see they worry
14 about since I live a lot closer to a railroad than I do
15 a nuclear plant. Okay. "Our review fell chiefly and in
16 depth with the TCB activities relating to the technical
17 review of package design for conformance with 10 CFR
18 Part 71, and it is a review and approval of operating
19 procedures and QA programs for both the manufacture and
20 use of packages."

21 That I thought described the scope of TCB's
22 activities.

23 MR. MARK: Does Cunningham also think so?

24 MR. CUNNINGHAM: Yes.

25 MR. SIESS: "The Subcommittee agreed that it

1 would not review or comment on the adequacy of the
2 current regulations but would limit its review to how
3 they were applied and enforced. In this respect it
4 should be noted that an extensive revision of 10 CFR
5 Part 71 has been proposed and is being reviewed by the
6 Subcommittee. However, the proposed revisions are of
7 such a nature that they would not change the findings or
8 conclusions of this report."

9 I think that is reasonably correct, except the
10 one about their inscrutability. It is written in plain
11 English. We should mention that. Okay, that concludes
12 the scope of what we did and what we didn't.

13 MR. MARK: Are you proposing to add in here
14 somewhere that crack about plain English?

15 MR. SIESS: No. If we find any, we will
16 comment on that, too.

17 [Laughter.]

18 MR. SIESS: That is not TCB and that is not
19 NMSS. That is Research. They are the ones that write
20 them.

21 MR. SIESS: Okay. The review procedure in the
22 next few paragraphs, it starts off: "To assist in our
23 review of the technical activities of the TCB, we were
24 provided with complete copies of the Applicant's Safety
25 Analysis Report, SAR, and the TCB Staff's Safety

1 Evaluation Report" -- a word got left out --"SER, for
2 three packages: a fresh fuel shipping package, a waste
3 shipping package, and an irradiated fuel shipping
4 package. Each set of reports was reviewed by one of our
5 consultants, and their questions and comments were
6 addressed by the TCB staff at the meeting of the
7 Subcommittee on 12 October 1981. That is one phase of
8 our technical TCB review.

9 "In addition, we were supplied with extensive
10 correspondence relating to technical issues that had
11 been raised by two former members of the TCB staff.
12 These were reviewed by Subcommittee members and by the
13 consultants." And gentlemen, we did not formally
14 comment on those and I have said no more about them.
15 They were part of the background material that we had
16 and I thought we should acknowledge it. And they were
17 not called differing technical opinions because they did
18 not go through that process, as I recall.

19 MR. BENDER: Can you strike out the second "by
20 the" and say "were reviewed by the Subcommittee members
21 and consultants"?

22 MR. SIESS: Fine.

23 MR. MARK: Would you remind me, Chet. I found
24 this Paragraph 15 quite intriguing in reading it on the
25 plane yesterday because I had totally forgotten what we

1 had heard from former members. Were they wild
2 objections to what TCB is doing, or what?

3 MR. SIESS: No, they were differences of
4 opinion arising chiefly from what I would call, and I
5 will use the word carefully, misinterpretations of the
6 regulations of the requirements, a lack of background in
7 the development and history, I would say to some extent
8 the lack of really mature judgment in applying the
9 regulations, and they never reach the point of being a
10 different professional opinion, which is a very formal
11 status in the NRC. They never went through that process.

12 We had their comments, we had the responses by
13 the Staff. It was all at a technical level, and I
14 thought it did give some insights into how the Staff
15 worked. But we did not reach any conclusions on it
16 except that they did not bring up any significant
17 questions regarding the operations that we thought
18 should be pursued.

19 MR. MARK: Then I do think there is a use for
20 saying just a phrase more in Paragraph 15, that we were
21 supplied with stuff by former members, these were
22 reviewed by the Committee and the consultants, and these
23 points have been taken into account, or they didn't
24 change the review, or something which says we heard from
25 them. As it stands, we heard from them. It doesn't say

1 that we have taken them into account. It doesn't say
2 that it affects our views. I believe both of those are
3 correct statements, and at least one of them should be
4 in here.

5 MR. SIESS: I think that what I have said is
6 as far as I want to go in talking about the review
7 procedure if we did not reach any conclusion as a result
8 of those and did not reach any findings. You see, I
9 would hate to add anything to this that gets into the
10 next section on findings. This is just information.

11 MR. MARK: Okay.

12 MR. SIESS: If we don't mention it in the
13 findings, that means we didn't find any importance to it
14 or didn't have any findings relating to it. That is how
15 I was trying to divide this up. I don't want to give it
16 too much weight. I felt we had to mention them but I
17 don't want to give them too much weight. I think they
18 helped our insights, but they didn't affect our
19 judgments.

20 MR. ZUDANS: There would appear to be a slight
21 contradiction there. We made such a comment on
22 Paragraph 13, saying the proposed revisions don't affect
23 the report.

24 MR. SIESS: That was setting the scope.
25 Paragraph 13 is in the preceding section. That was the

1 definition of scope that we made at the beginning.

2 MR. ZUDANS: I have a little bit of sympathy
3 with Carson's question. We do have to point out some
4 place --

5 MR. MARK: We have got to be a little careful,
6 I believe, as we have learned in some of our letters,
7 that not mentioning or stating something is taken as
8 either concurrence or something and is read as meaning
9 something. I believe there would be room in the last
10 sentence of this paragraph to say that these were
11 reviewed by the members and the consultants and, if you
12 like, the significance of these is included in our
13 report or in our subsequent comments. That is, just to
14 say that they were reviewed does not quite say if we
15 learned anything or changed anything or felt anything as
16 a result.

17 MR. SIESS: Well, Carson, you have to go back
18 to the first paragraph and say something, because as far
19 as the three SARs we got, I said each set was reviewed
20 and didn't draw any conclusion. That was just part of
21 the input, just listing here the things we did.

22 MR. MARK: Yes.

23 MR. BENDER: I guess I have begun to believe
24 that we have to establish the relevance of the
25 information in some way. Putting it in without stating

1 its relevance invites questions. I don't mind saying we
2 didn't find anything relevant in it, because I didn't,
3 but that is just my personal opinion.

4 MR. SIESS: I think if you want to say that,
5 it belongs in the findings and not in the procedures.

6 MR. MARK: Well, that is fine if we pick it up
7 later.

8 MR. SIESS: I listed here the input we had and
9 draw no conclusions regarding the input.

10 MR. MARK: Right. Do we pick it up later?

11 MR. SIESS: I have listed findings but I don't
12 relate them back to all the details. I don't know
13 whether we need to. It seems to me that you can review a
14 lot of things and you can integrate them, consider them
15 all and come up with some findings without relating each
16 finding to a particular bit of evidence.

17

18

19

20

21

22

23

24

25

1 Now as we get into the findings, if you want
2 to state that this finding was based on this and that
3 finding was based on that, we can do it, but I think it
4 is mistake because this has been an integrated review.
5 I know the judgments I have made have been based on
6 everything I have heard.

7 MR. BENDER: I think that is not quite the
8 issue in this case. In most cases you are exactly
9 right, but because of the sensitivity of this kind of
10 thing, when there are dissenting opinions --

11 MR. SIESS: It was not dissenting opinions,
12 Mike. It never reached the stage of being a different
13 professional opinion.

14 MR. BENDER: It was not a formalized
15 situation, but in fact the correspondence that I saw at
16 least created an aura of circumstance that to my mind
17 suggested that there was far from unanimity between the
18 supervisory staff and the working level people.

19 MR. SIESS: That is right.

20 MR. BENDER: I know that anybody going back
21 and looking at that would be conscious of whether it was
22 sorted out properly.

23 MR. SIESS: Let us wait and look at the
24 findings and see if you want to reference this someplace
25 there.

1 MR. MARK: I would be awfully happy to have it
2 referenced right here to the extent of saying that these
3 have been taken into account in our findings.

4 MR. SIESS: I will insist if we do that that a
5 similar statement be added to each of the paragraphs,
6 because I think that the first part -- the material in
7 paragraph 14 -- was taken into account in our findings
8 with a great deal more weight than that in paragraph 15,
9 and that the material in paragraph 16 was taken into
10 account in our findings, intermediate between the two.

11 Now we could argue about the weight, but I do
12 not think we can single out any one of these things as
13 being taken into account in our findings any more than
14 the other.

15 MR. MARK: Yes, we can, Chet, and, in fact, I
16 think we should. Here we are referring to a couple of
17 guys who are complaining or so. Now 14 and 16 we are
18 much more nearly referring to facts and we should be
19 sensitive, I think, to saying that we have heard from
20 these guys. We have taken into account what they had to
21 say. That is quite different from taking into account
22 some regulation.

23 MR. SIESS: I do not see the difference.

24 MR. MARK: In this day's world, there is a
25 difference.

1 MR. SIESS: I do not see it.

2 MR. MARK: You live in an isolated little
3 place up there in Urbana.

4 MR. SIESS: No. If this had been a different
5 technical opinion that had gone all the way up --

6 MR. MARK: If you were down at the World's
7 Fair in Knoxville --

8 (Laughter.)

9 MR. SIESS: I think it gives entirely too much
10 weight to this. I do not think it influenced our
11 findings that much.

12 MR. MARK: Another possibility would be not to
13 refer to it at all.

14 MR. SIESS: That is a possibility, too.

15 MR. MARK: But I think if we refer to it as it
16 is here, it is really intriguing and then later we do
17 not find out whether these guys had anything to say or
18 not. Now I was agreeing with you entirely that they
19 have nothing to say, but if we are going to mention them
20 we have to in some delicate way say they had nothing to
21 say.

22 MR. BENDER: Well, I think there would be
23 something to that effect in that paragraph.

24 MR. MARK: That is a possibility.

25 MR. BENDER: I never was quite able to satisfy

1 in my own mind that I understood the relevance of what
2 we were presented. We saw some correspondence. I guess
3 my own view was that the question raised had more to do
4 with the interpretation of the regulations than anything
5 else.

6 But whether they were entitled to be raised
7 and whether they were resolved properly I think
8 really --

9 MR. SIESS: These were submitted to the
10 consultants and the members and I am not sure whether we
11 got written responses. John Langhaar sent us a written
12 response. We discussed it at the meeting at Oak Ridge
13 and I think we devoted maybe 20 minutes to it. We
14 really did not ask the Staff to defend it, as I recall,
15 and what benefit we got was primarily from reading it.

16 Now I would entertain a motion to delete it
17 since it played a relatively minor part, in my opinion,
18 in our review. To me it gave me some insights into how
19 the Staff worked and the judgments they applied and how
20 they interpreted the background they needed to interpret
21 the regulations and stuff.

22 I got some feeling for how the Staff operated
23 from it, but I would not object to taking it out.

24 MR. BENDER: I move we delete it.

25 MR. SIESS: Carson, do you agree?

1 MR. MARK: I do not absolutely agree. I
2 rather think that is what is said here.

3 MR. SIESS: There are only two votes -- yes
4 and no.

5 MR. MARK: Yes, I understand. I am aware of
6 the difficulty. I do not know whether to second this
7 motion or make a different one.

8 MR. BENDER: If there is no second, there will
9 not be a motion, and that is all right too.

10 MR. MARK: I would prefer to leave the
11 paragraph in, but add to it we have taken this into
12 account in our conclusions, indicating that we did
13 receive that information and we are aware of it --

14 MR. SIESS: I cannot buy that because to me
15 everything we did was taken into account in our
16 conclusions, and to select that more or less trivial
17 item to make that comment bothers me.

18 MR. MARK: Well, look, rather than leaving
19 this as it is, I would second Mike's motion to take it
20 out.

21 (Laughter.)

22 MR. LANGHAAR: I wonder if it really is
23 trivial because here were a couple of persons who worked
24 for TCB who had the opinion that the application of the
25 regulations was not proper. So it seems to me it was

1 incumbent upon this Subcommittee to take their comments
2 into account.

3 MR. BENDER: Well, the main reason -- if we
4 could put something in there that establishes relevance,
5 I think that would help. The only thing that I could
6 judge from what I saw was that the Regulatory Staff or
7 the TCB Staff, supervisory staff, made a legitimate
8 effort to consider or take into account the concerns of
9 those people, and in doing so I think they did not turn
10 out to agree with the points that were raised.

11 And I believe there was some management
12 problem associated with the thing -- a personnel
13 problem -- that had to be dealt with as well.

14 MR. ZUDANS: Our review actually did not call
15 for arbitration in this type of decision, so taking it
16 out would be all right.

17 MR. BENDER: And I guess what I am saying is I
18 think if we are going to say we reviewed it, it was only
19 to take into -- to determine whether there was adequate
20 provision for dealing with differing opinions. That is
21 about all I can say.

22 MR. SIESS: Sam brought me the minutes of the
23 October meeting and we devoted two full paragraphs in
24 the minutes. I had raised the question as to whether
25 these differing opinions was the reason that Dick

1 Cunningham had asked us to review the activities of the
2 Branch. We were never quite sure why you wanted us to
3 do it, and we said gee, well, maybe that is why. So it
4 turned out he was not sure whether that was the reason
5 or not, but they were looking at all areas and they just
6 looked at TCB and picked that first.

7 But to quote from the minutes, Dr. Seiss says
8 he does not believe either the Transportation of
9 Radioactivity Subcommittee or the ACRS Full Committee
10 need to become involved in this issue of differing
11 professional opinions, because the individuals who made
12 the allegations are no longer with the NRC Staff.

13 Further, although NRC procedures provide for
14 differing professional opinions be submitted to the ACRS
15 for consideration and/or for possible resolution, we did
16 not do so. However, he suggested that the consultants
17 look at the technical issues raised by these two
18 individuals and provide their opinions on the merits of
19 these issues to the Subcommittee.

20 Now those are correct minutes, but what I said
21 was wrong in that these had never become differing
22 professional opinions. I am sure they did not go
23 through that process.

24 MR. MARK: In that case, I wish to underline
25 my seconding of Mike's motion that we not refer to it

1 here because we will do nothing but intrigue someone.

2 MR. SIESS: These did not go up through the
3 whole process.

4 MR. CUNNINGHAM: Chuck, do you recall?

5 MR. MAC DONALD: At the time the second one
6 was made, we had draft procedures with differing
7 professional opinions. We followed those procedures.

8 MR. SIESS: The point I made was that within
9 the procedures there was an appeal to the ACRS.

10 MR. MAC DONALD: Yes.

11 MR. SIESS: Mike moved we take it out and
12 Carson seconded it.

13 MR. MARK: Yes.

14 MR. BENDER: We have talked about it.

15 MR. SIESS: It is in our minutes, gentlemen.
16 We are not concealing the record from anybody. We are
17 just not calling attention to it.

18 Let's go on. Paragraph 16.

19 MR. BENDER: This part of it is for Cunningham
20 and I think we are more comfortable in not having it
21 in.

22 MR. SIESS: Paragraph 16, instead of "And
23 finally", it simply starts off "Our discussion with
24 representatives of the industry were devoted chiefly to
25 operational and Quality Assurance procedures.

1 Chem-Nuclear systems is the operator of the Barnwell
2 waste disposal site and both owns and transports
3 packages. The Nuclear Assurance Corporation
4 manufactures, owns and leases spent fuel casks."

5 That is just to give some background. Is that
6 correct?

7 MR. MAC DONALD: Yes.

8 MR. SIESS: "Our discussions with
9 representatives of other NRC offices and with the DOT
10 related chiefly to those aspects of the regulation of
11 transportation that lie outside the scope of the TCB.
12 However, in these discussions we attempted to determine
13 the interfaces and communications between the TCB and
14 the other offices or agencies."

15 MR. BENDER: I suggest in the first line
16 taking out the "with," the third word from the end.

17 MR. SIESS: "Representatives of other NRC
18 offices and the DOT." Done.

19 MR. LANGHAAR: Could we go back a moment to
20 paragraph 16?

21 MR. SIESS: Sure.

22 MR. LANGHAAR: The Nuclear Assurance
23 Corporation, it is my understanding, they do not
24 actually manufacture spent fuel casks, but they procure
25 them so I just wonder about that word "manufacturing."

1 MR. BENDER: That is a good point.

2 MR. SIESS: Can we just delete that word?

3 That is, they are not a manufacturer and do not have to
4 have a QA program for manufacturing?

5 MR. LANGHAAR: But they will procure, so if
6 they do the procurement they either have to have a QA
7 program or they have to make sure that whoever does the
8 manufacturing has a QA program.

9 MR. MARK: Can this not be solved by "they
10 own?"

11 MR. LANGHAAR: They own, they procure.

12 MR. MARK: If we just say "owns and leases,"
13 is that all right?

14 MR. CUNNINGHAM: That is an indication of
15 their business.

16 MR. SIESS: I have changed it to say "Nuclear
17 Assurance Corporation owns and leases spent fuel
18 casks." That is good enough, I think.

19 Okay, now we are down to a heading called
20 "Findings and Recommendations Regarding the TCB." There
21 is a certain logic to this. There were the three
22 items: The adequacy of the technical review to provide
23 assurance that the existing regulations are met, the
24 adequacy of guidance, and the adequacy of
25 documentation. I have essentially addressed those three

1 plus some other things, but I tried to hit those.

2 The first paragraph is general. Well, it
3 addresses the adequacy of the review. It says, "We find
4 that the TCB is doing a generally excellent job of
5 reviewing and certifying packages for the transportation
6 of radioactive materials in accordance with the
7 requirements of 10 CFR Part 71." One sentence; one
8 paragraph.

9 "We find that the guidance to applicants and
10 Staff is generally adequate in content but not in form.
11 Part 71 is an exceedingly and unnecessarily complicated
12 document. The fact that it is used correctly in most
13 cases by both Applicants and Staff results more from
14 their experience in its use and their understanding of
15 its background and intent than from its clarity or
16 organization. A proposed revision to 10 CFR Part 71 is
17 now under review. Unless it is vastly improved in
18 clarity, it will be difficult to use because there will
19 be little experience with the new provisions it
20 contains." And I am not too sure about that last
21 sentence. There is no mention of Reg Guides in this
22 connection.

23 MR. MARK: I had a thought when I read this
24 and thought of slightly different wording in line 106.
25 Results more from their experience, not so much in its

1 use as with the needs of the situation and their
2 understanding, because 71 is a mere mess and the idea
3 that they are skillful in using such a mess is an
4 unwelcome compliment.

5 MR. SIESS: That is what we intend it to be.

6 MR. BENDER: If you just left out the "in its
7 use," you would settle the matter well enough.

8 MR. MARK: That would do it for me -- "From
9 their experience and understanding." That does it, you
10 see, rather than how skillful they are in using Part 71,
11 which no one should be skillful at.

12 MR. SIESS: Well, there is a limited number of
13 people that have to use it, just like reactor licensing
14 with 70 or 80 different organizations there would have
15 been screams to high heaven by now. But the people that
16 have to use Part 71 is relatively small.

17 MR. MARK: Well, I like Mike's suggestion to
18 just striking "in its use."

19 MR. SIESS: I do not object to that, but I
20 object to an implication you made that Part 71 is
21 adequate because people know things beyond Part 71.

22 MR. MARK: The reason they know things is
23 because they know them and not because of the help they
24 get from Part 71.

25 MR. SIESS: Yes, and that is exactly what I am

1 finding a problem with, because what I am trying to
2 address in this paragraph is the adequacy of the
3 guidance in Part 71, not the adequacy of the review
4 process by the TCB. We covered that in the previous
5 paragraph.

6 My point is that I think Part 71 covers
7 everything that it needs to cover and does give adequate
8 guidance. But finding it is a little difficult. If you
9 have got one of those decision charts, it helps. That
10 is why I said "experience in its use," not the
11 experience in regulation as such. That is covered
12 previously.

13 This is supposed to address the adequacy of
14 the guidance.

15 MR. ZUDANS: I think the key in that was the
16 Reg Guide -- just a second -- that helped me understand
17 it, because without that Reg Guide I would not have.
18 Maybe that is what should be mentioned.

19 MR. SIESS: Yes, I think that is a deficiency
20 here.

21 MR. ZUDANS: Oh, which one was it?

22 MR. BENDER: The Reg Guide is an
23 interpretation.

24 MR. ZUDANS: Regulatory Guide 7.9.

25 MR. SIESS: What is the title of that one?

1 MR. ZUDANS: A Standard Format and Content of
2 Part 71 Applications for Approval of Packaging of Type B
3 Large Quantity and Fissile Radioactive Material.

4 MR. SIESS: You see, there is a whole package
5 of Reg Guides. Are they all out?

6 MR. ZUDANS: This is the one that puts the
7 whole thing in perspective.

8 MR. BENDER: Well, isn't that the one that
9 says what is to be put in the SAR?

10 MR. ZUDANS: Yes. How to do it, which
11 paragraph applies to what. There is also a chart.

12 MR. SIESS: Are all the Reg Guides issued
13 active?

14 MR. MAC DONALD: 71.9 I think is the last one
15 we have. The ones on the review process are the 71.9,
16 the 71.6 and 71.8, which have to do with the stress
17 allowables, load combinations and then Regulatory Guide
18 7.4 that has to do with leakage tests -- essentially, I
19 guess, four out of the nine that directly apply to the
20 review process.

21 MR. SIESS: Really, a lot of what I have got
22 in here I am not too happy with and I am not too happy
23 with the last part either. But I think the first
24 sentence is important. It says the guidance -- well,
25 really, the first two sentences. The guidance is

1 adequate and Part 71 is very complicated. But I think
2 it should say that the Reg Guides provide a great deal
3 of assistance or something of that sort and maybe let it
4 go there.

5 MR. ZUDANS: The guidance really means this.
6 I do not think you need to make reference to it. It is
7 clear enough.

8 MR. SIESS: What I would like to do, if we can
9 agree on it, is to sort of take the first two sentences
10 there and then go on with reference to the Reg Guides.
11 I think Part 71 could be approved and I do not think the
12 current draft is that much of a change, is it?

13 MR. ZUDANS: Oh, yes. Yes, it is.

14 MR. MARK: I think it is longer.

15 MR. SIESS: The changes in the current draft
16 are more in content than in format. Am I correct?

17 MR. HOPKINS: There are large format changes.

18 MR. MARK: How many pages in the new one
19 compared to the old one -- a factor of five-thirds
20 or --

21 MR. HOPKINS: Sorry, I do not have the
22 foggiest notion.

23 MR. MARK: Well, if it should have been
24 one-half, I think it would have been correct.

25 MR. HOPKINS: I can assure you it is not

1 one-half.

2 MR. SIESS: Look, gentlemen, what I would like
3 to do --

4 MR. MARK: Is delete the third sentence?

5 MR. ZUDANS: No.

6 MR. SIESS: I would like to leave the first.

7 MR. MARK: The first, of course, and the
8 second also.

9 MR. SIESS: And the second one refer to the
10 current Part 71. Let us make that change to begin
11 with.

12 MR. MARK: The current Part 71 is -- fine.

13 MR. SIESS: Now let us take out the next
14 sentence.

15 MR. MARK: Good.

16 MR. ZUDANS: Why do you want to take it out?

17 MR. SIESS: Because I just do not want to get
18 into that much detail.

19 MR. MARK: Now you are going to say a proposed
20 revision?

21 MR. SIESS: No. Before I get to that --

22 MR. CUNNINGHAM: I find that third sentence
23 rather useful.

24 MR. ZUDANS: Yes.

25 MR. CUNNINGHAM: I think Part 71 is going to

1 have to be changed substantially in the future in
2 addition to whatever changes come out of this proposed
3 revision to make it more clear. Certainly we have a
4 limited population that looks at Part 71 now. That is
5 going to expand in the future as we move into repository
6 licensing and just a larger body of people must
7 understand Part 71. I do find some statement like that
8 helpful.

9 MR. ZUDANS: Plus, I also think that that
10 sentence you could add a reference to Reg Guides. It is
11 not only experience but correct use under the guidance
12 that the Staff provides.

13 MR. BENDER: I think Zenon is making an
14 important point because in fact Reg Guides are really
15 what are being used to guide the industry now and not
16 Part 71.

17 MR. SIESS: I am trying to write some words on
18 that.

19 MR. BENDER: Could I go back to line two in
20 paragraph 19 and just strike out -- suggest we strike
21 out the "and unnecessarily" because I do not know that
22 it tells much. The new document is going to be as
23 complicated as the old one.

24 MR. SIESS: I am not sure it is necessary,
25 though.

1 MR. BENDER: It may not be, but I do not see
2 any way out of it.

3 MR. SIESS: We are writing codes and standards
4 that are exceedingly and unnecessarily complicated. I
5 make a strong distinction between something that is
6 complicated and something that is unnecessarily
7 complicated. There are some things that at just
8 complicated, period. There is nothing you can do about
9 it except write Reg Guides and decision paper.

10 And I am not sure that it is unnecessarily
11 complicated, but it is my impression that it is. I
12 would be willing to put a "probably" in front of
13 "unnecessary."

14 MR. ZUDANS: It is easy to make that
15 statement. However, if you say "unnecessary," then you
16 have to be able to come back and point out which parts
17 are unnecessary and that becomes more difficult.

18 MR. BENDER: You may not mean "unnecessary,"
19 and neither do I. I think the question has to do with
20 whether we can make it more uncomplicated than it is.
21 John was there long before we were.

22 MR. LANGHAAR: I am sure it could be made less
23 complicated.

24 MR. ZUDANS: Okay.

25 MR. MARK: My suggestion is that a factor of

1 one-half should be applied to it.

2 MR. SIESS: There is a distinction --

3 MR. LANGHAAR: Reducing the complication is
4 not necessarily reducing the size.

5 MR. SIESS: I make the distinction between the
6 word "complexity" --

7 MR. BENDER: That is a bitter battle.

8 MR. SIESS: I make the distinction between
9 "complexity" and "complication." "Complexity" is
10 inherent in the nature of the problem. There are many
11 different things and it is a complex area. The
12 "complication" means difficult to understand, difficult
13 to follow.

14 MR. ZUDANS: Yes.

15 MR. SIESS: Everything that is complex does
16 not have to be complicated. Complex is the inherent
17 multiplicity of things that has to be considered. You
18 can reduce complexity, but you may not find that
19 desirable. You may want something to be complex to
20 cover a lot of cases, but it does not have to be
21 complicated.

22 I use the word "complicated" here. Would you
23 buy "probably unnecessarily complicated?"

24 MR. BENDER: Leave well enough alone, Chet.

25 MR. MARK: I still like Mike's proposal to

1 delete the last three words in line 106.

2 MR. ZUDANS: That is already done.

3 MR. MARK: The fact it is used comes more from
4 their experience and understanding.

5 MR. SIESS: Again, I have been dealing with
6 things like this for a number of years. We come out
7 with a new ACI building code and the first two years we
8 get complaints about how complicated it is. The people
9 are not familiar with its use. By the time we get ready
10 to come out with the next edition, which is six years
11 later, everybody has found out where things are, what
12 they mean, and there are no longer any complaints about
13 it being complicated.

14 A couple of textbooks have been written, so
15 experience and use tends to reduce the difficulties of
16 complication, not the experience of the people, just
17 experience in use. I can take the most experienced
18 engineer in the country and give him a reformed code
19 and he is going to call it complicated because it is new
20 to him. So that is why I put it in.

21 Now here are some words I have got. I will
22 read the whole paragraph, I think, the way I have got it
23 and I will have to fix it up.

24 "We find that the guidance to applicants and
25 Staff are generally adequate in content but not in

1 form. The current Part 71 is an exceedingly and
2 unnecessarily complicated document. The fact that it is
3 used correctly in most cases by both applicants and
4 Staff results more from their experience and their
5 understanding of its background and intent than from its
6 clarity or organization.

7 "We note, however, that the interpretation of
8 Part 71 is aided significantly by the several regulatory
9 guides available. Moreover, the proposed revision to 10
10 CFR Part 71 is now under review." And I have stopped
11 there. We could say we hope it is better, but --

12 MR. BENDER: I think that is a good place to
13 stop.

14 MR. MARK: That sounds very good. I will buy
15 it.

16 MR. BENDER: That is a good place to stop.

17 MR. SIESS: Let me get those words in there.

18 MR. ZUDANS: Chet?

19 MR. SIESS: Yes.

20 MR. ZUDANS: Is it possible for you to figure
21 out a way to make reference to the guides right after,
22 in line 106 where you say "their experience as
23 reflected," or something of that nature, because that is
24 an integral part.

25 MR. SIESS: I have got it right after the next

1 sentence.

2 MR. ZUDANS: Except that then it gets
3 secondary emphasis and I think it should have the
4 primary emphasis.

5 MR. SIESS: Where do you want to put it?

6 MR. ZUDANS: Someplace where --

7 MR. SIESS: I do not see how to put it into
8 the middle of that sentence.

9 MR. ZUDANS: It is the most important
10 demonstration of the Staff's experience in that field.

11 MR. BENDER: Are you thinking about some words
12 like "more from their experience and from the
13 interpretation of Part 71 in regulatory guides?"

14 MR. ZUDANS: Yes. I think that gives it more
15 emphasis because I believe that is a key issue.

16 MR. SIESS: That is easy to say, but it is not
17 easy to put in that sentence.

18 MR. BENDER: I am not trying to put it in that
19 sentence. I am just trying to --

20 MR. SIESS: Right now, I have a sentence that
21 comes in in line -- after "organization" in line 108.
22 See, what I have done now is to say, you know, guidance
23 is adequate but it is complicated and it works. But we
24 note that the guides help a lot and there is a revision
25 under review.

1 MR. ZUDANS: Let me try a shot as it. Suppose
2 the fact that it is used by both Staff and applicants
3 results from their experience and understanding of Part
4 71 background and intent as demonstrated by a number of
5 Reg Guides issued in this area? It is not good English,
6 but --

7 MR. BENDER: I think if you are going to do
8 that, it ought to say "as interpreted."

9 MR. LANGHAAR: The Reg Guides do more than
10 that. They do more than merely interpret the
11 regulations. They go beyond the regulations. Would you
12 consider, Chuck, that they are merely an
13 interpretation?

14 MR. MAC DONALD: They give a basis, if you
15 follow the particular Reg Guide, that would be found
16 acceptable by the Staff. It is a means of complying
17 with the regulation.

18 MR. LANGHAAR: And a method of application of
19 the regulations, which I think is different from
20 interpretation.

21 MR. MAC DONALD: Yes. I think we go sometimes
22 to extremes not to say that this is the way one must
23 present the information, but if you present the
24 information in that format or style and cover those
25 particular items, it would be acceptable to the Staff.

1 MR. LANGHAAR: As a matter of fact, the
2 regulations state that the only real interpretation
3 comes from the Legal Staff.

4 MR. ZUDANS: The Reg Guides provide the
5 method.

6 MR. SIESS: I say something about Reg Guide.
7 "We note, however, that the interpretation and
8 implementation of Part 71 is aided significantly by the
9 several regulatory guides that have been issued."

10 MR. ZUDANS: That is good.

11 MR. SIESS: Interpretation and implementation.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. SIESS: We still haven't figured out where
2 to put that differently than where I proposed.

3 MR. ZUDANS: I take back what I said. I think
4 it will be all right there.

5 (Pause.)

6 MR. SIESS: Okay, I have a sentence here. I
7 will just stick it in.

8 Now, the next paragraph, the next two
9 paragraphs relate to documentation, maybe the next
10 three. I am not sure. It starts off, "We note two
11 problems with the adequacy of documentation. In some
12 instances, errors in the applicant's SAR have been
13 allowed to go uncorrected if the TCB staff has found
14 them to be unsequential or if the acceptability of
15 the design has been demonstrated by the staff's
16 independent calculations. This practice permits an
17 erroneous document to exist and could be troublesome if
18 the same or another applicant tried to use or reference
19 it in connection with another application."

20 We don't say what to do about it. It is
21 obvious, I think, what you do about it.

22 MR. LANGHAAR: I wonder if the word "error" is
23 the correct word to be used. There are sometimes
24 changes in the applicant's SAR, changes that are
25 required as a result of review, but they are not

1 necessarily representing errors.

2 MR. ZUDANS: I think in this case we are
3 referring to errors.

4 MR. LANGHAAR: But even changes should be
5 properly documented.

6 MR. ZUDANS: I don't know about changes, but
7 we specifically in the Oak Ridge meeting --

8 MR. LANGHAAR: We found some errors but also
9 changes that in my opinion did not represent errors.

10 MR. ZUDANS: But the staff did not base their
11 licensing decision on the SAR. They did their own
12 calculations, and they found things were satisfactory.
13 They didn't go back and direct the applicant to resubmit
14 an SAR with corrections.

15 MR. LANGHAAR: That's correct. There are
16 errors, but there are also changes required by the NRC
17 staff, changes required in an SAR or sometimes the
18 applicant himself will make a change in the SAR which
19 would not represent a correction of an error.

20 MR. SIESS: If he makes the change, that is
21 all right. We are talking about things that aren't
22 changed.

23 MR. LANGHAAR: But the final form of the SAR
24 is one that should be on record, and sometimes it is
25 not.

1 MR. SIESS: Yes. Now, that I don't remember
2 we discussed. We were talking about leaving in
3 existence erroneous SAR's. Now, in the reactor
4 licensing, the applicant has to update its SAR and
5 resubmit it. I just got one the other day. I had to
6 turn it off before I got 60 of them, but I don't know
7 what the procedure is here. That really was not our
8 concern. I had assumed that somebody has a completed
9 SAR corrected. Don't they issue amendments or
10 something?

11 MR. MAC DONALD: Yes, there can be amendments
12 to the SAR. As we looked at the comment, as we
13 discussed it, we thought that there would be a section
14 in the SAR that could be in error, but the staff would
15 independently make a judgment or an independent analysis
16 that that was correct, that when we did our safety
17 evaluation report, that we should point that out in that
18 report, that even though the applicant did a certain
19 procedure or so forth, the staff took exception to that
20 and would document that, and that would be one means of,
21 say, correcting the SAR, or we would have the option of
22 going back to the applicant to have him correct that
23 particular section.

24 MR. SIESS: Yes, because I think that anybody
25 who wanted to use a previous SAR would have to relate it

1 to the SER.

2 MR. MAC DONALD: Yes.

3 MR. SIESS: So it has to be documented either
4 in the SER by an amendment or in the SAR, and that would
5 satisfy me.

6 MR. ZUDANS: Well, it doesn't quite satisfy
7 me. It doesn't quite satisfy what I perceive the role
8 of an SAR to be. The role of an SAR in my understanding
9 is a documentation of the adequacy of the design. The
10 SER is only the review of the SAR, and if they do not
11 believe the methodology the SAR presents, they may do an
12 independent analysis, but I think a particular package
13 is designed and described by the SAR. That's the way it
14 should be, but it should be self-supporting. Someone
15 else should be able to go to the SAR and review it
16 without putting the SER in parallel to it. I don't
17 think that is ever done anyway.

18 MR. SIESS: Yes, but if somebody has a new
19 application and he wants to know how to do it, he picks
20 up somebody else's SAR.

21 MR. ZUDANS: Then it had better be correct.

22 MR. SIESS: Not only that, but he ought to
23 know what the staff liked or didn't like about it, and
24 on what basis the staff found it acceptable.

25 MR. BENDER: It seems to me the way --

1 MR. SIESS: The concern was very clear. There
2 are uncorrected errors. The staff said, if there was
3 time available, he will tell the applicant to correct
4 his SAR, but if it is going to hold up the review for no
5 good reason, they will simply go ahead and let him get
6 by without correcting it. What we are essentially
7 saying is that we think you ought to correct it.

8 MR. ZUDANS: Yes. I like that paragraph. It
9 is a key issue in the whole thing.

10 MR. ZUDANS: I think the question John has
11 raised is a little different, and if we want to say
12 anything about it, it ought to be an additional
13 paragraph. That has to do with an updated final SAR,
14 and not just with errors. If the staff finds they
15 haven't done an analysis and they want them to do it,
16 essentially don't you require that that be an amendment
17 to the SAR?

18 MR. BENDER: I think Dick Cunningham wanted to
19 make a comment.

20 MR. CUNNINGHAM: I was just going to say the
21 difference between the word "errors" as opposed to
22 "changes" is particularly significant. I think it is a
23 very important point. I think this sentence ought to
24 stand by itself, "correcting errors".

25 MR. SIESS: With specific examples.

1 MR. CUNNINGHAM: Yes. I can see the
2 difficulties this would lead us into at a later time if
3 these errors go uncorrected, even though we recognize
4 them in the review.

5 MR. BENDER: I really don't think this is the
6 place to decide whether to make a correction in the SER
7 or the SAR.

8 MR. CUNNINGHAM: I think you made you point
9 here.

10 MR. BENDER: We don't have to say it.

11 MR. ZUDANS: Okay.

12 MR. SIESS: Now, I said there were two areas,
13 and this is the second area. It says, "There are many
14 areas in which the staff can or must exercise judgment
15 in determining whether a package design is acceptable.
16 We are satisfied that these judgments have been made in
17 a competent and professional manner and with appropriate
18 conservatism. However, it is not clear that the bases
19 for and existence of these judgments have always been
20 documented for future reference. This has the potential
21 for inconsistent decisions in the future as well as a
22 loss of a basis for revising or clarifying the
23 regulations."

24 I am a little bit uncertain about that last
25 line. I propose tentatively to put a period after

1 "future". I had an idea that if there were enough
2 instances where the staff had to exercise judgment and
3 it could have been corrected by the Reg. Guide or
4 changes in the regulations, that documentation might
5 point this out. I am not sure I know the mechanism by
6 which anybody would go through the documentation and
7 find it. I suspect the staff sort of accumulates their
8 knowledge as they do it and decides maybe they ought to
9 formalize it somehow. It is more likely to be a Reg.
10 Guide than a regulation.

11 So, I propose to delete the last line there
12 and put a period after "future". Is there any
13 objection?

14 (No response.)

15 MR. SIESS: Other changes, comments?

16 MR. BENDER: In Line 121, I would be happier
17 if the word "appropriate" were changed to "adequate".

18 MR. LANGHAAR: I think that is better, too. I
19 think it might be more required, but who cares?

20 MR. SIESS: I have no problem with that. I
21 think either word is sufficiently poorly defined. That
22 is what we call a weasel word. Anything else in that
23 paragraph? Okay.

24 MR. ZUDANS: I think that the sentence before
25 the last in Paragraph 21, the one that starts, "This has

1 a potential," I think this has to be replaced with
2 something more substantial, like, "This practice," or
3 "Such an approach," or "This section."

4 MR. SIESS: You are right, and I thought about
5 that. Did I do anything? I am not looking at my marked
6 copy. No. "This practice," or "This lack of
7 documentation?"

8 MR. ZUDANS: Yes. Something more than "This."

9 MR. SIESS: Let's just make it "This
10 practice." That is with a somewhat indefinite
11 antecedent.

12 MR. ZUDANS: Maybe "Such practice" would be
13 more appropriate.

14 MR. SIESS: "Such practice?" Okay.

15 MR. LANGHAR: What practice are we talking
16 about here, the practice of not documenting? Is that a
17 practice, when you don't do something?

18 MR. SIESS: Yes. "This lack of documentation?"

19 MR. ZUDANS: Okay.

20 MR. SIESS: We can make it as detailed as you
21 want.

22 MR. ZUDANS: Then you can say, "Lack of
23 documentation," "Lack of such documentation." It
24 becomes more and more comprehensive. "Lack of such
25 documentation."

1 MR. SIESS: "Lack of such documentation."
2 What we are talking about, I think, is a memo to file
3 type of thing.

4 MR. ZUDANS: Yes.

5 MR. SIESS: Or SER type. Ideally it would be
6 in the SER.

7 MR. ZUDANS: It is not uniformly lacking. It
8 is just that sometimes it doesn't show up.

9 MR. SIESS: It says, "have always been
10 documented." It wasn't clear that they had always been
11 documented. Okay, are you ready for the next paragraph?

12 "We note that most transportation incidents
13 involving potential exposure to the public resulted from
14 deficiencies in handling of the transportation and not
15 deficiency in the packages. We note further that the
16 feedback to the TCB from package users and transporters,
17 from IE, and from the DOT, is far from complete. We
18 believe that more extensive feedback is desirable, and
19 that the TCB should review the incidents or accidents
20 with a view toward changes of package design that might
21 reduce the probability of serious procedural errors. We
22 recognize that it is not possible to design a foolproof
23 package, but we believe that little attempt has been
24 made so far in this direction."

25 MR. ZUDANS: Would this --

1 MR. SIESS: This does not address the point
2 that you made earlier about feedback from receivers.

3 MR. ZUDANS: The last sentence I don't
4 understand. I don't quite understand why it is there.

5 MR. SIESS: That can be taken out. We
6 discussed at some point if you could design a package
7 where you couldn't get a faulty gasket in it.

8 MR. ZUDANS: But it has no reference to what
9 you said before, and it kind of stands out.

10 MR. SIESS: No, it does. "Package designed to
11 reduce the probability of errors."

12 MR. ZUDANS: What does "little attempt" refer
13 to?

14 MR. SIESS: To design one that way.

15 MR. ZUDANS: Design a foolproof package?

16 MR. SIESS: Yes. Or to design one that --

17 MR. ZUDANS: That is not true. We all try to
18 design a good package.

19 MR. SIESS: Well, I am willing to take it
20 out. Does anybody object to taking out the last
21 sentence? I am not in love with it.

22 (No response.)

23 MR. ZUDANS: That is the only objection I have
24 to your entire report.

25 MR. SIESS: Okay, let's take it out.

1 MR. LANGHAAR: Line 126 refers to
2 "deficiencies in procedures," and I wonder if we are not
3 also concerned about failure to follow a procedure. The
4 procedure may be fine, but if it is not followed, we can
5 still have the potential for exposure of the public and
6 sometimes that happens. We have a good procedure, but
7 somebody fails to follow it.

8 MR. ZUDANS: I think you are right.

9 MR. SIESS: I think you are exactly right, and
10 that is sort of what I had in mind.

11 MR. ZUDANS: We are talking about the
12 application of procedures.

13 MR. SIESS: Procedures are what they do, and
14 to you it is what they --

15 MR. LANGHAAR: There was a little discussion a
16 while ago about procedures and process.

17 MR. BENDER: I was talking about it for my
18 purpose.

19 MR. SIESS: I have a fine distinction in my
20 mind between quality assurance and quality.

21 MR. BENDER: For those of us that have been in
22 the operating business a long time, procedures are
23 written instructions on how you do things.

24 MR. SIESS: What do you call what people do?

25 MR. BENDER: Actions.

1 MR. ZUDANS: In Sentence 127, after
2 "deficiencies," you should probably say, "result from
3 deficiencies in following the procedures for handling."

4 MR. CUNNINGHAM: Or just "procedures" --

5 MR. BENDER: What are we working on now?

6 MR. LANGHAAR: Line 127.

7 MR. SIESS: First sentence, Mike. Dick
8 says --

9 MR. CUNNINGHAM: Looking at Line 127, you
10 could just delete the word "procedures" and say "results
11 from deficiencies in handling and transportation, and
12 not from deficiencies in design of packages."

13 MR. LANGHAAR: That would do it.

14 MR. BENDER: You might become a member of this
15 subcommittee if you work at it hard enough.

16 MR. SIESS: "Deficiencies in handling." I was
17 going to say we note that both transportation incidents
18 resulted from this until we looked at it, I think.
19 Well, that helps a lot, I think.

20 MR. BENDER: Let me offer a parenthetical
21 remark that is relevant to the sentence we deleted.
22 Some of these deficiencies go to the fact that not
23 enough thought has been given to foolproof design, but I
24 don't know that we can make that point here.

25 MR. SIESS: Well, it is really covered in the

1 preceding sentence, with a view toward changes that
2 would reduce the probability of errors. That handles
3 it. The last is pretty gratuitous.

4 Now, Zudans brought out the point earlier that
5 we had discussed some, and it is not brought out
6 specifically here about reports from receivers of
7 packages. I thought we had made enough of that point in
8 our discussions and in our minutes, that it was sort of
9 subsumed in feedback from users, user, receiver, shipper.

10 MR. ZUDANS: The user shippers came in and
11 showed us what forms and procedures they had. I think
12 the significance of that lack of a form that followed
13 the package that the receiver had to mark up kind of
14 disappeared. I think they have a very, very
15 comprehensive package paper that they use.

16 MR. SIESS: It is covered here. We talk about
17 feedback from users. We are talking about users,
18 transporters, IE, and DOT. Now, DOT is certainly going
19 to feed back on transportation incidents. That is part
20 of the system now. We recognize that. IE is supposed
21 to feed back on their inspections and programs and so
22 forth, but when we put users and transporters in, that
23 is where the feedback has been -- you say it is there.
24 You have got some pretty good indication of how formal
25 it is. Are you satisfied with this?

1 MR. ZUDANS: It is all right.

2 MR. SIESS: Anything else in this paragraph?

3 (No response.)

4 MR. SIESS: The next one deals with Appendix
5 E. It is a comment that I think nobody made but me
6 once, and if you want to we can leave it out. "Appendix
7 E to 10 CFR Part 71 contains requirements for quality
8 assurance applying to design, purchase, fabrication,
9 handling, shipping, storing, cleaning, assembly,
10 inspection, testing, operation, maintenance, repair, and
11 modification of packages. Since not all of the
12 requirements of Appendix E apply to all of these
13 activities, and since not all licensees will be involved
14 in all of these activities, we believe that there would
15 be merit in rewriting and reorganizing Appendix E to
16 make clear what applies to whom. Alternatively, but not
17 necessarily preferably, this could be done in one or
18 more Regulatory Guides."

19 Are there any?

20 MR. MAC DONALD: That is what we are working
21 on. It is ready for finals.

22 MR. GORDON: It is in the final process of
23 being edited now.

24 MR. SIESS: All right. So let's put something
25 in that they are doing.

1 (Laughter.)

2 MR. GORDON: 7.10.

3 MR. SIESS: When you get the Reg. Guide
4 written, you can go back and rewrite the regulations so
5 you don't need the Reg. Guide.

6 MR. BENDER: Is there any reason for not
7 recognizing that this work is in progress so somebody
8 won't be coming in and saying, why aren't you doing
9 this?

10 MR. SIESS: They know we are doing it. Well,
11 we are not sure what they are doing. I am not, anyway.
12 If anybody wants to --

13 MR. BENDER: I don't want to press the point.

14 MR. SIESS: The last paragraph is a sort of a
15 summary. "As indicated above, we found that the TCB is
16 doing a generally excellent job. Our adverse findings
17 are relatively minor, and our recommendations are for
18 improvements rather than corrections. We that believe
19 our favorable findings result in large part from the
20 high degree of competence and extensive experience of
21 the members of the TCB staff. They are professionally
22 well qualified and the members in the various
23 disciplines work well together to provide the necessary
24 coordination of the review process."

25 MR. BENDER: I think I would -- maybe what we

1 found was minor, but I think that would be a matter of
2 judgment. Why don't we take out that first phrase?

3 MR. SIESS: "Our recommendations are for
4 improvements rather than corrections"?

5 MR. BENDER: Yes.

6 MR. SIESS: Now, gentlemen, this isn't
7 intended to be simply a pat on the back to the staff
8 with a warning that the reason things work well is
9 because they've got good people, and the sort of
10 suggestion that if you don't have good people, they are
11 not going to work nearly as well.

12 MR. ZUDANS: It is certainly not predictable
13 what would happen.

14 MR. SIESS: That is, they are not working
15 within the kind of a framework that will work for
16 anybody.

17 MR. ZUDANS: Did you take something out of
18 this paragraph?

19 MR. SIESS: Mike suggested in the second line
20 we begin, "Our recommendations are for improvements
21 rather than corrections," that our findings are
22 relatively minor.

23 MR. BENDER: I just thought maybe the
24 "minor" --

25 MR. LANGHAAR: You are taking out the words

1 "relatively minor?"

2 MR. SIESS: We are taking out everything down
3 to the second "our." It now reads, "Our recommendations
4 are for improvements." Is that what you wanted, Mike?

5 MR. BENDER: Yes. I think that states it.

6 MR. SIESS: The "relatively minor," et cetera,
7 has been deleted. Okay, now we are into the heading
8 Overall Regulatory Environment. If anybody can think of
9 a better subheading, I am open to suggestions. I didn't
10 like the use of the word "Environment."

11 MR. ZUDANS: Procedures?

12 MR. BENDER: Process, really, is what it is.
13 I think that might suit that particular heading.

14 MR. SIESS: I hate to dignify it by the word
15 "Process."

16 MR. ZUDANS: But it is a process. It sits in
17 some environment that is complex.

18 MR. CUNNINGHAM: I would say it is more
19 structure than environment.

20 MR. SIESS: You like "Structure?"

21 MR. BENDER: I wouldn't argue with
22 "Structure," although it is lack of it --

23 MR. CUNNINGHAM: Yes, but that is what we are
24 talking about.

25 MR. BENDER: If Dick likes structure, he is

1 reading this letter, and he knows how it will have to be
2 used. I wouldn't argue.

3 MR. SIESS: "Our findings and recommendations
4 above relate only to activities of the TCB. This
5 branch, however, has only a relatively small though
6 important role in regulating the transportation of
7 radioactive materials, and a substantial portion of our
8 review was devoted to the roles played by others.
9 Responsibility for regulating the transportation of
10 radioactive materials was divided among several state,
11 federal, and international agencies with widely
12 different interests, concerns, and capabilities." That
13 last one referred to DOT.

14 "Within the NRC, the responsibilities are
15 shared with IE and OSP. IE is responsible for
16 inspection of manufacturers of spent fuel casks and of
17 NRC licensee shipping and receiving activities." Is
18 that correct? Region 3 does the manufacturing, and it
19 only deals with the licensees, right?

20 MR. MAC DONALD: Yes, the licensees.

21 MR. SIESS: "OSP is responsible for approving
22 programs in agreement states and maintaining liaison
23 with them. Research is responsible for writing and
24 revising regulations and regulatory guides."

25 Now, I didn't include Research up there

1 because it is not a responsibility and isn't shared in
2 the regulations and certain Reg. Guides.

3 MR. ZUDANS: But you have to include them
4 because you detail three units, and only mention two.

5 MR. SIESS: Yes, I said, the responsibilities
6 are shared with I&E and OSP. Research could be added up
7 there. Let's put I&E, OSP, and Research. Let's get all
8 three of them in. "The DOT is responsible for the
9 regulation of the actual transport of packages and also
10 for the specifications regarding certain types of
11 packages. Federal Emergency Management Agency is
12 responsible for actions following an accidental release
13 of radioactivity from a package in transport. Several
14 agreement states have complete responsibility within
15 their boundaries for those activities not involving NRC
16 licensees, and DOE's activities relating to the
17 transportation of radioactive materials are outside the
18 jurisdiction of any of the other agencies where
19 strategic materials are involved."

20 I didn't define IAEA's activities, because I
21 don't know what they are.

22 MR. ZUDANS: DOT also has the liaison
23 responsibility for IAEA.

24 MR. SIESS: I didn't mention IAEA.

25 MR. ZUDANS: Maybe that should come in here.

1 MR. SIESS: Well, it is complex enough.

2 "Now, this dispersion and complexity of
3 responsibility are statutory in origin, and there may be
4 little the NRC can do about it. The NMSS staff is aware
5 of the problems, at least in a general way," and that is
6 referring to Dick's memo and what he had told us, of
7 course, "but it is not clear that anyone inside or
8 outside of the NRC has or could reasonably be expected
9 to have a clear and complete picture of the full
10 spectrum of activities in this area and of the
11 effectiveness with which they are being carried out in
12 actual practice.

13 "The divisions of responsibility and authority
14 among the NRC, DOT, the agreement states, and the DOE do
15 not seem to be clearly defined or understood in all
16 cases."

17 MR. ZUDANS: I think "division" should be
18 single.

19 MR. SIESS: "As one example, it is not clear
20 who is responsible for the safety of interstate
21 shipments involving DOE specification packages."

22 Now, this recognizes that NMSS knows there is
23 a problem, but it sort of says, we are not sure that
24 even they understand all the aspects of it, and I don't
25 think anybody is going to until they start looking at it

1 in a lot more detail than they already have.

2 Now, the last two sentences I don't think add
3 a heck of a lot. If anybody wants to delete them, I
4 would be happy to do so. It just seems to be going on
5 and on.

6 MR. BENDER: I think the last sentence doesn't
7 help very much.

8 MR. SIESS: That was intended to go with the
9 next to the last, when it says, "In all cases," and then
10 we get down to one little case that we asked about that
11 we never did get, I think, a completely satisfactory
12 answer from the OSP, as to whether it is a pure
13 interstate carrier, and he said, yes, he follows DOT
14 regulations, but he doesn't have to, and we don't know
15 what the states require.

16 MR. ZUDANS: But don't we really think that
17 somebody should sit down and look at the entire
18 process?

19 MR. SIESS: That is the next paragraph. I am
20 just setting it up in this paragraph.

21 MR. LANGHAAR: The last two sentences of the
22 next paragraph.

23 MR. SIESS: I am talking about the last two
24 sentences of Paragraph 31.

25 MR. ZUDANS: Those are not needed. I agree

1 with you.

2 MR. SIESS: Does anybody object to deleting
3 those?

4 MR. BENDER: The message is already there.

5 MR. ZUDANS: It is just a repeat.

6 MR. SIESS: Now we get down to the last
7 paragraph. It says:

8 "We believe that a review of the entire
9 regulatory process and organization in this area is
10 needed. We recommend that the NRC undertake such a
11 review, including at least the NRC offices involved and
12 their interfaces with the other agencies, but preferably
13 including all of the agencies now sharing
14 responsibility."

15 Now, I don't see how the NRC can look at the
16 whole thing.

17 MR. CUNNINGHAM: I would like a little bit of
18 an expansion of that from the subcommittee, if it is
19 possible.

20 MR. BENDER: I was going to suggest that you
21 consider putting this paragraph which I wrote originally
22 for Paragraph 24 in somewhere at this point.

23 MR. ZUDANS: That is exactly what I thought.

24 MR. BENDER: I think that would serve Dick's
25 interests indeed.

1 MR. SIESS: Let's see what it is expanded to.

2 MR. CUNNINGHAM: Well, a few words on the
3 objective of the review would be helpful. I have my own
4 idea of what might be necessary, but if you could
5 provide a few words which would explain what we would do
6 with this review, so that we could perhaps better
7 organize and structure it -- we have to have some
8 objective in mind in the review. The review is, I
9 suppose, to bring a certain amount of order to the
10 extent that the NRC can in this rather chaotic system.

11 MR. SIESS: Dick, I don't know what the
12 objective would be. That's the trouble. I think until
13 somebody got into it, that they don't have much of an
14 idea what could be done.

15 MR. CUNNINGHAM: Well, I believe you have
16 hinted at some of these things in your paper here. One
17 is more clearly defined roles between the various
18 agencies. Perhaps a need to relegate to the individual
19 agencies those things that they can do best from a
20 technical standpoint and an administrative standpoint.
21 I think there are a number of things that could be done,
22 and you might -- I don't want to suggest to the
23 subcommittee that they have already drawn conclusions
24 that these can't be done, but I think if you can point
25 out certain things we might look at, it would be

1 somewhat helpful.

2 MR. SIESS: I think I know what you have in
3 mind, and I have some opinions of my own, but I really
4 think that since we have given this recommendation
5 essentially a sort of subordinate thing that says we
6 have opened up a new can of worms, we really haven't
7 looked at it that much. For example, I have some
8 opinions. I think that packages ought to be
9 concentrated in one area; split between DOT and NRC is
10 ridiculous. I am not convinced that OSP looks at the
11 state's activities in connection with transportation in
12 the same light as they look at other activities.

13 I read a couple of their reviews of state
14 activities, and I am not even sure it says if the state
15 has to have requirements equivalent to Part 71. The
16 list that they checked Part 71 was not a requirement.
17 That was on one that I looked at a year ago. And yet I
18 am not sure it is a great big problem anyway. The
19 exposure to the public from shipment of transportation
20 of radioactive materials isn't a real high priority,
21 when I look at the history. There are millions of
22 packages being shipped, and the things that have
23 happened have been relatively negligible. So, I think
24 we have taken too much time to try to give you that kind
25 of advice, and I think as you get into it you will find

1 that out for yourself, and I will let other people get
2 into it.

3 MR. CUNNINGHAM: I wasn't suggesting that you
4 do further investigation. I thought the only
5 possibility was if you could add a few words there as a
6 result of what you have done.

7 MR. BENDER: I have some thoughts I think we
8 ought to cogitate on a little bit. While I don't think
9 that we can draw a conclusion about what the review will
10 say, I think the nature of the review is worthwhile
11 thinking about a little bit, and that is about what you
12 are thinking, isn't it?

13 MR. CUNNINGHAM: (Nods affirmatively.)

14 MR. BENDER: Certainly a review of the
15 relationship between the several organizations is
16 appropriate, particularly those within the NRC's
17 control, and certainly I guess my own intuition is that
18 when the Part 71 regulation is altered, some of the
19 responsibilities that may be put upon the licensees
20 could be modified somewhat to account for the fact that
21 you can't change the governmental process. It might be
22 worthwhile to look at whether that is an alternative to
23 changing what the government does.

24 MR. SIESS: I think what Dick is looking for,
25 though, is something that would support some arguments

1 for a different division between the NRC and the DOT
2 which I think is really the hard spot in this whole
3 thing.

4 MR. CUNNINGHAM: That is one thing we are
5 examining, of course.

6 MR. SIESS: The DOT has not gotten the
7 capability of the NRC to do some of the things it is
8 doing. The reason it doesn't have the capability is, it
9 has a different priority. NRC doesn't think about
10 anything but radioactive materials, and DOT looks at all
11 the toxic materials, and their viewpoint may be more
12 reasonable in one sense.

13 MR. BENDER: On the other hand, the NRC would
14 have a difficult time managing much more than it is
15 doing now.

16 MR. ZUDANS: There is no need to even suggest
17 that the responsibility in transit should lay with the
18 DOT.

19 MR. SIESS: But they have a package
20 responsibility.

21 MR. ZUDANS: That is an historical thing.
22 They don't license new packages now. The new packages
23 are being built to the old specifications.

24 MR. CUNNINGHAM: There are a whole category of
25 Type A packages.

1 MR. ZUDANS: Type A packages. Why would you
2 be concerned about Type A packages anyway? I think what
3 is lacking in this whole process is a polarization. If
4 you looked from outside, you wouldn't know where to go
5 to find your way through. There is no channeling.
6 There is no single organization that has the last
7 say-so. So, the definition is somewhat fuzzy as to
8 where it ends.

9 MR. SIESS: The states in their regulation of
10 transport, what we heard about the shipping
11 transportation rules for states, what hours, what
12 permits, and so forth, gets to be very sticky, because
13 that requires some kind of a ruling on federal
14 pre-emption, which we have for nuclear plants. It has
15 gone to the Supreme Court once, but it is still not a
16 settled issue. We just had a suit in the state of
17 Washington. That, to me, the DOT-NRC division, can be,
18 I think, worked out. As to which way it should go, I
19 don't know. The state pre-emption business is -- I
20 don't think it is helping public safety one bit to have
21 a truck sitting there at a truckstop waiting overnight
22 so that it can go across the state the next morning.
23 The longer those trucks are on the road, the more
24 possibility there is of exposure to the public. So, I
25 think the thing is not working in the public benefit.

1 But these are things we have touched on so lightly, I
2 would just as soon sign off now.

3 Mike, let's look at your paragraph.

4 MR. BENDER: I will read it, and it may turn
5 out, after having massaged the whole letter, that not
6 much of it is worth adding, but let me just read it as
7 it is written.

8 "Although the above discussion indicates a
9 need for improvement in the format and content of the
10 regulations, there is no evidence that the public safety
11 has been jeopardized by the imperfections. The TCB
12 staff is conscious of the need for correcting such
13 imperceptions, and has dealt with them in the regulatory
14 process to the extent of its control. Much depends upon
15 the inspection and enforcement aspects of the
16 transportation regulatory program, and the I&E portion
17 may need attention if there is a substantial increase in
18 the volume of radioactive material to be transported
19 under NRC regulatory control. The anticipated
20 modification of the regulations and related regulatory
21 documents should eliminate most of the identified
22 documetary imperfections."

23 I know we don't need the last sentence any
24 more.

25 MR. SIESS: Okay. But the first sentence has

1 a statement that I don't agree with. We didn't indicate
2 a need for improvement. We said the content of the
3 regulation was okay, it was the format. We already
4 discussed that. It seems to me the point you are making
5 here that has some bearing on these last couple of
6 paragraphs is that in a review of the thing, the NRC
7 should consider whether I&E activities should be changed
8 substantially.

9 MR. BENDER: Well, I think that is a major
10 point here. I wouldn't quibble about whether there
11 should be a change in the content of the regulations.
12 We chose not to look at the content. I think that
13 was --

14 MR. SIESS: We looked at the content to the
15 extent of knowing what is in there regarding
16 requirements for accident conditions. We said we
17 wouldn't look at the adequacy of those requirements,
18 just how they were being applied. We looked at all of
19 the accident conditions specified, and how the packages
20 are certified. We looked at that. It seems to me the
21 point you are trying to make here in connection with an
22 NRC review, including at least the NRC offices involved,
23 it says that we think that they should look at the I&E
24 portion which is -- if there is a substantial increase
25 in the volume. The I&E has two functions. Region 3 has

1 a better inspection program.

2 MR. MAC DONALD: Region 4.

3 MR. SIESS: Have I got that right in here?

4 Yes, I've got it right. Region 4 has the inspection
5 program. The other regions inspect licensees' QA
6 programs. That is all I&E does right now, right?

7 MR. MAC DONALD: Yes.

8 MR. SIESS: You are talking about both
9 functions of I&E?

10 MR. BENDER: Well, yes. I am talking about
11 both functions of I&E, to the extent of saying that we
12 know that their regulations say they are going to have a
13 QA program, but there is very little that I can see in
14 the regulation that tells you what the QA program should
15 have in it.

16 MR. SIESS: That is in Appendix E and the Reg.
17 Guide.

18 MR. BENDER: Well, it may cover that point.

19 MR. SIESS: That is TCB's job. That is not
20 I&E's job.

21 MR. BENDER: The other has to do with Carson's
22 point he has made a number of times. It is very limited
23 in the way in which it receives information.

24 MR. SIESS: On incidents or on QA violations?

25 MR. BENDER: Incidents and QA violations.

1 Safety significant QA incidents are reported. I don't
2 know if that is exactly the phrase he used. And others
3 are not. And QA violations, as I understand, are not
4 reported unless there is some release of radioactivity.

5 MR. SIESS: I think what came out was that
6 whereas a reactor operator has to submit an LER on
7 anything that violates a tech spec, even if he corrects
8 it, that the shippers, for example, did not have to
9 report things they found and corrected themselves.
10 Didn't that come out in one of the meetings?

11 MR. BENDER: That's true, and receivers do not
12 have to report anything that is not explicitly --
13 doesn't explicitly involve some kind of contamination or
14 radioactive release.

15 MR. SIESS: These follow procedures that don't
16 -- if they don't lead to anything, they don't get
17 reported. I won't argue for the LER type system, which
18 reports an awful lot of things that don't amount to
19 anything, they just clutter up the landscape apparently,
20 but again, there is nothing comparable to that here in
21 terms of reporting things that could with enough
22 feedback lead to some improvements either in the QA
23 procedure or factory design or anything else.

24 MR. BENDER: My thought in writing this
25 paragraph was more to draw attention to looking at that

1 area. I think maybe a sentence somewhere in here to
2 deal with that -- it doesn't need to be this paragraph.

3 MR. SIESS: I am thinking we could add to the
4 last paragraph a sentence which would say, "In a review
5 of activities within the NRC, particular attention
6 should be paid to the inspection activities" --

7 MR. ZUDANS: Chet, I think if you strike the
8 last sentence in Mike's paragraph and the last two
9 sentences in your 31, then what is left of Mike's
10 paragraph would fit nicely between 31 and 32, with maybe
11 some changes in wording.

12 MR. SIESS: I don't agree, because between 31
13 and 32 are comments on the general regulatory structure,
14 and the first couple of sentences don't deal with the
15 general regulatory structure. They deal with the TCB.

16 MR. BENDER: What I would like to suggest we
17 do is insert a sentence between the first line in
18 Paragraph 32 and the second, which has the following
19 sentence, "We believe attention should be given
20 particularly to the manner in which the regulatory
21 process deals with the reporting" -- well, reporting is
22 the wrong word -- "with quality deficiencies that arise
23 during handling and shipping of materials."

24 MR. SIESS: Now, this is something that would
25 go outside of NRC?

1 MR. BENDER: Well, it may --

2 MR. SIESS: It involves the states?

3 MR. BENDER: It involves at least the
4 regulated industry. I am not sure that it has to
5 involve the DOT and the states.

6 MR. SIESS: You see, the first sentence talks
7 about the entire process. Then we talk about a review.
8 What I thought you were saying was that in the review,
9 the IE portion may need attention if there is a
10 substantial increase in the volume of radioactive
11 materials. I am looking at the words you have got.

12 MR. BENDER: Yes, and I believe that. As a
13 matter of fact, I not only believe it, I know that it is
14 necessary.

15 MR. SIESS: The IE portion is internal. I
16 would prefer to say after we recommend that NRC
17 undertake such a review, include at least the NRC
18 offices, and then add "In its internal review, special
19 attention may be needed to I&E if there is expected to
20 be a substantial increase in the volume."

21 MR. BENDER: That would be all right.

22 MR. MARK: Explain --

23 MR. SIESS: You are really thinking of spent
24 fuel.

25 MR. BENDER: I really am, because I really

1 think we haven't had very much of it yet, and also
2 radioactive waste that is sitting there to be moved.
3 There is a lot of it around.

4 MR. SIESS: You said NRC controlled high level
5 waste, but I would think that if that is what we want,
6 it belongs at the end.

7 MR. BENDER: I would be happy to have you try
8 to develop some words. I am not married to mine.

9 MR. MARK: It would be a sentence which is in
10 the middle of Paragraph 32.

11 MR. SIESS: I would put it at the end, after
12 we say, undertake the review, when we say, "In such a
13 review, we think it would be appropriate to give special
14 attention to the Inspection and Enforcement aspects as"
15 -- and I will try to develop some words. What I will
16 try to do is pull out as much as I could.

17 MR. BENDER: I think you have the sense of it,
18 and I would be happy to have you put it in there.

19 MR. SIESS: Okay, let's take a short break,
20 and I will try to fix a sentence up for that, and we
21 will come back.

22 (Whereupon, a brief recess was taken.)
23
24
25

1 MR. SIESS: Gentlemen, with regard to the
2 report, there are still some things to be covered.
3 First, in connection with the last paragraph, I want to
4 try some wording, partially something that Dick
5 Cunningham suggested and then what Mike has. Let me
6 just read what the paragraph would sound like.

7 "We believe that a review of the entire
8 regulatory process and organization in this area is
9 needed in an attempt to more clearly define the role of
10 each organization, and to adjust those roles as might be
11 useful and practical. We recommend that the NRC
12 undertake such a review, including at least the NRC
13 offices involved and their interfaces with the other
14 agencies, but preferably including all of the agencies
15 now sharing responsibility.

16 "In a review of NRC functions and activities,
17 we believe special attention should be given to the
18 inspection and enforcement function if there is likely
19 to be a substantial increase in the volume of
20 radioactive material to be transported under NRC
21 regulatory control."

22 The whole thing?

23 (Everyone nods in agreement.)

24 MR. SIESS: Okay. Let me take a second to put
25 that in here.

1 (Pause.)

2 Now, I have a copy of a note here that John
3 Langhaar sent where he raised another item or two.
4 Let's see, in the last paragraph, John, do you think
5 that is covered?

6 MR. LANGHAAR: That is already covered in your
7 report, yes. And what I discussed in the first
8 paragraph, I am afraid it's a little late to bring that
9 up, but I did at least want to call it to the
10 subcommittee's attention.

11 MR. SIESS: I agree that it is a little late.
12 I wonder if it is not at least partly covered in the
13 talk about documentation of judgments and things of that
14 sort.

15 MR. LANGHAAR: To a certain extent it is. The
16 point that I was trying to get at here is that there may
17 be need for more guidance to certain reviewers and to
18 applicants with regard to what is expected of them and
19 what constitutes an acceptable demonstration.

20 MR. ZUDANS: Something like a standard review
21 plan equivalent?

22 MR. BENDER: Well, I am in sympathy with
23 John's view but I think it is a fact of life that human
24 nature causes some people to pick at things that other
25 people would say are unimportant. I don't know that you

1 can do anything about it except by administrative
2 control.

3 MR. LANGHAAR: It is a matter of guidance, and
4 I don't know what can be done about it either, but it is
5 a matter of considerable concern, I have found out, to
6 applicants and members of industry.

7 MR. SIESS: He asked about a standard review
8 plan. Do you have anything like that? Have you thought
9 of anything like that?

10 MR. MACDONALD: The closest we have come to
11 that would be the Regulatory Guide 7.9, which is a
12 format plan which gives the type of information we would
13 like to see in an application. And then using that,
14 essentially, to review an application.

15 MR. SIESS: I don't want to make a pitch for
16 something like the standard review plan because I think
17 it has some serious disadvantages. And to a large
18 extent, the standard review plan for reactor licensing
19 is written by the lawyers. It tells you how the
20 paragraph has to be written, what kind of findings you
21 can make before the hearing board and so forth. But the
22 standard format certainly ought to help.

23 MR. MACDONALD: It does. And I think as we
24 have looked at the reactor guidance, a lot of that is
25 just the interaction within that organization of what

1 parts are done where, and to make sure that all the
2 pieces come together.

3 Now, we do not have that particular problem in
4 the transportation branch.

5 MR. SIESS: And it doesn't really tell you how
6 deep you go into anything.

7 MR. ZUDANS: The standard review plan tells
8 specifically what aspects technically will be reviewed.
9 I think the main emphasis is on coordination because
10 there are so many branches that need to be coordinated.

11 MR. SIESS: But it doesn't tell you the depth
12 of the review. It tells you what you have to include.
13 That is all going to be in the eyes of the beholder.

14 MR. ZUDANS: You can't get uniformity.

15 MR. SIESS: The point John made is that there
16 is a change in assigned personnel during the course of a
17 review and there could be inconsistencies. I presume it
18 is really a case of a new man asking for more, not
19 asking for less. Nobody every complains about that.

20 MR. BENDER: The reg guides would help John's
21 problem some I think, because it states what is
22 acceptable. But for the numbers of different kinds of
23 cask designs that you might have to deal with, it might
24 be pretty difficult to get anything that would have that
25 kind of control.

1 MR. LANGHAAR: That is right, Mike. Another
2 matter of concern to the applicants is that in some
3 cases, a very detailed and costly analysis is being
4 required for some detail of design that has no practical
5 importance. And how do we get around that? I don't
6 know.

7 MR. SIESS: Incidentally, --

8 MR. BENDER: If you get enough examples -- we
9 could get enough examples around to look at.

10 MR. SIESS: Standardizing is one of the
11 problems. The reg guides, as you know -- there are two
12 kinds of reg guides, or there used to be. Well, there
13 are still two kinds if you go back far enough.

14 But the original thought was that a reg guide
15 was going to put down those things that the staff had
16 found acceptable. And I used the past tense there very
17 significantly. These are things that have been hashed
18 out with applicants over a period of time, and in the
19 process of give and take, the staff has said okay, this
20 way of doing it is acceptable.

21 Now, that lasted for about two years. Then
22 reg guides began to come out on what the staff would
23 find acceptable, where it was not putting down on paper
24 the things that had been established by precedent, but
25 were simply statements of the staff's solution to the

1 regulations that would be acceptable. And there was
2 quite a difference in those two.

3 It is obvious, if you look at reg guides the
4 way we do, that some of them represent staff positions
5 that the industry has never heard of, so they have not
6 been worked out together.

7 It seems to me that in some areas at least in
8 the certification of packages, there are things that
9 have been found acceptable. And if those were
10 incorporated in the reg guides, that would help a lot.
11 That distinction got lost somewhere along the line --
12 what a reg guide was.

13 MR. CUNNINGHAM: I think it is coming back,
14 though. I think there is a strong push to make reg
15 guides just that, and not be a substitute for
16 regulations.

17 MR. SIESS: Reg guides, of course, that ignore
18 standards are the result of an interaction over a period
19 of time as to what is an acceptable implementation of
20 the regulations.

21 MR. CUNNINGHAM: Yes.

22 MR. SIESS: But a lot of them are de novo.
23 They have given us a lot of trouble, and the industry a
24 lot of trouble. They are useful ones. You have got
25 them, I guess, to know what the staff will accept.

1 MR. CUNNINGHAM: Well, it is the development
2 of the guide and how it is developed that is extremely
3 important.

4 MR. SIESS: The earlier ones took a lot less
5 time to get approved than the new ones, and that is part
6 of the reason.

7 Well, John, you feel that we could --

8 MR. LANGHAAR: As I mentioned, I believe it is
9 a little late to bring this up, so I am willing to
10 forget about it for the time being.

11 MR. SIESS: We will make the staff aware of it.

12 Gentlemen, we have made some revisions of
13 various sizes and shapes. I would suggest that we get
14 this retyped with these revisions in it and pass it out
15 later today for you to look at, and not necessarily go
16 back through it item by item again. This isn't the full
17 committee, and there will be time to get some additional
18 changes in before the next full committee meeting.

19 What I would intend to do is have this typed
20 up in what I would call a final form, single-spaced, et
21 cetera, and submit it to the full committee with a
22 letter of transmittal that would include our
23 recommendation or suggestion or proposal, and the full
24 committee could transmit this to the Commission with its
25 endorsement to whatever extent they want to endorse it.

1 Endorse their confidence in the subcommittee or the
2 thoroughness of the subcommittee, et cetera, et cetera.
3 And that will come up at the September meeting. Is that
4 okay?

5 MR. MARK: Look, it is okay with me. I am
6 wondering whether Cunningham feels it is going to cover
7 the case.

8 MR. SIESS: He said earlier that he felt it
9 would.

10 MR. CUNNINGHAM: Yes, I think so.

11 MR. SIESS: Whether it is the full committee
12 chairman to chairman letter or this kind of thing, you
13 don't care?

14 MR. CUNNINGHAM: Yes. But I would that this
15 report, through some mechanism, gets to us.

16 MR. SIESS: Oh, yes. The only alternative I
17 can think of is for the full committee to write a letter
18 and delete about two pages; rewrite the first couple of
19 pages in the standard committee format and so forth, and
20 I think that is ridiculous.

21 The committee has been looking for a way of
22 putting more responsibility on the subcommittees, and,
23 in effect, they have endorsed subcommittee activities in
24 connection with reg guides and rule changes in the
25 past. So I think that is an acceptable procedure.

1 MR. BENDER: More than likely, what is coming
2 from the subcommittee will be similar to what is here.
3 Does it cover all the substances you wanted, Dick?

4 MR. CUNNINGHAM: Yes, it really does. It --

5 MR. SIESS: I asked him if it covered too much.

6 MR. CUNNINGHAM: No. We started out to have
7 it cover the functions of the branch, and that is fine.
8 We were very pleased with that. Then it went beyond
9 that and it covers the more broad picture that has
10 become increasingly important, and I think that is just
11 right.

12 MR. SIESS: Okay, gentlemen. The other item
13 of business today is the proposed revision to Part 71.
14 I would suggest that we break for lunch and take it up
15 after lunch. Do you mind going to lunch this early?

16 MR. BENDER: No. Taking it up is going to be
17 difficult, no matter when it is.

18 MR. SIESS: Dade Moeller will be here this
19 afternoon, and Don, you will be running -- ?

20 MR. HOPKINS: Don Soberg and I.

21 MR. SIESS: Do you have a new decision table
22 for us? Somebody brought in a decision table. We got
23 it from an applicant, didn't we? I sent them some stuff
24 on decision tables at the Bureau of Standards, and
25 somebody brought in a decision table. You guys made it

1 up?

2 MR. MACDONALD: That is the ANSI standard.

3 MR. SIESS: Oh, the ANSI standard.

4 MR. HOPKINS: And the reg guide, too.

5 MR. SIESS: I always figure if you do a
6 decision table before you write the rule, you come out
7 with a better rule.

8 MR. MARK: I wonder, Chet, if I could ask
9 Cunningham: there have been several references, and I
10 have forgotten just where they pop up, with budgets'
11 reduced capabilities, such as we would like to inspect
12 more things than we manage to inspect, and here we are
13 faced with the prospect of being able to inspect less.
14 Things like that. How serious a problem is that?

15 Obviously, the inspection of packages, the
16 inspection of things which are going on the road, is,
17 well, the word "minimal" isn't strong enough. It is
18 almost non-existent, and it is becoming less existent.

19 The capability or the hands in which to put
20 reports, this package broke apart halfway between Tulsa
21 and Oklahoma City -- there isn't a very good mechanism
22 for it, even.

23 Certainly, you could say about that general
24 aspect of things, because it is said and it is true,
25 that while it sounds like a trivial problem to me, from

1 the public point of view, it is a serious problem.

2 MR. CUNNINGHAM: Well, I believe it is a
3 serious problem. It goes, I believe, beyond just the
4 public point of view. I think had we had better
5 inspection -- not better inspection, but more inspection
6 three years ago when the governor started shutting down
7 these waste burial grounds because of inadequate
8 packaging, just putting the package together properly in
9 low waste burial grounds, that problem might have been
10 avoided at that time.

11 We changed our regulation to bring increased
12 inspection to bear on waste packages after that, and for
13 a while it did work. Then after the crisis passed, we
14 were hit by budget constraints and need for inspectors
15 at other places. I think that certainly, we are looking
16 at the whole transportation program, both within NRC and
17 our relationships with other agencies.

18 I think one thing that will fall out of that
19 will be some clear need for more inspection of packages
20 and more reporting of incidents or trends or inspection
21 findings by which we can see where we should packages or
22 procedures related to those packages.

23 We are trying. We recognize that even in this
24 day of reduced budgets if we go forth with any program,
25 as I have indicated in that draft memorandum for the

1 Commission that is available to the committee, it is
2 going to take more resources. That the Commission will
3 have to face up to. We hope to get some of those
4 resources by efficiencies in other parts of the
5 materials program, but nevertheless, I believe that in
6 the future, probably more resources will have to be
7 devoted to this particular area.

8 MR. MARK: Could you say just a word about
9 what we might be talking about here? At present,
10 perhaps there are six guides or maybe a dozen, and more
11 resources would correlate with what? An extra dozen?

12 MR. CUNNINGHAM: I don't have a number. I
13 can't give you a number.

14 MR. MARK: I used numbers, but I didn't mean
15 for you to answer it that way.

16 MR. CUNNINGHAM: Because of the way it is set
17 up I can't give you a number now, but I think that it is
18 not only a matter of resources but what we look at in
19 inspection. I think we have got to do a better job in
20 identifying the key places to conduct inspections and
21 the key things to look at in inspections. It is not
22 just merely a matter of a number of inspections; it is
23 being more selective.

24 MR. MARK: No, but it is highly important. If
25 we are talking of six people, we can think about it in

1 those terms. Are we talking about 100 people?

2 MR. CUNNINGHAM: Oh, no. When I talk about
3 increasing resources, these increasing resources will be
4 some fraction of the present resources. We are not
5 talking about doubling the resources or tripling the
6 resources.

7 MR. MARK: What kind of resources would you
8 think of as being presently applied to this effort?

9 MR. CUNNINGHAM: Just the inspection of the
10 total program.

11 MR. MARK: Inspection I believe is the main
12 thing I was trying to picture.

13 MR. CUNNINGHAM: Al can give me a better feel
14 for that because you see, one of the problems, it is
15 hard to pin down the resources that apply to
16 enforcement. If I take the materials program, for
17 example, where people are putting together packages to
18 ship their waste --

19 MR. MARK: Oh, look, the packages are swell.

20 MR. CUNNINGHAM: Let me explain the problem.
21 An inspector will look at the packaging as part of his
22 total inspection program at that facility. What
23 fraction of time he spends looking at transportation as
24 opposed to the other facility is hard to pin down. So
25 the amount of resources you are devoting strictly to the

1 transportation activity is a little bit difficult to pin
2 down, but I think Al can maybe give some feel for the
3 total staff year resources in transportation.

4 MR. MARK: The impression I have is that
5 packages are not the thing. They really work. The
6 question is whether the lids are screwed on right.

7 MR. CUNNINGHAM: That is exactly what they are
8 supposed to be looking at; quality assurance in putting
9 these packages --

10 MR. GRELLA: I am Al Grella, Inspection and
11 Enforcement. I think Dick has summarized it pretty
12 well. What he didn't say is we do not have dedicated
13 inspectors; we don't have inspectors solely for the
14 transportation activities. Whether it is a fuel
15 facility, a reactor or a materials licensee, the
16 transportation aspect is integrated into the regular
17 radiological safety inspections by that inspector of the
18 facility.

19 So that he will look at transportation during
20 the course of his regular inspections. And those
21 inspections are based on the same priorities that are
22 established for that facility.

23 It is difficult to put a number on resources.
24 We have approxiately 50 inspectors who look at materials
25 at fuel facilities. Some are on that order of

1 magnitude, and a somewhat lesser number probably that
2 look at the rad safety factors in reactors.

3 Back in 1979 when the program was augmented,
4 there were some staff years that were added to cover
5 this increased look at transportation. The emphasis on
6 the coverage of transportation at some facilities has
7 been somewhat de-emphasized since that time, but it is
8 now a regular part of the program.

9 As Dick was saying, I would guess that if
10 there is any increase in the future it would be by
11 giving it an increased priority and probably adding some
12 staff years to the total effort. But I don't have any
13 numbers, either.

14 MR. MARK: But the number is in the ballpark
15 of some number not as big as 10, and if you increased
16 it, you would be increasing it by some number, probably
17 not as much as 10 staff years per year.

18 MR. GRELLA: Again, I am not sure of the
19 number, but one could either do it that way or one could
20 go dedicated inspectors. That is another option.

21 MR. MARK: Well, that sounds like a dull job.

22 (Laughter.)

23 MR. GRELLA: Another point is we don't have a
24 policeman on every corner type program where we would
25 attempt and try to inspect every outgoing shipment. I

1 believe the state of Florida has just passed a law
2 whereby starting this fall, the state inspector is going
3 to have to inspect 100 percent of every waste shipment
4 going out of Florida.

5 MR. MARK: Out of? What about coming into
6 Florida.

7 MR. BENDER: I expect TVA has part of that,
8 too, after that labeling fiasco a while ago.

9 MR. MARK: We are talking about a few man
10 years per year, which might seem worthwhile and required.

11 MR. GRELLA: Yes, I would agree. I think you
12 could do an awful lot with not too many man years in
13 terms of increased inspections.

14 MR. MARK: That was the reason for my question.

15 MR. CUNNINGHAM: Chet, I won't be here this
16 afternoon for the Part 71 meeting. Since you are
17 drawing your subcommittee work to a conclusion, I would
18 like to take this opportunity to thank all of you. I
19 know that it became more complicated as you got into
20 it. One of the most complicated parts about it is that
21 you have to understand the total picture before you can
22 look at the activities of the certification branch.

23 And I certainly appreciate both your comments
24 on the certification branch and your more general
25 comments on the total picture, which I think, as you

1 understand, we have been devoting our attention to in
2 recent months.

3 So I do want to thank you. I might say that I
4 am very pleased with your conclusions on the
5 certification branch work. I think your rather
6 complimentary words you used will probably give me
7 trouble when I will be hit for raises en masse.

8 MR. MARK: I hope you realize how unusual it
9 is that there should be some complimentary words.

10 MR. CUNNINGHAM: Well, I don't have a lot of
11 experience with the ACRS, but based on the experience I
12 have had, I believe that is unusual. And I do
13 appreciate it.

14 MR. SIESS: It may be all taken out before the
15 full committee endorses it.

16 (Laughter.)

17 MR. CUNNINGHAM: I see. Then I won't have the
18 raise problem so much. But I do want to thank you very
19 much.

20 MR. SIESS: We appreciate very much the
21 cooperation we have gotten from everybody. I think we
22 have gotten excellent cooperation from the staff and
23 patience. We have extended this a lot longer than I
24 thought we would. Everybody we needed here is here, and
25 we got a lot more answers to questions than we

1 frequently get.

2 (Laughter.)

3 Okay. We will be back at 1:00 o'clock.

4 (Whereupon, at 12:00 noon, the meeting was
5 recessed for lunch, to reconvene at 1:00 p.m. the same
6 day.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 (2:15 p.m.)

3 MR. SIESS: The meeting will reconvene. The
4 subject is proposed revision to 10 CFR Part 71, Donald
5 Hopkins from the Office of Research.

6 How about giving us some history -- oh, you've
7 got the history in there.

8 You're not going to use slides, just these
9 handouts? Has everybody got the handouts? Sam passed
10 them out earlier.

11 Okay, you've got the floor.

12 MR. HOPKINS: Thank you, Mr. Chairman.

13 What we have prepared as a brief introduction
14 into whatever questions the Committee would like to ask
15 consists of three parts. One is a short introduction
16 which includes the primary changes which we are
17 proposing to make in Part 71 for compatibility with
18 IAEA. The second part of that would be the major
19 changes since the proposed rule was issued in August of
20 1979.

21 So much for the short introduction.

22 The next thing would be a series of a few
23 viewgraphs on the way in which changes were made to part
24 71 to resolve the latest comments from the office of
25 NMSS, which I understand you have copies of.

1 And the third part of our prepared
2 presentation is to present a short synopsis of the staff
3 view on the ACRS comments thus far, which consist of the
4 letter from John Langhar.

5 I do have viewgraphs to show for the listening
6 audience, unless you prefer not to darken the room.
7 They consist of the same things you have in front of
8 you.

9 MR. SIESS: Who doesn't have the handouts,
10 including the audience?

11 Okay. We will provide copies to everybody.
12 Some of us read at this distance much better than we do
13 off the screen anyway.

14 MR. BENDER: Some of us can't read, period.
15 (General laughter.)

16 MR. HOPKINS: This final amendment of 10 CFR
17 Part 71 represents half the United States' efforts to
18 implement internationally recognized transportation
19 standards and domestic regulations. The other half, of
20 course, is a parallel action by the Department of
21 Transportation to amend its regulations in Title 49 of
22 the Code of Federal Regulations. These changes are
23 expected to be published and made effective together.

24 MR. MARK: Could I ask here, I had seen
25 reading some of this stuff reference to forthcoming IAEA

1 standards.

2 Is that a certain and known thing, and when
3 does it come, and to what extent do we know that that is
4 going to happen?

5 MR. HOPKINS: The international standards are
6 developed under the auspices of the International Atomic
7 Energy Agency. They have made it a practice to consider
8 changes to these regulations on a frequency of
9 approximately ten years. The IAEA regulations which we
10 are presently trying to implement are those which were
11 put together in 1973.

12 MR. MARK: There are some new ones coming out
13 within Europe now or something like that.

14 MR. HOPKINS: The new ten year review started
15 in about 1979 and is expected to produce a new set of
16 IAEA regulations in 1984.

17 MR. MARK: That is the kind of thing I was
18 thinking of.

19 Now, what do we know about that from the point
20 of view of knowing what is going to happen?

21 MR. HOPKINS: We know a great deal about it
22 being as we participated in its development. We have
23 drafts. We are working on the third draft now of the
24 IAEA regulations, of which I have a preliminary copy.
25 The official copy will be coming out later this year and

1 will be subjected to public comments in the United
2 States, and the U.S. comments will be sent to the IAEA.

3 There is one final regulatory meeting that the
4 IAEA will host, at which time the final rules will be
5 sent to the IAEA Board of Governors for approval.

6 MR. MARK: Okay.

7 To what extent are we comforted that what is
8 now being proposed by you or by us, by the U.S., us the
9 Committee, will conform with what comes out in 1984?

10 MR. HOPKINS: We are not at all sure they will
11 conform. In fact, there are likely to be changes in
12 1984 IAEA regulations which are not included in the
13 regulations which we are now considering. For example,
14 the IAEA is expected to adopt both the deep immersion
15 test for packages, and a substantial crush test, far and
16 above what we have in Part 71.

17 MR. MARK: We have proposed things of that
18 sort, but not up to that level, is that it?

19 MR. HOPKINS: We have a shallow immersion test
20 in the regulations, but it is nothing like the 200 meter
21 test which the IAEA is expected to have in its
22 regulation, and we have no accident crush tests in Part
23 71.

24 MR. ZUDANS: Is this the only incompatibility
25 with Draft 3 that you have in your hands now, or are you

1 going to discuss those incompatibilities that exist
2 between the new 10 CFR Part 71 and the Draft 3 you made
3 reference to?

4 MR. HOPKINS: No, I didn't intend to discuss
5 them in any detail. The Part 71 is not intended to
6 become compatible with the 1984 revision of the IAEA
7 regulations. It is intended to become compatible with
8 the 1973 version.

9 MR. ZUDANS: That sounds sort of
10 shortsighted.

11 MR. HOPKINS: Well, this draft was begun in
12 1972, when we first knew what the IAEA regulations were
13 going to say.

14 MR. ZUDANS: Are we to be ten years behind all
15 the time, or are we now ten years ahead?

16 MR. HOPKINS: Whether or not we stay ten years
17 behind depends on what the policies are that our
18 Commission adopts with respect to compatibility with
19 international rules.

20 MR. ZUDANS: Of course, if you adopt an
21 excellent set of rules, you could influence the IAEA to
22 adopt them.

23 MR. HOPKINS: We do have great influence on
24 IAEA.

25 MR. MARK: Are they likely to be more

1 prescriptive or limiting than the ones we are talking
2 about now?

3 MR. HOPKINS: With the adoption of the new
4 test, they would be more limiting, yes.

5 MR. MARK: Well, apart from tests. I mean,
6 they would insist on tests which we do not at present
7 insist on. But our practices might still be as good as
8 the ones they are talking about.

9 MR. HOPKINS: That is certainly true, and
10 people who can anticipate international transport with
11 their packages recognize the need to satisfy both sets
12 of regulations.

13 MR. MARK: I agree. There is a good reason
14 for trying to meet both sets of regulations. We do hope
15 to export stuff, and we are bound to have to import
16 stuff.

17 Now, we can import it even if the packages are
18 more demanding than our rules. We can't export them
19 unless our criteria are as demanding as the rules.

20 MR. ZUDANS: Is it feasible just to have one
21 set, such as an international set of regulations, and
22 live by it?

23 MR. HOPKINS: Almost all the other major
24 countries in the world live that way. The United States
25 and Japan are the notable exceptions.

1 MR. ZUDANS: From what you have said, I
2 conclude that it would be feasible for us to be part of
3 the team as well and not have our own regulations,
4 theoretically.

5 MR. HOPKINS: It is certainly my view that
6 that could be the case.

7 MR. MARK: Now, as far as you know, the
8 forthcoming IAEA regulations might be met by us by
9 simply insisting on a couple of tests.

10 MR. HOPKINS: The two additional tests I think
11 would be the major things which would separate us from
12 the 1984 IAEA regulations. Our present procedure, by
13 the way, since we are currently working to the 1967
14 version of the IAEA regulations, is to recognize we have
15 different regulations than those enforced
16 internationally, and for package to be used
17 internationally, our package review team is willing to
18 do an evaluation against the IAEA regulations and to
19 certify that the package does in fact comply with the
20 international regulations as well as our own.

21 MR. MARK: Now, where does this kind of
22 discussion really come up? I mean, we may get some
23 package from France, and we have to make sure it meets
24 our regulations. But if we want to send something to
25 France, we have to make sure that it meets theirs.

1 Where does this occur, on the dock or where?

2 MR. HOPKINS: In order for the package to be
3 acceptably received in the United States, there must be
4 a United States approval of the package design. This
5 takes place within the Department of Transportation.
6 Without the approval of the Department of
7 Transportation, a foreign country could not ship a
8 package into the United States.

9 MR. MARK: But I still got the impression that
10 we could accept any package which IAEA said was okay,
11 but we couldn't necessarily send the package.

12 MR. HOPKINS: This is also true. We do have a
13 provision in our regulations and in the regulatory
14 system which includes the Department of Transportation
15 that any package which is approved to the standards of
16 the IAEA by another national competent authority,
17 foreign national competent authority, is welcome in the
18 United States if it is approved by the Department of
19 Transportation.

20 MR. MARK: Wow.

21 MR. HOPKINS: It doesn't necessarily have to
22 satisfy Part 71. That is the crux of what I just said.
23 As long as it satisfies the IAEA standards and is
24 reapproved by the Department of Transportation, we
25 accept it in the United States.

1 MR. CHAPPELL: Accept it for the import
2 shipment, but the domestic shipment would require NRC
3 approval and a certificate.

4 MR. HOPKINS: The transportation is issued
5 only for export and import.

6 MR. BENDER: That means you could get it for
7 the shipment dock at the coastline, to the shipment
8 dock, at the coastline or at the airport, and that is
9 where it has to stand until, as I understand it, you get
10 something further to license it for domestic transport.

11 MR. HOPKINS: The import approval is for final
12 destination within the United States.

13 MR. SIESS: It can't be reused.

14 MR. HOPKINS: You can't use it for reuse in
15 the United States.

16 MR. BENDER: What are these additional tests
17 we are debating? What are those two tests?

18 MR. HOPKINS: What are they? One is an
19 immersion test which is strictly applied to spent fuel
20 casks. The immersion is to a depth of 200 meters, and
21 there cannot be structural failure of the cask. This is
22 to protect the people who might recover casks from deep
23 water loss.

24 The other test is a crush test, and the
25 specifications of it are the dropping of a heavy weight,

1 the weight of which I don't recall, onto a package as
2 opposed to dropping the package onto an immovable
3 surface for impact. The crush test is to drop a heavy
4 weight onto the package. And then, of course, it has to
5 maintain its --

6 MR. BENDER: What is the motivation for that
7 test?

8 MR. HOPKINS: The motivation is a recognition
9 by a lot of people that the impact test does not provide
10 adequate crush resistance for very light packages.
11 Forces that you obtain from the impact test for very
12 light packages does not measure up to that you could get
13 by a crush from a heavier package.

14 MR. SIESS: You crush the package? We also
15 looked at immersion for the package, didn't we?

16 What was the deepest lake in the U.S.

17 MR. MARK: Lake Superior, I thought.

18 Look, I am still interested in this.

19 To what extent and on what occasions would
20 they not meet the provisions that we require? Skip the
21 test business, but packages we might use would be found
22 unacceptable, apart from tests, but I mean actually the
23 fact. Are we using packages which they would say are
24 deficient?

25 MR. HOPKINS: At the present time that is

1 certainly the case because our regulations are based on
2 the 1967 international rules. The rest of the world
3 is --

4 MR. MARK: Please separate, if you can. The
5 regulation is the regulation. The package is the
6 package. Are our packages weak and vulnerable compared
7 to the ones they insist on, or would they pass the test
8 if we thought or felt like applying it?

9 MR. HOPKINS: No, I don't think they are
10 weak. It is just the standards by which they must be
11 evaluated for international transport.

12 MR. SIESS: If they haven't been evaluated,
13 they don't meet it.

14 MR. MARK: They would meet it if we evaluated
15 them mostly? I mean, 250 meters, that is a trivial
16 test.

17 MR. HOPKINS: The way to get an answer to that
18 question I think would be to ask the Licensing Staff
19 whether any of the packages, the U.S. packages they have
20 reviewed against the international standards have failed
21 to meet the test.

22 MR. MARK: Yes, I guess that is the kind of
23 question I would like to hear a comment on.

24 MR. SIESS: Can somebody answer that?

25 MR. CHAPPELL: Well, I don't think we have a

1 deficiency in our packages. I think packages used in
2 the United States are equal or superior to those used by
3 other countries. One problem with the IAEA is that they
4 have a number of prescriptions in their standards which
5 we don't have which we don't regard as significant and
6 are nuisance values. For instance, they have a
7 requirement that a package not collect rainwater, which
8 we don't have in Part 71. But that is not a valid
9 reason for denying someone's application because of some
10 kind of judgment that you don't collect rainwater, but
11 because -- there are other examples, too -- but because
12 we don't have those, we can't say that our packages meet
13 international standards.

14 As far as the two drops, the immersion test
15 and the crush test, those are proposed. They have not
16 been adopted by IAEA, and no other countries' packages
17 have been evaluated against those particular tests
18 either.

19 MR. SIESS: Those are new requirements?

20 MR. CHAPPELL: Those will be new requirements
21 they have adopted.

22 MR. SIESS: Let me get something clear. The
23 IAEA covers all types of packages, normal conditions of
24 transport and accident conditions of transport, or are
25 we just talking about accident conditions?

1 MR. HOPKINS: It covers all packaging
2 requirements.

3 MR. SIESS: Including what we call exempt
4 packaging?

5 MR. HOPKINS: Yes.

6 MR. SIESS: This could be
7 radiopharmaceuticals?

8 MR. HOPKINS: That is correct.

9 MR. SIESS: Or spent fuel?

10 MR. HOPKINS: That's correct.

11 MR. MARK: Do pharmaceuticals have to
12 withstand a crush test?

13 MR. HOPKINS: In fact, pharmaceuticals have to
14 withstand normal conditions of transport, which includes
15 a crush test, normal stacking crush-type test.

16 MR. MARK: How about the immersion type
17 stuff?

18 MR. HOPKINS: No, strictly spent fuel is to be
19 subjected to the immersion test.

20 MR. ZUDANS: So, then I guess --

21 MR. SIESS: You wouldn't try to recover the
22 pharmaceuticals, but spent fuel you would go after.

23 MR. ZUDANS: But your comment, the current set
24 of working regulations is not different?

25 MR. CHAPPELL: That's true. The real

1 substance of our regulations is the same as used by
2 other countries.

3 MR. ZUDANS: It might even be more stringent
4 here than elsewhere, based on 1967 IAEA?

5 MR. CHAPPELL: I would judge it was.

6 MR. ZUDANS: So they are proposing a
7 difference now, but they are not significant?

8 MR. CHAPPELL: There are some instances where
9 we are already more conservative than IAEA. For
10 instance, IAEA doesn't have the double containment
11 provisions for plutonium. We are going to have LSA
12 rules that I think are going to be more stringent for
13 LSA materials than IAEA has.

14 MR. MARK: Chet, it seems to me that what I
15 read about the Part 71 gave me the impression that we
16 were going to catch up with the IAEA next year; that is,
17 we were doing now what they were going to ask rather
18 than doing now what they already asked 15 years ago.

19 MR. MOELLER: Yes, I wanted to pick up on
20 that, too, because I agree with Dr. Zudans. Just to
21 bring the U.S. up to 1973 is totally inadequate. In
22 fact, in the written material we were given, I read and
23 read about 1973 and was totally dissatisfied, but
24 finally I found the following paragraph which satisfied
25 me, and now I hear that what I read is incorrect. It

1 says that during September of 1980, the IAEA convened a
2 new panel to look, and they are scheduling a 1974
3 revision of their they say transportation regulations,
4 and I agree with Cunningham that they are not
5 regulations but recommendations, but going on, the
6 paragraph tells us that the objective of the revision of
7 10 CFR Part 71 is to make it compatible with the
8 anticipated 1984 revision by the IAEA. It even goes so
9 far as to say that the new NRC regulations will not
10 include those IAEA recommendations from their 1973
11 proposal or '73 standard or whatever you wanted to call
12 it that are expected to be removed by the newer
13 revisions.

14 So I find I am totally confused.

15 Are we aiming for '84, or are we only aiming
16 for '73? And if we are only aiming for '73, why was I
17 given this written paragraph in a discussion of the
18 revised regulations?

19 MR. HOPKINS: The two points you make are not
20 incompatible. In fact, what we are doing is trying to
21 make our regulations compatible with the 1973 version of
22 the IAEA regulations which are in fact regulations, not
23 just recommendations.

24 The paragraph that you are talking about there
25 came about because of our advanced knowledge of what we

1 anticipate the 1984 regulations are going to be, and
2 because of our influence, they are going to be more in
3 line with the present U.S. regulations than they are
4 with the present IAEA regulations. That is, '84 IAEA
5 regulations are coming back toward what we think is the
6 best prescription.

7 So what we decided to do, the NRC and DOT in
8 concert, was not to impose in this current revision
9 those rules which are in the 1973 IAEA regulations which
10 are going to be removed in the 1984 version. What we
11 are doing is not to impose in the short three or four
12 year period new requirements which the IAEA is rejecting
13 now.

14
15
16
17
18
19
20
21
22
23
24
25

1 We are, in fact, only trying to be compatible
2 with '73, and we are taking into account some of the
3 things we know in the '84 version.

4 MR. MOELLER: That helps me, but tell me about
5 the fact you stated that the IAEA standards or whatever
6 we want to call them are regulations. What makes them
7 law? What is the title, as you read the title of the
8 document?

9 MR. HOPKINS: The title of the document is
10 "Safety Series No. 6 of the Atomic Energy Agency." It
11 is entitled "Regulations for the Safe Transport of
12 Radioactive Materials." I would like to just read from
13 the first page of the document, which describes the
14 categories of IAEA safety series.

15 MR. MOELLER: Thank you. Do that.

16 MR. HOPKINS: It lists four categories of
17 documents that the IAEA issues, the first of which is
18 called IAEA safety standards, which is what this is. It
19 reads, "Publications in this category comprise the
20 Agency's safety standards as defined in the Agency
21 safety standards and measures approved by the Agency's
22 Board of Governors on 25 February 1976 and set forth in
23 IAEA Document" -- and it gives the name, number. They
24 are issued under the authority of the Board of Governors
25 and are mandatory for the Agency's own operations and

1 for Agency-assisted operations. Such standards comprise
2 the Agency's basic safety standards, the Agency's
3 specialized regulations and the Agency's code of
4 practice. They are distinguished by the wide red band
5 on the lower half."

6 MR. MOELLER: Well, that is helpful because I
7 obviously did not understand.

8 MR. MARK: Now, if we want to send some spent
9 fuel to France, and I'm not sure we do, we would have to
10 meet the IAEA's '73, '76 standard, and our packages
11 would probably meet except they have never been dunked
12 to 250 meters and therefore we couldn't send it. Is
13 that right?

14 MR. HOPKINS: The only way you could send the
15 spent fuel cask to France is to have the Department of
16 Transportation issue an approval which says that that
17 cask satisfies the international standards.

18 MR. MARK: You mean they do that off the top
19 of their head?

20 MR. HOPKINS: No. After the NRC evaluators
21 review that against the IAEA standards and certify it.

22 MR. MARK: But don't they have to send it down
23 to 250 meters, if you can find someplace that deep?

24 MR. SIESS: No, you can do it by analysis.

25 MR. HOPKINS: Besides, the immersion test is

1 not yet enforced.

2 MR. ZUDANS: That is proposed for '84, and you
3 are saying that won't be accepted.

4 MR. HOPKINS: It won't be accepted unless it
5 can be satisfied to that immersion test.

6 MR. ZUDANS: In '73 the immersion test is not
7 in. It is proposed for '84.

8 MR. HOPKINS: Correct.

9 MR. ZUDANS: You anticipate it is not going to
10 fly.

11 MR. HOPKINS: I'm sorry?

12 MR. ZUDANS: It will not fly, it will not be
13 part of '84.

14 MR. HOPKINS: It will be part of '84, yes.

15 MR. ZUDANS: Well, in that case your statement
16 is not right, completely: "NRC in consultation with DOT
17 has decided not to include in its final revision those
18 requirements introduced in regulations in '73 which it
19 expected to be removed from IAEA regulations in the '84
20 revision." Oh. These are not in '73. But that means
21 that you still -- when you explained to Dr. Moeller, I
22 felt that you really were shooting for total
23 compability, but you are not.

24 MR. HOPKINS: That is correct, we are not.
25 The paragraph that you and Dr. Moeller have referred to,

1 that is, the IAEA regulations which appear in the '73
2 version, will not appear in the '84 version which we are
3 not including in Part 71, some further limitations on
4 stress and some additional restrictions which the IAEA
5 has as differences between BU and BM packages. These are
6 ultimately being reversed in the '84 version, so we are
7 not including them in Part 73.

8 Part 71, therefore, will not be totally
9 compatible with IAEA 1973 because we are not including
10 those things that are going to disappear, but they will
11 be compatible in the main effect, that is, in creating a
12 new system for identifying quantities, Type A
13 quantities, which is the most important thing, and for
14 distinguishing between Type B packages, between BU and
15 BM packages, which is the next most important thing.

16 MR. MARK: Help me. BU and BM. I have seen
17 it, I am sure, but it doesn't easily come to mind. What
18 is the difference?

19 MR. HOPKINS: BU package, "U" stands for
20 unilateral improval. The "M" stands for multilateral
21 approval. The BU packages are much more conservative in
22 design requirements and so the world is satisfied to let
23 them travel on the basis of the approval of the
24 competent authority at the origin of the package. All
25 other packages, which have less conservative designs,

1 must be approved by all countries through which it will
2 pass.

3 MR. MARK: A "BU" certification can be awarded
4 by you or by DOT or by the U.S. State Department or by
5 whom?

6 MR. HOPKINS: At the present time, only by the
7 U.S. Department of Transportation after an analysis by
8 NRC, TCB.

9 MR. ZUDANS: You explain in the text, you say
10 designate as "BU" unless the package has maximum
11 operating pressure and so on and so forth.

12 MR. HOPKINS: That is the only distinction we
13 are making in Part 71. The present IAEA regulations
14 have more distinctions, but in 1984 the distinctions are
15 to be come less.

16 MR. ZUDANS: So they will become compatible
17 with this?

18 MR. HOPKINS: Yes.

19 MR. ZUDANS: By the way, since we talked about
20 this pressure, I cannot resist but to point out, you
21 said you will make it metric, in essence. You are
22 really not making it consistent with international set
23 of measure units. There is no such thing as threshold
24 of kilograms per centimeter. So you plan to take it to
25 the SI system?

1 MR. HOPKINS: Not in this one. In the future
2 we may have to.

3 MR. ZUDANS: Why not? It is such a simple
4 thing.

5 MR. HOPKINS: We thought it was too much of a
6 change to go from the English system to the
7 international system in one step.

8 MR. ZUDANS: You state in the document that
9 you will use the metric system and put the English
10 system in parentheses. That is fine, but in the metric
11 system you are not using a sign, you are using something
12 that no longer exists.

13 MR. SIESS: What do you mean, it no longer
14 exists?

15 MR. ZUDANS: Not the SI system.

16 MR. SIESS: Most of the European countries
17 think they are still using metric. They are not using
18 SI, not in my field, anyhow.

19 MR. ZUDANS: It is not so in the regulations,
20 not so even in our own country. Our own national
21 laboratories work with the SI system.

22 MR. HOPKINS: Certainly the term is not so
23 unclear as to become a safety problem, the kilogram term.

24 MR. ZUDANS: I like kilograms because that is
25 how I learned it in school, but Newton is impressive and

1 Pascal is even more impressive.

2 MR. MOELLER: You mentioned LSA materials, and
3 I found I had some questions on that. Are spent resins
4 from a nuclear power plant, are those LSA materials?

5 MR. HOPKINS: As you know, spent resins may be
6 of many different degrees of radioactivity. Some of
7 them could qualify as LSA materials, and some of them
8 undoubtedly can't even in the present system. In the
9 future system, which we expect within the next year,
10 many more of them will not be able to satisfy it.

11 MR. MOELLER: I am not sure what all of my
12 questions are, but I read that a spent resin did not
13 have to be container-shipper packaged and did not have
14 to be designed to undergo any type of an accident.

15 MR. HOPKINS: That is correct. Well, not
16 specifically spent fuel, but LSA materials.

17 MR. MOELLER: Spent resins.

18 MR. HOPKINS: For those spent resins that
19 qualify presently as LSA material, the packages do not
20 have to be accident resistant.

21 MR. MOELLER: But if they are of a higher
22 specific activity than LSA, they do have to be so
23 designed?

24 MR. HOPKINS: That is correct. They only way
25 they could be shipped is in Type B packages, which are

1 accident resistant.

2 MR. MOELLER: So that certainly makes sense.
3 There is a sentence in the material that we were given
4 May 24th, the memo from Bernero to others. At the
5 bottom -- well, excuse me, it is an attachment to it, a
6 draft from Dircks to the Commissioners. At the bottom
7 of page 3 it says, "The restriction on air shipment of
8 plutonium included in this rulemaking action was found
9 to have no significant impact on the quality of the
10 human environment when issued as a proposed rule in
11 November of 1981."

12 What does that mean?

13 MR. HOPKINS: That is simply carrying forward
14 the determination that was made by the NRC Staff with
15 respect to the final issuance of the plutonium proposed
16 rule. I believe the basis for it was that the orders
17 which had earlier been issued by the Commission imposed
18 these requirements on persons who ship plutonium by air
19 so that the implementation of those orders in the
20 regulations had no longer any significant effect. The
21 effect had come about when the orders were issued.

22 MR. MOELLER: Well, I still don't understand.
23 I thought it would have said that the air shipment of
24 plutonium, because they had the new rulemaking, would be
25 conducted in such a manner that it would have no impact

1 on the human environment. But it says the restriction
2 on air shipment of plutonium will have no significant
3 impact on the quality of the environment.

4 How does the restriction have an impact on the
5 quality of the environment? I don't doubt --

6 MR. BENDER: I think they are saying it in an
7 opposite way. They say it will have -- that is a legal
8 answer to a question. If you don't ship any, you won't
9 have any impact. Is that the interpretation?

10 MR. HOPKINS: That is certainly true. I don't
11 think that was the interpretation there. I think the
12 interpretation was that the impact both on the
13 environment and on the industry, that is, cost on the
14 industry and health effect on the environment, was made
15 when the NRC issued its order back in 1975 that imposed
16 the plutonium criteria, and that the mere fact that we
17 exchanged the order for a rule had no impact. That was
18 just an administrative action.

19 MR. LANGHAAR: Any impact that occurred
20 occurred in 1975.

21 MR. BENDER: I got a legal answer but it
22 wasn't the one I expected.

23 MR. MOELLER: If you interpret this literally
24 the way Mr. Bender just said it, as I understand it it
25 is saying that the fact we are going to restrict air

1 shipments of plutonium, that will have no impact on the
2 quality of the human environment. I guess that means
3 that although we are going to severely limit the number
4 of shipments or the manner in which shipments can be
5 made, it is not going to upset anything. But I still
6 don't even know if that is right.

7 MR. HOPKINS: I don't think that would be
8 correct. I think the restriction as it is being imposed
9 has a considerable impact on the industry. It has
10 somewhat of a health impact, a favorable health impact,
11 and a rather severe economic impact to those who adhere
12 to it. But the point, I believe, that was made here was
13 that there was no further impact by us issuing this as a
14 regulation over the impact that occurred when we
15 required essentially the same thing by order.

16 MR. MOELLER: All right. Well, that perhaps I
17 can then understand.

18 On page 4 of this same memo, or page 5, excuse
19 me, the second line, it says, "States will require minor
20 resources." I am taking it out of context. The
21 previous sentence says "All agreement states and most
22 non-agreement states have instituted that control,"
23 meaning the control of the transportation of radioactive
24 materials." And then the final sentence says, "States
25 will require minor resources."

1 Does it mean agreement states or non-agreement
2 states or what? It is the second line on page 5 of the
3 draft, the proposed draft memo.

4 MR. HOPKINS: What this is referring to is the
5 way that the agreement states control transportation so
6 as to remain compatible with the NRC control. This is a
7 requirement for them to be an agreement state, and what
8 it is saying is that the way the state does this is a
9 relatively simple technique. All they have in their
10 regulations is a requirement that their licensees comply
11 with DOT regulations, in essence.

12 Now, what they will have to do is amend that
13 rather simple requirement to refer to the new DOT
14 regulations, and that is the minor resources we are
15 talking about. If, in fact, they had to have a
16 regulation that was compatible or was essentially the
17 same as Part 71, it would require major resources to go
18 through a rulemaking like that in every state. But in
19 fact it is a relatively minor thing so it will require
20 only minor resources.

21 MR. MOELLER: Is that for the agreement states
22 and the non-agreement, or primarily the agreement states?

23 MR. HOPKINS: It is for whatever states
24 control their transportation this way, and in fact it is
25 most states.

1 MR. MOELLER: The state can control it without
2 being an agreement state?

3 MR. HOPKINS: Yes, and they do.

4 MR. RAY: Control that part which is DOT
5 controlled primarily?

6 MR. HOPKINS: Well, as you know, DOT has a
7 statutory limitation on the extent of its control. It
8 only controls shipments in interstate commerce. And the
9 states almost in their entirety, almost all states, have
10 a state requirement which imposes those DOT regulations
11 to the further extent to cover also the intrastate
12 transportation. So virtually all states, I think 50 out
13 of 52 or something like that, have this requirement.
14 All the agreement states have it.

15 MR. SIESS: We have 52 states now?

16 MR. HOPKINS: Forty-eight out of fifty.

17 [Laughter.]

18 MR. MOELLER: Help me again. Let's say I am
19 in a state and I am doing intrastate shipments of
20 NRC-licensed material, and I am an agreement state, so I
21 guess I control it. If I am a non-agreement state, I
22 thought you would control it or DOT.

23 MR. HOPKINS: Yes. Non-agreement states, all
24 50 of them, or all 50 of the agreement states, the DOT
25 regulations do prevail. There are some limitations,

1 however, on the NRC jurisdiction. We don't control, for
2 example, radium or other artificially-produced isotopes,
3 so the non-agreement states also have what is a useful
4 supplement to all the Federal controls by imposing the
5 DOT regulations on the things which they control which
6 neither we nor DOT control.

7 MR. MARK: You mentioned radium in there. We
8 have no controls on radium?

9 MR. HOPKINS: No, absolutely none, to the
10 extent I am aware of.

11 MR. MARK: Wow. Of course, not much of it is
12 around.

13 MR. SIESS: Chem Nuclear said they couldn't
14 accept it at their burial ground.

15 MR. HOPKINS: The limitation is historical.
16 Radium was controlled by the states long before the AEC
17 existed.

18 MR. MARK: I am aware of that, but how it
19 fails to come into our present regulations -- I mean if
20 I had it, I could send 10 curies of radium through the
21 mail?

22 MR. HOPKINS: If it was not controlled by the
23 state itself, by reference to DOT regulations you could,
24 yes.

25 MR. MOELLER: Well, I thought DOT regulations

1 -- I remember this report, 30 years old, that Grobely
2 Evans wrote, who chaired the Committee on
3 Transportation. I thought it applied to all radioactive
4 materials. You are saying it did not?

5 MR. HOPKINS: Yes, but only in interstate
6 commerce, and the congressmen writing the Atomic Energy
7 Act limited us so that we do not control radium. So
8 both Federal jurisdictions in combination do not cover
9 the whole picture.

10 In further answer to your question, there are
11 post office regulations that limit what can go into the
12 postal system.

13 MR. LANGHAAR: In that case, Don, should
14 radium be included in this table?

15 MR. HOPKINS: It is included in this table
16 because it is included in the IAEA tables, but we have
17 no jurisdictions over it. It is not an effective
18 control. I guess there is some control that we think we
19 exercise over radium, and perhaps that would apply to
20 Transportation as well.

21 In Part 20 we say that our licensees cannot
22 exceed certain exposures due to controlled material in
23 combination with uncontrolled materials. That is, they
24 have to limit the exposure of the controlled materials
25 so that the dosage from that controlled material do not

1 exceed the limits in combination with the doses that
2 come from uncontrolled material.

3 You may say that that same kind of argument
4 applies here, but it is something that has not been
5 proven in the system, in the legal system.

6 MR. ZUDANS: This is where you have some
7 controlled material. That is interesting. I would hope
8 that we were more definitive. It seems like there is
9 still lots of diverging directions. It is very
10 difficult and really not less confusing.

11 MR. HOPKINS: No, that doesn't add to the lack
12 of confusion.

13 MR. SIESS: Just think how interesting it
14 would be if we had IAEA regulations on nuclear power
15 reactors. There are some diverging opinions there, too,
16 I think.

17 MR. ZUDANS: Maybe I am less concerned about
18 this projected inconsistency between '84 IAEA and the
19 currently proposed 10 CFR Part 70, as I am more
20 concerned about things like the NRC does not control
21 things like radium. It makes really very little sense.

22 MR. SIESS: Don't start applying new criteria
23 to the regulations. Making sense is not a requirement.

24 MR. ZUDANS: I guess you are right. Maybe we
25 should figure out why it takes longer to write a

1 regulation than it does to build a nuclear plant. When
2 did you say you started on this, Don, '73?

3 MR. HOPKINS: Late 1972. What makes it takes
4 so long is there is not an NRC commitment to adopt
5 international rules. Until we have that commitment, it
6 will probably take us ten years to catch up each time.

7 MR. SIESS: The only alternative would be
8 simply to adopt the IAEA rules.

9 MR. HOPKINS: Many countries do this. They
10 have statutes which require them to adopt the
11 international rules as soon as the international rules
12 are adopted by IAEA.

13 MR. ZUDANS: And this is not without having an
14 influence on the national rules, because you fight for
15 it just like other countries do.

16 MR. HOPKINS: That is correct.

17 MR. SIESS: But NRC does not give in when they
18 lose.

19 MR. ZUDANS: They just issue a reg guide,
20 right?

21 MR. SIESS: That's right.

22 [Laughter.]

23 MR. SIESS: A commitment to do what you said,
24 Don, would have to come from the Commission; is that not
25 correct?

1 MR. HOPKINS: That is correct, and actually it
2 would not be a new commitment, it would be a commitment
3 to satisfy the provisions of the Trade Agreements Act,
4 which says that we must do exactly that, but we don't
5 treat it with much respect, I am afraid.

6 MR. SIESS: DOT doesn't either.

7 MR. HOPKINS: On the contrary, DOT does. They
8 take this chore very seriously.

9 MR. MOELLER: To what degree has the delay
10 been responsible due to the trying to coordinate things
11 within the NRC? Now, I note here that NMSS is
12 responsible for the program area management, RES is
13 responsible for research, I&E is responsible for
14 inspection.

15 MR. SIESS: You should have been here this
16 morning.

17 MR. MOELLER: I don't see how you ever get it
18 coordinated within the NRC.

19 MR. SIESS: That is Research's job.

20 MR. HOPKINS: I am beginning to wonder about
21 that myself.

22 MR. MARK: What makes you think that they are?

23 MR. HOPKINS: Most offices, they don't have
24 difficulty with the Part 71 revision. The main
25 differences are between ourselves and the licensing

1 staff, and of course, the licensing staff must be
2 satisfied because they are the ones who have to
3 implement these regulations by issuing package approvals.

4 MR. MOELLER: You perhaps covered it earlier
5 today, but does someone compile LERs or something
6 comparable to that in terms of shipping?

7 MR. SIESS: That has been the subject of
8 several of our discussions, and I rule you out of order.

9 MR. MOELLER: Okay, thank you.

10 Well, could I ask also how well they are
11 coordinated with DOE? I notice here it says
12 transportation, technical environmental information
13 center index. Has that been discussed?

14 MR. SIESS: No. I got that about two weeks
15 ago and read it over the weekend, and I couldn't see
16 much in it that was very useful. A bibliography is all
17 it is. It tells you where to go to look for something
18 about automobile crashes or railroad accidents, and I am
19 sure that -- the modal study contractors must be using
20 it.

21 MR. MOELLER: Well, it also claims that they
22 can tell you the environment, every aspect of the
23 environment that you anticipate.

24 MR. SIESS: If you read further, it only gives
25 you references.

1 MR. MOELLER: Yes.

2 MR. SIESS: They can't tell you anything.

3 They can just tell you where to go to read stuff.

4 [Pause.]

5 MR. SIESS: Where are you, Don?

6 MR. HOPKINS: To follow up on one question, as
7 far as our just now becoming compatible with 1973
8 international rules and whether it is foolish of us to
9 undertake this, I would like to point out that once 1984
10 rules are issued, it would be three additional years
11 before we could implement those in our regulations, so
12 we are really talking about 1987 when the new
13 regulations would show up in the United States.

14 MR. SIESS: Do you have any concern that the
15 health and safety of the public in the United States is
16 affected by these lags in implementing IAEA regulations?

17 MR. HOPKINS: No, the issue is not health and
18 safety; it is one of being able to make shipments with
19 the least amount of interference.

20 MR. SIESS: Well, that is not a safety
21 question; that is a commercial or trade communication
22 type of thing.

23 MR. HOPKINS: That is correct.

24 MR. SIESS: How many of the comments you got
25 were related to these questions of international

1 shipments? What proportion thought this would help and
2 which thought it wouldn't?

3 MR. HOPKINS: Are you talking about internal
4 comments or public comments?

5 MR. SIESS: Public comments. Internally I
6 wouldn't expect comments to relate to anything except
7 health and safety, considering the mission of the
8 agency, or the common defense and security.

9 MR. HOPKINS: As a result of our publishing
10 the proposed rule in August 1979, the primary health and
11 safety questions we have received had to do with the low
12 specific activity rules. The rest of the changes are
13 not so substantive that the level of safety was changed
14 in any way or in any significant way.

15 MR. SIESS: I really meant in terms of
16 international shipment other than health and safety. I
17 would expect the industry to have commented one way or
18 the other on that.

19 MR. HOPKINS: I would expect probably half of
20 the public comments were comments having to do with the
21 international aspects of shipping.

22 MR. SIESS: How many were favorable?

23 MR. HOPKINS: All comments were favorable in
24 adopting the new rule. They were supportive.

25 MR. MARK: Gee. That gives me an interesting

1 feeling.

2 MR. SIESS: That doesn't mean they are perfect.

3 MR. MARK: That means the old one was bad.

4 I'm looking at the new one.

5 MR. ZUDANS: But you see, the new one will
6 still not eliminate the need to go do another parallel
7 process to qualify the package by certain international
8 rules, because there is no total comparability. It is
9 not intended.

10 MR. HOPKINS: But it is intended to get much
11 closer.

12 MR. MARK: Now you, I presume, are here to
13 defend the rule that we have got in our hands.

14 MR. HOPKINS: I believe that is correct. I am
15 not here alone, though. I don't make these decisions by
16 myself. I am not the sole processor of decisions but
17 the licensing folks help me make many of them.

18 MR. MARK: Chet, I don't want to screw up the
19 progress here, but --

20 MR. SIESS: We have a number of ways to
21 approach this. As Don indicated, he has got slides here
22 to discuss what the major changes are. I want to
23 discuss the NMSS comments and how they are being
24 resolved. We could dispose of that by asking NMSS if
25 they are satisfied, and if they are, we could say that

1 is good enough.

2 And then he has got some -- well, you have got
3 quite a bit on the NMSS. Then John Langhaar sent in a
4 number of comments to us in the same category as those,
5 the comments from the Subcommittee.

6 MR. MARK: I suspect the things --

7 MR. SIESS: Would you like to go through the
8 other items?

9 MR. MARK: The things that troubled me are
10 probably the responsibility of someone in NMSS because I
11 don't understand the correlation between enrichments and
12 amounts. It makes absolutely zero sense. And the
13 numbers which are attached to them might have been drawn
14 out of thin air, and they evidently were.

15 MR. SIESS: Let me first see if I can dispose
16 of one aspect. Where do you stand in relation to NMSS
17 comments?

18 MR. HOPKINS: We have found ways to resolve
19 all of the NMSS comments.

20 MR. SIESS: Is NMSS satisfied?

21 MR. MAC DONALD: Yes, I think we are. I
22 believe we still may have some discussion on the
23 reporting of packages defects, and early reference to
24 Part 21 will in fact take care of that concern.

25 MR. SIESS: Okay. Well, let's say we do not

1 have to go into that in any detail unless somebody here
2 has a comment that relates to one of those. We could
3 separate those comments out from ours.

4 And now let us just go into the Subcommittee's
5 questions and our comments. We have got three
6 Subcommittee members and two consultants. Research has
7 had the benefit of John Langhaar's comments in writing,
8 and they are prepared to address those one by one. I
9 would propose that we do that at the appropriate time. I
10 will start it on my left, as we usually do, and ask the
11 members to go through their comments rather than to try
12 to go through this page by page.

13 MR. MARK: Well, Chet, I do have some
14 questions.

15 MR. SIESS: They can be questions or comments.

16 MR. MARK: I am not sure to whom they should
17 be directed.

18 MR. SIESS: We have people from both groups
19 here.

20 MR. MARK: I can't believe Research came up
21 with these ridiculous numbers, so it must have been
22 NMSS, or it could possibly have been IAEA. I am looking
23 in particular at Table 1, permissible mass of uranium
24 235.

25 MR. SIESS: You are looking at the current

1 draft, right?

2 MR. MARK: I am looking at page 48 of the
3 draft that I have. Now, I had thought of 10 CFR 71
4 having something to do with transportation safety,
5 concerns about, you know, the packages and what would
6 happen in the middle of the Atlantic and things like
7 that. But obviously, these permissible amounts of U 235
8 have nothing whatever to do with that.

9 If they have anything to do with anything, it
10 must be in some imaginary world in which they are
11 worried about proliferation of nuclear weapons, perhaps,
12 something like that. It has nothing to do with
13 transportation. I don't see why the numbers are here
14 nor why the numbers that are here are those numbers.
15 Three hundred grams of U 235. Even NMSS can't make that
16 critical if they stir it around with water. Research
17 couldn't. So what is it? Is it a proliferation kind of
18 number that snuck into this that has nothing to do with
19 safety?

20 MR. HOPKINS: No. In fact, we control not
21 only package integrity such that will withstand normal
22 and accident conditions; we also control the package
23 contents, for several reasons. One, so that it doesn't
24 develop so much heat that it will burst the package from
25 within. Another is so that it doesn't have so much

1 radioactivity that the outside radiation levels would be
2 too high. And we also control fissile materials so that
3 there is virtually no chance in combination of a number
4 of fissile material packages. There could be a
5 criticality incident. That, in fact, is the purpose.

6 MR. MARK: I agree that 300 grams of U 235
7 could make it critical, but to have 200 grams total, you
8 can't possibly make it critical. You can try as hard as
9 you like.

10 MR. HOPKINS: Table 1 refers to the critical
11 mass in fissile Class II package. That is such that you
12 take an individual package and assign a transport index
13 number to it. Carriers during transport can have up to
14 50 total transport index in a single vehicle, so that if
15 a single transport package had a count of 1, 50 such
16 packages could go into a single transport vehicle.

17 What we are saying here is that you cannot
18 have any more Uranium 235 in a single package such that
19 if you had not 50 but 250 in a single vehicle, it would
20 still be subcritical.

21 MR. MARK: Okay. So 0.92 percent enrichment.
22 I think you are going to have probably 5000 packages on
23 the same plane, if you could carry them, with 1200 grams
24 of U 235 per package, because you can't make them
25 critical no matter what you do. Why is the table

1 carried that far? Just one step more and you would be
2 back to natural uranium.

3 MR. HOPKINS: Well, as you probably know, the
4 regulatory staff is somewhat conservative in the way
5 they evaluate things.

6 [Laughter.]

7 MR. SIESS: What is the transport index for
8 packages that have that 0.92 enrichment?

9 MR. MARK: It must be .0001 or something.

10 MR. HOPKINS: The transport index, which
11 corresponds to Table I, as you can see in the title of
12 Table I, it refers you back to the Section
13 71.20(b)(6)(i), and (d)(6)(i), which is on page 47 of
14 this draft talks about the amount of uranium 235 which
15 could be put in one of those packages. The transport
16 index which corresponds to the amount of fissile
17 material specified is required by Paragraph 7 on that
18 same page. It says the transport index of each package
19 based on criticality considerations it taken as ten
20 times the number of grams of U 235 in the package
21 divided by the maximum allowable number of grams per
22 package in accordance with Table 1 or Table 2.

23 MR. SIESS: Can we take that example and
24 figure what it means?

25 MR. MARK: This is about one percent. You can

1 have 1200 grams per package, so we will multiply 1200
2 grams by 100, and we will get 1.2×10^5 , and probably
3 a plane is going to be in trouble if it had all that
4 packaging in it.

5 MR. SIESS: Let's see. Ten times the number
6 of grams divided by the maximum allowable number of
7 grams per package? Okay.

8 MR. HOPKINS: You have to know what you are
9 proposing to put in the package.

10 MR. SIESS: I'm taking the .92 percent.

11 MR. HOPKINS: And we are going to put 1200
12 grams in each package?

13 MR. SIESS: That is what you allow, right?

14 MR. HOPKINS: Correct.

15 MR. SIESS: So the transport index --

16 MR. MAC DONALD: That table does come from the
17 IAEA recommendations. It is essentially a table that
18 gives you a general license in which one may put that
19 quantity of fissile material in the package without
20 submitting an analysis to show that you do not have a
21 criticality hazard in transport.

22 MR. MARK: You can't have a criticality hazard
23 with 0.92 uranium regardless of how many grams you have.

24 MR. MAC DONALD: Unless you have graphite with
25 it.

1 MR. HOPKINS: Or you are shipping it in water.

2 MR. SIESS: The package index would be 10?

3 MR. HOPKINS: That's correct. They would be
4 allowed to have five such packages together in a vehicle
5 to reach a total transport index of 50.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. BENDER: I have been trying to figure out
2 a way to understand what the impact of the changes
3 really are going to amount to. There are these things
4 that are being proposed just to make international
5 regulations and our regulations calibrate. What else is
6 going to happen?

7 MR. HOPKINS: I believe we made the statement
8 somewhere in the preamble to the rule that we do not
9 anticipate a higher level of safety to be achieved by
10 this, only to achieve compatibility internationally.

11 MR. BENDER: How about comprehensibility? It
12 is all right to use that term. Chet?

13 MR. HOPKINS: Is that the same as the inverse
14 of inscrutable?

15 MR. BENDER: Well, in a way it has been used
16 that way. People have said these regulations are
17 difficult to understand and interpret and that they were
18 going to concentrate on simple English.

19 MR. HOPKINS: Plain English.

20 MR. SIESS: I do not think plain English. It
21 helps some, but not that much.

22 MR. HOPKINS: I would like to offer the comment
23 that this regulation has been through the NRC's
24 auspicious plain English review. It is now written in
25 plain English to the best of the NRC's ability.

1 MR. BENDER: So further clarity is not in the
2 offering?

3 MR. HOPKINS: No, not unless you have some
4 very good suggestions.

5 MR. ZUDANS: Do you plan to flowchart it?

6 MR. HOPKINS: A flowchart was a suggestion.
7 You might have noticed that way back in the beginning
8 under 71.0 we now have an explanatory paragraph.
9 71.0(d) explains the system a little bit -- page 31.

10 MR. ZUDANS: It would be useful to flowchart
11 because when you try to follow that case through you
12 have to follow paragraph to another chapter, another
13 chapter.

14 MR. SIESS: There was a flowchart before.
15 There was a flowchart in the ANSI and someone handed one
16 out once.

17 MR. ZUDANS: There was one flowchart. That
18 was very useful -- the one for the old regulation.

19 MR. HOPKINS: A flowchart might be useful for
20 the individual example, but to try to flowchart all the
21 multiple decision you would have to make in a whole
22 regulation would be much more confusing than the
23 regulation itself.

24 MR. BENDER: May I make the following
25 interpretation? I heard Dr. Siess comment a moment

1 ago. Having worked on the ACI code activity for a
2 while, we found out if you let the code be used for a
3 couple of years people get used to using it and they
4 will understand it. Is that the principle you are
5 following here -- that people will use the standard
6 enough so that they will understand it even if it is
7 difficult to interpret?

8 MR. HOPKINS: It is certainly true that the
9 transportation system in itself is not an easy thing to
10 understand and to go through the regulations to follow
11 what is required in the regulatory sense for the
12 transportation system is very difficult at first. It is
13 not something which we would expect you folks as
14 relative amateurs, no matter how intelligent you are, to
15 be able to find easy to understand the first or second
16 time through.

17 There are a number of licensees who have been
18 using Part 71 to years and, as you pointed out, they
19 like the present Part 71 just the way it is. One of
20 those guys is sitting right behind you.

21 (Laughter.)

22 MR. SIESS: I got my way through the present
23 Part 71. Are there changes in here that would make me
24 find it harder to find my way now, or are things roughly
25 the same way they were before -- just different numbers

1 in some cases?

2 MR. HOPKINS: Generally speaking, the layout
3 is the same as it is at present. Some of the big
4 changes are that things which we had as appendices
5 before and were easy to find as appendices are now parts
6 of the regulation and much more difficult to find. The
7 reason for this is the general government requirement
8 that you no longer have appendices, which, however dumb
9 it is, is something we are required to follow.

10 MR. MARK: How many pages are in this one
11 compared to the other one plus appendices?

12 MR. HOPKINS: Sorry, I have no way to make
13 that.

14 MR. SIESS: You could get around that last
15 thing just by putting a number of sections at the end
16 and not calling them appendices.

17 MR. HOPKINS: We do. We include them in the
18 body of the rule.

19 MR. BENDER: You put them in as footnotes.
20 That is not ruled out.

21 MR. MARK: I would like to come back, if I
22 may, to this wonderful Table 1, which obviously maybe
23 comes from the IAEA.

24 MR. SIESS: And it is conservative. Don't
25 forget that.

1 MR. MARK: Oh, yes, it sure it.

2 Now Table 2 differs from it. That is in case
3 you have a uniform distribution, although the difference
4 between the uniform and non-uniform is no where I have
5 found explained. Anyway, if I just insisted I got a
6 uniform distribution, I could get 800 grams of U-235 at
7 1.35 percent, whereas if I got a non-uniform
8 distribution, I could only send 320.

9 Now is there a logic that would allow me to
10 understand that?

11 MR. HOPKINS: I think it is common knowledge
12 that you can get criticality better with non-uniform
13 distribution than you can with uniform distribution.
14 That is what you have in a reactor, for example.

15 MR. MARK: Well, possible. But if I stick in
16 a little boron-rex and have a non-uniform distribution I
17 cannot send as much U-235 as if I had it all in one
18 piece.

19 MR. HOPKINS: It is true that Table 1 in the
20 general license and the general license at Table 2 is
21 not for the ones that want to do thing their own way and
22 take advantage of the things you can to prevent
23 criticality. This is for simple people who can afford
24 to use the conservative assumptions that are inherent in
25 these tables. They use them just because it is easy to

1 do and it does not require an approval.

2 MR. SIESS: That is for general licenses,
3 right?

4 MR. HOPKINS: Correct.

5 MR. SIESS: That is an important point.

6 MR. MARK: I understand you need an approval
7 before you can send it at all.

8 MR. BENDER: If you do not have to have an
9 approval, life gets very easy, does it not?

10 MR. MARK: Following very closely after that,
11 I was fascinated by the fact that as long as you do not
12 have beryllium or hydrogenous material enriched in
13 duterium -- wow, it is really wonderful at that. But I
14 can have all the graphite I like. Graphite is just as
15 good a reflector as beryllium, really, but it is not
16 mentioned here.

17 So why are these picked out?

18 MR. BENDER: It is cheaper and easier to get.

19 MR. LANGHAAR: There is a restriction on the
20 amount of graphite.

21 MR. MARK: Not in 71.24, paragraph 3.

22 MR. LANGHAAR: Paragraph 3 on the top of page
23 50.

24 MR. MARK: Oh, you cannot have more than 150
25 times. Right. That is getting a little close to the

1 optimum graphite composition -- 150 times the mass.
2 Actually I think you really want about 200 atoms of
3 graphite per atom of 235 to get your real optimum. All
4 right, but it is curious the way it is written.

5 MR. SIESS: This is for a general license.

6 MR. MARK: I know, but I am not applying for a
7 license. I think even a general licensee would like to
8 understand what is being said.

9 MR. SIESS: I thought the point Don said was
10 that general licensees are not capable of understanding
11 it.

12 MR. HOPKINS: It is not a necessity that they
13 understand, as long as they follow the prescription.

14 MR. BENDER: A fine distinction.

15 MR. SIESS: Let us see. These packages would
16 not be under -- do they have to be certified?

17 MR. MAC DONALD: No.

18 MR. SIESS: The class of things people ought
19 to be able to do without knowing too much is this and
20 still not get in trouble?

21 MR. MARK: Anyway, Tables 1, 2 and 3 are not
22 your own invention. They come from IAEA.

23 MR. HOPKINS: That is correct.

24 MR. MAC DONALD: Were the UK authors on these
25 tables, do you recall, Don?

1 MR. HOPKINS: I do not know.

2 MR. MAC DONALD: I do not think they were
3 originated in the United States but were proposed by
4 other countries other than the United States.

5 MR. MARK: That is very curious, very
6 curious.

7 MR. HOPKINS: My understanding is the USNRC
8 criticality folks are agreed that they provide adequate
9 safety.

10 MR. MARK: Oh, I do not quibble that they are
11 offering safety. In fact, they all look very safe
12 indeed. They just did not seem to make any sense.

13 MR. SIESS: Do they make more sense to you in
14 the context of a general license as opposed to a package
15 that needs to be certified?

16 MR. MARK: Obviously I am not well equipped to
17 answer that question. I have never thought of sending
18 any of these packages.

19 MR. BENDER: I am still trying to figure out
20 whether we can offer useful comments on the proposed
21 changes.

22 MR. SIESS: Keep trying, Mike.

23 MR. BENDER: No, of course. But I think in
24 order to make a review respective we really ought to try
25 to figure out what kinds of things we are looking for.

1 I think Dr. Mark has made one observation that might be
2 generalized -- whether we understand the logic behind
3 the regulations or whether it is important to understand
4 the logic behind the regulation. I think you just gave
5 a good example.

6 Are you going to be looking at the logic?

7 MR. SIESS: I think what was missing as far as
8 the logic when Carson started in is I did not appreciate
9 what a general license was.

10 MR. HOPKINS: Perhaps it would be useful to go
11 through this 71.0(d), the explanatory material right in
12 the beginning, which tries to point out the logic back
13 on page 31. This was a result of the plain English
14 review. The plain English people also felt that a
15 little instruction would be in order.

16 Paragraph (d) starts off saying that the
17 exemptions from the requirement for license in 71.3 are
18 specified in 71.10. Section 71.10 has a list of several
19 types of packages for which no approval of any kind is
20 needed. There are no restrictions other than that you
21 go back to DOT and satisfy the DOT regulations.

22 These are all contained in 71.10. It is
23 really several of them because they are very broad in
24 nature. If you have less than a type A quantity, for
25 example, and you satisfy our very conservative

1 criticality criteria which we were just looking at, NRC
2 does not want to have anything to do with you. You are
3 a minor package and you just go to DOT and look at the
4 DOT's more simple requirements to satisfy your need.

5 The next sentence says that general licenses
6 issued are issued in those paragraphs for which no NRC
7 package approval is required. These paragraphs again
8 require that the quantity of radioactive material be
9 less than a Type-A quantity so that we are not concerned
10 about radioactivity. We refer back to the DOT rules for
11 radioactivity and these general licenses all describe
12 criticality criteria so that we do not have to be
13 concerned about criticality other than for the
14 relatively simple and conservative prescriptions which
15 we were just going through.

16 If you satisfy the less than Type-A quantity
17 for radioactivity, if you specify the less than
18 criticality amounts for criticality, we do not want to
19 look at you any more. Go back to the DOT requirements.
20 They are the only controls that you need.

21 Now the general license in 71.12, the third
22 sentence points out, requires that an NRC certificate of
23 compliance or other package approval be issued. What
24 this is now saying is that we can no longer rely on it
25 being less than Type-A quantities and less than the

1 criticality control requirements. We are going to have
2 to have a package which is approved by the TCB in order
3 to provide adequate safety, and it is a general license
4 in 71.12 which describes how that has to be.

5 Application for the package approval for that
6 package approval which you need to satisfy the general
7 license in 71.12 must be submitted in accordance with
8 sub-part (d) of this part, which tells you what you need
9 to include in your application to demonstrate that your
10 package satisfies the package standards contained in
11 parts (e) -- and I think that includes Part (f), the
12 test for Part (f).

13 So the logic so far is that you get as far as
14 71.12, you find out you need a package approval. To get
15 that package approval you have to look to the
16 application provisions in subpart (d) to show that you
17 satisfy the package standards in subpart (a) as it
18 relates to subpart (e) as it relates to the test in
19 subpart (f). It is not all that complicated so far.

20 The next sentence refers to subpart (g), which
21 is the provisions which are applicable to the transport
22 or delivery of this material to a carrier even after you
23 have had your approval. Even after you have your
24 package approval you still have to look to subpart (g)
25 to find out what tests you have to provide before you

1 can give this to the carrier.

2 MR. ZUDANS: So essentially this part (d)
3 gives a total outline of the whole process.

4 MR. HOPKINS: (g)?

5 MR. ZUDANS: Which you just went through.

6 MR. HOPKINS: That is its purpose -- to tell
7 you what is what and where you have to go to find out.

8 MR. SIESS: Very good, Don.

9 MR. ZUDANS: Would you greatly benefit if you
10 drew figures like that with blocks saying this is what
11 you do here?

12 MR. SIESS: That one is so simple --

13 MR. HOPKINS: That would be a relatively
14 simple block diagram.

15 MR. ZUDANS: And do you -- I guess I can
16 understand.

17 MR. SIESS: That paragraph is a flowchart you
18 can visualize as you go through it. It is just that
19 simple.

20 MR. ZUDANS: If you can focus your eyes long
21 enough to remember every block.

22 MR. SIESS: Once you get into 71.12 you run
23 into the whole (d), (e), (f).

24 MR. MARK: (e), (f), (g), (h), and then you
25 switch over and go to (a). Then it depends on 71, Part

1 5.

2 MR. HOPKINS: 71 is an afterthought.

3 MR. SIESS: You are saying do not forget to
4 read that part. That is helpful, Don.

5 Carson, do you have some more points?

6 MR. MARK: Perhaps, but I am afraid they are
7 no more serious ones.

8 MR. SIESS: Mike, do you have any points you
9 want to bring up?

10 MR. BENDER: I think not. I am puzzled how to
11 review this thing, but I do not think I have any
12 questions.

13 MR. SIESS: It will not be worse than some Reg
14 Guides we have looked at except we know less about it.

15 MR. BENDER: I would not really want to use
16 that --

17 MR. SIESS: Leave it to people who know more.
18 Dade?

19 MR. MOELLER: I had a couple of things that
20 Don probably could help me with. It talked in here
21 about the explosive sabotage of various shipping
22 packages -- shipments -- and I wondered if someone had
23 looked at the potential for the explosive sabotage of
24 spent resins. Again, I do not mean to have a one-track
25 mind.

1 Did anything like that enter into the
2 revisions or is it already covered or what?

3 MR. HOPKINS: Actually, sabotage is covered
4 under Part 73 rather than Part 71. I do not think we
5 talked in here anywhere about package sabotage, although
6 it certainly is interrelated. Part 71 and Part 73 are
7 interrelated at least to the extent that advance
8 notification, for example, of most large quantity
9 packages is required under Part 71 -- the advance
10 notification of spent fuel -- and that is related to the
11 sabotage question as required in Part 73.

12 Generally speaking, sabotage is not a question
13 related to Part 71.

14 MR. MOELLER: Thank you. That helps on that.

15 It refers in here to the recently-ratified
16 convention on the physical protection of nuclear
17 material. Could you comment on how that relates?

18 MR. HOPKINS: Again, that is the safeguards.

19 MR. MOELLER: That is the same thing?

20 MR. HOPKINS: That is a safeguard
21 consideration.

22 MR. MOELLER: I see. That is what it
23 emphasized, was safeguards.

24 MR. HOPKINS: Yes.

25 MR. MOELLER: Now you also talk in here -- not

1 necessarily you, but in some of the material we had --
2 about -- in fact, there is a letter in here from Dircks
3 to someone in FEMA saying we believe that there needs to
4 be a greater effort for emergency planning for
5 transportation accidents. Okay. Is there anything new
6 on that and how does that relate to your revisions of
7 71?

8 MR. HOPKINS: There are new things on
9 emergency response. The NRC has done some studies and
10 issued a couple of reports, one on the present state
11 capabilities to respond to emergencies, another on an
12 optimum plan for states and local emergency response to
13 radioactivity material accidents. But this is a program
14 that is under way and is mostly its responsibility now.

15 The NMSS Staff research is being phased out of
16 that at a rather fast pace and it is mostly also
17 unrelated to Part 71. Part 71 provides safety during
18 transport, but does not even recognize that there is
19 going to be a problem for which emergency response would
20 be required.

21 MR. MJELLER: I notice too that you also offer
22 to help FEMA if they are willing to ask for the help.

23 MR. HOPKINS: That is certainly right.

24

25

1 MR. MOELLER: This is just ignorance on my
2 part. You refer in here, and Dr. Mark was referring to
3 different radionuclides, to lead 201. Could you help
4 me? In my field I am familiar with lead 210.

5 MR. MARK: 208 is a great one.

6 MR. MOELLER: What is 201?

7 MR. HOPKINS: 201 is a recent
8 radiopharmaceutical. I guess it is not so recent now.
9 It has been several years since we had a petition from
10 whoever it is who manufactures it to include it in the
11 table, because it is a developing radiopharmaceutical
12 which they wanted to be able to freely distribute under
13 the inherent system in the regulations.

14 MR. MOELLER: Okay. That answers my
15 question. I simply was just not familiar with it.

16 In Cunningham's remarks -- and, you know, we
17 agree, you have stated that most of them have been
18 resolved -- but one of the things he asked about was in
19 the environmental impact assessment whether you had
20 taken into account economic impacts.

21 Could you tell me how that particular
22 criticism was resolved?

23 MR. HOPKINS: Yes. In our discussion with
24 NMSS on that we advised that we are not at all happy
25 with any economic models we have presently in existence

1 for transportation; and in particular, the economic
2 models which showed up in NUREG-0170 and in the urban
3 study have numerous errors both in logic and in carrying
4 out the logic in them, and we were not at all enthused
5 about carrying forth those economic models into the
6 environmental analysis of this regulation.

7 We had, in fact, planned to develop new
8 economic models, but in view of the funding cuts and the
9 priorities afforded other things, these were taken out
10 of the plan.

11 MR. MOELLER: That is adequate. Thank you.

12 One item that the committee has been looking
13 at recently in terms of major nuclear power plant
14 accidents is the loss of a major resource. Now, to what
15 extent -- and I am sure you have considered it -- have
16 potential losses of resources been incorporated into
17 your thinking on the packaging?

18 MR. HOPKINS: We have identified in some
19 analysis large quantities of lead, uranium shielding and
20 other materials that go into the development of
21 packages. The lead in large part, however, is
22 recovered. Large quantities of lead are used in
23 radiopharmaceutical packages, particularly molybdenum 99
24 generators, but in almost all cases that lead is
25 recovered by the hospitals returning them to the

1 manufacturer or by transport persons delivering them to
2 other sources for recovery. And the amount of depleted
3 uranium, although depleted uranium is used fairly
4 extensively now in large shielded packages, the amount
5 is very small compared to the large quantities of
6 depleted uranium which are now available.

7 MR. MOELLER: Okay. That answers one part.
8 There is another aspect to this that I would like to
9 have you respond on. That is, you know you could
10 visualize, and I am sure you have postulated a bridge
11 failing or something and radioactive material dropping
12 into a lake that is a water supply or a fresh water
13 stream that is the well water supply for some city.

14 To what extent have you looked at that? I
15 know you have looked at it. Can you give me a little
16 discussion of specifics of what you have looked at?

17 MR. HOPKINS: Well, the environmental analyses
18 which we have done consider accidents, of course, where
19 released material is funneled into water resources; in
20 particular, the very large quantities which are
21 transported in the early stages of the fuel cycle like --

22 MR. MOELLER: You mentioned yellow cake.

23 MR. HOPKINS: Yes. I believe the conclusion
24 was that -- I am trying to remember. It has been some
25 time since the analysis was done. I think the analysis

1 was that the yellow cake is not so soluble in water that
2 it would permeate the entire water supply and all of it
3 would be used for water. I think the conclusion was
4 that it was relatively insoluble, and it would all be
5 located in a fairly small area except for water streams
6 and that sort of thing, and that the results would in
7 fact not indicate that it would be a large environmental
8 effect by having that type of material fall into a water
9 supply.

10 MR. MOELLER: Is there a report on that or a
11 written memo or something?

12 MR. HOPKINS: I wish I could remember where I
13 saw it. It does not come to me. Perhaps you can
14 refresh my memory. Was it in the 0535 document?

15 MR. MAC DONALD: I do not recall. There might
16 be a more detailed discussion.

17 MR. HOPKINS: I think the argument was
18 developed as a result of the yellow cake spill in either
19 Colorado or Kansas; but where the report would be, it
20 does not come to me at the moment.

21 MR. MOELLER: Have you looked at spent resin?
22 Again I am beating that drum, but one of these low spent
23 resin shipments falling into the water supply? What
24 would be the consequences?

25 MR. HOPKINS: We have never looked at the low

1 level wastes contaminating the water supply. The higher
2 level of resins are solidified in concrete and of course
3 could be recovered.

4 MR. MOELLER: Yes.

5 MR. HOPKINS: The lower level, whether they
6 are water soluble enough to create a serious problem, I
7 cannot answer at this time. The Europeans have
8 considered to some extent the contamination of water
9 supplies and have concluded that they need draw a
10 distinction only between liquids, which they are very
11 concerned with contamination of water supplies, and
12 solids for which they are not so concerned.

13 MR. MOELLER: Wouldn't we need to have answers
14 to questions like that?

15 MR. HOPKINS: Well, our concerns have
16 primarily been with respect to airborne contamination of
17 spills. While you certainly have some probability of
18 accidents which spill radioactive contaminants into a
19 water supply, it is certainly a far higher probability
20 that they would be spilled on dry land and be
21 transported through the air rather than through a water
22 supply. So most of our analyses have been in that
23 respect.

24 MR. MOELLER: But I believe you told me
25 earlier that an LSA material or one that is classified

1 as low specific activity need not have extensive
2 accident considerations in terms of shipment. Well,
3 then, someone I guess has analyzed this and can tell me
4 that I need not be concerned, and maybe I need not be
5 concerned.

6 I would like to know more about it, either if
7 there are analyses or reports on that. I would like to
8 see them.

9 MR. HOPKINS: The analysis that defends the
10 LSA concept has to do with airborne radioactivity, not
11 waterborne activity.

12 MR. MOELLER: I have heard that, but I can see
13 examples. In fact, I could almost see a truck going off
14 a bridge or a train or something. I do not have the
15 data, but I do not have to strain my brain too much to
16 see some potentiality for that type of an event. So I
17 would like to know more about it.

18 MR. SIESS: Was it eliminated on a
19 probabilistic basis?

20 MR. HOPKINS: I do not think so much on a
21 probabilistic basis, although it does have a much lower
22 probability for waterborne material as it does
23 airborne. But I think the corrective action is that you
24 could just shut off water supplies, at least on a
25 temporary basis until you resolved the question and took

1 whatever action was necessary to resolve it. It is not
2 a hazard which has no corrective action which can be
3 taken.

4 MR. MOELLER: That is correct. I am sure
5 something could be done, and the volumes of water
6 required specifically for drinking are much smaller than
7 what we use in a normal day total. Again, though, if
8 you could, I would like to -- I do not want you to
9 prepare something special, but I would like to see
10 whatever you do have.

11 My last item right at the moment is on
12 exemptions for physicians. I wonder if you could
13 comment and clarify that for me.

14 MR. HOPKINS: All right. The exemption for
15 physicians in Part 71 was introduced into Part 71 at the
16 same time as the provision in 71.5 which requires NRC
17 licensees to comply with Department of Transportation
18 regulations.

19 That is kind of a long sentence. Did that
20 come through all right?

21 MR. MOELLER: You might say it again.

22 MR. HOPKINS: 71.5 requires that NRC licensees
23 comply with DOT regulations. The exemption for
24 physicians was put in the regulations at the same time,
25 and its purpose was to not require that physicians

1 comply with DOT regulations when DOT chose not to
2 regulate physicians.

3 Both the Interstate Commerce Commission prior
4 to 1967 and confirmed by the Department of
5 Transportation after 1967 was that DOT did not choose to
6 regulate physicians who transport radioactive material
7 in pursuit of their duties as physicians.

8 MR. MOELLER: Supposedly what they would be
9 transporting would be just a few radiopharmaceuticals?

10 MR. HOPKINS: Low-level material, and they are
11 considered to be very responsible people who would take
12 whatever precautions are necessary.

13 The effect of 71.5 in our regulations would
14 have been, without the exception you are talking about,
15 to force physicians to comply with DOT regulations, even
16 though DOT had chosen not to make them comply. That was
17 the purpose of the exemption. We are clarifying the
18 exemption this time because the exemption was made much
19 broader than that initially and appeared to exempt them
20 not only from the DOT regulations but also from the
21 NRC's regulations.

22 We are clarifying it now to point out that it
23 is only an exemption from the NRC imposition of the DOT
24 regulations that we are exempting them from.

25 MR. ZUDANS: That is totally redundant,

1 because if the DOT does not require it, you do not have
2 to exempt them.

3 MR. HOPKINS: On the contrary, 71.5 for other
4 people has the effect that even when DOT regulations do
5 not apply to them, like intrastate carriers, shippers,
6 that our regulations make the DOT regulations apply by
7 our authority.

8 MR. ZUDANS: If you direct them to comply with
9 DOT regulations and DOT has no regulations from that
10 point, what would they be regulated by?

11 MR. SIESS: It does not say DOT has no
12 regulations. It means they do not apply the regulations
13 to certain things. They have regulations that do not
14 apply intrastate. NRC says we want you to follow DOT
15 regulations even though you are in intrastate.
16 Regulations exist.

17 MR. ZUDANS: I understand what you are saying,
18 but that was a somewhat different reference than I
19 understood this to be.

20 MR. SIESS: He is talking about regulations
21 that exist but are not applied to someone.

22 MR. HOPKINS: Perhaps I can explain it. It
23 says these people shall comply with the applicable
24 requirements of the regulations. So even though the
25 regulations are not applicable under their own

1 authority, we are saying they must comply with the
2 requirements of the regulations.

3 MR. SIESS: You did not say that. Does that
4 mean only certain requirements are applicable?

5 MR. HOPKINS: Applicable in the sense of
6 technical applicability instead of legal applicability.

7 MR. ZUDANS: It is complicated.

8 MR. HOPKINS: The entire transportation system
9 is complex.

10 Dade, did you have some other --

11 MR. MOELLER: That is fine for the moment.

12 MR. SIESS: I want to ask one, and then I am
13 going to take a break. If this one takes too long, we
14 will take a break in the middle of it.

15 In response to public comments, Enclosure F,
16 page 7, the comment from Mr. Corbett of Chem Nuclear
17 Systems, he is talking about leakage measurement. And
18 apparently Reg Guide 7.4 talks about leak tests, and he
19 says in reference to ANSI N 14.5, which has a procedure
20 for detecting gaseous releases, he says you ought to
21 have something on a procedure for detecting a release of
22 solids.

23 Your answer was you did not agree, but I did
24 not see that the answer addressed his question about
25 leakage of solids. I have this recollection in

1 connection with the PAT package that it got fairly
2 complicated on the leakage of solids.

3 MR. HOPKINS: I suspect that what the staff
4 was disagreeing with is the point of the statement which
5 starts in the middle of the comment which says, "In our
6 opinion the NRC should specify the test procedure which
7 would detect a release a solids to a sensitivity of
8 10 ."

9 MR. SIESS: Your answer is you are not going
10 to specify it, but if someone proposes one, you will
11 approve it?

12 MR. HOPKINS: If it satisfies the licensing
13 staff, that is correct.

14 MR. SIESS: So we have reference to NRC test
15 procedures, primarily the procedures NRC will be
16 approving, and I guess that once you have approved two
17 or three procedures, people know what they are. Is that
18 the thinking on it? Once you have seen enough rocks,
19 you know which one you like, and that will then be an
20 NRC-approved procedure?

21 MR. CHAPPELL: I have not really read that,
22 but I would agree with the comment that it would be good
23 to have a reg guide on solids as we do on liquids and
24 standards.

25 MR. SIESS: Or an anti-standard.

1 MR. CHAPPELL: Right. The problem is
2 developing it.

3 MR. HOPKINS: In fact, we do support the ANSI
4 work on the leak testing standards, and in fact, I am
5 supposed to be in Seattle right now proposing the ANSI
6 work on that very thing.

7 MR. SIESS: On solids?

8 MR. HOPKINS: On solid leak test procedures.

9 MR. SIESS: How long have they been working on
10 that now?

11 MR. HOPKINS: They have not worked on it now.
12 They issued under John Langhaar's leadership the ANSI
13 standard regarding gaseous releases which is supposed to
14 be essentially equivalent or conservative to solids; but
15 there has been no further work on that.

16 MR. SIESS: As I remember, we went through
17 quite a hassle on the PAT package about how much
18 plutonium was going to get out through a 1 mil crack.

19 Okay. Let's take a break and get back here a
20 little after 3:00.

21 (Recess.)

22

23

24

25

1 MR. SIESS: The meeting will reconvene.

2 We have had some fairly extensive comments or
3 questions about the proposed rule from a very
4 knowledgeable consultant to the subcommittee, John
5 Langhaar, and Don has a couple of sheets here addressing
6 them, and I think we would like to -- in fact, three
7 sheets. Did you know you had 23 items on there, John?

8 MR. LANGHAAR: I hadn't counted them before.

9 MR. SIESS: That's what they counted anyway.
10 They may have subdivided them differently. So I would
11 like to go ahead with that now. We can take them up one
12 by one if you wish.

13 MR. LANGHAAR: In government you always divide
14 things up into little pieces. That is the only way to
15 get them done. With respect to the letter from John
16 Langhaar dated August 2nd, 1982, the technical staff of
17 Research got together with the technical staff of the
18 licensing office and put together the following
19 tentative responses to John Langhaar's comments,
20 recognizing, of course, that they are his personal views
21 and not the official views of the ACRS, at least not at
22 this time.

23 With respect to Paragraph 1, I believe the
24 comment --

25 MR. SIESS: The paragraph is in reference to

1 his letter?

2 MR. HOPKINS: Yes, the paragraphs are in
3 reference to the paragraphs in his letter.

4 MR. BENDER: Sam, do you have more copies of
5 the letter?

6 MR. SIESS: Sam always has more copies. Does
7 anybody else need a copy?

8 MR. BENDER: He is just about the most
9 perceptive guy I know. There are a few more, but not
10 many.

11 MR. MARK: You sent me at least two. That is
12 perhaps why he didn't get one.

13 MR. BENDER: I got one.

14 MR. SIESS: This letter caused some problems,
15 because I got it long before Sam got it.

16 MR. LANGHAAR: Both went out the same day.

17 MR. SIESS: I know, but his has to go through
18 all these offices. Mine comes directly to me.

19 MR. BENDER: Excuse me for interrupting you.

20 MR. HOPKINS: The first paragraph, I believe,
21 gets to the point that it's in the public interest to
22 try to specify performance requirements rather than
23 detailed requirements, and perhaps the conclusion of the
24 paragraph is that these more detailed requirements
25 should be omitted from the regulations and included with

1 the help of the regulated and regulatory guides. Our
2 only comment to that is that that is the way we see the
3 IAEA regulations as going. They are deleting, for
4 example, stress limitations in the regulations in the
5 1984 version that are presently in the 1983 version, and
6 of course our response to that is that we are not going
7 to include them at all, so we are trying to stick to
8 performance requirements to the extent we can and then
9 to take up the flack with more details and regulatory
10 guides which offer insight on what the staff will
11 accept, what the licensing staff will accept.

12 Unless John wants to offer anything else with
13 respect to that first paragraph, that is what we got out
14 of it, that we agree with him that that is the way to
15 go.

16 MR. LANGHAAR: My principal concern there was
17 that by leaving things out of the regulations and
18 issuing regulatory guides, it gives the people who are
19 preparing these guides a much freer reign than if they
20 had something in the regulation that they had to abide
21 by, and that is something that needs to be watched out
22 for.

23 MR. SIESS: It is not much easier to do Reg.
24 Guides now than it is to do regulations, unfortunately.

25 MR. LANGHAAR: Okay.

1 MR. BENDER: Well, I wanted to add a
2 supplemental thought. It is probably more detail than
3 is appropriate for this phase of the discussion, but I
4 think this question that has come up about the fracture
5 toughness of these containers is a case in point. I
6 think when people put in requirements like that without
7 taking into account both the content of the container
8 and the circumstance under which it is being used, they
9 often wind up setting requirements that might be all
10 right on a general basis, but if they were looked at in
11 the context of how the cask was going to be used, they
12 would probably not be as stringent and there would be
13 some benefit in some cases by having the advantage of
14 using cheaper or more reliable materials for the
15 particular application.

16 I think that there needs to be some thought
17 given in the regulations to whether this very general
18 kind of requirement that is being set up here that is
19 based on shipping anywhere, any time, any place, doesn't
20 put excessive requirements on some things that just
21 aren't practical. Is any thought being given to that
22 aspect?

23 MR. HOPKINS: Yes, it is certainly true the
24 regulations suggest a general question and not the
25 specifics of any particular shipping container, but the

1 regulations do recognize that there are more limiting
2 cases where a package is used for some limited purpose
3 and it should not need to satisfy all the provisions of
4 the general cases, and in fact 71.47(c), I believe, of
5 the regulation is the specific provision which allows
6 the licensing staff to consider environmental and test
7 conditions different from those specified when the
8 controls proposed by the shipper for any individual case
9 such that you specify it or such that the lesser
10 environmental conditions would suffice.

11 So, we have built in an exception into the
12 regulations so that an exception which could be -- you
13 could have frequent exceptions, as you point out. An
14 exception to the general rule can be easily
15 accommodated. 71.41(c) says environmental and test
16 conditions different from those specified in 71.71 which
17 is the normal conditions, and 71.73, the accident
18 conditions, may be approved by the Commission if the
19 controls exercised by the shipper are demonstrated to be
20 adequate to satisfy the safety of the shipment. I think
21 that addresses your specific case.

22 MR. BENDER: All right, fine. I wasn't aware
23 that that flexibility was built in there. That is
24 because I am a neophyte in reading this document.

25 MR. HOPKINS: The second paragraph of Mr.

1 Langhaar's letter refers to other paragraphs. We didn't
2 respond to that specifically. We jumped to Paragraph 3,
3 which has to do with compatibility with the IAEA
4 regulations, and how the IAEA regulations will be
5 including additional requirements, and whether it
6 wouldn't be in order for us to talk about these
7 additional requirements which we expect but which are
8 not included in the present Part 71 revision.

9 The response is that in fact we have an
10 established system for people to find out what is
11 happening internationally with the international
12 regulations. Every time a draft revision of the IAEA
13 rules is issued for comment by member states, the DOT
14 puts a notice in the Federal Register and offers a free
15 copy to anyone who wants one. The DOT collects public
16 comments and considers them in developing a U.S.
17 position on the IAEA regulations.

18 So, this is an entirely separate but
19 comparable system for keeping people informed on what is
20 happening internationally. There doesn't seem to be any
21 real need to include that same kind of information in
22 the 1973 preamble. Perhaps that was more the answer to
23 Number 3 than Number 2.

24 Paragraph 3, IAEA incompatibility, I guess,
25 had to do with the fact that since IAEA regulations are

1 in some respects different from U.S. regulations, there
2 may be some U.S. packages which could not be shipped
3 internationally. The only response to that is that
4 people recognize that the U.S. regulations are in some
5 respects different, and if they intend to ship
6 internationally, they should recognize that they need to
7 build their package to satisfy both the U.S. and the
8 international rules. It would be nice if they were both
9 the same, but in fact people do recognize that they are
10 different in some respects.

11 MR. SIESS: I am not sure it would be nice.
12 If IAEA were more restrictive and all of our packages
13 had to be built for those more restrictive standards, it
14 would not necessarily be good.

15 MR. HOPKINS: There are some respects in which
16 the IAEA regulations are restrictive, and we have taken
17 the initiative to give relief for domestic shipments,
18 and of course that is readily apparent to anybody who
19 ships internationally, that they couldn't take advantage
20 of that domestic relief.

21 MR. SIESS: I think what is more important is
22 to determine why they are more restrictive, and we have
23 a good reason for not making ours as restrictive.

24 MR. HOPKINS: We understand the reasons, at
25 least in the case I am thinking of, the sealed source

1 type A quantity. We understand the reasons explicitly,
2 and it is an administrative reason, not a safety reason,
3 so we felt capable of giving relief from it.

4 Item Number 4 has to do with Mr. Langhaar's
5 paragraph which leads off with 71.4. It has to do with
6 the definition of maximum normal operating pressure, and
7 it has to do with whether the one-year period of time
8 which is specified for that maximum normal operating
9 pressure is reasonable. Our response is, if that is
10 what is agreed on internationally, that many experts
11 agree is an appropriate time to be considered.

12 Whether it should be prescribed in all cases
13 or whether there are controls which allow you to
14 consider a period of time less than one year, there are
15 exemptions available, not built into the regulation, but
16 available through the general exemption provisions of
17 Part 71 to give relief from that one-year requirement if
18 it is justified.

19 MR. SIESS: What kind of things? If you send
20 them through the mail, a year might not be long enough,
21 but I assume this is not the kind of stuff you send
22 through the mail.

23 MR. HOPKINS: No, I don't think you have
24 anything going through the mail that would generate any
25 problem over a year's time.

1 MR. ZUDANS: On this previous comment, where
2 John says that recent studies have indicated that the
3 resistance to crushing is probably one of the most
4 likely causes of package failure, and I guess he
5 suggests, why didn't you include resistance to crushing?
6 There are two things you named as major that '84 might
7 have and you don't. One of them is resistance to
8 crushing. What is your comment to this question that he
9 asked?

10 MR. HOPKINS: The licensing staff has taken
11 the position that while crushing is something that
12 should be considered, they are developing in the modal
13 study what they consider to be an adequate degree of
14 crush resistance. There is no reason why we could pick
15 up the international crush test in advance of its being
16 adopted internationally, because we don't have an
17 indication yet that this is what we will finally want in
18 our regulation.

19 MR. ZUDANS: But is this statement correct,
20 that recent studies have indicated this to be the one of
21 most likely causes?

22 MR. SIESS: Which recent studies were you
23 referring to, John?

24 MR. LANGHAAR: Some studies done at Sandia a
25 few years ago indicating that crushing would be one of

1 the more likely modes of failure for certain accidents.

2 MR. HOPKINS: The most recent study which NRC
3 had done for itself by SRI International indicates that
4 for any real package that we now see, the impact test in
5 fact more than adequately compensates for any crushing
6 effect that we would see in transportation accidents,
7 and that for real packages we have adequate control over
8 the crush environment now.

9 The IAEA in fact acknowledged that. To the
10 extent that they have limited their crush test, the one
11 that is being considered, to very light packages,
12 similar -- which would be applicable probably only to
13 our light plutonium type packages like the 6M, not to
14 the heavy packages that most Type E packages consist
15 of.

16 MR. SIESS: You know, the finding that the
17 impact governs over crushing, has somebody looked at it
18 to be sure that you cannot design a package that would
19 survive the impact that would not survive the crush,
20 that the resistance is inherent and not just the
21 function of how things are being done now?

22 MR. CHAPPELL: No, it is probably true, one
23 could design a package that would meet the impact and
24 not meet the crush. What the SRI study indicated was
25 that crush does not occur frequently, but when it does

1 occur, it can be a very large force, very large, and
2 that within the realm of reasonableness, that the
3 present 30-foot drop assures a certain level of crush
4 protection. To get a significant additional benefit for
5 protection against crush, you would have to put in a
6 test of high severity that is disproportionate to the
7 other test.

8 MR. SIESS: Right back to where we were on the
9 PAT package. We could not make the PAT package
10 resistant to the worst case we could think of, so we
11 said, put it in the back of the airplane. I think this
12 is a subject that it is premature to consider, because
13 there is work under way now on revising the environment
14 loadings.

15 MR. ZUDANS: I think there is more to John's
16 comment than this, because he also further says, how do
17 you refer to Type A packages. As you explained, crush
18 might be significant because you don't have that kind of
19 a drop test. So it should be mentioned some place. You
20 described the package that you are crushing. Resistance
21 capability would be a predominant failure mode. Why not
22 make reference to it some place?

23 MR. SIESS: Let's see. Let me get something
24 clear. The IAEA now does not have the crush
25 requirement, nor do we.

1 MR. HOPKINS: That is correct.

2 MR. SIESS: They are proposing a crush
3 requirement for Type A packages for everything?

4 MR. HOPKINS: Actually, it is fairly limited.
5 It is for Type B packages which are very light and which
6 have a very large quantity of radioactive material in
7 them.

8 MR. CHAPPELL: And on top of that, it only
9 applies to packages based on their density, the density
10 of the package. Further, in some instances they permit
11 the crush test to be a substitute for the impact test.
12 Moreover, they have not made any physical connection
13 between the tests they came up with and any kind of an
14 accident that can occur in a transport accident, and
15 they don't have any idea how much additional protection
16 they are buying, if any.

17 MR. LANGHAAR: Sounds complicated.

18 MR. HOPKINS: It should be obvious why we
19 haven't included a crush test in Part 71 at this time.

20 MR. SIESS: It is to me. It is not clear
21 whether we will or will not eventually for certain types
22 of packages. Does the modal study cover all types of
23 packages?

24 MR. CHAPPELL: Type B.

25 MR. HOPKINS: Type B packages that have very

1 large quantities of radioactive material in them.

2 MR. SIESS: Okay. Are you down to 5?

3 MR. HOPKINS: We are down to the second
4 paragraph in Mr. Langhaar's letter, which refers to
5 Paragraph 71.4, definition of nuclear waste, where it
6 says it would be helpful to give the requirements of
7 Part 73 also in 71. I didn't exactly understand the
8 full implications of the comment, unless it is to
9 include in Part 71 the requirement that spent fuel --
10 that there be advance notification of spent fuel. If
11 that is the point, that it was put in Part 73 instead,
12 it is because the information needs to be safeguarded.
13 The advance information about spent fuel needs to be
14 safeguarded by the governors.

15 MR. SIESS: John, do you want to clarify
16 that?

17 MR. LANGHAAR: I made that comment primarily
18 because I didn't have a copy of Part 73, and I wanted to
19 know what the heck this was all about.

20 MR. SIESS: Is there a reference to 73 in the
21 definition? Yes, I see. Okay. I think we can assume
22 that people will get all the parts they need, even if
23 the subcommittee doesn't have them.

24 MR. HOPKINS: The next paragraph having to do
25 with 71.4, definition of Type B package, questions

1 whether bolt stretching on a Type B package would be
2 considered to be a pressure relief device or represent a
3 pressure relief device for purposes of definitions of
4 Type B packaging, whether it would be a BU or a BM type
5 package. The licensing staff tells it would certainly
6 not be considered a pressure relief device. They would
7 consider that pressure relief devices are limited to
8 engineered type fixtures for that purpose.

9 The second part, it was not clear what the
10 point was. I presume it is that it would be better to
11 allow releases even though they were uncontrolled
12 through the bolt stretching technique rather than
13 permitting catastrophic failure, I guess.

14 MR. LANGHAAR: Well, I guess I was wondering
15 why pressure relief devices would not be permitted for
16 Type BM packaging, because it would seem that in some
17 cases, that is a control type of release, and without a
18 pressure relief device, there might be an uncontrolled
19 release.

20 MR. CHAPPELL: Pressure relief devices are
21 permitted for Type BM, but not for Type BU.

22 MR. LANGHAAR: Type B package, let's see.
23 Unless it has an MNQP or pressure relief device under
24 these tests. Oh, yes, you have to look at Paragraph
25 71.51(a)(2).

1 (Pause.)

2 MR. HOPKINS: 71.51(b) prohibits using a
3 filter to satisfy the relief requirement. That is not
4 what you are talking about, though.

5 MR. SIESS: Let me see if I understand.
6 71.51(a)(2) would permit the escape of an (a)(2) amount
7 in a week, right?

8 MR. HOPKINS: That is correct.

9 MR. SIESS: And John's point is that rather
10 than allowing that much, could you get by with less by
11 bolt stretch? Is that right, John?

12 MR. LANGHAAR: Now I am beginning to wonder
13 what my point was.

14 MR. SIESS: I think one point is very clear.
15 It is awfully hard to follow this.

16 MR. LANGHAAR: Well, there is a point later on
17 with respect to pressure relief devices, and I think
18 that for my own part, I would just as soon go on from
19 this point, not consider this one until we get to the
20 one later on.

21 MR. SIESS: Okay, fine, we will do that.

22 MR. HOPKINS: On the top of the second page of
23 Mr. Langhaar's comment is the last question having to do
24 with the definitions in 71.4, and this has to do with
25 the shipping notification quantity. He makes a good

1 point that there are two definitions having to do with
2 that. One is the shipment notification quantity and the
3 second is nuclear waste, and you have to find your way
4 through those two definitions in order to get to the
5 requirement. So his point is a good one.

6 Our response is a decision has already been
7 made that we are going to eliminate the definition of
8 nuclear waste and include its provisions in the
9 requirements for advance notification, so that we are
10 back to where we only have the one definition of
11 shipment notification quantity, so the confusion that
12 was there for which the comment is good I think will
13 disappear.

14 MR. SIESS: At least you won't make a cross
15 reference because there won't be any place to reference
16 it; you won't need it now.

17 MR. HOPKINS: That is correct.

18 The next comment having to do with Section
19 71.10 and the internal consistency -- that inconsistency
20 also disappears because we are eliminating the
21 definition of radioactive material, which was one-half
22 of the inconsistency, which will leave us with an
23 exemption for materials which have a specific activity
24 of less than .02 microcuries per gram, but not that
25 definition in the definition of radioactive material,

1 because the definition is going.

2 MR. SIESS: Radioactive material will be a
3 non-quantitatively defined term?

4 MR. HOPKINS: It will no longer be defined in
5 Part 71.

6 MR. SIESS: We all know what it means. It is
7 in the name of our committee.

8 MR. HOPKINS: Well, you wouldn't know what it
9 meant without seeing the definition, because you
10 wouldn't know the radioactive material wasn't
11 radioactive material when it had a low activity. But
12 the definition is still contained in DOT regulations and
13 IE regulations, so not knowing what it means is not a
14 problem.

15 MR. SIESS: Is radium a radioactive material?

16 MR. HOPKINS: Yes.

17 MR. MARK: What about U-38?

18 MR. HOPKINS: Yes, sir. But the specific
19 activity is higher than that, isn't it? But the
20 halflife is 10⁹ years. It could be measured, but it
21 really takes an expert to measure it.

22 MR. SIESS: Oh, we've got lots of those people
23 around. .02 microcuries per gram.

24 MR. MARK: That almost gets under the wire.

25 MR. SIESS: It is not very much. Okay, Don.

1 MR. MARK: But you will eliminate the
2 definition, and then I would suspect that one could ask
3 whether U-238 is or is not.

4 MR. SIESS: But then they have an exemption
5 based on the .02 microcuries per gram.

6 MR. MARK: Oh.

7 MR. SIESS: Right now it is defined that
8 radioactive material is anything having an activity
9 greater than that, and the exemption is that it is not
10 radioactive now. It will be all radioactive and
11 exempted on the quantitative, not the definition. It
12 makes sense.

13 MR. HOPKINS: In Table A4 of the draft
14 regulation, it gives specific activity as various
15 enrichments of uranium, depleted uranium, depleted to
16 .45 percent. U-235 has a specific activity of .05
17 microcuries per gram, so it is considerably above the
18 lower limit.

19 MR. SIESS: Onward.

20 MR. HOPKINS: The comment having to do with
21 71.13(b)(2) is, as far as I can see, an editorial
22 proposal, and we didn't see where that would improve the
23 language any.

24 MR. SIESS: Especially since it has already
25 been put in plain English, huh?

1 MR. HOPKINS: It seemed not to say anything
2 different than was already there.

3 The next paragraph having to do with 71.13(c),
4 where the comment says that it is apparently not
5 required that a licensee submit an application unless he
6 wants to have his package classified as BU; however,
7 this should be clarified. We thought, in fact, that the
8 words were rather clear to that effect. There didn't
9 seem to be any ambiguity that we saw.

10 The second part of that was would it be
11 required to meet all requirements of this part or only
12 those that distinguished BU from BM. We thought it was
13 also clear that it had to meet all requirements in this
14 part.

15 MR. SIESS: That is interesting, because I
16 suspect that John Langhaar knows a lot more about this
17 than anybody here, and it wasn't clear to him.

18 MR. LANGHAAR: The thing that wasn't clear was
19 whether it was going to be required that the applicant
20 -- or that a licensee -- submit such an application.
21 That was a point I thought ought to be clarified. Did
22 the licensee have to have his package classified as BU.

23 MR. SIESS: What you want to say is the NRC
24 will revise the identification number only after receipt
25 of an application.

1 MR. LANGHAAR: Yes. Something to that effect.

2 MR. ZUDANS: What if they don't send in an
3 application? Will it stay as simply B?

4 MR. HOPKINS: Yes.

5 MR. ZUDANS: So he does not have to submit the
6 application.

7 MR. HOPKINS: He does not have to, that is
8 correct.

9 MR. ZUDANS: Is there a reason why he would?

10 MR. HOPKINS: If he wants to ship
11 internationally he would have to get a BU or a BM
12 approval.

13 MR. ZUDANS: So these requirements don't help
14 him internationally anyway. He would have to satisfy
15 another set. So why would he go to the NRC to get that
16 approval?

17 MR. HOPKINS: After we change the requirements
18 to what is in the draft rule here, we will be
19 designating BU or BM approvals, although you are correct
20 that he would have to look to the IAEA standards for
21 international shipments.

22 MR. CHAPPELL: There is one other reason that
23 one has an incentive to go from BU to BM. One, we are
24 only extending the authority to fabricate packages that
25 are designated as a B for three years after the rule is

1 effective. So after three years, unless he has shown
2 that design is BU or BM, he cannot fabricate anymore
3 packages to that design, although he can continue to use
4 them indefinitely. That is one reason.

5 The second reason is if he makes a change in
6 the design or the contents of the package which affects
7 the operation of the containment vessel, he has to
8 demonstrate that it meets the BM or the BU requirements.

9 MR. ZUDANS: I see. So sooner or later, he
10 will have to do it.

11 MR. CHAPPELL: No, he doesn't strictly have
12 to, but if he wants to keep the full use and flexibility
13 of the package, he will have to.

14 MR. ZUDANS: It is equivalent to me saying
15 that I don't have to eat really, unless I am willing to
16 not starve to death.

17 MR. HOPKINS: Free choice.

18 MR. ZUDANS: Free choice. It is not very
19 free, but -- .

20 MR. SIESS: NRC will approve modifications to
21 the design and contents of a type B package; cannot
22 designate BU or BM. That means they will change the
23 authorization but they will not change the designation?

24 MR. CHAPPELL: There was a lot of controversy
25 over exactly how this new regulation would be

1 implemented. Should all packages that are now approved
2 have to meet the new requirements, or none of them, or
3 how would it be phased in?

4 We decided to compromise so that all new
5 applications received after the effective date of the
6 rule will meet the new requirements. That still leaves
7 the designs that have been approved before the rule was
8 effective. If they make changes to the design that
9 affect the containment vessel, they will have to
10 demonstrate that they meet the new requirements. If
11 they make other changes, for example, change the lifting
12 devices or change some part of the package that doesn't
13 affect the containment system, then we won't force them
14 to go back and re-evaluate the containment system
15 against these new rules.

16 MR. SIESS: So B says if they come in with a
17 modification and it is still a B package, if they are
18 not applying for a BU or a BM, you will approve the
19 modifications provided they don't exceed (1) or (2)?

20 MR. CHAPPELL: I am sorry, I don't have a copy.

21 MR. HOPKINS: That is correct.

22 MR. CHAPPELL: They could change peripheral
23 devices that don't really affect containment without
24 having to meet these new regulations.

25 MR. SIESS: Okay, I get it. And then (c) says

1 that you will re-identify it as a BU or a BM if they
2 submit an application and you approve it.

3 MR. CHAPPELL: Yes.

4 MR. HOPKINS: But only if it satisfies all the
5 requirements of the part.

6 MR. SIESS: And that answers John's question
7 about all the requirements. He says all the
8 requirements are only those that distinguish BU from
9 BM. It seems to me it is BU or BM from B. He answers
10 yes, all the requirements.

11 MR. LANGHAAR: Yes.

12 MR. HOPKINS: The next comment, 71.31(b), Mr.
13 Langhaar's comment is it could be taken to mean any
14 modification, even if not safety related to ratchet
15 retainment, and I think he understands -- or he
16 indicates he understands that 71.31(b) is fairly clear.

17 The earlier requirement, 71.13(b)(2) is clear
18 in that respect, but 71.31(b) muddies the water. We
19 agreed with that comment and plan to change 71.31(b) so
20 that it refers back to the earlier standard as an
21 exception to this general rule.

22 71.43(b), or 71.43(f), Mr. Langhaar seems to
23 think there is a problem where in one standard we talk
24 about no loss or dispersal of radioactive material, and
25 in another standard we talk about no releases exceeding

-6
1 10⁻⁶, (a)(2). We don't really consider this to be a
2 problem. It is somewhat different, but we don't
3 consider it to be a problem. No loss or dispersal is
4 considered to be a very small number, just like 10⁻⁶
5 is considered to be a very small number. And the fact
6 that no loss or dispersal is --

7 MR. SIESS: You would define 10⁻⁶ as none?

8 MR. HOPKINS: One standard says no less than
9 10⁻⁶ which definitely means you have to use a test
10 which is sensitive to 10⁻⁶ A2 and get a negative
11 result from it. The other says no loss or dispersal,
12 whatever mechanism, is considered under these
13 circumstances.

14 MR. SIESS: How do you define no loss?

15 MR. HOPKINS: With the test you have you get a
16 negative result. This is the way the regulations have
17 read for years and years.

18 MR. SIESS: You have a low sensitivity and not
19 detect anything, and that would be all right?

20 MR. HOPKINS: Well, that would be something
21 that somebody could propose. If the licensing staff
22 thought it was obviously inadequate, then they would
23 challenge it. It is just the non-specific requirement.
24 Now, the 10⁻⁶ A2 is a much more specific requirement.

25 MR. SIESS: It seems to me that if you

1 recognize it as a non-specific requirement, which it
2 certainly is, that you could find some non-specific
3 words to use. No is a fairly specific word. If I were
4 a lawyer, I would give you hell. You guys don't get
5 into litigation that much, but you could say essentially
6 no or practically none, or the kinds of words people
7 use. But no means no. The burden of proof would be on
8 you to prove there was no --

9 MR. LANGHAAR: It was a very sticky point in
10 the IAEA panel discussions. With respect to Type A
11 packaging, the panel decided not to say anything about
12 what was meant by no large dispersal because they
13 thought what they really meant was zero, but they
14 decided not to try to amplify that.

15 MR. SIESS: You can't prove zero.

16

17

18

19

20

21

22

23

24

25

1 MR. LANGHAAR: My principal concern here was
2 we that we might for fizzle Type A packaging, we might
3 take no loss or dispersal to mean zero, as some people
4 say, for Type A packaging, whereas the Type B packaging
5 we do have a specified amount. But at the same time,
6 this is a problem that I do not see any good way out of
7 and neither did the IAEA.

8 MR. SIESS: What Don is saying you define Type
9 B, but you don't define it here. That is a very
10 difficult quantity.

11 MR. HOPKINS: All it means is you will get a
12 negative result from the test you prescribe, the test we
13 perform on the package. You have to get a negative
14 result, or you cannot say no.

15 MR. SIESS: That's your definition.

16 MR. HOPKINS: Whether the test is adequate
17 enough is open to discussion, and it will be a point of
18 contention.

19 MR. SIESS: That's your definition, and you're
20 not a lawyer. I'm not a lawyer either, but I listen to
21 them. If a lawyer and the law says thou shalt not do
22 it, there shall be no release, then it will be up to you
23 to prove that there was no release, and you couldn't do
24 it.

25 MR. ZUDANS: When I read John's comment, I

1 understood this as an inconsistency because it first
2 said it's a general requirement for all packages. The
3 next paragraph talks about specific additional
4 requirements on Type B, and that means a relaxation, not
5 an additional restriction. That's why I thought his
6 comment was very good.

7 MR. SIESS: Your intent is very clear to me.
8 Your words, unfortunately, are equally clear, and they
9 don't agree.

10 MR. CHAPPELL: Well, Dr. Zudans I don't
11 believe said it properly. It appears that "no" is less
12 than 8.2 times 10⁻⁶, but in application "no" is a more
13 liberal standard than 10⁻⁶.

14 MR. SIESS: I understand that completely.
15 That is why I say the intent and the words don't agree.

16 MR. ZUDANS: Well, I guess you have to find a
17 set of words that makes the second portion of
18 restrictions more limiting than the first one.

19 MR. SIESS: Well, I don't see any easy out.
20 You could qualify the "no," and then I think you will
21 get into trouble on the other one.

22 MR. ZUDANS: I could stick in front
23 essentially no release.

24 MR. SIESS: That's what I say. Qualify it.

25 MR. ZUDANS: Put some qualifier in it.

1 MR. SIESS: The problem is that everybody
2 except some lawyer who gets involved knows exactly what
3 it means. John knows what it means. He just says it's
4 a complication that's been around, and nobody has found
5 a way out of it, right?

6 MR. LANGHAAR: It is a difficult problem. The
7 IAEA and I suspect the NUS do not want to imply that any
8 release would be allowed from Type A packages. So if
9 the words used were "no significant release," I suppose
10 that would not cause trouble.

11 MR. SIESS: That would bother a lawyer, too,
12 because then what is "significant?" So it's a dilemma.
13 If we had a solution, we'd give it to you.

14 MR. HOPKINS: The next comment is a long one
15 having to do with requirements for tiedown attachments.
16 The present regulations have a requirement for the 2, 5,
17 10g forces, resistance for these tiedown attachments,
18 which of course are not the tiedown cables themselves
19 but are the attachments which are part of the packages.

20 In the proposed rule we proposed to eliminate
21 these specifications because some of the staff was under
22 the impression that the industry would have preferred it
23 that way, and because they were not very well-defended
24 requirements.

25 What happened instead was at least some of the

1 industry wrote in and said what happened to the 2, 5, 10
2 requirements? Why don't you have them in there any
3 more? So we reconsidered and decided that it is better
4 to have them there even though they might not be the
5 perfect requirements than to have any requirements.

6 MR. ZUDANS: I think the requirements should
7 be specific in the sense that it refers to a base of a
8 platform, not to the tiedown devices, because that has
9 to be calculated. You could have amplification of
10 "significant," depending on how this thing was defined.
11 And I think that is a point being made here.

12 MR. LANGHAAR: There is no good technical
13 basis for the 2, 5 10g requirements. There is some
14 basis for saying that those are reasonable figures for
15 the bed of a rail car. But as far as I know from
16 studies that have been made, there is no technical basis
17 for saying that those figures are reasonable for truck
18 transport or water transport or even that they are
19 reasonable for the forces experienced by the tiedown
20 attachments on a container on a rail car. Even though
21 the bed of the rail car may experience such g levels,
22 what the attachments on the container experience may be
23 far different.

24 So my comment here is related to whether we
25 ought to have requirements of this specific nature that

1 do not have a good technical basis.

2 MR. SIESS: John, do you have any idea whether
3 the numbers should be higher or lower?

4 MR. LANGHAAR: For truck transport, again on
5 the bed of the vehicle, for truck transport they should
6 be much lower.

7 MR. SIESS: No. I mean on the device.

8 MR. LANGHAAR: On the device it depends on the
9 tiedown arrangement. There are some tiedown
10 arrangements for which these forces could be magnified.
11 There are other tiedown arrangements for which they
12 would not be depending on what sort of damping and other
13 stuff. Ross has looked into this in considerable
14 detail, I think.

15 MR. SIESS: What kind of a provision would you
16 propose?

17 MR. LANGHAAR: I would prefer to see, as was
18 done in the 1979 version, they proposed to see these
19 numbers omitted as they have done in the IAEA
20 regulations.

21 MR. SIESS: What do people do?

22 MR. LANGHAAR: People use standard methods of
23 tiedown. Actually, they use methods of tiedown that are
24 probably a little better than the standard for
25 transformers and other heavy objects. But furthermore,

1 the regulations do not specify the nature of the tiedown
2 system. That is, a container could be designed with
3 this strength for the attachments on the container, but
4 the tiedown itself could be by rubber bands as far as
5 the regulations are concerned.

6 MR. SIESS: I can make a distinction in my
7 mind between failure of the package because it was
8 overstressed to an eye, whatever you hook on to, and
9 failure of the system so that it rolls down the hill.
10 So I can understand a distinction between a tiedown
11 device which is attached to the package that could turn
12 the package over and something that would just let it
13 roll off the truck.

14 But if you don't put any numbers in here, what
15 does the designer do?

16 MR. LANGHAAR: Well, the intent of another
17 paragraph of the regulations is to assure that the
18 package will still be safe even if the tiedown
19 attachments should be torn loose. So if the whole
20 tiedown system should fail, even if the tiedown
21 attachments should tear loose and the package go rolling
22 down the hill, it would still be safe. There is this
23 paragraph in the regulation.

24 MR. SIESS: That is 3 on the same page, I
25 believe.

1 MR. HOPKINS: That's correct.

2 MR. ZUDANS: It would not be very pleasant for
3 those who happened to be nearby.

4 MR. LANGHAAR: Well, that's true.

5 MR. SIESS: That takes you back another step.

6 MR. ZUDANS: I think that something else has
7 to be done. First of all, it is clear that you cannot
8 specify any accelerations anywhere but on the platform
9 surface itself because it is design dependent. There is
10 no question about that. Second, you don't have to
11 specify any given numbers. You just said that you have
12 to design for accelerations on that platform for the
13 transport.

14 MR. SIESS: That would give the staff an awful
15 problem because what accident do you assume -- running
16 into a concrete bridge abutment, backing into something
17 at 20 miles an hour, which might be worse because you
18 don't have the cab up there to absorb the impact. If
19 you have 3, why do you have 1?

20 Three says it must be designed -- any tiedown
21 device which is a structural part of the package must be
22 designed so that failure of the device under successive
23 load would not impair the ability of the package to meet
24 the other requirements of this subpart.

25 MR. CHAPPELL: That is to preclude someone

1 from designing tiedown devices in an oddball way where
2 they are connected to the cover or they are connected --

3 MR. SIESS: All right. But you have a
4 statement here that says each tiedown device, if it
5 fails, cannot hurt the package.

6 MR. CHAPPELL: That's right.

7 MR. SIESS: Then why in addition do you say
8 that the tiedown device must be designed for the 2, 5 or
9 10 g?

10 MR. CHAPPELL: We say, first of all, that we
11 feel that we don't regulate the tiedowns except in very
12 unusual circumstances like the PAT package and one or
13 two spent fuel packages.

14 MR. SIESS: The tiedown being?

15 MR. CHAPPELL: What's connected to the
16 material. We feel that that package should not be a
17 weak point in the system. We feel that if the package
18 comes off the vehicle, it's because a tiedown failed,
19 not because the package failed.

20 MR. SIESS: This doesn't assure that.

21 MR. CHAPPELL: It doesn't assure it, but we've
22 never had one that failed. Moreover, it's practical to
23 meet this 2, 5 and 10, and it's not hard to design for.

24 The third thing is we have this even if they
25 do fail, but you're not going to affect the package so

1 as to really prevent someone from designing real
2 Goldberg-type things. If someone comes up with a way
3 where pulling the eye off or pulling the trunnion off
4 will cause a whole to open up in the containment vessel,
5 we go back to question them on that point.

6 MR. SIESS: That's suspenders, I guess.

7 MR. LANGHAAR: My concern here is that 2, 5,
8 10 g figures have no basis for truck or water
9 transport. They are intended to represent normal
10 conditions of transport, and it is certainly not normal.

11 MR. SIESS: Well, we heard the argument from
12 Ross that they want extra assurance that it seems to
13 work most of the time. I guess I would be a little
14 wondering about when the industry says why don't you put
15 them back in, it suggests to me that maybe they don't
16 know how to compute them if you don't put them in.

17 MR. HOPKINS: There's also no reason why we
18 should limit the strength of those tiedown attachments
19 to conditions in normal transport. We could, for
20 example, have set up a requirement that the tiedown
21 attachments would withstand accidents of any kind that
22 we choose, because the stronger the tiedown attachments
23 and the tiedown system, the more resistant you are to
24 accident situations; that is, the more of the forces of
25 the accident would be absorbed in the tiedown system and

1 therefore not have to go into the package.

2 So there is no prohibition of our having
3 tiedown attachment standards which are higher than what
4 the normal conditions of transport would indicate. So
5 that even if these are higher than normal indication,
6 that is not a good reason in itself for doing away with
7 them.

8 MR. SIESS: I am not so sure that a rigidly
9 attached package wouldn't see greater accelerations than
10 if it were allowed to come free from the vehicle and
11 were stopped by something else.

12 MR. LANGHAAR: This subject is one that has
13 been batting around for some ten years.

14 MR. ZUDANS: Why do you specify apply to the
15 center of gravity of the package and not to the center
16 of the platform?

17 MR. CHAPPELL: Because we don't have control
18 over what connects the package to the vehicle.

19 MR. ZUDANS: You have a controlled package
20 design. This is one of the conditions. You apply it to
21 the platform.

22 MR. CHAPPELL: The package is typically
23 connected, like a spent fuel package sits on a cradle.

24 MR. ZUDANS: Sure. You apply it to the rail
25 of the platform. The cradle and the platform form

1 another structural system.

2 MR. CHAPPELL: Depending on the frequency of
3 the system, the resining and so forth.

4 MR. ZUDANS: If it applies to 2g, he doesn't
5 calculate the response. He simply puts on the load and
6 that's it. It's very simple, but it could be totally
7 incorrect.

8 MR. CHAPPELL: I agree with you, but the
9 problem is we don't regulate that cradle.

10 MR. ZUDANS: But you can apply the load to the
11 package in any way you want. You specify the platform
12 motion. That is load to the package.

13 MR. CHAPPELL: But if you imagine the bed of
14 the vehicle as a surface that has a motion and you only
15 calculate the response of the package so you can get the
16 relative inelasticity of that connecting system, you
17 have to know that; and we don't control that.

18 MR. ZUDANS: You don't have to know. That is
19 what -- sheer will give the load to the package, and if
20 the computed load to the package is no good, you will
21 have to redesign that.

22 MR. SIESS: Wait a minute. Ross is using -- I
23 think there is a little misunderstanding, certainly on
24 my part. When you say you do not control something does
25 that also mean that when you approve a package you don't

1 know what the tiedown system will be?

2 MR. CHAPPELL: That's right.

3 MR. SIESS: Well, they would have a problem
4 approving the package design for a platform acceleration
5 because the tiedown system is not a part of the package
6 that they would approve. They would have to approve a
7 tiedown system as a part of the package.

8 MR. ZUDANS: So what do they do? Do you
9 assume rigid support for the tiedown and apply g loads
10 at that range?

11 MR. CHAPPELL: We don't address it.

12 MR. ZUDANS: How does the applicant do it?

13 MR. CHAPPELL: They have eye bolts, or they
14 have trunnions, or they have recessed places for things
15 to hook on to them. We make sure that those packages
16 can take this 2, 5, 10 load without yielding.

17 MR. ZUDANS: But supported in what way?

18 MR. CHAPPELL: It doesn't matter.

19 MR. ZUDANS: Yes, it matters. If it's
20 supported from two points and has a g force in the
21 middle, if I apply the g load you will just fly away.

22 MR. CHAPPELL: We assume that the load is
23 being applied at the trunnion, sir.

24 MR. ZUDANS: Well, if you assume, you must
25 assume some way of support before you can apply that

1 load. What you are telling me, you are assuming rigid
2 support, and that is not necessarily always the worst
3 case.

4 MR. CHAPPELL: I agree with you. That's not
5 necessarily the worst case.

6 MR. ZUDANS: I feel that this level of
7 sophistication you could very well specify the motion
8 just like in the way the nuclear power plant design
9 ground motion is specified, and that takes care of all
10 the structures sitting on that ground.

11 MR. CHAPPELL: I know.

12 MR. SIESS: But the NRC has the control of all
13 those. His point is that they only certify the
14 package. That's a problem. They don't know what forces
15 it's going to be subjected to because that depends on
16 how it is tied down, what the tiedown system looks
17 like. But they don't control the tiedown system if it's
18 not a part of the package. So they would have no way of
19 approving the tiedown system. They don't regulate it.

20 MR. ZUDANS: When they evaluate this 2, 5, 10
21 constraint, the applicant of necessity has to come and
22 show points of support. That defines the tiedown system.

23 MR. SIESS: No. That only defines the point
24 at which you tie them down.

25 MR. ZUDANS: It defines the tiedown system as

1 being perfectly rigid. What I am saying is that
2 perfectly rigid with the same point of support is not
3 necessarily conservative.

4 MR. SIESS: There is no question as to whether
5 this is conservative or not. John made the point, and
6 everybody has agreed, that they don't know what these
7 forces are in an actual cask, in an actual vehicle.

8 MR. ZUDANS: Well, I understand with the
9 railroad platform.

10 MR. SIESS: There have been some tests made on
11 railroad platforms, but different tiedown systems can
12 still get different results. They can be rigid or they
13 can be flexible depending on whether they were on
14 springs or rubber.

15 MR. CHAPPELL: I have been working on this
16 problem for 10 years on ANSI committees, and we are not
17 any closer to a solution.

18 MR. SIESS: What we have got is perfectly
19 arbitrary, and like most things that are perfectly
20 arbitrary, there is a 99 percent probability that it's
21 wrong, but the regulatory process again does not permit
22 them to consider anything else in the certification of
23 the package, the way they certify a package.

24 So they have done two things. First, they
25 have said we will give some criterion to design these

1 attachments. They know from experience that most of the
2 time if something fails, it is not the device; it is the
3 cable or whatever it is. Then they put in the
4 requirement in B(3) that says even if you tear these
5 things out, the package has got to be just as good as it
6 was before.

7 MR. ZUDANS: I guess I --

8 MR. SIESS: Within the system I do not see
9 that they can do much more. The only argument for the
10 2, 5, 10 that we have heard is that what they have been
11 using, they have not had any packages pulled out, and
12 the industry seemed to like it. But they are not very
13 good arguments. They are never good arguments for
14 arbitrary provisions.

15 MR. ZUDANS: Well, it is fairly high levels of
16 acceleration, and you may be all right with any design.

17 MR. SIESS: But not for accident conditions.

18 MR. ZUDANS: Well, sure. If you run into a
19 wall, I can get 100g easy, but that would be more in a
20 crushing mode.

21 MR. SIESS: So it is arbitrary -- let us face
22 it -- and that means it is probably wrong.

23

24

25

1 It hasn't given anybody any trouble and when
2 they took it out to make it easier for somebody,
3 somebody said put it back. So they figured if it wasn't
4 going to make it easier they were going to have to
5 calculate something.

6 MR. ZUDANS: Well, somebody should do the
7 analysis.

8 MR. SIESS: This analysis is simple.

9 MR. BENDER: I suspect it is more likely to be
10 that there are packages that are around already designed
11 with this particular requirement, and once you take it
12 out, you leave a little bit of uncertainty about what
13 the numbers are that are the design basis. It seems to
14 me for new packages you might want to have a more
15 rational basis.

16 MR. SIESS: I don't know what is more rational.

17 MR. LANGHAAR: I don't know if we want to beat
18 this around anymore, but I would make one further
19 remark, that in the proposed regulations a number of
20 figures on the allowable stress levels are being
21 omitted. But here, we are putting some numbers back in.

22 MR. SIESS: Allowable stresses must be
23 somewhere. Aren't they in a code or something?

24 MR. CHAPPELL: We have allowable stresses in
25 Reg Guide 7.6 for spent fuel casks, but the people are

1 not required to meet them. The regulations are
2 performance oriented. You drop your package 30 feet,
3 put in a fire and if you release less than 82 in a week,
4 it is okay regardless of the stress.

5 MR. ZUDANS: I wouldn't be concerned about
6 stress under those conditions.

7 MR. SIESS: It still specifies 30 feet. That
8 is arbitrary, too.

9 MR. MARK: Well, it is performance oriented,
10 just like I said. It makes sense.

11 MR. SIESS: I doubt if the 2, 5, 10g is a heck
12 of a lot more arbitrary than the 30 feet.

13 MR. LANGHAAR: Good point.

14 MR. ZUDANS: More arbitrary? More
15 prescriptive?

16 MR. BENDER: The same.

17 MR. SIESS: They are equally prescriptive.
18 Both of them tell you what you calculate or what you
19 subject the package to. But I think they are both
20 arbitrary. I think the numbers we came up with for the
21 PAT package were pretty arbitrary.

22 MR. ZUDANS: Maybe I begin to see the point
23 why the analysts would want to have these numbers,
24 because otherwise, you would really be at a loss how to
25 design the tie-downs. He uses that to design the

1 tie-downs.

2 MR. SIESS: He would have to design a package
3 for the worst possible tie-down situation which would
4 end up being the rigid, or it might not be the rigid.

5 MR. MARK: John points out that these numbers
6 don't appear in IAEA anyway. Arbitrary as they may be,
7 they just don't appear there. So what then?

8 MR. SIESS: What have they said? Anything?
9 They just said the (b)(3) but left out the (d)(1)?

10 MR. MACDONALD: At one time, the numbers did
11 appear in the IAEA, but they were in the advisory
12 material. They had numbers for tie-down and numbers for
13 lifting, but they were only advisory and not part of the
14 regulations. In the U.S. regulations, since we went
15 into Part 71, we did not include them as advisory
16 material but put them right into the regulatory
17 requirements.

18 MR. SIESS: As far as I am concerned, the (b)
19 item is the one that protects the public. The other one
20 just sort of acts to reduce the probability that you
21 will need the other one. (b)(3) says that no matter
22 what happens to these things, the package stays intact;
23 pull them out. If you get 20 gs and they fail, it is
24 still all right.

25 MR. MACDONALD: We would hope that at some

1 point in time, there will be industry standards that
2 will be in place for tie-downs and transport. When
3 these are in place, I think we can certainly consider
4 dropping down the 10, 5, 2 requirement that we have
5 now. Or incorporating the industry standards and not
6 being as specific as we are now. This is just to
7 continue past practice into the future until we do get
8 those in.

9 MR. ZUDANS: I think the (b)(3) actually
10 limits the strengths of tie-down devices such that you
11 will not damage the package, and you could not have it
12 rigid.

13 MR. MACDONALD: That is true.

14 MR. SIESS: Okay, let's go on. We didn't
15 solve that problem, but it has been around for a while.

16 MR. HOPKINS: Comment on 71.51(a)(1), that
17 this leak test standard which specifies 10⁻⁶ A2 is not
18 really an additional requirement that said no loss or
19 dispersal earlier. It is all a matter of how you look
20 at it, as to whether it is an additional requirement or
21 not. Certainly, there is additional specificity.

22 And 71.51(b), that is a requirement that you
23 cannot use filters to limit your activity release in
24 case of the accident. Mr. Langhaar is suggesting that
25 perhaps filters are dependable enough these days that

1 you can use them for limited releases. The NRC staff
2 thinks there is no need to be able to do that, and that
3 it is not the best engineering practice available, and
4 wants the use of filters restricted, very restricted, as
5 71.51(b) does.

6 So I think it is just a difference in
7 perception between two engineering organizations. The
8 Langhaar organization and the NRC.

9 MR. BENDER: For filtered containments they
10 work so well.

11 MR. SIESS: It is not quite the same, Mike,
12 because a vented filtered containment is at a different
13 level.

14 MR. BENDER: I was just being facetious, Chet.

15 MR. SIESS: That was the first thing I thought
16 of for venting this stuff. You don't want a mechanical
17 cooling system; you prefer to have a passive type
18 approach, and then the filters again get back into how
19 good they are and how well they are maintained. Is that
20 your thinking?

21 MR. CHAPPELL: Yes.

22 MR. MACDONALD: There is no need to shift
23 everything on the filter, which is where you could end
24 up.

25 MR. MARK: Langhaar also points out that here

1 is a departure from IAEA, also. Part of the whole pitch
2 here is for getting with IAEA, aren't we, and here is a
3 place where we are not.

4 MR. BENDER: For a change, I am in sympathy
5 with the staff's viewpoint. I think that what we know
6 about these filters on transporting equipment is not
7 enough to be able to put much faith in them, even though
8 I think they are right for certain kinds of
9 circumstances where they would work. But for certain
10 kinds of postulated accidents we are dealing with, it
11 doesn't look like it is the sort of thing you would want
12 to put a high degree of confidence on.

13 MR. MARK: Well, how are we, -- if an IAEA
14 package comes in which depends upon a filter, do we say
15 we won't allow it past the Statue of Liberty because it
16 has a filter on it?

17 MR. HOPKINS: It can go to its destination,
18 but no further.

19 MR. SIESS: It can go to its destination but
20 it couldn't be used for domestic shipments. It hasn't
21 got anything in it.

22 MR. MARK: Well, reprocess the fuel and bring
23 it home again.

24 MR. SIESS: Not that one.

25 MR. BENDER: You can also analyze the cask --

1 MR. SIESS: The thing that bothered me about
2 filters is you can rely on the filter to get it down to
3 -6
4 10 from way up there, but you would have one heck of
5 a dose, if you had on a belt or suspenders or something,
6 -6
7 but I don't know how you do that. You test it at 10
8 and then put a filter on it.

9 MR. BENDER: I think it is really a problem of
10 how to take credit for it. That was the only point I
11 was making.

12 MR. CHAPPELL: Someone did come up with an
13 application of a filter that was reasonable. It could
14 still be approved, but we would have to get an
15 exemption. I think that application is unusual enough
16 that exemptions won't, indeed, occur every day and there
17 is no real -- or not a lot of additional staff work that
18 will be needed to give an exemption. It won't happen
19 every day.

20 MR. BENDER: Is there an example of a cask
21 with a filter that you have identified?

22 MR. CHAPPELL: There is an overpack that has a
23 filter, supertight. There is a filter on that.

24 MR. MACDONALD: There was a proposed package
25 for a 100-liter plutonium nitrate where you have a
26 gaseous evolution during normal conditions of
27 transport. It was proposed there that you would have a

1 filter so that you would not increase the pressure in
2 that package. The filter would vent the hydrogen gas
3 but not the nitrate. That package also had a mechanical
4 cooling system which was a damper in the middle. It had
5 a chimney effect in which normally, -- to let the air go
6 up through the package for the cooling. And in the
7 event of a fire test, the damper was to close that
8 suction of the air to go through the center of that
9 package.

10 For every event, it had some active system
11 that was going to take place, but it has essentially not
12 gotten beyond pretty much of a thought process. It
13 never got into the construction phase.

14 MR. SIESS: Now, the item about filters
15 applies only for the normal condition leak rate. It
16 doesn't say you can't use it for the accident
17 condition. It says, "Compliance with permitted activity
18 release...", in paragraph (a)(1), "...must not depend
19 upon filters or mechanical cooling systems," and (a)(1)
20 is normal conditions of transport. Am I right?

21 MR. HOPKINS: I believe that is what it says,
22 yes, sir.

23 MR. SIESS: That is for the 10⁻⁶. It says
24 you can't rely on filters to get down to the 10⁻⁶, but
25 you could rely on filters to get down to the 1 A2.

1 MR. CHAPPELL: You have got a good point
2 there. We wouldn't like to see it for the accident
3 condition, either.

4 MR. BENDER: I would accept it for the normal
5 condition, but think very hard about having it under
6 accident conditions.

7 MR. SIESS: I was thinking about it the other
8 way around. -6
9 A2 is pretty small.

10 MR. CHAPPELL: But you would accept it for
11 normal conditions?

12 MR. BENDER: Well, I don't want to be too
13 general, but what I am saying is if under the accident
14 conditions I wasn't going to impose a public risk being
15 able to use it for certain kind of functional purposes
16 that didn't jeopardize the public if it didn't work
17 right wouldn't bother me so much. It is a matter of how
18 the device is being applied that determines its
19 acceptability.

20 MR. SIESS: Of course, I think you would like
21 to think that these things are --

22 MR. BENDER: I wouldn't want to use it for
23 plutonium nitrate.

24 MR. SIESS: Mike, you still like to think
25 these packages are sturdy enough to survive an accident
without exceeding A2 quantities, which need filters to

1 clean it up.

2 MR. BENDER: Yes, but if I had some kind of
3 gas you wanted to vent periodically through a filter and
4 drive it into the yard where it stops and open a valve
5 for a few minutes and vent it for a filter, it wouldn't
6 bother me very much.

7 MR. SIESS: You would have to get a permit for
8 each venting, Mike.

9 MR. BENDER: That would be the regulatory
10 problem, but I could see that kind of thing being done.

11 MR. MARK: But you wouldn't want to count on
12 it if you went into a bridge abutment.

13 MR. BENDER: That is a good example of when I
14 wouldn't want to count on it.

15 MR. HOPKINS: If I could offer a comment, in
16 reading the international rules I find that the
17 limitation on filters applies both to normal and
18 accident conditions. So I suspect that is an oversight
19 in part 71 that we have uncovered here. I think it
20 should apply both to the normal test and the accident
21 test.

22 MR. BENDER: I think in some way or another,
23 John ought to get credit for something.

24 MR. SIESS: It would be in paragraph (b)(2) or
25 Section (a), whatever you call it. Let's go on, John.

1 MR. HOPKINS: The next point had to do with
2 71.51(c), which is the provision that says for LSA
3 materials, packages do not have to be shown to resist
4 accident -- the accident test conditions. The point is
5 that the package for LSA then should not be considered
6 to be a Type B package and should be located somewhere
7 else. I think, again, this is just a perception
8 difference. I would consider that to be a Type B
9 package for LSA materials because it contains Type B
10 quantities of LSA. And in fact, I would think it would
11 belong right where it is. Other people who consider
12 Type B packages as being accident-resistant packages
13 take the other view. That is apparently the view that
14 Mr. Langhaar took.

15 MR. SIESS: Is it likely they looked in the
16 wrong place?

17 MR. HOPKINS: It has been in this since 1966.

18 MR. SIESS: Maybe that is the best argument
19 against moving it.

20 MR. HOPKINS: There is no definition of a Type
21 B package that would settle the argument one way or the
22 other.

23 MR. SIESS: You have a whole section on
24 defining Type B packages.

25 MR. HOPKINS: It is not precise in this

1 respect, however.

2 MR. SIESS: Oh. Is Type B a package or a
3 quantity?

4 MR. HOPKINS: Both.

5 MR. LANGHAAR: A Type B package.

6 MR. HOPKINS: It means just about anything.

7 MR. CHAPPELL: We assign "A" identificaton
8 numbers to LSA packages even if they have a Type B
9 quantity in them.

10 MR. LANGHAAR: Type B package is defined in
11 71.4.

12 MR. SIESS: Yes, that is what I am reading.
13 But is Type B quantity defined anywhere?

14 MR. LANGHAAR: Yes. That is defined on page
15 38.

16 MR. SIESS: Okay. But the Type B package is
17 not defined as Type B package for Type B quantities.
18 Type B package means a Type B packaging together with
19 the radioactive contents. Is that a correct
20 definition? Is there something that tells me that Type
21 B package is package for Type B quantities?

22 MR. CHAPPELL: Is the question whether an LSA
23 package is a Type B package?

24 MR. SIESS: The question in my mind is what is
25 a Type B package.

1 MR. CHAPPELL: It is a package that meets the
2 accident test, the 30-foot drop.

3 MR. SIESS: Well, why don't I see that under
4 the definition as a package that meets the requirements
5 of section so and so? I guess if I read on it says now
6 you have got two, you have got BUs and BMs.

7 MR. LANGHAAR: And LSAs.

8 MR. SIESS: And it says -- okay, I guess I
9 can't find it. It doesn't say that. Which section has
10 the accident requirements, 71.73?

11 MR. ZUDANS: I guess Type B is defined on 71.4
12 and 71.51. That defines it. The only distinction is it
13 has to withstand accident conditions.

14 MR. SIESS: I am being very square here, now.
15 I am looking for a definition under definition.

16 MR. ZUDANS: No, it is not defined.

17 MR. SIESS: That is a strange place. It says
18 Type B package is designated BU unless it has certain
19 conditions which would allow the release of radioactive
20 material to the environment under the test in 71.73, in
21 which case it will be BM. And nowhere does it state
22 very clearly that if it meets 71.73, it is a BU unless
23 it has this, and then it is a BM. So it sort of backs
24 into it for some reason, but I assume everybody knows
25 what that is and I am not going to beat it to death.

1 MR. CHAPPELL: The only difference in a Type
2 BU and a BM package, the only distinction for maximum
3 normal operating pressure is whether they have a relief
4 device or not. They still meet the same test and have
5 the same acceptance standards following the test.

6 MR. SIESS: Yes, but the way this is written,
7 the only reference to 71.73 is in the exception part of
8 it. It backs into it. There is nothing that says that
9 it should meet all the requirements to be a BM and all
10 but this to be a BU.

11 MR. HOPKINS: That is back in the requirements
12 where those provisions are. You don't put requirements
13 like that in the definitions.

14 MR. SIESS: The thing is he defined it as a
15 package that meets the requirements, and I can't find
16 that except by inference.

17 MR. HOPKINS: You can't find it in the
18 definition, but you can find it back in the requirements.

19 MR. SIESS: When I asked for a definition of
20 Type B package, it was what it wasn't. I thought the
21 simple definition I got is the kind of thing I would
22 expect to find in the definitions, but that is all
23 right. It is not important that I know.

24 MR. HOPKINS: What is missing that perhaps
25 should be in there is the requirement that Type B

1 quantities of radioactive material -- they are the ones
2 you have to get permission to use -- have to be shipped
3 in the Type B package. They can only be shipped in the
4 Type B package.

5 MR. SIESS: That must be somewhere in the
6 regulations.

7 MR. HOPKINS: It is in the system.

8 MR. SIESS: I would define the Type B package
9 as one that meets the requirements of 71.73.

10 MR. ZUDANS: In addition to other requirements.

11 MR. SIESS: Then I would say that there are
12 two categories of that, BM and BU, and they have
13 different requirements. But that is beside the point.
14 Go ahead.

15 MR. HOPKINS: The next question in Mr.
16 Langhaar's letter has to do with 71.71(c)(1), which has
17 to do with solar radiation. There is apparently some
18 controversy over that, too. But the Staff opinion is
19 that the solar radiation is a minor effect in the whole
20 system of things. There is no need to complicate this
21 minor effect by having alternate provisions as the IAEA
22 does. We only picked up one of the IAEA provisions.
23 There is a need for a regulatory guide to describe how
24 to use the table that will be in Part 71, and perhaps
25 that is all that is necessary.

1 MR. SIESS: Would it explain how to use it?
2 In other words, the reg guide would define what a
3 surface is?

4 MR. HOPKINS: There is at present --

5 MR. SIESS: That was John's question. If you
6 have a lot of surface there due to fins, this is per
7 square centimeter, so how do you count up the square
8 centimeters?

9 MR. ZUDANS: Projected area.

10 MR. SIESS: Does it say that?

11 MR. ZUDANS: Somewhere, yes. But I had a
12 question on this particular piece, too. Why not make
13 reference to a methodological table used for other
14 industries?

15 MR. SIESS: That ain't easy to do in a
16 regulation.

17 MR. HOPKINS: Guidance to the regulation is
18 appropriate, but not guidance to satisfy the regulation.

19 MR. ZUDANS: This is prescriptive. Eight
20 hundred gram calories per square centimeter may not be
21 enough in some locations.

22 MR. LANGHAAR: These are designed to be
23 equivalent to 1 degree north latitude, I think. I think
24 that is our basis.

25 MR. SIESS: That doesn't bother me since it is

1 a small effect. But the question you raised about fin --

2 MR. LANGHAAR: I wouldn't know how to apply
3 the table.

4 MR. CHAPPELL: Well, the problem we have had
5 is the additional temperature due to solar heating is
6 relatively small in comparison to the temperature due to
7 the heat load and the ambient temperature. One could
8 pick his latitude, the amount of cloud cover, how long
9 the day is, and integrate that thing and work it out
10 exactly. But in view of the relatively small effect
11 this has on the actual temperature, the thing that is
12 important, it just doesn't seem to be warranted to have
13 a detailed prescription of how to do it.

14 MR. SIESS: I don't think I was questioning
15 the insulation figure. I was questioning the surface.
16 How do you calculate the surface? Maybe that doesn't
17 make much difference either.

18 MR. CHAPPELL: I would personally agree with
19 that. I would prefer so many Btu per square foot per
20 hour and let it go at that.

21 MR. SIESS: Square foot of what?

22 MR. CHAPPELL: Projected area.

23 MR. SIESS: I didn't find the words "projected
24 area" anywhere. I see flat surfaces, horizontal base
25 and other surfaces, flat surfaces not horizontal, and

1 curve.

2 MR. ZUDANS: But those who do the solar
3 calculations know exactly what to do with complex
4 surfaces.

5 MR. SIESS: Okay.

6 MR. ZUDANS: It is a complicated method.

7 MR. SIESS: I could also argue, if I go from
8 horizontal to not horizontal, I get a factor of 4, and I
9 don't know what is horizontal, either. If I tilt it one
10 degree and lower it by a factor of 4 --

11 MR. MARK: Put fins on it.

12 MR. ZUDANS: It is my feeling that this table
13 shouldn't be there. You should simply make reference to
14 that area that you want to calculate.

15 MR. SIESS: Can you do that in a rule?

16 MR. HOPKINS: You can do almost anything but
17 to leave it wide open.

18 MR. SIESS: You make it harder on the Staff to
19 check it.

20 MR. HOPKINS: Harder on the Staff and harder
21 on the applicants to know what to do.

22 MR. LANGHAAR: It would be very much clearer
23 and simpler, for example, to say the solar radiation
24 shall be figured as so many gram calories per square
25 centimeter based on per 24-hour period, based on maximum

1 projected area.

2 MR. SIESS: Somebody said they thought it said
3 projected area, but it does: ..

4 MR. ZUDANS: I think it did someplace.

5 MR. BENDER: Why don't we leave it that they
6 ought to go back and look at it a little bit more and go
7 on to the next item. We might be here for quite a while.

8 MR. ZUDANS: I have to agree with Ross; it is
9 not important.

10 MR. SIESS: Okay, let's go on. The importance
11 has nothing to do with how long we spend on it.

12 [Laughter.]

13 MR. BENDER: That is the most astute
14 observation that has been made today.

15 MR. HOPKINS: The next comment has to do with
16 the graduated normal drop test on packages, and in
17 particular on a very large 100 ton cask. The regulation
18 would require that that be dropped from a distance of
19 one foot in the most damaging orientation, which would
20 mean in most cases upside down. I don't think anybody
21 argues that that is by no means a normal condition, and
22 if you were to have something like that happen in
23 transportation, it would be considered an accident and
24 the cask would be returned to its location for overall
25 evaluation.

1 So we recognize that it is not a good normal
2 test for large packages such as this and, in fact, have
3 provided exceptions in a couple of cases for very large
4 packages where it was not relatively easy for the
5 package to be shown to satisfy this test.

6 MR. SIESS: I don't see how you could get
7 something upside down and drop it only a foot.

8 MR. HOPKINS: I think it is a case of an
9 evaluation.

10 MR. SIESS: Somebody picks it up the wrong way?

11 MR. BENDER: I didn't think you could locate
12 reactors 180 degrees out of position, but they did it.

13 MR. HOPKINS: In any event, in the few cases
14 where exceptions seemed to be needed, the Staff did
15 evaluate against other unspecified occurrences which we
16 are concerned with, such as rifle shots and large, heavy
17 objects being dropped on the package. So that in the few
18 cases where it was necessary, an exception has been
19 provided.

20 MR. HOPKINS: 71.73(c) has to do with the
21 conversion. It is not an exact conversion, but to take
22 care of this and similar problems, we have introduced a
23 sentence at the beginning of the definition section,
24 71.4, which says, "Throughout this part the standards
25 are expressed in metric units. The approximate English

1 equivalents presented in equivalencies are presented for
2 information only." So we feel that even though they are
3 not exact equivalents, we have taken care of the
4 problem, at least from a legalistic standpoint.

5 MR. ZUDANS: Could I go back to my very early
6 comment on this matter? You are not consistent. After
7 I voiced my dissatisfaction with metric versus SI, I
8 find that you use kilopascals on page 75, so you really
9 used the metric and the SI system already.

10 MR. HOPKINS: You know, we had a consultant in
11 to do a lot of these conversions for us. I guess he did
12 not get them all.

13 MR. ZUDANS: He left kilopascals on page 75.

14 MR. SIJESS: What language is the IAEA written
15 in?

16 MR. HOPKINS: Now it has strictly gone to the
17 SI units.

18 MR. SIJESS: And they would use kilopascal
19 units?

20 MR. HOPKINS: Yes.

21 MR. ZUDANS: I think there are so few places
22 -- I have come to maybe half a dozen -- where it is very
23 easy to convert to "kilopascals" that metric should be
24 eliminated.

25 MR. SIJESS: I doubt that anybody outside the

1 IAEA and Europe is using pascals.

2 MR. ZUDANS: Everybody. Sandia, Lawrence
3 Livermore.

4 MR. SIESS: I said in Europe.

5 MR. ZUDANS: Yes.

6 MR. SIESS: And nobody in South America is.

7 MR. MARK: There isn't anybody there.

8 MR. HOPKINS: Argentina is buying it all the
9 way.

10 MR. SIESS: I shouldn't say nobody. The
11 people I deal with don't.

12 MR. ZUDANS: Go to Canada, for example.

13 MR. SIESS: The Canadians call it the British.

14 MR. ZUDANS: Go to England, go to France, go
15 to Germany. Anywhere.

16 MR. SIESS: In Germany the technical stuff
17 isn't.

18 MR. BENDER: This isn't a substantive argument.

19 MR. ZUDANS: It has meaning. I would only
20 like you to be consistent; okay?

21 MR. SIESS: The French are using bars.

22 MR. ZUDANS: Bar equivalents.

23 MR. SIESS: Kilograms per square centimeter is
24 equivalent.

25 MR. ZUDANS: No, to Newtons, to Pascals.

1 MR. SIESS: A bar is an approximation.

2 MR. ZUDANS: Keep on arguing and I will show
3 you.

4 MR. SIESS: I will bring you half a dozen
5 papers and show you they are not.

6 MR. HOPKINS: 71.85(b) has to do with the
7 preliminary determination test before the first use of
8 any package, and it is related to the maximum normal
9 operating pressure. The test has to be performed to
10 show that the package will withstand a pressure of 50
11 percent higher than the maximum normal operating
12 pressure. So the Langhaar comment here goes back to all
13 the earlier discussion about whether you should have to
14 consider a year to get to the maximum normal operating
15 pressure and whether filters could perhaps be used to
16 satisfy the requirement. So it is really a rehash of
17 all the things we have already talked about in the
18 context of the pressure test that is required before the
19 first use of the package.

20 MR. SIESS: Was the reference to Subpart (c)
21 correct?

22 MR. HOPKINS: No, he is correct, the reference
23 should be to Subpart (e). We made that correction.

24 MR. MARK: Now, when you say you will have a
25 pressure test before the use of the package, does that

1 mean they have to wait a year?

2 MR. HOPKINS: No. The calculation of what the
3 maximum normal operating pressure would be is done by
4 calculation, and the test, of course, is done to
5 whatever the calculated pressure would be.

6 MR. SIESS: An awful lot of this is done by
7 calculation.

8 MR. MARK: I hope so.

9 MR. HOPKINS: The next comment has to do with
10 71.87(k). It is really an editorial comment which
11 changes the meaning a little bit, and to the better. So
12 we agree with John that what he suggests is right and
13 what we have was wrong, so we are making the change. We
14 made a similar change --

15 MR. MOELLER: That is two.

16 MR. MARK: You actually got more than one.

17 MR. HOPKINS: We could call it three for John
18 because we saw the same problem in Paragraph (j), just
19 the one he saw, and made the same changes there.

20 The last comment has to do with 71.97(a) and
21 the requirements for advance notification. Mr. Langhaar
22 raises an interesting point as to why we are requiring
23 notification only for nuclear waste instead of all
24 similar packages. The clear and simple reason is
25 because that is what Congress told us to do.

1 MR. LANGHAAR: Good reason.

2 MR. SIESS: You could have gone farther.

3 Let's just read one more sentence out of
4 John's report, though. "In summary, I regard the
5 proposed Part 71 as a substantial improvement over the
6 present Part 71." We should have put that in the front
7 and said, "However, ...", which is the way it usually
8 goes.

9 [Laughter.]

10 MR. SIESS: I think it is an improvement. I
11 think it is still one of the most ungodly things I have
12 ever come across, and I am going to quit complaining
13 about it because somebody might ask me to fix it up, and
14 I know I couldn't do that.

15 MR. MARK: I want a minute still sometime.

16 MR. SIESS: You can have it right now, sir.

17 MR. MARK: I just wanted to call attention,
18 and I am sure it does it itself without me, to the real
19 strangeness in tables in Appendix A.

20 MR. SIESS: Find the page.

21 MR. MARK: It starts on page 95. It gets
22 strange there. There are instructions on 95, 96, 97 and
23 98 as to how to work out numbers for (a)(1) and (a)(2)
24 as given in Table A.1. They are for my taste almost
25 incomprehensible.

1 MR. SIESS: You have to diagram it.

2 MR. MARK: Indeed you have got to diagram it.

3 When the identity of nothing is known, the value will be
4 2 curies, when it is known, it will be .002, and on and
5 on it goes. And then you will take 1000 times the value
6 in (a)(3). But that isn't what you do because it is
7 never done. In (a)(3) you say it is going to be 3
8 curies. A thousand times that will be 3000, but that
9 number doesn't appear anywhere.

10 MR. HOPKINS: There is another arbitrary rule
11 that says it can never exceed 1000.

12 MR. MARK: Yes, yes. All of that really is
13 just a marsh. It is peculiar. Why do you say it when
14 you don't mean it? Why not write something else instead?

15 MR. BENDER: Aren't you eliminating appendices?

16 MR. HOPKINS: Why they allowed us to keep this
17 appendix I will never know. They chose other appendices
18 which were very similar to this and forced us to put
19 them in the rule.

20 MR. MARK: This came from IAEA.

21 MR. HOPKINS: So did all the other appendices.

22 MR. MARK: And why does it have the
23 characteristics it does? I suppose no one understands
24 because they must have broken up into subcommittees and
25 each one of them wrote one line or two.

1 MR. HOPKINS: In defense on all this stuff on
2 all these pages about how you figure the (a)(1), (a)(2)
3 quantities, we did have a comment from the Department of
4 Energy which questioned two of the values that were in
5 here and argued they were wrong, and we did follow
6 through the description of how you derive the
7 quantities, and we did find one place where the
8 explanation was a little weak so we clarified it, but we
9 were able to follow it through and arrive at the
10 quantities.

11 MR. MARK: The factors between (a)(1) and
12 (a)(2), I understand they are a little complicated
13 because (a)(1) is a maximum of 1000 and maybe the
14 external radiation helps you decide what the number
15 ought to be. Most of the (a)(2)'s are equal to the
16 (a)(1)'s, but then many of them are not. And the
17 factors of difference range from 1000 -- well, the same
18 factor of difference is 1, then you get 1.5, 4, 2.5, 14,
19 and then the very first entry is 300,000, and there
20 can't be any possible explanation of that.

21 MR. HOPKINS: What was the last one again?

22 MR. MARK: The activity on 227, a factor of
23 3000 between (a)(1) and (a)(2). It is really
24 miraculous. The first one in the table, 1000 for (a)(1)
25 and .003 for (a)(2). That is really wonderful.

1 It does not have a terribly strange style of
2 activity, but I do want to call your attention to
3 something on page 115. U-235 has 0.2 curies for the A2
4 value. But enriched uranium, has a 0.1. Now, that is
5 really wonderful.

6 MR. HOPKINS: Where are you again?

7 MR. MARK: On page 115 in the uranium set.

8 MR. SIESS: The second line is the U-235,
9 two-tenths and 100. Then you come down to enriched
10 uranium 20 percent or greater, that is 238 enriched.

11 MR. MARK: But if I enrich 238 enough I get
12 235.

13 MR. SIESS: It says 20 percent or greater, and
14 it really should say 20 percent to 99.9 percent, because
15 at 100 percent it goes back to U-235.

16 MR. MARK: There is something peculiar there.

17 (Laughter.)

18 MR. SIESS: Don --

19 MR. BENDER: Unfortunately, only the federal
20 government ships these materials.

21 MR. SIESS: When I looked at these
22 instructions, my first thought is, I assume somebody has
23 worked through as you say and know that they work, but
24 you could make a decision table up on this. You could
25 find out whether it is exhaustive and unique or whether

1 there are some peculiarities on it. That is the ideal
2 place to use a decision table or a decision chart,
3 either one, to see whether something fell between the
4 cracks or whether something will give you two answers,
5 or send you to two different places. Because to do it
6 verbally is almost impossible.

7 I think there are four conditions under 1
8 there; a single radionuclide of known identity, so it is
9 either known or unknown. If it is unknown, you do
10 something else. You go to Table A1 if they are there.
11 If they are not there, you do something else. So I
12 already have two branches.

13 Then, they also apply it to alpha, whatever
14 they are, and alpha neutron and gamma neutron sources,
15 so that is four more decision points. So already on
16 that one, I am branching that one out like this
17 (indicating). It is possible one of them goes two
18 places.

19 (Laughter.)

20 MR. HOPKINS: One comment in that regard is
21 that the IAEA is making a concerted effort to include
22 any radionuclide in the table itself that can be thought
23 of as being halfway useful, so that the instructions
24 don't have to be used.

25 MR. MARK: John, you were explaining to me

1 some of the complications of this. They had to do with
2 biological half-life as well as type of radiation, and I
3 understand -- I don't pretend to understand those
4 things; it is only Dade who understands that -- but I
5 understand that there are complications of that sort.
6 After all, plutonium lives a certain length of time in
7 the bone, like 200 years or something like that, and it
8 is at least 87,000 days, I believe, is plutonium's
9 biological half-life. It is much longer than a human
10 half-life.

11 MR. ZUDANS: Or a full life.

12 MR. MARK: Or a full life. But why is there a
13 difference between uranium 234 and uranium 235? I
14 understand they have a different half-life, but they
15 don't have a different biological life.

16 MR. LANGHAAR: I can't explain these detailed
17 differences, Carson, because I was really not involved
18 in making these calculations. I am not a health
19 physicist, so I don't know the answer on that.

20 MR. MARK: Well look, there is something a
21 little bit strange about the uranium numbers. 234 has a
22 .1 tolerance for A2; 235 has .2 curies. 235 is a
23 long-lived thing compared to 234, but they are both long
24 compared to human life. And it is in curies, which
25 isn't a matter of life, it is a matter of rate. Why are

1 the rates different? I can't understand it.

2 And then, of course, what I was really pleased
3 with was discovering that enriched uranium was different
4 from U-235.

5 MR. HOPKINS: I think maybe I could explain
6 what the difference is. Enriched uranium has not only
7 U-235 in it, but U-234 as well. So the fully enriched
8 uranium is a combination of a little U-238, a lot of
9 U-235 and some U-234.

10 MR. MARK: That is very good, because enriched
11 uranium has more U-234 per atom of 235 than does natural
12 uranium.

13 MR. HOPKINS: So that would explain. The
14 difference is in the right direction.

15 MR. MARK: I am still skeptical.

16 MR. SIESS: Gee, I didn't know anybody knew
17 this much about all these things.

18 (Laughter.)

19 MR. HOPKINS: This is the health physics part
20 of the regulation.

21 MR. SIESS: I don't know that many health
22 physicists, but I didn't know they were that smart.

23 (Laughter.)

24 MR. SIESS: Do they really know that much
25 about the biological effects of all these different

1 radioisotopes?

2 MR. MARK: No.

3 MR. HOPKINS: The transportation people don't
4 do the main part of the derivation of these numbers.
5 Most of these are ICRP's; we just take the ICRP results
6 and translate them into the transportation scenarios.

7 MR. SIESS: Well, after seeing what the
8 disputes were on the BEIR Committee and then I see all
9 this kind of detail, I will admit it is only one
10 significant figure which I thought was at least of some
11 comfort.

12 MR. BENDER: I happen to believe that even if
13 this table is wrong, it won't have any effect on the
14 transportation business.

15 MR. MARK: No. The number of times you find
16 yourself transporting actinium-227 is few and far
17 between.

18 MR. BENDER: I don't remember the last time.

19 MR. MOELLER: A question while we are talking
20 about --

21 MR. SIESS: Zenons, do you have any more
22 comments on this? I never got around to you formally.

23 MR. ZUDANS: The only comment I had was metric
24 versus SI, and that was rejected.

25 MR. HOPKINS: And you brought it up twice.

1 MR. SIESS: Well, I think they should take a
2 look at it.

3 MR. MOELLER: Could I ask a question?

4 MR. SIESS: Where was the metric part? I
5 didn't see it.

6 MR. ZUDANS: At the beginning they say they
7 defined metric, and metric is a non-real thing.

8 MR. SIESS: Where were the metric units?

9 MR. ZUDANS: In the very beginning, I forget
10 the page. Page 7 or something like that.

11 MR. SIESS: They are not using the SI
12 radiation units, are they?

13 MR. ZUDANS: I guess on page 32 it is defined.

14 MR. CHAPPELL: they are not changing over the
15 radiation units.

16 MR. SIESS: Curies are all right, aren't they?

17 MR. HOPKINS: On page 36 we use 7 kilograms
18 per square centimeter.

19 MR. ZUDANS: And 76 is a kilopascal. I would
20 simply like to see you stick to SI because it is just as
21 easy. It is not that complicated.

22 MR. SIESS: Well, IAEA uses SI?

23 MR. HOPKINS: Yes.

24 MR. SIESS: I couldn't care less what you use,
25 but it seems to me that since nobody in this country is

1 going to care too much, why don't you use what they use,
2 and certainly, don't mix them. You have kilopascals in
3 one place and kilograms per square centimeter in
4 another, that does look strange in a single document.

5 MR. HOPKINS: I think that was an oversight by
6 the licensing staff.

7 (Laughter.)

8 MR. ZUDANS: Also, when you refer to a gram
9 you really mean the SI system. You don't mean the
10 force, you mean the mass. Therefore, there is an
11 inconsistency between that kilogram and this gram. So
12 you are better off sticking to one system.

13 MR. SIESS: Don, turn to page 74. You have an
14 interesting combination there. You have 800 F equal
15 1475 F.

16 MR. HOPKINS: I think John told us about that.

17 MR. SIESS: Did John catch that one?

18 MR. LANGHAAR: Yes.

19 MR. SIESS: You have F instead of C?

20 MR. HOPKINS: Yes.

21 MR. SIESS: Incidentally, I believe in SI you
22 do not put a degree sign in front of C, do you?

23 MR. ZUDANS: Yes, you would.

24 MR. SIESS: You do in front of K, but not in
25 front of C, because K has some other symbol. You just

1 write 800 C and not 800 degrees C.

2 MR. CHAPPELL: They don't call it Centigrade
3 anymore, either.

4 MR. SIESS: Celsius. That is close enough for
5 engineering purposes. .00002. It is in the third
6 decimal column somewhere.

7 Well, gentlemen, what are we going to tell the
8 full committee about reviewing this rule? Can we tell
9 them it is about as good as it is going to get to be in
10 the next 5 or 10 years?

11 MR. MARK: Let's just hope it doesn't get much
12 fatter in the next 10 years.

13 MR. SIESS: Well, you have got public comments
14 and everything else. Does anybody object to essentially
15 telling the full committee we have looked at this and
16 made some suggestions which were followed and others
17 which were explained?

18 MR. MARK: No objection.

19 MR. BENDER: I think we should rely on your
20 experience in applying codes. It has been used for a
21 few years and it better not be changed very much.

22 MR. MARK: We could use that sentence that
23 John gave at the end of his letter.

24 MR. SIESS: Well, John, I am relying a lot on
25 what John said. He thinks it is quite a bit improved.

1 There are things that need to be looked at, continued to
2 be looked at, and I am sure that will be done. Although
3 Don may not want to look at it in 10 years.

4 MR. ZUDANS: Another comment. When you refer
5 to temperature in terms of Kelvin you do not use the
6 degree.

7 MR. SIESS: You don't use it on the K.

8 MR. ZUDANS: Not on the K.

9 MR. SIESS: But you do --

10 MR. ZUDANS: On the Kelvin. It is called
11 Kelvin just like Newton was called Newton.

12 MR. SIESS: But you do use it on the C?

13 MR. ZUDANS: That is right.

14 MR. SIESS: Okay. I was wrong. I knew there
15 one you used it and one you didn't.

16 MR. ZUDANS: Yes, I looked it up.

17 MR. MOELLER: A quick question. In 71.47 on
18 page 59, item (d), you are saying that 2 millirem an
19 hour in any normally occupied position of the vehicle --
20 I assume that could be the driver?

21 MR. HOPKINS: That is correct.

22 MR. MOELLER: That is okay. And if you are
23 higher than that, you need personnel rad monitoring
24 devices and so forth. What is the basis of the 2
25 millirem an hour? I mean, I have heard that used before

1 and I don't know the origin. What I see -- and I don't
2 know if you assume a driver -- maybe there are two
3 drivers and one sleeps while the other drives? I mean,
4 in the two days, he or she would have 100 millirem which
5 would be the weekly dose.

6 MR. HOPKINS: Of course, drivers are to be
7 treated now as occupationally exposed people.

8 MR. MOELLER: But this doesn't say that, does
9 it? If he or she was really occupational, wouldn't they
10 be monitored? You know what I mean, badged?

11 MR. HOPKINS: Not necessarily. The
12 regulations, the new regulations, make provision for all
13 carrier personnel being occupationally exposed, and
14 everyone has to be evaluated. And if they are below a
15 certain level you don't worry about them anymore because
16 they are essentially like the general public. And if
17 their projected exposures exceed 50* millirem a year,
18 you have to do detailed evaluations on them and keep
19 track of them.

20 MR. MOELLER: Well, I was wondering here -- in
21 other words, the only way I can read this and say that
22 is fine is to assume that drivers only work X days a
23 year, or X hours per day. Because if you worked in that
24 cab 48 hours, or make it 50 hours, a week, you have 100
25 millirem; at the end of the year you have 5 rem. So I

1 guess I need to know a little more.

2 Now, the ICRP, you are correct on that 1500
3 millirem a year, which is roughly what, 30 percent of
4 the 5. Well, this 2 millirem an hour is going to be
5 again, depending on how long you are there, you are
6 going to receive well over 30 percent of the weekly or
7 annual -- well, it is more than an annual dose.

8 MR. HOPKINS: Yes. And, of course, under the
9 new regulations the mere satisfaction of this provision
10 with the radiation monitoring devices wouldn't be
11 sufficient. There would have to be an evaluation at a
12 much lower level to see whether this would be required.

13 MR. MOELLER: Correct.

14 MR. HOPKINS: The origin of the 2 mr per hour
15 comes -- we take it right out of the DOT regulations.
16 It has been in the DOT regulations as 2 millirem an hour
17 for a number of years, and we have made no attempt to
18 evaluate it when we took it from them and put it in our
19 regulations.

20 I would suspect that they would say the origin
21 of it is from our Part 20 where we have had 2 millirem
22 per hour in unrestricted area limitations for long
23 periods of time.

24 MR. MOELLER: I would ask the question, then,
25 is this compatible? In fact, is this whole section

1 compatible with what you anticipate the new 10 CFR 20 to
2 say? In other words, looking for internal consistency
3 within the NRC among its several regulations.

4 MR. SIESS: Another new criterion.

5 MR. HOPKINS: I guess I haven't evaluated the
6 new Part 20 enough to answer that question. We are just
7 in the process of looking at it now.

8 MR. MOELLER: Well, I would like to see you
9 show this to someone, Bill Mills or someone, and say to
10 them is everything fine, or have they already looked at
11 it and said it is fine.

12 MR. HOPKINS: No.

13 MR. MOELLER: Because internationally, for
14 example, I do not know that it is compatible with ICRP
15 recommendations. I don't know that it is not, but I
16 don't know that it is.

17 MR. SIESS: Is it consistent with the IAEA?

18 MR. HOPKINS: Yes. This is a provision of the
19 IAEA regulations.

20 MR. MOELLER: The IAEA states on an
21 international level that they look to the ICRP for basic
22 radiation protection guidance.

23 MR. SIESS: Is rem an SI unit?

24 MR. MOELLER: No.

25 MR. HOPKINS: Ceverts.

1 MR. SIESS: Did you say somewhere you are
2 using SI? Where did you say you mentioned that in
3 here?

4 MR. HOPKINS: We said we are using metric.

5 MR. SIESS: Where is it?

6 MR. HOPKINS: Right at the beginning of 71.4.

7 MR. ZUDANS: Page 32 I think. Am I right?

8 MR. HOPKINS: Right, page 32.

9 MR. SIESS: And metric means something
10 different than SI.

11 MR. ZUDANS: A little different.

12 MR. SIESS: Well, I don't think that radiation
13 units were considered part of the metric system. It is
14 a weights and measures system.

15 MR. ZUDANS: It is the kilogram mass meter
16 second and ampere.

17 MR. SIESS: Metric was always used in terms of
18 weights, measures and so forth.

19 MR. ZUDANS: Yes. The kilograms is force in
20 metric. The CGS system was a gram mass.

21 MR. SIESS: Electrical and light didn't really
22 come under metric, but it is under SI.

23 MR. ZUDANS: The CGS system is inadequate for
24 heat transfer and electricity. That is why you have
25 fractional powers, to measure units, four basic units.

1 MR. HOPKINS: I understand there is a serious
2 question as to whether the United States is going to
3 pick up SI units for radiation measurement. At least
4 the last I heard there was a serious question about
5 that.

6 MR. SIESS: There is a question about whether
7 they are going to pick them up for anything else the way
8 things are going. I think they just proposed a --

9 MR. MARK: They just disbanded the metric
10 board.

11 MR. SIESS: That is no loss. They were not
12 doing anything. Unless Congress does something, there
13 is nothing that is going to be done.

14 MR. ZUDANS: The simple facts of life will
15 force us to use the SI system in many areas; not in all.

16 MR. SIESS: Well, I think this country would
17 have adopted a metric system if it had not been SI.

18 MR. ZUDANS: Well, we don't even have a
19 complete decimal system.

20 MR. SIESS: Anything else, gentlemen? The
21 meeting is adjourned.

22 (Whereupon, at 5:02 p.m, the meeting was
23 adjourned.)

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS/Subcommittee on Transportation of Radioactive
Materials

Date of Proceeding: August 24, 1982

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

Jane N. Beach

Official Reporter (Typed)

Jane N. Beach

Official Reporter (Signature)

MAJOR CHANGES FOR IAEA COMPATIBILITY

(1973 REVISED EDITION)

1. INDIVIDUALIZED TYPE A QUANTITIES
2. CLASSIFICATION AS TYPE B (M)/B(U)

Layin
T8, 9, 10

MAJOR CHANGES FROM PROPOSED RULE

(AUGUST 1979)

1. EXCLUDE SOME DIFFERENCES BETWEEN TYPE B(M)
AND TYPE B(U)
2. WITHDRAW CHANGES TO LSA STANDARDS
3. WITHDRAW PROVISIONS TO TRANSFER REGULATION
OF ALL LSA MATERIAL TO DOT
4. EXCEPTION TO RETAIN 20 Ci LIMIT FOR CERTAIN
SEALED SOURCES

RESOLUTION OF INTERNAL COMMENTS - GENERAL COMMENTS

(NMSS MEMO DATED JUNE 11, 1982)

- 1(A) LSA PROBLEMS - ADD BRIEF STATEMENT ON IMPENDING RULE-
MAKING ACTION.
- 1(B) TYPE A QUANTITY LIMITS - COMMENT WITHDRAWN.
2. LSA TRANSFER TO DOT - DELETION OF DISCUSSION ON TRANSFER;
POSTPONE ACTION ON PETITIONS.
3. EXISTING PACKAGES - ADDED SUGGESTED TEXT.
4. IAEA TRANSPORT REGULATIONS - COMMENT WITHDRAWN.
5. Pu AIR TRANSPORT - ORDER CANCELLED IN REGULATION.
6. AUTOMATIC RENEWAL - TEXT CLARIFIED.
7. ECONOMIC IMPACTS - COMMENT WITHDRAWN

RESOLUTION OF INTERNAL COMMENTS - PART 71 TEXT
(NMSS MEMO DATED JUNE 11, 1982)

1. NUCLEAR WASTE DEFINITION - DEFINITION COMBINED WITH TEXT OF REQUIREMENT.
2. RADIOACTIVE MATERIAL DEFINITION - DEFINITION DELETED.
3. LIST OF DOT REGULATIONS - ADMINISTRATIVE REQUIREMENT.
4. PHYSICIAN EXEMPTION - NO CHANGE.
5. GENERAL LICENSES - MOVED Pu. AIR RESTRICTION TO SUBPART G.
6. EXISTING PACKAGE PROVISION - CLARIFYING CHANGE.
7. DATES FOR FABRICATION AND EXPORT - MADE THE SAME.
8. GENERAL LICENSES - MOVED Pu. AIR RESTRICTION TO SUBPART G.
9. LSA EXEMPTION - CLARIFICATION.
10. MULTIPLE DROPS - WILL DELETE WHEN JUSTIFIED.
11. REPORT PACKAGE DEFECTS - REFERENCE TO PART 21.

ACRS COMMENTS

(LANGHAAR LETTER DATED 2 AUGUST 1982)

1. PARA. 1, PERFORMANCE REQUIREMENTS - PART 71 AND IAEA (IN 1984) MOVING TO PERFORMANCE REQUIREMENTS.
2. PARA. 3, IAEA INCOMPATIBILITY - PACKAGES FOR INTERNATIONAL USE CAN BE EVALUATED AGAINST BOTH REGULATIONS.
3. PARA. 3, FUTURE IAEA REGULATIONS - MECHANISMS EXIST FOR INFORMATION ON IAEA RULES.
4. 71.4, MNOP DEFINITION - ONE YEAR PERIOD AGREED ON INTERNATIONALLY. EXCEPTIONS AVAILABLE THROUGH REGULATIONS WHEN JUSTIFIED. PART 71 LIMITED TO TRANSPORT.
5. 71.4, PART 73 REQUIREMENTS - SPENT FUEL REQUIREMENT IN PART 73 FOR INFORMATION SAFEGUARDING PROVISIONS.
6. 71.4, BOLT STRETCH - NOT CONSIDERED A PRESSURE RELIEF DEVICE UNDER PART 71. NOT AN ENGINEERED FIXTURE.
7. 71.4, SHIPMENT NOTIFICATION QUANTITY - CONFUSION REDUCED BECAUSE "NUCLEAR WASTE" DEFINITION ELIMINATED.
8. 71.10, INCONSISTENCY - DEFINITION OF RADIOACTIVE MATERIAL DELETED.

9. 71.13(B), EDITORIAL - NO CLEAR ADVANTAGE.
10. 71.13(c), LICENSEE CHOICE - INTENT APPEARS CLEAR.
11. 71.13(c), ALL OR PARTIAL REQUIREMENTS - INTENT APPEARS CLEAR THAT ALL REQUIREMENTS MUST BE MET.
12. 71.31, INCONSISTENCY - EXCEPTION ADDED TO 71.31(B).
13. 71.43, NO LOSS OR DISPERSAL - NOT CLEAR THE WORDING PRESENTS A PROBLEM.
14. 71.45, TIE-DOWN STANDARDS - PROPOSED DELETING, PUBLIC COMMENTS, REVERSED. 71.45(B)(3) NOT ADEQUATE BY ITSELF, PROBABILITY OF PACKAGE FALL WOULD RISE.
15. 71.51(A), NOT ADDITIONAL - ADDED SPECIFICITY.
16. 71.51(B), RECOGNIZE FILTERS - NO NEED TO ALLOW CREDIT FOR FILTERS. NOT BEST ENGINEERING PRACTICE.
17. 71.51(c), NOT TYPE B PACKAGE - IT IS PACKAGE FOR TYPE B QUANTITY OF LSA.
18. 71.71(c)(1), SOLAR TABLE - SOLAR RADIATION HAS MINOR EFFECT. CHOSE NOT TO COMPLICATE.
19. 71.71(c)(7), INVERTED DROP - RECOGNIZE NOT A GOOD NORMAL TEST FOR LARGE PACKAGES. EXCEPTIONS PROVIDED.

20. 71.75, TEMPERATURE CONVERSION - PARENTHETICAL NUMBERS ONLY APPROXIMATE. SEE 71.4 INTRODUCTION.
21. 71.85, MNOP TEST - PROTECTION REQUIRED AGAINST LOST PACKAGE TOGETHER WITH INOPERATIVE PRESSURE RELIEF. EXCEPTIONS CAN BE PROVIDED WHEN JUSTIFIED.
22. 71.87, EDITORIAL - IMPROVEMENT ACCEPTED.
23. 71.97, LIMITED SCOPE - APPLICABILITY LIMITED TO WHAT CONGRESS SPECIFIED.