

ORIGINAL

NUCLEAR REGULATORY COMMISSION

In the Matter of:

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON WASHINGTON PUBLIC POWER
SUPPLY SYSTEM, UNIT TWO

DATE: September 3, 1982

PAGES: 172 thru 400

AT: Richland, Washington

TR 4
delete B White

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
4 OPEN MEETING
5 SUBCOMMITTEE ON WASHINGTON PUBLIC POWER SUPPLY SYSTEM,
6 UNIT TWO
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Holiday Inn
Lewis and Clark Room
1515 George Washington Way
Richland, Washington

Friday, September 3, 1982

The open meeting of the Advisory Committee on Reactor Safeguards, Subcommittee on Washington Public Power Supply System, Unit Two, was convened at 8:30 a.m.

PRESENT FOR THE ACRS:

M. S. PLESSET, Chairman
J. C. MARK, Member
J. J. RAY, Member
J. EBERSOLE, Member
W. LIPINSKI, Consultant
I. CATTON, Consultant
M. GRIESMEYER, Staff

DESIGNATED FEDERAL EMPLOYEE:

G. QUITTSCHREIBER

ALSO PRESENT:

Present for the NRC and Industry:

R. Auluck
A. Schwencer
F. Eltawila
R. T. Dodds
A. Toth
D. Willett

Present for the NRC and Industry:

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

- W. C. Bibb
- D. W. Mazur
- R. G. Matlock
- J. R. Honekamp
- J. D. Martin
- J. V. Everett
- D. L. Renberger
- J. E. Rhoads
- R. L. Corcoran
- C. M. Powers
- D. T. Evans
- E. A. Fredenburg
- P. K. Shen
- R. Johnson
- B. Holmberg
- G. Bouchay
- R. Davidson
- J. Kimball
- B. Bedrosian
- F. Owen
- J. Sorensen
- F. Markowski
- S. Rifaye
- T. Meade

P R O C E E D I N G S

8:32 a.m.

1
2
3 MR. PLESSET: The meeting will come to order
4 and we'll proceed at once to the first item on the agenda
5 which is emergency planning. Will the Applicant proceed?

6 MR. NELSON: Yes.

7 MR. PLESSET: Okay, fine.

8 MR. EVERETT: My name is Vincent Everett and
9 I'm the manager for Emergency Preparedness for the Supply
10 System.

11 We've got a number of topics I'm going to
12 show slides on today. I'm going to go through them
13 kind of fast so as I go through them, if I hit a point
14 of interest, feel free to stop me and we'll get into
15 more discussion or if I don't cover an area of interest,
16 feel free to ask about it.

17 (Slide)

18 Areas that I'll cover include the 10 mile
19 and 50 mile emergency planning zone which the supply system
20 has adopted from the regulation.

21 The emergency organization and the outside
22 agencies that support us, emergency centers that we have
23 established and several of them are under construction,
24 the communication systems that will be in these emergency
25 centers and the communication systems with outside agencies,

L-4

1 the early warning system and the public relations
2 program -- the location of WNP-2 is unique to many
3 other utilities in that the majority of our 10 mile
4 emergency planning zone falls on the Hanford reservation.
5 And we have no permanent resident population there. We
6 have approximately 1300 people who live within our 10
7 mile zone, mostly in Franklin County on the East side
8 of the River. The population is, to the best of my
9 knowledge, the lowest population of any nuclear plant in
10 the country.

11 The two counties that we deal with in our
12 10 mile emergency planning zone, Benton County and
13 Franklin County. The two counties have jointly agreed
14 in a letter of understanding to develop one operational
15 program in support of the supply system in DOE. That
16 program is headed up by Benton County's Department of
17 Emergency Services. The Benton County has developed
18 an emergency plan for evacuation in response to support
19 both DOE and supply system. That plan has been submitted
20 to the State of Washington for review and was accepted.
21 It has been submitted to the federal emergency management
22 agency for review, and the Regional Assistance Committee
23 which is headed by FEMA did an interim finding, review
24 approximately two weeks ago of the plan and established
25 some deficiencies. The deficiencies were not new things

1 that we were not aware of. They were items that had
2 not been completed according to the schedules as yet.
3 I'll cover those a little more when we get into some of
4 our deficiencies.

5 Another organization, a big organization we
6 deal with is DOE. Supply system is a member of the
7 Hanford Contractors Emergency Planning Council that
8 meets periodically and discusses generic emergency
9 planning issues for the reservation. DOE and supply
10 systems jointly work with the county in the unified
11 programs so that we have the same emergency action levels,
12 the same levels which we notify the counties. We have
13 jointly established a training program for the local
14 fire departments, police, hospitals, ambulances which
15 we're presently conducting.

16 (Slide)

17 Our 50 mile emergency planning zone goes into
18 10 counties, two of which are in the State of Oregon.
19 The State of Washington has accepted the responsibility
20 of planning effort with the counties in the 50 mile
21 ingested pathway that are outside the 10 mile plume
22 exposure pathway. The State of Washington has developed
23 an ingestion pathway plan which they have sent to the
24 eight counties in Washington and have received favorable
25 response from many of those counties and a willingness to

1 participate. In approximately the next month or two,
2 we plan to go out and have meetings with each of the
3 counties to discuss the plan a little more and make
4 sure there's no additional problems. Those plans will
5 then be part of the county disaster planning program for
6 each of these counties.

7 The State of Washington is coordinating this
8 and also develops a state plan which the State of Washington
9 comes into any of the areas within our 50 mile zone and
10 ten mile zone to conduct radiation monitoring. So this
11 is a state responsibility as opposed to a county
12 responsibility.

13 The State of Washington plan was initially
14 developed in 1976 along with the Ben Franklin County
15 Plan, both in support of the supply system plan submitted
16 to the NRC. At that time, the NRC did not approve County
17 and State plans but they concurred in them. The State of
18 Washington and Ben Franklin County were the first plans
19 in the nation concurred in by the NRC. Since then,
20 we've revised them. The big impetus on our vision of
21 the State plan has been in support of Trojan and they've
22 got the program in pretty good shape and for the last year
23 they've been concentrating on the supply system. That
24 plan has been submitted to FEMA and the comments received
25 back from the Regional Assistance Committee and had very

1-6

1 minor problems with it. Excuse me, go back again, I've
2 got --

3 MR. MARK: Excuse me.

4 MR. EVERETT: Yes.

5 MR. MARK: You have a ten mile zone from
6 which evacuation is part of the plan.

7 MR. EVERETT: Correct.

8 MR. MARK: The 50 mile zone does not require
9 thinking about evacuation of people in that area, I
10 imagine, and the 10 mile zone doesn't include any people
11 so that's simple enough. Essentially it doesn't include
12 any people.

13 If you stretch out to about 15 miles, then
14 you've got Richland in your picture. 35,000 people,
15 Is the plan, as you've thought of it and I'm not suggesting
16 you should because I think it's ridiculous, a certain
17 amount of these provisions, does it include the idea
18 of evacuating Richland?

19 MR. EVERETT: The plan for the supply system
20 that is basically a County plan does not include the
21 evacuation of Richland. The City of Richland is developing
22 an evacuation plan in response to the Federal Emergency
23 Management Agency's designation of this area as a target
24 during nuclear war.

25 MR. MARK: No.

1 MR. EVERETT: So there is an evacuation plan
2 for Richland under development.

3 MR. MARK: Then out of curiosity, who thinks
4 what would be involved in evacuating Richland? I agree
5 that I don't believe you ought to have to and as you tell
6 me you don't -- what in heaven's name comes to mind
7 with the idea of evacuating Richland? Where do they go?
8 Do they move down the street to Kennewick? Or move across
9 to the seaside? Or what the devil do they have in mind?

10 MR. EVERETT: For the plan that they will be
11 developing for a nuclear war situation I'm not sure.
12 As far as supply systems, the areas we've looked at
13 are the Columbia Center which is approximately half way
14 between Richland and Kennewick. The Ben Franklin County
15 Fairground which is in Kennewick and the football fields
16 in Pasco and Kennewick. So we are not looking in an
17 evacuation of that situation, sending them outside
18 the tri-cities.

19 MR. MARK: Well, I'm not suggesting you should.
20 I was merely mildly curious as to what one would have
21 in mind if one thought of anything. There's no place
22 to go, that's worth going to.

23 MR. PLESSET: He's made a value judgement. We'll
24 go on. Thank you, Mr. Mark.

25 (Slide)

1 MR. EVERETT: The State of Oregon is a second
 2 state that's in our 50 mile zone. We had discussions with
 3 the State of Oregon. The State takes the legal responsi-
 4 bility for the counties also in Oregon in the ingestion
 5 pathways and meetings are planned within the next month
 6 or so.

7 The Federal Emergency Management Agency has
 8 taken the position that Oregon State with an ingestion
 9 pathway plan is for Trojan, has done all the preliminary
 10 planning in the organizational establishment and
 11 communications and equipment needed in an ingestion
 12 pathway and it's a minor revision to the Oregon State
 13 plan to include the supply system in it.

14 The emergency organization for the supply
 15 system consists of organizations basically located in
 16 three areas. The first area is the on-site at the plant
 17 which the plant emergency director is responsible.
 18 The second area is the near-site emergency operations
 19 facility which the recovery manager and his staff are
 20 responsible for. The third location is the headquarters
 21 building there in North Richland which includes the
 22 managing director and the public information responsibilities.

23 In the plant, the initial person who may make
 24 the declaration of emergency, that authority does go all
 25 the way down to the shift manager who may be the only person

1 on-site on that shift. The shift manager functions as
2 plant emergency director and the recovery manager until
3 those persons are on-site and relieved. He has all
4 authority to make decisions on the classification of
5 the emergency and recommendations for protective measures
6 to the public.

7 Within the plant emergency director's organization,
8 the plant organization, you have the technical support
9 center operations which will technically support the
10 plant control room in trying to determine where the,
11 the emergency condition is at, what problems are occurring
12 in the plant, and assist the operators if needed,
13 technically.

14 Plant administration staff makes sure the
15 necessary equipment, that food, that additional people
16 that are needed and those logistic supports are taken care
17 of.

18 The security force takes care of closure of
19 the WNP-2 plant, access control, provisions for immediate
20 access by fire and ambulance if necessary. They also
21 will provide closure of the exclusionary boundary which
22 is a 1.2 mile radius around the plant. And they will
23 work with Department of Energy, if necessary, to close
24 the whole Hanford side.

25 The operations manager -- excuse me. The shift

PENGAD CO., BAYONNE, N.J. 07002 FORM 2094

1 manager reports to the operations manager and the operations
2 manager supports the control room activities during the
3 emergency.

4 The maintenance manager provides personnel
5 to do repair operations. The on-site operations support
6 center director is the person in charge of dispatching
7 teams under the request and direction of the control
8 room and technical support center. We have three teams
9 report to him, a radiation safety medical emergency
10 team which is basically the health, physics and chemistry
11 personnel. A plant fire brigade, personnel rescue team,
12 and also a recovery team.

13 The plant radiation protection manager located
14 in the technical support center -- during the initial
15 phases of the emergency, before the emergency operations
16 facility is staffed up, the plant radiation protection
17 manager will direct any initial environmental field
18 team activities outside the site, outside the plant.

19 The emergency operations facility is headed
20 by the recovery manager. The recovery manager then
21 takes over responsibility once the EOF is established
22 for making protective measures, recommendations to outside
23 agencies, to requesting federal assistance and assistance
24 from other organizations to support the supply system.
25 He has the authority of the managing director to make

1 commitments and recommendations that the company is
2 requesting the other agencies to do. So the recovery
3 manager is the person that's in charge of the emergency.
4 Under him he has a technical group that interfaces with
5 the on-site technical support center, a site support
6 group which includes safety, QA, radioactive waste
7 management, supporting activities such as scheduling and
8 manpower and logistical support like food and additional
9 equipment, a security operation which will interface
10 with DOE and Ben Franklin County Sheriff's Departments
11 on closing off the reservation or whatever other actions
12 are necessary.

13 MR. MARK: I almost understood most of what you
14 said but I can't imagine what a QA man has to do with
15 what you're talking about.

16 MR. EVERETT: A QA man plays a minor role
17 during emergency, but may play an important role during
18 recovery effort in an attempt to get the plant in
19 condition where it's acceptable to the NRC to allow us to
20 start it back up.

21 MR. MARK: Why don't you have people who know
22 something doing things like that? A QA man is obviously
23 a bookkeeper of some sort.

24 MR. EVERETT: Yes, but we can't leave him out.

25 MR. PLESSET: You asked.

1 MR. MATLOCK: Go ahead. I don't think there
2 are any here today, so --

3 MR. EVERETT: We have an off-site agency
4 coordinator who will be responsible for making sure that
5 the outside agencies that respond to the emergency operation
6 facility such as the State, the County, other agencies
7 that support us, have provisions that they need such
8 as desks to work at, that the communications that they
9 need are there and so on.

10 The EOF public information officer is a person
11 who operates out of the EOF to collect data and information
12 that is then passed onto the public information operations
13 at the headquarters building.

14 At the EOF, there is an area which is a security
15 training area, a large classroom in which we will
16 conduct controlled tours by the press out to the emergency
17 operations facility so that they can get pictures of the
18 plant from there and also can go into the EOF and watch
19 the operations as the conditions dictate.

20 The radiological emergency manager will be
21 responsible for the field team operations of the supply
22 system, dose projection calculations using the computerized
23 system we're developing. He will coordinate with the
24 State of Washington and Department of Energy or environmental
25 field teams. During the initial phase of the emergency,

1 the supply system may have environmental field teams
2 out before anyone else gets out there. We will take
3 responsibility for assessment in the 10 mile zone.
4 Once DOE is equipped and responds, they will take over
5 the responsibility on the reservation off of the
6 exclusionary boundary for the supply system.

7 Approximately 6 hours is estimated for the
8 State of Washington to respond and at that point, the
9 State of Washington will take responsibility for the
10 Ben Franklin County areas in the 10 mile zone. The
11 supply system will still provide support and resources
12 to these agencies as they request them.

13 At the headquarters, there's two main operations.
14 The managing director operates out of the crisis management
15 center and this center keeps the managing director up to
16 date on what's going on. His main role during an
17 emergency is directed toward public relations and
18 interfacing with high officials from State and Federal
19 and County agencies to work towards ensuring support
20 to the supply system operation and assuring public
21 confidence that the emergency is being handled correctly.
22 At the headquarters building, is the emergency public
23 information center or joint information center in which
24 the supply systems, DOE, Ben Franklin County and the
25 State of Washington will jointly conduct press operations

1 in a unified effort. There is a memorandum of understanding
 2 that presently is in the Governor's office for signature
 3 which commits to this action and also the Federal
 4 Emergency Management Agency and NRC will have part of
 5 that. And the headquarters communication center which is
 6 a 24 hour staff center during normal operations, support
 7 security operations and that is the communication center
 8 being used by the headquarters personnel.

9 We have a number of outside organizations that
 10 will support us during an emergency. The Department of
 11 Energy will be a very large supporter of us with
 12 resources and manpower with the personnel that are
 13 available on the reservation and the equipment. We
 14 have a very large resource area unique to this side.

15 MR. MARK: You referred to the availability
 16 and the activity of some headquarters personnel. I
 17 presume we are talking of an office in Richland somewhere.

18 MR. EVERETT: Correct.

19 MR. MARK: Are those the headquarters personnel
 20 people? Or do they really live in Seattle or where?

21 MR. EVERETT: Those are headquarters people
 22 assigned to Richland.

23 MR. MARK: They're Richland people?

24 MR. EVERETT: Correct. We will use personnel
 25 from WP-3 as part of the emergency organization to support

1 WNP-2. We're looking at the company as a whole in looking
 2 at the best qualified people to fit in the various
 3 emergency positions. Those people from WNP-3, however,
 4 will staff up either a second or a third shift because
 5 they will not be available initially to respond. But
 6 we do have some highly qualified people there that we
 7 plan to use.

8 The Portland General Electric is -- we have
 9 an agreement with them to support us during an emergency
 10 a mutual letter of understanding. We are also in the
 11 process of developing an agreement with the West Coast
 12 utilities, including Pacific Gas and Electric, Southern
 13 California Edison, Sacramento Municipal Utilities District
 14 and Arizona Public Service and a joint agreement that
 15 would support any of the plants if an emergency occurred
 16 if support were requested.

17 Exxon Nuclear provides support with three
 18 monitoring personnel. Their main function and use would
 19 be to go along the 10 mile zone along Richland and to
 20 verify that no radiation levels are exceeding limits
 21 there.

22 Pacific Northwest Labs has available labs,
 23 dosimetry services, whole body counting, U.S. testing,
 24 has environmental sampling capabilities and TLD's.

25 Babcock and Wilcox, that's part of the WNP-1

1 program, General Electric instituted nuclear power
2 operations can support us with manpower and assist us in
3 finding equipment throughout the nation.

4 American Nuclear Insurers will provide support
5 to personnel evacuated or public, if it's evacuated,
6 Northwest Health Services with hospitals for contaminated
7 personnel and the State and Counties. Coast Guard for
8 for closure of the river, Federal Emergency Management
9 Agency for assistance in communications in public
10 affairs operations, NRC also.

11 (Slide)

12 In our facilities we have in the plant the
13 tech support center which is located -- it's a new building
14 being constructed outside the rad waste building, Unit
15 Two and it's a 441 level as opposed to the control room
16 of 501 and there are no security boundaries between
17 those two operations during emergency, so there's close
18 access to the two facilities.

19 The technical support center consists of a
20 work area, communications area and some offices,
21 records, a kitchenette and equipment.

22 (Slide)

23 The technical support center is built to
24 the same capability as the control room. It will be
25 staffed by the technical support center director and a

1 technical staff and the plan emergency director.

2 (Slide)

3 The operations support center in the service
4 building, it's the service building lunchroom and it's
5 a point at which personnel that are evacuated will assemble
6 for accountability. Those unnecessary people during
7 major emergency would be evacuated off-site initially
8 to the EOF. If conditions dictate, we'll send them down
9 to the headquarters building and the operation support
10 center director and the teams operate from here.

11 (Slide)

12 The Emergency Operations Facility is a new
13 structure approximately 3/4's of a mile from Unit Two.
14 It's designed to withstand serious release of radioactive
15 material, approximately 2 feet of concrete shielding on
16 the ceiling and the walls are covered with dirt. It's
17 a basement concept. In the Emergency Operations
18 Facility there are a number of areas down in the shielded
19 area and I might point out that emergency operation
20 facility is a part of this overall facility which is
21 called the plant support facility. The emergency operation
22 facility is the basement shielded part. And in there we
23 have areas for supply system, decision making, security
24 operations, off-site agency efforts, technical data
25 operations where the corporate engineering staff would assist

1 the plant with technical data. The dose assessment area
2 for projecting doses at the ten mile zone, a back up
3 radiological lab for supporting the plant, the whole
4 body counters, the TLD System and some work areas.
5 The the other parts of the plant, excuse me, the other
6 parts of the facility, the non-shielded areas, we've
7 identified labs that will be used if radiological
8 conditions will allow us; we have a decontamination area,
9 first aid area, and upstairs we've got --

10 (Slide)

11 We've got a number of classrooms which will be
12 used for work areas and we've got the media briefing
13 area which is a security center, security classroom I
14 mentioned awhile ago, that we'll bring the press in
15 and give them briefings there.

16 (Slide)

17 At the headquarters building, we have the
18 presently called Emergency Public Information Center.
19 One of the comments of FEMA was they'd like to see it
20 called a joint information center so the name will change.
21 The joint information center will be used by all agencies
22 involved with public relations activities to get the
23 press here to get the information and not have them going
24 to the county emergency operation center and the state
25 emergency operation center and other places.

1 The telephone response center and the rumor
2 control center are areas to which we will try to handle
3 the incoming telephones and advise people what's happening
4 and people who call in we'll read the press releases to
5 them. If people call in with assistance, we'll direct
6 those calls to the proper person. We have some office
7 areas for personnel, telecopy area. This facility does
8 have emergency power that will support these areas and
9 might point out the emergency operation facility also
10 has emergency diesel generators, too.

11 (Slide)

12 Upstairs in the multi-purpose facility is the
13 crisis management center which is presently the management
14 board room and the security communication control center
15 which is operated 24 hours a day. The security center
16 will be the initial notification center and the plant,
17 when the emergency occurs, a call will go to this center
18 here and the security guard will collect the information
19 that the operators will tell him on the forms that the
20 State, County and Supply System and DOE agree to which
21 are near completion and then we'll make all the necessary
22 phone calls to notify the outside agencies within 15 minutes.
23 Then we'll start calling supply system personnel, alerting
24 them to the emergency so that they can respond if they're
25 required to.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Slide)

The emergency communications network -- we spend a lot of time working with communications. If you look back at emergencies at other plants, and at drills, you also see a deficiency shows up with communications. So we've spent a lot of time with this. We've established a radio network which in the communication center at the headquarters and also a communication center at the emergency operation facility has frequencies for the State when they respond with their radios, with DOE, with the local law enforcement agencies we have the frequency that all law enforcement agencies in this area have. We can talk to either the Benton County Sheriff, the Franklin County Sheriff, Richland police, and of these agencies.

We have frequencies where we can talk to the Coast Guard. We have the DOE frequencies. We can talk to DOE security, DOE fire department and then all supply system frequencies. During the emergency, the emergency operations facilities communication center will function as the primary radio center. The headquarters emergency communication center will function as the primary telephone center for calling people so we'll have split responsibility there. We'll probably have three to four people assigned, dedicated to communication operations.

1 Dedicated phones, we have dedicated phone systems
2 which connects the plant, the emergency operations
3 facility, the headquarters, DOE, Benton County Department
4 of Emergency Services and County Emergency Operation
5 Center, and the State of Washington's Emergency Operation
6 Center, dedicated phone system with a FAX facsimile
7 system where we can FAX the information to try to minimize
8 the amount of occurrence in which data is taken down
9 incorrectly over the phone. We'll just write it down
10 to them, if it's important data, technical data, and
11 FAX it to them. We will have the facsimile system which
12 will give us approximately a 20 minute turn-around per
13 page which is about as fast as we get.

14 Crash network is part of the dedicated phone
15 system. With a dedicated phone system, you can selectively
16 dial any of the various phone drops. With a crash network,
17 you can push a single button and it rings all of them.

18 (Slide)

19 The early warning system -- supply system is
20 presently reviewing the technical basis for the early
21 warning system. I'm going to show you in the next slide
22 is, what we are prepared to do at this time prior to
23 completion of our technical review of the early
24 warning system requirements. The early warning system
25 will consist of two systems basically -- sirens for transient

1 areas such as the Columbia River and the Yakima River
2 which come into our 10 mile zone, tone activated radios
3 for residents, permanent residents within our area. There's
4 approximately 1300 residents in the 10 mile zone,
5 approximately 435 homes I believe. The tone activated
6 radios are connected to the emergency -- or will be
7 activated by the emergency broadcast system which is
8 KONA, 610 AM for the tri-cities.

9 (Slide)

10 If we look at our ten mile zone, this shows
11 the points for the location of the sirens. The sirens
12 have approximately a one mile range and we've analyzed
13 the system, we've provided a report to the NRC and FEMA.
14 We've got initial concurrence by FEMA that the design
15 is acceptable and they will be installing it next year.

16 MR. RAY: Mr. Everett?

17 MR. EVERETT: Yes.

18 MR. RAY: There's a question in my mind. What
19 does the public in the area understand that the sirens
20 mean and how is that communicated to them?

21 MR. EVERETT: The public information program
22 which will include a brochure that we hand out to all
23 residents in the 10 mile zone and also will do some town
24 hall meetings with people and possibly some newspaper
25 advertisint. We'll state that the early warning system that

1 is in place is an early warning system for all disasters,
2 not just a nuclear disaster. That when these sirens
3 go off, you are not to immediately evacuate. That is
4 just a notification that you are to turn on your radio
5 to the emergency broadcast system and to await further
6 instruction. A lot of effort will be, don't evacuate.

7 MR. RAY: When will this information be
8 disseminated or has it already been disseminated?

9 MR. EVERETT: The emergency public information
10 brochure is being developed and it will be disseminated
11 next spring. We hope to start the public meetings in
12 approximately May.

13 MR. RAY: What are your plans for future
14 repetition? You know, the public has a short memory
15 if things are not favorable to them.

16 MR. EVERETT: It's an annual program. So each
17 year we'll send out -- we hope to do different brochures.
18 The brochures will also be in the information centers,
19 will get out to Kiwanis Clubs and other organizations,
20 if I can't give presentations. We've already done that
21 in the last couple of years, so it's an active public
22 information program.

23 MR. RAY: How long will it take? It will be
24 repeated?

25 MR. EVERETT: Yes.

1 MR. NELSON: Mr. Ray, Mr. Ray, it might be
 2 a time to note it now that we have already committed to
 3 do the joint exercise in June of 1983 so all the dates
 4 that Vince is talking about lead up to that first joint
 5 exercise so all that will be tested in June of next year.

6 MR. RAY: Thank you.

7 (Slide)

8 MR. EVERETT: Our effort on public information --
 9 we'll try to build up a peak about the time of our exercise
 10 in June. The public information program will include the
 11 annual program of brochures, media program which already
 12 is in place and has been in place for a number of years
 13 with DOE in which the press come and tour the facilities
 14 and get presentations given to them. A speaker's bureau
 15 which goes down and gives presentations and classes on
 16 a number of subjects and they'll also be giving them on
 17 emergency planning, the visitor's center, and during
 18 emergency operations we have the joint press center and
 19 the rumor control operations.

20 MR. MARK: You mentioned in many places to
 21 which phone calls might be directed that cited questions
 22 raised and probably you said but I missed it, I guess,
 23 where is the voice who says, there is radioactivity moving
 24 out to the East, the West or the South? Is that the plant
 25 manager and is he shielded from -- I don't mean he's shielded

1 but he obviously can only handle a few phone calls. Where
2 does that authoritative comment come from overriding
3 excited concerns that B&W or -- you mentioned about 17 or
4 maybe 20 different people who might be handling something
5 or other but they don't know what they're handling.

6 MR. EVERETT: The information on what is occurring
7 for example -- a release from the plant -- will go the
8 press from the emergency public information director
9 located at the joint information center at the headquarters
10 building.

11 MR. MARK: And he will be in direct contact
12 with the plant manager or something of that sort?

13 MR. EVERETT: That's correct. He is part -- his
14 phone is on the dedicated phone system and he can contact
15 the plant manager, recovery manager, states and counties
16 and coordinate this release. What will happen in an
17 information situation like that is that the recovery
18 manager and the emergency operation facility public
19 information person there at EOF -- he collects the
20 data, the recovery manager makes sure it's accurate, that
21 then goes to the Emergency Public Information director
22 at the headquarters joint information center who then
23 releases that to the public and any request for information
24 that comes in through the supply system or the phone
25 system will come into the public information center there at

1 the headquarters building and the telephone operators
2 will read the press releases. If they do not have the
3 information, they will either get the information while
4 the person stays on the phone or get a phone number to
5 try to call them back later. So the single voice comes from
6 that joint information center at headquarters.

7 MR. MARK: Thank you.

8 (Slide)

9 MR. EVERETT: The last couple of slides, I
10 want to point out the advantages of the emergency preparedness
11 programs for the Hanford reservation. The Hanford
12 reservation has been operating nuclear plants since
13 the early 1940's. There's a large pool of technical
14 personnel and resources available to support us during
15 emergencies. We have low population in our planning
16 zone. It minimizes problems of evacuations. We have
17 a local acceptance and understanding of nuclear operations
18 which is very beneficial to our programs. We have a large
19 number of people in the community who are directly
20 related to the nuclear operations out here.

21 We have an active DOE emergency preparedness
22 program that supply system coordinates with.

23 (Slide)

24 The advantages of the supply system that
25 are unique is to point out that it's a nuclear oriented

1 company and upper management is always aware of the
2 problems or nuclear operations in planning for emergencies.
3 They have a strong upper management support for safety.
4 One of the first things that Mr. Ferguson asked for when
5 he came on board was a status of where we were on emergency
6 planning and that was very reinforcing to our program.

7 Our corporate offices are near the plants so
8 we have a corporate support in operations that are quickly
9 available. That's it.

10 MR. PLESSET: Well, thank you. I'm going to
11 make an assumption, that the subcommittee is going to
12 recommend that you come into the full committee and when
13 you're going to do that, you're going to have to condense
14 a day and a half into four hours.

15 Now, I'm going to give you a way of saving
16 34 minutes. I think in this section you need just one
17 simple statement. First you have been actively developing
18 an emergency plan. Second, you have no expectation of
19 any difficulty of cooperation with local governmental
20 authorities. You have a large amount of material in the
21 handout. If anybody wants to know more, they'll have to
22 ask you. Do you think that will do?

23 MR. EVERETT: That's fine with me.

24 MR. PLESSET: I think that will take one minute.
25 I think the material you have is very good and should be

1 made available to the full committee and you should be
2 there to answer any questions regarding details. That's
3 a way of -- it isn't that it isn't important. You have
4 to do it anyway. This is a requirement on you and I think
5 it's very good that you've been serious about it and it
6 looks like you've done very well.

7 MR. EVERETT: Thank you.

8 MR. PLESSET: But you can't go into the details
9 on these things. You have to do some severe condensing,
10 okay? But I want to thank you for your presentation anyway.
11 It's been good and Dr. Mark has learned quite a bit.

12 DR. MARK: Always.

13 MR. PLESSET: Okay, well, thanks again. One
14 more comment. Mr. Ray?

15 MR. RAY: I feel compelled to endorse what
16 Dr. Plesset has said. We have seen many emergency plans
17 and I -- in my own case, this is the most comprehensive
18 and most carefully thought out one that I've seen and
19 I'd like to comment you for it.

20 DR. PLESSET: Yes, and we'll try to mention
21 that to the full committee and that will help you. Mr. Ray
22 made a very pertinent observation and it's true. I agree
23 with it completely.

24 MR. EVERETT: Thank you. The next speaker will
25 be Mr. Renberger, Deputy Director of Technology who will

1 discuss geology and seismic issues.

2 MR. RENBERGER: The issues, part of this slide
3 is at your request, the issues on seismology and geology
4 have been resolved with the NRC staff.

5 (Slide)

6 The supplemental safety evaluation report was
7 delayed while we pursued a review of a fault on the
8 Southeast anticlimb of Gable Mountain. We demonstrated
9 that that fault which was the nearest site fault, was
10 not capable so, earlier a few months ago we had some
11 issues. Now we have those issues resolved.

12 (Slide)

13 The topic today I will cover today in summary
14 form will be the regional and site geology, the construction
15 permit licensing basis, new information since the time of the
16 construction permit and then the operating license, licensing
17 basis.

18 (Slide)

19 On your site tour, the site is here in close
20 proximity to the Columbia River. The tri-city areas
21 are down here in the vicinity of the bend. You should
22 have seen from the site the Saddle Mountains clearly,
23 a high range of mountains across the Columbia River,
24 possibly the Gable Mountains, a much lower range of hills
25 here, the Rattlesnake Wallula alignment, Rattlesnake Mountain

31
1 is a very large mountain to the Southwest of the site
2 and this is a -- there's an alignment of hills along here,
3 down the Wallula fault zone. There's faulting known
4 to be down in here.

5 These other lines here are structures in the
6 vicinity that are folds in the basalt that underlies the
7 area.

8 (Slide)

9 Underneath the plant site, there are gravels
10 about 60 feet deep that are in the age range of 10,000
11 years old, 10,000 to 15,000 years. These gravels came
12 from a Missoula flood event which brought a large body
13 of water through the region from an ice dam in the Montana
14 area. Below that are very rock like cemented sands,
15 silt and gravel down to a depth of about 400 feet with
16 an age of actually 3 million to 10 million years.
17 The below that are the basalt layers. Basalt flows
18 that extrude in the region in the range of actually
19 10 to 25 million years ago and there are 25 major flows
20 identified. These basalts are chemically different and
21 they can be cored and identified so there's a good
22 strategic or stratographic horizon to map.

23 MR. RAY: Mr. Renberger, perhaps I wasn't
24 listening hard enough. Would you encompass the area with
25 your light on the map under which the basalt is underlining?

1 MR. RENBERGER: The basalt underlies the whole
2 region.

3 MR. RAY: The whole region.

4 MR. RENBERGER: Yes. And it is a predominant
5 feature. For example, at these hills, it is very near
6 the surface. At the site, under the plant, there is this
7 very old cemented silt and gravels which also has strato-
8 graphic horizons in it, identifiable by both reverse
9 magnetism, you know, identifying the age by reverse
10 magnetism and by radiographic or measuring it with the
11 gamma radiation and so on.

12 MR. RAY: Would you encompass the area of
13 the Hanford reservation on the map for me?

14 MR. RENBERGER: The Hanford reservation itself
15 goes up to Rattlesnake Mountain, along the Columbia River
16 crosses the Columbia River in the federal reservation in
17 this area, comes back down this side here, so it's
18 right in that area is the Hanford reservation.

19 MR. RAY: Thank you.

20 (Slide)

21 MR. RENBERGER: The construction permit for
22 number two was issued in 1973 but there's been a lot
23 of activity in the area from licensing standpoing since
24 that time. We have two other plants in the vicinity
25 of number two, number one and number four units were licensed

1 in 1975 and in 1978 and in obtaining licenses, construction
 2 permits in those plants, additional work was done in
 3 the region. The techniques and methodologies and licensing
 4 criteria evolve with time as you know and so additional
 5 work was done and then finally we're at this present
 6 stage with the number two operating license review.

7 (Slide)

8 The construction permit licensing basis was
 9 used for all the facilities at Hanford in the late 60's
 10 and early 70's, based on the largest historical
 11 earthquake, intensity 7 that occurred near Walla Walla,
 12 Milton-Freewater, Oregon, Walla Walla, Washington,
 13 Milton-Freewater, Oregon and it occurred in 1936, about
 14 80 kilometers from the site. The the exact structural
 15 association of that earthquake with a known structure
 16 or fault has not or was not determined at that time
 17 and it was assumed that that earthquake could have
 18 been associated with the alignment of the Rattlesnake
 19 Hills, Walula Gap fault zone, that was assumed that the
 20 Rattlesnake Mountains might be capable. For conservatism,
 21 the intensity was increased to eight and then the design
 22 basis for the plant of .25G, a zero period of acceleration
 23 was identified with the appropriate response spectrum.

24 (Slide)

25 Since -- in recent time now, in the past several

1 years, there has been additional work associated with the
2 basalt storage project, waste storage project at Hanford,
3 the Skagit-Hanford plant citing, the supply systems own
4 work in response to NRC questions. So there's a large amount
5 of additional data obtained and of course, in this field,
6 it will always be obtained; there's always someone looking
7 in the field, drilling and so on.

8 (Slide)

9 Out of all this data, the analysis, the analysis,
10 the interaction with the NRC has come the operating license,
11 licensing basis. This operating license basis still rests
12 upon the largest historical earthquake being that 1936
13 Milton-Freewater event, but in the past two years, we
14 have assessed the magnitude, probable magnitude of
15 that event, looking back at the instrumented measurements
16 of that earthquake instead of just the reports, and
17 it's been assessed as a magnitude 5-3/4 and the magnitude
18 assessment as you know, is a more preferred licensing
19 basis these days than an intensity basis, so we have done
20 that.

21 The nearest capable fault has been identified
22 as a central fault on Gable Mountain.

23 MR. RAY: Excuse me. Do I read from the
24 diagram your statement that the magnitude 5-3/4 is
25 considered equivalent to the intensity of 7?

1 MR. RENBERGER: I wouldn't say that you could
2 find a correlation curve but by the separate techniques
3 that evaluate intensity and that evaluate magnitude, yes.

4 MR. RAY: Well, in your earlier, in your CP
5 stage, the intent for conservatism was to consider
6 intensity 8.

7 MR. RENBERGER: And there were correlations
8 that convert intensity to acceleration that were used
9 to arrive at the .25G.

10 MR. RAY: Okay, and you're holding that--

11 MR. RENBERGER: We're holding that -- I'm saying
12 here that for the operating license licensing basis,
13 that same event still assessed at an intensity 7 -- there
14 has been no change in that assessment of it --

15 MR. RAY: Yes, but the element of conservatism
16 is what's concerning me.

17 MR. RENBERGER: All right, that will come later.

18 MR. RAY: Can you bring that out?

19 MR. RENBERGER: Okay, yes. All right.

20 MR. PLESSET: Actually, Mr. Ray has touched on
21 a point that would be in the greatest interest to some
22 of the committee members who are converted seismologists
23 or physicists. There's nothing more enthusiastic than
24 a recent convert. So, you have to be prepared for that and
25 questions that they may have. Among questions that you will

1 get are questions that nobody can answer but you mustn't
2 be too surprised.

3 MR. RENBERGER: I was afraid of that.

4 DR. PLESSET: What's the return period?

5 MR. RENBERGER: Pardon me?

6 DR. PLESSET: What's the return period?

7 MR. RENBERGER: We do have an estimate of that
8 for this plant.

9 DR. PLESSET: Okay, and you can defend it?

10 MR. RENBERGER: We have an estimate of it for
11 this plant. I wouldn't defend it strongly but say, but
12 we can describe the rationale for it.

13 DR. PLESSET: Okay, I think that the conservatisms
14 and your basis for it are the really important part of
15 your presentations, rather than a lot of details except
16 that you have to get into those to answer the question
17 properly. I'm trying to be helpful, that's all. I'm not
18 being critical.

19 MR. RENBERGER: Well, let me jump down to
20 the safe shutdown earthquake structure now and answer
21 your question on conservatism.

22 The Rattlesnake-Wallula alignment still is
23 the most prominent structure considered to be capable of
24 faulting, but in the year since the construction permit
25 there have been techniques developed for estimating magnitudes

1 on structures and faults based on fault length, fault
2 area, and so on, so now on this basis, both the NRC
3 Staff and our consultant have evaluated what rattle--
4 what this Rattlesnake Mountain - Wallula alignment really
5 is capable of and it has been assessed at a magnitude
6 6.5 and that magnitude still is -- and the resulting
7 site acceleration is still within the .25G design, so
8 the actual, the translation of this earthquake at
9 Milton-Freewater up along this is no longer done quite
10 that way because of new methodologies and there's one
11 other methodology I need to cover with respect to that
12 and that is, there is some controversy about whether
13 that 1936 earthquake occurred on an extension of that
14 Wallula Fault Zone or on a height fault that trends this
15 way to the Northeast and because the Staff, the NRC Staff
16 was not convinced that it could be pinned to either of
17 those structures, they asked us to develop a site specific
18 response spectrum based on that earthquake. It was
19 conservatively done at 6.1 but develop a site specific
20 response spectrum that assumed a random earthquake occurred
21 somewhere in the region on a structure not identified
22 or maybe not on a structure and develop a site specific
23 response spectrum based on that earthquake occurring about
24 15, 16 kilometers away, so these methodologies in the
25 licensing world -- this methodology is comparable to what

PENGAD CO., BAYONNE, N.J. 07002 FORM 2094

1 has been used on the review of operating plants, re-reviews.
2 Develop the random earthquake response spectrum. So the
3 reason this slide is entitled to OL licensing basis
4 is methodologies have changed some but the basic facts
5 haven't changed. The 1936 earthquake is still there.
6 It's still the one that occurred. As I started to say,
7 there has been in the past two years, a capable fault
8 that offsets those 10,000 year old sediments on Gable
9 Mountain. It's been assessed, has a capability of
10 a magnitude 5. It does not, the resulting impact on the
11 plant does not reach the .25 GE design basis.

12 In addition, small magnitude earthquakes
13 have been assessed. At the time of the construction
14 permit it was known that there were micro-earthquakes
15 occurring in the region in little swarms, generally
16 associated with the boundaries of irrigated regions,
17 newly irrigated lands across the Columbia River, so
18 in this licensing phase, we have looked at small
19 magnitude earthquakes in reasonable proximity to the
20 site, looked at the ground motion from those, assessed
21 the free field ground motion and then assessed the
22 impact on the plant and again found that the plant
23 design basis is adequate to handle the small magnitude
24 earthquakes.

25 Now, for the exceedence or recurrence interval.

1 Because of the large number of structures in the region
2 that have faults, but the fact that the region has
3 low seismicity, it's not a California situation. We
4 commissioned a probabilistic risk analysis or exposure
5 analysis for seismic purposes, to look at all of these
6 structures and say what if you have an earthquake from
7 a strike, strike slip-fault or a reverse fault, what
8 size earthquake could it be based on a geology using
9 the accepted correlations, what would that earthquake
10 result in in a seismic or ground acceleration at the
11 site and then look at the overall exposure of the
12 sight to all potential sources and in our theory the
13 probabilistic assessment should provide over some long
14 time, many years, some perspective as to how important
15 new data is to you. How does some new data affect the
16 seismic exposure.

17 So what we found in the study is the expected
18 recurrence interval, the expected annual probability of
19 exceeding the .25G design, is 1.1×10^{-4} or about one
20 in ten thousand years recurrence interval for the safe
21 shut down earthquake. In the licensing submittals,
22 there is also a curve that shows the recurrence interval
23 for other size earthquakes. I can imagine that at the
24 full committee meeting we may talk about that curve.
25 Or today, if you like.

1 DR. PLESSET: One way of looking at what you
 2 might encounter is if you had an earthquake, say 10^{-4}
 3 probability, annual probability, which was way, 0.35G
 4 for example, you've got a core melt. This makes that
 5 core melt too probable. I may not have expressed it,
 6 but you see what I'm getting at?

7 MR. RENBERGER: Yes.

8 DR. PLESSET: This is something you have to be
 9 able to deal with. We have to have the probability of a
 10 core melt, less than 10^{-4} .

11 MR. RENBERGER: I can't help but throw this
 12 slide up. It's back up and you don't have it there.

13 (Slide)

14 But, it deals with what you're talking about
 15 and this is the overall result from the exposure
 16 analysis and the .25G design is here and you read the
 17 1.1 approximately times 10^{-4} . Considering all the
 18 sources from all these structures, now if you hypothesize
 19 a larger earthquake of whatever size it takes to make
 20 a core melt, we don't know. But if you want to guess
 21 and run down this curve, you can find the probability
 22 of exceeding higher G values, or the recurrence interval
 23 for higher G values. Now, a fact with this curve, which
 24 is in our licensing submittal, is that the slope of this
 25 top line is strongly driven by the assumption that a south-

PENGAD CO., BAYONNE, N.J. 07002 FORM 1084

1 east anti-climb from Gable Mountain is capable. It's
 2 the closest to the site, and earthquakes, it was assumed
 3 90% probability of being capable in the exposure
 4 analysis, so earthquakes that close to the site really
 5 control the site exposure, this top curve. As you can
 6 see, there's the exposure from that. Here's the exposure
 7 from Rattlesnake-Wallula, the real large structure in
 8 the Region, so being so close it controlled a study,
 9 the output. Now, we went in and drilled core holes over
 10 that fault, found reverse magnetism in a layer of gravel
 11 over that fault that was not disturbed and showed that
 12 it's not capable, but we did not go back and redo this
 13 analysis, but the real truth is that curve now, from
 14 all sources would be down in this range and the change
 15 slope really helps in terms of the probability of the
 16 higher G values.

17 DR. PLESSET: Well, that's very helpful and
 18 I think you should have that available, too, when you come
 19 to the full committee.

20 MR. RAY: I'd put the new curve in.

21 MR. RENBERGER: Okay. But I'm not a geologist-
 22 seismologist so I'm a little hesitant to throw this up
 23 here but I do understand why we did it, what it means
 24 and the significance of it.

25 MR. RAY: I don't mean to use the diagram, use the

1 diagram, but correct the curve, if you have good scientific
2 basis for it.

3 MR. RENBERGER: Well, we have mixed feelings
4 about that. We're not going to stand behind this as the
5 real answer, either, and it's not really accepted in
6 the licensing arena. It's interesting and it helps us
7 all gain a perspective and periodically, we would
8 probably update it, but we haven't chosen to update it
9 for this particular time, just because of that. It
10 isn't something that you can sit on that strongly, but
11 it's useful.

12 MR. RAY: You can sit on it in terms of validity
13 of evidence in a court of law in a suit, for instance,
14 but from the viewpoint of technical thinking, it seems
15 to me it's a plus value for you and if you get into a
16 discussion in detail, I would have that curve available
17 and I would have it corrected, updated, as a point of
18 persuasion, if nothing else. I'm having trouble because
19 of age and reading the axis, the values on the axis of
20 ordinates.

21 MR. EBERSOLE: Let me comment on that. I see
22 something that I think you see, because I've got my
23 tri-focals on.

24 MR. RENBERGER: I knew I shouldn't have put
25 this up.

1 MR. EBERSOLE: What is says to me is that
2 in the 40 year life of the plant, you've got something
3 like a 10^{-3} . Am I reading this correctly?

4 MR. RENBERGER: That's correct.

5 MR. EBERSOLE: Chance of having an exceedence
6 type earthquake, is that correct?

7 MR. RENBERGER: On that top curve, that's
8 correct. Or 10^{-4} if it's down in here.

9 MR. EBERSOLE: Now, that's going to automatically
10 throw us into a horrendously detailed investigation of
11 the seismic margins you have in your equipment, including
12 the margins in a very expensive equipment where it costs
13 a lot to make it better, and the \$2 type items where you
14 could buy at large margins, the whole spectrum of
15 margins.

16 MR. RENBERGER: If you sit with that top curve.

17 MR. EBERSOLE: Yes, right. So, that's going
18 to provoke an awful lot of further conversation unless
19 you can lower it.

20 MR. RENBERGER: All right, I got the point.

21 DR. PLESSET: I also would suggest if you
22 might have available to you at the full committee meeting,
23 the experts in this field that you had to work with you.

24 MR. NELSON: The experts are available.

25 MR. RENBERGER: They're available and here today

1 if you wished.

2 DR. PLESSET: Because they might need to enter
3 the discussion.

4 MR. RENBERGER: We just haven't authorized the
5 spending of the money that it takes to do that, to lower
6 that curve.

7 MR. RAY: It's your application.

8 MR. RENBERGER: I know.

9 MR. EBERSOLE: Do you have a detailed study
10 of the so-called seismic safety margins across the
11 full span of equipment that are necessary to shut the
12 station down?

13 MR. RENBERGER: No, we do not.

14 MR. EBERSOLE: Well, you might find, you know,
15 that there's a few cheap items that are on the border
16 line of being barely proficient.

17 MR. RAY: At the risk of using two more minutes
18 of the precious time that Dr. Plesset is trying to
19 conserve and I'm sympathetic, I'm not a recent convert
20 to the seismology that he referred to earlier, but I
21 would like you to take two minutes to summarize the
22 margin of conservatism that you have. Now, you went
23 through quite a detail here. I have the impression
24 that you're going from a 5-3/4 to a 6.1 magnitude. You're
25 not tying it down to any specific structure and you're

1 bringing the possible source of a disturbance in closer
 2 to the site. Is this a real measure? Does this
 3 encompass the elements of conservatism that you've --

4 MR. RENBERGER: This is not our choice to do
 5 that. That's a methodology that the NRC uses now and
 6 they ask us to do that. Our consultants believe that
 7 earthquakes occur on structures, on faults and that
 8 a random earthquake in the region is not really something
 9 that should be used as a basis --

10 MR. RAY: It's a fantasy.

11 MR. RENBERGER: So we don't stand behind that,
 12 but we were asked to do that as a test, and we understand
 13 the reason for it, a test of what if, what if there is --
 14 how does your plant stand up to that earthquake closer
 15 to the site. We understand that.

16 MR. RAY: Now, you haven't left in my mind
 17 a clear picture of the degree of conservatism that you
 18 have in your design. Would you in layman's terms try
 19 to convey that to me?

20 MR. RENBERGER: I cannot directly, in layman's
 21 terms I guess, describe the degree of conservatism in
 22 the design. The techniques used in the design, I would
 23 have to ask Dr. Bedrosian to just briefly summarize the
 24 method of design for this plant compared to, you know,
 25 in terms of the techniques used and how that results in

1 margins.

2 MR. AULUCK: Dr. Plesset, the Staff would like
3 to make comment on that.

4 DR. PLESSET: Beg your pardon?

5 MR. AULUCK: The Staff would like to make
6 comment.

7 DR. PLESSET: I think that would be helpful
8 if we, if you let him have some of your time.

9 MR. KIMBALL: Jeff Kimball, I'm a seismologist
10 with NRC Staff. The 6.1 or the 5-3/4 are two different --
11 one is an ML and one is an MS, is the largest earthquake
12 in the tectonic province which has not been associated
13 with the structure, definitively associated with the
14 structure. And it's typical with Central and Eastern
15 U.S. sites, we view this as the tectonic province
16 earthquake. The earthquake which has some likelihood
17 to occur anywhere in the province. I don't believe
18 in random earthquakes either, but there is an unknown
19 that you don't know the structures that exist and that's
20 the way of dealing with that. And that's the conservatism
21 there.

22 In terms of the raw, the conservatism of the
23 CP was to just to increase the intensity by one unit and
24 at this stage, it's to assess the same structure in
25 terms of magnitude and the 6.5 is larger than any other

1 earthquake that has occurred in the tectonic province in
2 historic times.

3 DR. PLESSET: I think we understand that and
4 that's a way of indicating a basic conservatism which
5 is built into the review, but well --

6 MR. RENBERGER: Well, let's have DR. Bedrossian
7 address the design.

8 DR. PLESSET: All right, do you want to come
9 up and use the microphone, Dr. Bedrossian?

10 DR. BEDROSSIAN: Yes. I was asked to briefly
11 describe the conservatism available in the original
12 design of the plant for the seismic events.

13 I think the original design is of the early
14 1970 vintage and at that time, very stringent requirements
15 were placed, and limitations on the design because of
16 the state of the art at the time and the knowledge at the
17 time, so that the resulting design was in our opinion
18 quite conservative. The way a plant is normally analyzed
19 is that you develop a model and at the time a so-called
20 lump mass model was used. One has to allow for interaction
21 between the structure and the soil and at the time,
22 springs and dashboards were used to model such interaction
23 of things. A careful review by NRC imposed additional
24 constraints at the time. It suggested that very
25 stringent limitations on the damping values in the dashboards

1 representing the interactive effects, be imposed -- the
2 maximum damping value was set at about 10% of the time.
3 Since then, the know-how has developed and the methods
4 which are used to perform, to evaluate such structure
5 interaction effects are mostly based on finite elements
6 and/or equivalent methods of analysis and if this is
7 implemented and the limitation on damping and the
8 conservatism of the lump spring mass formulation for
9 interactive effects are deleted, one could see that the
10 significant conservatism was built in the plant. We had
11 the chance to do some finite element analysis or implement
12 them later, and the comparison between the responses
13 obtained from the original lump mass analysis and the
14 resulting values which were used in design of structures
15 and equipment and a more recent finite element analysis
16 are quite reflective of this significant conservatism.

17 DR. PLESSET: Thank you.

18 MR. RENBERGER: I have one more slide.

19 DR. PLESSET: All right.

20 (Slide)

21 MR. RENBERGER: In conclusion, the original
22 safe shut down earthquake has been confirmed, is adequate
23 and conservative, by the techniques that I've described in
24 some details and there are no open items, open issues
25 with the NRC Staff.

1 DR. PLESSET: Fine, well very good. Thank you.

2 MR. RENBERGER: The next speaker will be
3 Jerry Dusty Rhoads who will talk about equipment
4 qualification. Jerry is the program manager for equipment
5 qualification on the supply system staff.

6 MR. RHOADS: We'll go right into the first
7 slide.

8 (Slide)

9 I'm going to try to make this my presentation
10 brief, because I know there were a number of questions
11 raised earlier that I'd like to provide time for.

12 Primarily the objectives of our program
13 are to confirm the WNP-2's safety related equipment
14 can perform a safety function under all postulated
15 acts of incidents and conditions, where documentation
16 is deficient to establish this confirmation, take the
17 necessary corrective action.

18 We also want to address and meet the reasonable
19 and technically justifiable concerns raised by the NRC
20 in our recent activities and to meet these concerns
21 with aggressive programs. It minimizes the impact to
22 our plant completion. And also, to establish the resource
23 and expertise within the supply system to carry on the
24 work throughout the plant life.

25 (Slide)

1 The basic environmental requirements for the
2 WNP-2 plant are to meet the requirements of NUREG 0588
3 four months prior to full power operation and licensing
4 of the plant.

5 In terms of the licensing process, all nine
6 qualified items must be dispositioned by test or analysis
7 or other corrective action, by the NRC audit date. I'll
8 get into that date later.

9 All safety related electrical and mechanical
10 equipment shall also be qualified to the seismic
11 and hydro-dynamic loads by fuel load with 85% of
12 this equipment qualified and installed by the time we
13 have the audit with the NRC.

14 (Slide)

15 Plant history, in the upper left-hand corner,
16 you see the dates that are PSAR, construction permit,
17 and applicable IEEE standards for a licensing base. You
18 also see in the lower left-hand corner, when we procured
19 most of our equipment, placed orders and had deliveries.
20 You can see on the right hand upper side the FSAR docket
21 period and the intensity period in terms of new guidance
22 and information for the NRC for us to address, in terms
23 of NUREG 0737 -- when the TMI II accident occurred,
24 IEB 79 01B, and other regulatory documents provided us
25 information.

1 In the lower right-hand side, you see where we
2 started the equipment qualification upgrade program. It
3 was in late 1979 we chose to centralize the organization
4 to address essentially what was being provided to the
5 operating reactors. We didn't wait-for the NRC to
6 notify us to get hot out (ph) because we're an NTOL and
7 looking at this concerns (ph). We took action when
8 we -- on an upgrade program when the concerns were
9 raised to the operating reactors.

10 (Slide)

11 I'd like to talk basically in terms of
12 what constituted an equipment qualification program.
13 The first portion of this is establishing the evaluation
14 criteria. Our first review of NUREG 0588 gave us
15 some concerns. We disagreed with some of the elements
16 and we sent comments to the NRC on some of these points.

17 We also established that we needed to know more
18 about this issue technically and so through the
19 electrical power research institute, we commissioned
20 some studies to be done as an industry group. I've
21 listed them there. They've provided us some very good
22 fundamental information by which we could continue
23 our discussions with the staff and also refine our
24 program in the areas of critical -- in the critical
25 areas that really needed a good looking at or relooking at.

1 We also participated in AIF workshops to
 2 address areas of disagreement and to come up with
 3 alternate methods of meeting the Staff's concern and
 4 also in trying to implement our input into the rulemaking
 5 processes, we are also part of the nuclear utility group.

6 (Slide)

7 The second portion of the program and this
 8 is highlighted in NUREG 0588, half of NUREG C588 deals with
 9 defining the environment. The other half deals within what
 10 is the criteria that you evaluate your equipment to in
 11 terms of methodology.

12 (Slide)

13 Establishing the accident environment criteria,
 14 we re-performed radiation studies for our plant. We
 15 re-performed high energy line breaks for outside of
 16 containment. We have re-performed LOCA and MSLB, main
 17 steamline breaks inside containment. We've also looked
 18 at this effects of a LOCA and main steamline break to
 19 the secondary containment and we've looked at flooding
 20 and have completed all of these re-analysis except
 21 for the flooding issue outside containment which is
 22 nearly done. The original design base was a generic
 23 specification from our NSSS supplier. With very few
 24 exceptions, that general generic specification was adequate.
 25 There are a few cases where there's a slight higher peak

1 or a little bit longer duration.

2 The third element of our program is establishing
3 the basis, and by that I mean the equipment that we look
4 at and to try to pull this equipment into a definitive
5 list that brought all of the elements of equipment
6 qualification together.

7 (Slide)

8 This information was available. It was
9 scattered throughout the documentation but it wasn't
10 centralized. This was one of the harder areas of our
11 program, to pull all of this information together in
12 a centralized list, including the tag numbers, the
13 actual tag numbers of the equipment in the plant, the
14 manufacturer model number, what actual safety function
15 it performs, the plant location, exactly where it is
16 in the plant and how long does it really have to operate
17 during an accident and to what accidents does it have
18 to operate in.

19 Within this, finding backup documentation to
20 the certificate of conformance that were generally a
21 part of our basic documentation requirements from our
22 vendors was an activity that has been ongoing for the
23 last two years and we have been everywhere trying to find
24 and to establish good credible back-up documentation to
25 certificate of conformance. And to A/E files, vendor

1 contacts and utility sharing have been the success task
2 for us in finding a great deal of the documentation.

3 (Slide)

4 The fourth point of the program is to actually
5 perform the evaluation to the documentation and to the
6 criteria. We have as I say, centralized this function,
7 the supply system, it's staffed with 8 engineers working
8 directly for me and a couple of record analysts which
9 are a tremendous support in terms of documentation.
10 We are supplemented where our program is needed by
11 a consultant working under direction from us. I have
12 listed some of the consultant support and I believe
13 the on-site number is now close to 8 in terms of consultant
14 support.

15 (Slide)

16 The final portion of the program is when we
17 find document deficiencies where we can't establish
18 that the equipment was sufficiently tested or analyzed,
19 and the documentation, the back-up documentation is not
20 available or somehow as misplaced or lost and we
21 take corrective action. We have direct contracts with
22 two test laboratories, have listed them. We are cost
23 sharing with other BWR's of the WNP-2 vintage in a cost
24 sharing group which we call "Equate" and we're also
25 joining other selected cost sharing programs in the industry

1 that are not out of BWR areas but an instrument group,
2 Rosemont and Foxburrough transmitters were a part of that
3 group. We're part of an ITT General Controls cost sharing
4 group and we're very intense in terms of trying to cost
5 share this issue, cost share generating this additional
6 documentation with other utilities, to minimize the cost
7 of the program.

8 (Slide)

9 The program comes together with a great deal of
10 interaction from a lot of different sources. In the
11 seismic area, the piping analysis hydrodynamic loads,
12 document retrievable lead to being able to perform the
13 seismic evaluation.

14 On the environmental side, the various environmental
15 studies and an evaluation review to those lead to a
16 recommendation on whether or not the equipment is
17 qualified or there's sufficient documentation to qualify
18 it. Those lead to initiating a recommendation to our
19 project engineering staff. They assess the recommendation
20 for corrective action in terms of plant impact, what is
21 it going to do in terms of completing this plant. If I
22 make a recommendation to replace, what effect is
23 that going to have on us.

24 (Slide)

25 Upon concurrence with those recommendations we

1 initiate the requalification activity. In the center
2 line of our program is the complete acceptance of the
3 qualification program of each piece of equipment on our
4 plant and I've listed some of the licensing elements
5 which I'll go into more detail.

6 (Slide)

7 The seismic qualification schedule for both
8 mechanical and electrical equipment will be performed in
9 November of 1982. We've established that with the Staff.
10 We will submit a report to them six weeks prior for
11 them to select the equipment.

12 We're presently at an 85% qualified or an
13 85% level of qualification for the seismic element of
14 our program. The schedule shows completion of all Class 1E
15 and safety related mechanical equipment by fuel load and
16 we think we can make that.

17 (Slide)

18 The environmental qualification schedule
19 was our first submittal -- was provided to the staff in
20 January 15th, 1982, as input to the SCR process (ph).
21 We have continued working on our program and have established
22 about an 85% level of qualified equipment, for equipment
23 located in a harsh environment.

24 Our second submittal is scheduled about this
25 time next week to leave our house to go to the staff and it

1 will include responses to the NRC's first review, completion
 2 of the confirmatory analysis that I've talked about,
 3 corrective action plans for equipment with deficient
 4 documentation status. I'll also include our justification
 5 that WNP-2 can be operated safely pending completion of
 6 corrective action. This justification for interim
 7 operation was performed in accordance with the criteria
 8 given in the most recent draft of the present rule on
 9 environmental qualifications.

10 (Slide)

11 We have some corrective action programs under way.
 12 They include test programs for various pieces of equipment
 13 that I've listed here. These programs are under way and
 14 we are active on them.

15 Replacement actions. We have elected to replace
 16 some pieces of equipment. I might say for the majority
 17 of these we felt that the documentation was deficient.
 18 We didn't know if the equipment was but it was in our
 19 opinion a better course of action to take a replacement
 20 action and a retesting action so we chose to do that.
 21 We've upgraded NAMCO limits which is to newer nuclear
 22 grade models, the same with ASCO Solenoid Valves and
 23 a steam tunnel and inside containment.

24 For our electrical penetration boxes inside
 25 containment we are replacing the supply terminal blocks with

PENGAD CO., BAYONNE, N.J. 07002 FORM 2094

1 another terminal block by another company which we tested,
 2 completed those tests in December, the NRC monitored those
 3 tests with us and gave us a favorable report in terms
 4 of that test program.

5 We're also replacing some Bailey transmitters
 6 with newer transmitters from another manufacturer, that
 7 are qualified.

8 (Slide)

9 In the area of mild environmental qualification,
 10 which is outside the harsh area that I've been talking
 11 about recently, we have been of the opinion that a good
 12 maintenance and surveillance program was what was
 13 necessary and what should be implemented for this equipment
 14 to address environmental qualification concerns.

15 The NRC in their rulemaking process has
 16 recently published this guideline that it is primarily a
 17 QA requirement and not necessarily a qualification requirement
 18 and they've also stated that a good maintenance and
 19 surveillance program meeting Appendix B and Reg Guide 1.33
 20 is sufficient and we comply. And we are in agreement
 21 with that position.

22 (Slide)

23 In conclusion, 85% of our items are seismically
 24 qualified. Our October submittal to the staff will
 25 provide the details to them. We have all -- we will have all

1 equipment seismically qualified by fuel load. 80% of
2 our LE items in a harsh environment are qualified and
3 I'm told this morning that number is up to 83. They'll
4 be detailed in the September submittal to the NRC. The
5 remaining 20% of the LE items in a harsh environment
6 are scheduled for qualification. This will be detailed
7 in our report and those are the options that will be
8 detailed in terms of our activities for that.

9 We have completed our justification for interim
10 operation and we will work with the staff to have that
11 approved prior to fuel load.

12 And for the items that are in a harsh environment
13 that are outside of this group of equipment items
14 that are required for the justification for interim
15 operation the other equipment will be qualified in
16 accordance with the conditions, recommendations for
17 November 30th, 1985.

18 That concludes my presentation and I'm open
19 for questions.

20 DR. PLESSET: Thank you, Mr. Rhoads.

21 Let me make a general comment. I think all
22 of this material should be available to the full committee
23 but I think the presentation you gave could be very brief.

24 Jesse, would you like --

25 MR. EBERSOLE: I'd just like to ask a few questions.

1 DR. PLESSET: I think Jerry wanted to first
2 and then we'll turn to you.

3 MR. RAY: Only a general comment. The question
4 of a qualification of equipment is a rats nest of
5 possible areas of disagreement and wheel spinning and
6 I'm impressed that you people have gone about this with
7 a very workmanlike attitude and you're facing up to the
8 problems.

9 MR. RHOADS: Thank you.

10 MR. RAY: I think it's very direct and
11 commendable.

12 DR. PLESSET: Jesse?

13 MR. EBERSOLE: Yes. I'd just like to ask
14 about some route considerations before you start your
15 qualification of program. As you know, the defense in
16 depth concept requires that you meet accident conditions,
17 whatever is an accident, on the thesis that you have the
18 privilege of mitigating the accident, considering a random
19 failure in one of two competent channels. Now, I said
20 random, not consequential. Having said that, when you
21 looked at the severe conditions associated with a pipe
22 break or whatever, is the basis of your qualification
23 program to ensure that after the accident has occurred
24 and having included the damage to perhaps some mitigating
25 equipment, do I have two competent mitigating systems .

1 available within which, one of which I can suffer a
2 random failure?

3 MR. RHOADS: The brief answer to your question
4 is no.

5 MR. EBERSOLE: Well now, I think we should list
6 those cases where you have a single functional operative
7 mitigating system left after an accident, because we're
8 going to have to consider the potential of that experiencing
9 the random failure, thus leaving you high and dry.

10 MR. RHOADS: Okay, the equipment is qualified
11 to the environment that it will see. In otherwords,
12 we perform tests to the equipment for the environment
13 that it will see and which it must function in, so
14 if we have a high energy line break and the equipment
15 is exposed to the high energy line break, we run a
16 test to those conditions to a type test, to verify that
17 the equipment can work in that environment. I do
18 not have two other trains outside that.

19 MR. EBERSOLE: No no no, I didn't say two
20 others, as long as you prove survivability of the one
21 that you looked at.

22 MR. RHOADS: Yes, we are doing that.

23 MR. EBERSOLE: So my statement is still correct.

24 MR. RHOADS: So my answer is yes.

25 MR. EBERSOLE: Yes, your answer is the reverse of

1 what you said.

2 MR. RHOADS: Okay, I misunderstood your questions.

3 MR. EBERSOLE: That you still have survived,
4 your equipment has survived such that you have the privilege
5 of a random failure after the accident.

6 MR. RHOADS: Assuming that I still have equipment
7 operable --

8 MR. EBERSOLE: Well, that's what you're supposed
9 to prove.

10 MR. RHOADS: Because I'm verifying it through
11 my testing.

12 MR. EBERSOLE: Yes.

13 MR. RHOADS: Yes.

14 MR. EBERSOLE: Isn't that the object of your
15 test to show that it's functional and thus give you the
16 privilege of a random failure subsequent to the accident.

17 MR. RHOADS: Yes.

18 MR. EBERSOLE: And isn't the basis of your whole
19 program simply that, to show that you have mitigating
20 competence in two channels?

21 MR. RHOADS: Yes.

22 MR. EBERSOLE: And you do have that everywhere.

23 MR. RHOADS: Yes.

24 MR. EBERSOLE: Watch it because there's places
25 that get tough.

1 MR. RHOADS: I know it gets tough. There's a --
2 I will have that is what I'm saying. We have a justification
3 for interim operation which doesn't assume that. All right,
4 so a justification for interim operation will show that
5 we have a single path to achieve cold shut down.

6 MR. EBERSOLE: Oh, an interim operation.

7 MR. RHOADS: Yes.

8 MR. EBERSOLE: You're going to have some cases
9 where you have only one functional track for mitigation
10 after an accident.

11 MR. RHOADS: Right, right, but in accordance
12 with the commission schedule, we will be, we will
13 demonstrate the qualification for the full range of
14 equipment by November 30th, 1985.

15 MR. EBERSOLE: Are there many cases like that
16 where you have only one functional track after an
17 accident? Are there half a dozen or a hundred or any
18 feel for this?

19 MR. RHOADS: No, I don't. What we have just
20 completed, the justification for interim operation,
21 it shows that there are some pieces of equipment that
22 we're going to have to establish qualifications documentation
23 for.

24 MR. EBERSOLE: Okay, but you're aiming for that?

25 MR. RHOADS: Yes.

1 MR. EBERSOLE: Right, so, you're going for the
2 goal of having the privilege of a random failure after
3 the accident, is that correct?

4 MR. RHOADS: We're going for that goal, yes.
5 We won't stop our program until that goal is achieved.

6 MR. EBERSOLE: All right, now then, you have
7 a once out of two twice system, a GE system that incorporates
8 both redundancy and coincidence in four channels. Do
9 you have any cases -- this is in essence a redundant
10 system which is paired. Do you have any cases of
11 destruction of impulse lines associated with an accident
12 or being an original failure which leaves you hung without
13 redundancy to mitigate the consequence of such an impulse
14 line failure?

15 MR. RHOADS: We've evaluated high energy line
16 breaks from various pipe sources.

17 MR. EBERSOLE: So, what an impulse line is,
18 whether it's high energy or not, it's high pressured.

19 MR. RHOADS: Are you talking about instrument
20 lines?

21 MR. EBERSOLE: Right.

22 MR. RHOADS: Okay. That particular study was
23 not a part of our environmental development criteria.
24 The results of high energy line breaks is the more
25 limiting accident in terms of pressure, temperature and

1 effected area. And in that program, we did look at the
2 pipe whip where the impact would be, what it would wipe
3 out, what the environmental effect in a neighboring room
4 would be in terms of temperature pressure and humidity
5 and provided that as the qualification basis by which
6 we required our tests to be.

7 MR. EBERSOLE: So you don't really consider
8 this impulse line business within your scope of general
9 environmental qualification? That's another area of
10 work?

11 MR. RHOADS: That to me is a systems interaction
12 problem.

13 MR. EBERSOLE: That's another question.

14 MR. NELSON: Mr. Ebersole?

15 MR. EBERSOLE: Yes.

16 MR. NELSON: Can we answer your question? There
17 was some confusion in my own mind.

18 MR. EBERSOLE: In the general context -- yes,
19 go ahead.

20 MR. NELSON: In the justification for interim
21 operation versus post-1985?

22 MR. EBERSOLE: In the context of environmental
23 qualifications. I think you did.

24 MR. NELSON: I sense some confusion.

25 MR. EBERSOLE: Yes, in that context. The other

1 system interaction aspect, I guess we haven't gotten
2 straightened out yet, about the impulse line failures
3 and so forth, so we'll wait for another time for that.

4 MR. EBERSOLE: Holding to the environmental
5 qualification area.

6 MR. RHOADS: I answered your first question
7 thinking a justification for interim operations in terms
8 of redundancy of channels availability.

9 MR. EBERSOLE: Thank you.

10 MR. RHOADS: But the program will continue
11 to get dual redundancy.

12 MR. EBERSOLE: I guess it would be nice to
13 package the cases where we will be running in a single
14 channel configuration for this interim interval.

15 MR. NELSON: Just for the interim part of it.

16 MR. EBERSOLE: Just package it up. Yes, right.

17 DR. PLESSET: I think Dr. Lipinski has a comment
18 or question.

19 DR. LIPINSKI: On your seismic qualification,
20 are you using a cut-off frequency to determine qualifications
21 such as 33 cycles as an upper limit?

22 MR. RHOADS: Only in areas where we do not
23 have hydrodynamic loads do we use the 33 cut off point.

24 DR. LIPINSKI: I'm particularly thinking of
25 your relays that are spring mass systems that have

1 characteristic resonant frequencies, whether you
2 only look at those up to 33 cycles and everything is fine
3 so you say they're qualified, whereas they may resonate at
4 40 cycles.

5 MR. RHOADS: It is true that a spring mass system
6 such as a relay could have a higher frequency content,
7 if that relay's location is an area of our plant that
8 would have that frequency counted as part of it's input,
9 then the relay would be evaluated up to the frequency
10 content of the input and for hydrodynamic loads it goes
11 much higher than 33 cycles. If that relay is located
12 in our plant area where it's only going to be subject to
13 the seismic condition, the energy input from the seismic
14 condition is focused in the 1 to 33 Hertz region.

15 DR. LIPINSKI: That's what I thought but
16 the energies actually go beyond 33. They're negligible
17 and usually what you're getting from your plant analysis
18 terminates at 33 but there are energies beyond 33 cycles
19 but they're lower in magnitude and theoretically a
20 spring mass system requires very little energy to excite
21 it at it's resonant frequency.

22 MR. RHOADS: I understand what you're saying.

23 DR. LIPINSKI: The fact that your analysis is
24 up to 33 and it stops there and if you take that at face
25 value and say my equipment is qualified, because you told me

1 there's nothing beyond 33, that's not true.

2 MR. RHOADS: Then our opinion is it's nothing
3 of significance beyond 33.

4 DR. LIPINSKI: Okay, but the NRC staff in
5 setting these qualifications, divorced the question
6 of the seismic issue until a later date, so that you're
7 now in this period where you're now trying to make your
8 decision without their guidance in terms of the final
9 position on seismic qualification of Class 1E.

10 MR. RHOADS: We have been very involved with
11 following the course of action for the seismic
12 qualification review team over the last three or four
13 years and we have trimmed up, we have aligned our program
14 to be in conformance with that team's requirements.

15 We believe that the rulemaking process will
16 confirm our program rather than modify it.

17 MR. RAY: I'd like to comment to the staff that
18 I think Dr. Lipinski's comment is of significance in
19 the Staff's work for the seismic requirements for
20 qualification and it's a generic situation that is beyond
21 application just as planned, and I think in their
22 present thinking they should have this cranked in, and clear
23 up the situation and what is forthcoming on seismic and
24 that message that you'll back.

25 MR. SCHWENSEN: Yes, I recall this discussion came

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

up I believe at the Perry application also.

MR. RAY: Wolf Creek and several of them.

DR. PLESSET: Any other comment? I guess not. Thank you, Mr. Rhoads.

MR. RHOADS: Thank you.

Our next speaker is Roger Corcoran. Roger is the operations manager of the WNP-2. He has a B.S. degree in electrical engineering. He's got over 16 years in commercial nuclear reactor experience.

MR. CORCORAN: My name is Roger Corcoran. I'm the plant operations manager. I would like to cover several topics this morning, as listed on the slide including control of human factors, term habitability, decay heat removal and emergency operating procedures.

(Slide)

Briefly I'd like to reorient those of you who were on the tour yesterday of the plant site. The photograph on the left shows the plant lay out. Briefly, we toured the reactor building including the lower elevations where the emergency core cooling systems were located and the refueling floor and some of the other levels of the building where the drywell and the wetwell were accessed. We toured the control' room which is located almost in the top elevation of rad waste control building. We visited the diesel generator building which contains

PENGAD CO., BAYONNE, N.J. 07002 FORM 2094

1 emergency on-site source of power. The full chart
 2 is shown behind the turbine building, this photograph
 3 over here. Our ultimate heat sink, stand-by service
 4 water system is shown by the spray ponds over here (ph)
 5 which are off the picture and the cooling tower is
 6 located in this vicinity.

7 (Slide)

8 The first topic is control room habitability.

9 The main control room is designed to ensure
 10 habitability through all the normal and abnormal
 11 operating conditions.

12 We have portable breathing apparatus and five
 13 days worth of food, water and other supplies available
 14 in the control room.

15 We assure habitability by the following
 16 features:

17 (Slide)

18 We have 2 HVAC systems which are operated from
 19 the control room, each delivering at 21,000 CFM of
 20 recirculated air and 1,000 CFM of intake air. A full path
 21 for that is to bring in primary outside air, 1000 CFM,
 22 pass through the air handling unit and pass through the
 23 control room, recirculating 21,000 CFM of air from the
 24 control room back to the air handling unit. And we
 25 exhaust 1000 CFM of air, so if we take in 1000 and we

1 exhaust 1000 we maintain an unpressurized condition.
2 Now, if we maintain adequate temperature environment of
3 the control room by supplying chilled water systems to
4 the air handling unit, we have two chilled water systems,
5 a rad waste building chilled water system which is backed
6 up by control room chilled water system.

7 All required components are redundant, in
8 the seismic category 1 of class 1E power. Adequate
9 shielding protects the operators from radiation streaming.
10 The thickness of the control room walls are about two
11 feet thick and when coupled with the thickness of
12 the turbine building walls or reactor building walls which
13 vary from two to four feet thickness, we have plenty
14 of concrete shielding. And the control room doors are
15 designed to protect us against a steamline pipe break
16 in the turbine building. The doors are designed for
17 I believe greater than 3 pounds per square inch blast
18 pressure which is greater than what we would have if we
19 had a break in the turbine building in the steam line.

20 (Slide)

21 MR. MATHIS: Can you completely isolate the
22 control room?

23 MR. CORCORAN: Yes, we can, and I'll discuss
24 in a moment what mode -- what takes place in that mode.

25 MR. MATHIS: Okay, I'll wait.

1 MR. CORCORAN: Now, I'd like to discuss two
2 significant modes that we, we may cover, that we may
3 have that will allow us to maintain habitability in the
4 control room. One is the loss of cooling in an accident
5 situation. In this event, what happens is the local fresh
6 air intake is isolated, either of the remote areas intakes
7 are opened, supplying air through the emergency filter
8 unit. Now, the emergency filter unit is placed in the
9 pressurized mode of operation in this case, so we bring
10 in 1000 CFM of air, pass it through the emergency filter
11 unit and we do not exhaust. The exhaust is closed off,
12 thereby pressurizing the control room, and minimizing the
13 infiltration.

14 Now, if higher radiation is detected in one
15 of the remote area intakes, then this is closed off. There
16 is double valve isolation in both of these. We only need
17 one remote air intake available.

18 Now, the 30 day dose assessment --

19 MR. RAY: I presume you have good separation
20 between them?

21 MR. CORCORAN: We have physical separation
22 between the remote area intakes.

23 MR. RAY: Are they on opposite sides of the
24 plant?

25 MR. CORCORAN: They're on opposite quadrants of

1 the site, yes. Northwest and Southeast.

2 MR. EBERSOLE: Did you say opposite quadrants?
3 So that gets away from the wind blowing --

4 MR. CORCORAN: One is located Northwest area and
5 so the other one is Southeast.

6 MR. EBERSOLE: Okay. Have you taken a look
7 at your neighbors down the road, the FFTF in the context
8 of whether their emissions might be worse than your own
9 when they have trouble?

10 MR. CORCORAN: Yes, the FFTF analysis has
11 been considered. There is one case where the sodium
12 oxide emissions could cause a problem, however, because
13 of the duration of time between the release at FFTF and
14 the length of time to arrive at number 2, we can take
15 precautionary measures in the control room, but we
16 don't automatically protect against this. It's a
17 communication situation.

18 MR. EBERSOLE: What about the radiation release?
19 Is that less than you would expect?

20 MR. CORCORAN: The radiation release has
21 also been analyzed and found out to be a problem.

22 MR. EBERSOLE: Is it worse than your own LOCA?

23 MR. CORCORAN: I believe it's less than our
24 LOCA situation.

25 MR. EBERSOLE: Oh, less than your own LOCA.

1 MR. CORCORAN: I believe it is.

2 MR. EBERSOLE: I see. Thank you.

3 (Slide)

4 MR. CORCORAN: The second condition I'd like
5 to discuss is the hazardous chemical release in the
6 event of a break in the fluoridation system located in
7 this earth water pump house. We have redundant chlorine
8 detectors located in the pump and intake header, this
9 location (ph). In the event the chlorine exceeds the
10 lengths of at least 5 parts per million, we will have
11 a total isolation of all intakes.

12 Emergency filter units will go on a recirculation
13 mode rather than a pressurization mode. The exhaust
14 will be closed off. The control room will be under
15 recirculation mode condition in this event.

16 Now, the emergency filter units have capability
17 to remove the chlorine in the air. And, the conclusion
18 is that the leakage will infiltrate the control room,
19 however, in the analysis, the analysis shows it low enough
20 such that we maintain habitability and we do clean up
21 the chlorine that may enter prior to the isolation of the
22 lines.

23 MR. RAY: Would you help me in my ignorance?
24 What's the source you consider for chlorine?

25 MR. CORCORAN: The source for the chlorine would

1 be a break of a liquid, liquid chlorination system
2 the surf water pump house, the 2000 pound liquid chlorine
3 cylinder.

4 In conclusion, the response of the control
5 room habitability systems -- the response to the chlorine
6 habitability systems is fully automatic to any of these
7 events which I've just described. We can maintain
8 habitability.

9 DR. PLESSET: How long can you operate in
10 the recirculating mode?

11 MR. CORCORAN: We can operate for extensive
12 periods of time in recirculation mode with the air
13 handling units and the emergency filter units.

14 DR. PLESSET: Is that a day, an hour?

15 MR. CORCORAN: No, that's extensive. That's
16 days, that's weeks.

17 DR. PLESSET: Many days.

18 MR. CORCORAN: Many days, that's correct.

19 DR. PLESSET: What's the limiting factor in
20 that? Why can't you do it forever? What limits it?

21 MR. CORCORAN: What is the limiting factor
22 for operation for extensive period of time?

23 MR. BOUCHAY: I think we don't know. We'll
24 have to get --

25 DR. PLESSET: Okay, that's reasonable.

1 MR. BOUCHAY: We'll get the answer to you
2 on that.

3 DR. PLESSET: All right.

4 MR. CORCORAN: The second topic involves
5 a control of human factors. During the 1970's, the
6 supply system recognized that improvements were required
7 in our control room design, to enhance safe operation.
8 In otherwords to improve the operator machine interface.

9 (Slide)

10 Following Three Mile Island, the NRC issued
11 various guides in performing control room reviews and as
12 a result of that, the G.E. Owner's Group formed a
13 generic program to meet these NRC requirements.

14 At number two, we decided to go into a dual
15 approach with human factors. We set up an in-house review
16 program which was a task force, in 1980, which would
17 provide early definition of hardware changes and provide
18 coordination of control room changes. Simultaneously
19 with this, the BWR owner's group formed an industry wide
20 committee which prepared acceptable generic programming.
21 Utility people were trained, human factor specialists
22 were used, General Electric was involved in an attempt
23 to implement this generic program. Several control
24 rooms were reviewed after training and we provided people
25 to this generic control room review program.

1 Later on in our program, we will be having
2 the owner's group come in and provide an independent
3 review by peers of what we have done in our control room.
4 You know, that's after we incorporate the modifications.

5 (Slide)

6 Our in-house task force was chartered with
7 two main areas. First, to perform the control room and
8 shut down panel reviews. Now, these are based on operational
9 reviews of other plants by the BWR owners, the generic
10 program and by the NUREG 0700 guidelines. The second
11 facet of the in-house task force is to provide coordination
12 and change control. In otherwords, they reviewed all our
13 control room design change where human factors are concerned.

14 Now, there's an interface here with emergency
15 procedures preparation and other Three Mile Island
16 changes that came about as a result of TMI including
17 the emergency response information system and other
18 regulatory documents such as regulatory guide 1.97.

19 Now, the task force is composed of plant
20 operations personnel, project engineering, the architect
21 engineer and a human factors specialist from general
22 physics.

23 (Slide)

24 The major improvements as a result of our in-house
25 review can be categorized in three different areas. The

1 control display review which were aimed at relocation
2 or deletion of controls and indications to improve
3 operational grouping to achieve better operator procedure
4 and panel integration.

5 The second area of improvement is in the
6 enhancement area. Enhancement reviews are aimed at
7 application of mimicking and demarcation, improved
8 legend plate design, and meter recorder scale adequacy
9 to improve operator recognition and response.

10 And the third area of improvements deals with
11 an annunciator system. A general annunciator system
12 was redesigned. We grouped related alarms and we upgraded
13 alarm wording so the operator would have better
14 recognition of what the event is.

15 Now, I'd like to show you a couple of photographs.

16 (Slide)

17 The first photograph shows the control room
18 bench board, a portion of the control room bench board
19 prior to any modifications. As you can see, there are
20 no lines of demarcation. The description for the system
21 is very small, hard to read, you can't tell which
22 instrumentation is located with which controls.

23 Now on the right you will see the same panel
24 after we have mocked up by way of taping and cut outs
25 this part of the dashboard. I'd like to point out, as you

1 can see this area right here which has been outlined,
2 is the same as this area right here, prior to the changes.
3 Notice the lines of demarcation around not only the
4 controls portion of the panel but also the instrumentation.
5 The annunciator is directly above the system and are
6 for that particular system. Another slide will show
7 a close up view of that, reactor water clean up system
8 and some of the usability if you understand what I'm
9 talking about.

10 The reactor water clean up system legend plate
11 has been increased in size. Notice the mimicking between
12 components, the lines between control switches.

13 (Slide)

14 Another view of that panel. This is the
15 reactor recirculation flow control panel. Again, the
16 mimicking between control components. Notice the
17 two recorders that are shared by the reactor recirculation.
18 One for temperature and one for flue closed, and the
19 lines that outline that shared instrumentation system.

20 (Slide)

21 In summary, the program began with in-house
22 reviews and will continue through 1982. The BWR owners
23 group independent review has been scheduled for 1983.
24 In 1983 the panel changes as we described it in the
25 previous pictures, started in March of '82 and will be

1 essentially complete by January of next year, when the
2 open items to be completed by fuel load. The NRC
3 report will be issued six months prior to fuel load.

4 In summary, we are involved with a very
5 aggressive human factors review program composed by
6 an in-house and peer group later on. And we know that
7 this will definitely enhance the operator machine
8 interface and improve the safe and reliable operation.

9 MR. EBERSOLE: I couldn't help but notice,
10 when I looked at your control room, there seemed to be
11 a minimum of flow sheet representation, mimic flow sheets.
12 Did you find that--am I correct in this?

13 MR. CORCORAN: A minimum of flow sheets?

14 MR. EBERSOLE: Yes, the diagrammatic aspects
15 of the control system like the RHR system you just showed
16 us there.

17 MR. CORCORAN: That's true. We tried to mimic
18 the main flow paths from where we could, where we could
19 relocate controls to do this. The benchboard was designed
20 with no mimicking at all.

21 MR. EBERSOLE: That's what I noticed.

22 MR. CORCORAN: Correct.

23 MR. EBERSOLE: Did you simply find that not
24 to be profitable? It's not always that way.

25 MR. CORCORAN: Like I mentioned, the major flow

1 paths were mimicked. We felt that that was adequate.

2 MR. EBERSOLE: I see.

3 MR. CORCORAN: Any further questions on term
4 review.

5 DR. LIPINSKI: I have a question.

6 DR. PLESSET: Yes. Dr. Lipinski has a question.

7 DR. LIPINSKI: Recently I read an article
8 related to the computer industry and the allergic reactions
9 to plastics that are associated with computer products.
10 In closing up your control room and saying you can stay
11 in that condition for 30 days without any refreshing air
12 coming in, have you looked at the plastics that are
13 in that control room and what they contribute to the
14 air supply as to whether there would be allergic reaction
15 with the people who would be in that room under those
16 conditions?

17 MR. CORCORAN: Are you referring to the plastics
18 that --

19 DR. LIPINSKI: Your cables are plastic
20 covered. You'll have insulator boards that are in your
21 panels that are plastic.

22 MR. CORCORAN: I can't directly answer that
23 question. If you're dealing with fire protection --

24 DR. LIPINSKI: Well, not fire protection,
25 but this indicated that people were having severe reactions

1 and their eyes were burning and these were directly
2 related to vapors given off by plastic material.

3 MR. RAY: Under normal ventillating conditions?

4 DR. LIPINSKI: Yes, under normal conditions.

5 Well, they didn't say if you're in a room and the room --
6 you're at home or something like this and you don't have
7 an air filter unit going, then conceivably you've
8 got static conditions.

9 MR. RAY: But I mean in the absence of a
10 high temperature source or something of this nature.

11 DR. LIPTNSKI: Yes, this is just ambient
12 conditions, where these vapors come off the plastic
13 materials and people are reacting to them.

14 MR. CORCORAN: We'll have to get back to you
15 on that one. I do not believe we have looked at that
16 situation.

17 DR. PLESSET: I was going to suggest, Mr. Corcoran
18 that we take a ten minute break at this time and come
19 back for the rest of your presentation. Let's have
20 a ten minute break.

21 (Whereupon, a ten minute recess was taken.)

22 DR. PLESSET: Let's reconvene and continue.

23 MR. NELSON: Dr. Pleset?

24 DR. PLESSET: Yes.

25 MR. NELSON: We -- there was a question that was

1 asked during the last presentation relating to control
2 room habitability. We'd like to at least respond to
3 that question before we go on any further.

4 DR. PLESSET: Fine.

5 MR. NELSON: I'd like to ask Frank Owen, our
6 principal engineer in that particular area to address
7 that question. If you would restate it please, I think
8 it will help him a little.

9 DR. PLESSET: What was the limiting factor
10 that determined how long one could operate with a
11 closed control room.

12 MR. OWEN: The limiting factor would be the
13 oxygen content in there and there's enough air and
14 oxygen to run for more than three or four days and
15 the condition that causes us to close off the control
16 room will be a chlorine incident which should be over
17 in a few hours and so therefore the other consideration
18 might be temperature but our chillers are qualified and
19 so we'll have normal temperatures in there for the
20 duration.

21 DR. PLESSET: So it's a matter of a few days
22 rather than more or less indefinitely, right?

23 MR. OWEN: You mean as far as closing off
24 the control room?

25 DR. PLESSET: Yes.

1 MR. NELSON: Does that answer your question.

2 DR. PLESSET: Yes. I got the impression it
3 could be more or less indefinite from the presentation
4 but it's relatively short, a few days.

5 MR. OWEN: Well, we're talking probably more
6 in the order of a week.

7 DR. PLESSET: A week.

8 MR. OWEN: We can look up the exact numbers
9 and if there isn't, you know, and get that for you if
10 it's necessary.

11 DR. PLESSET: No, that's all right.

12 Then Dr. Lipinski had another question about
13 the effect of emission of plastic materials in the
14 control room. Is that taken into account? Is that your
15 question?

16 DR. LIPINSKI: Yes.

17 MR. NELSON: Frank?

18 MR. OWEN: It's all right.

19 MR. NELSON: Let me take it please.

20 MR. OWEN: All right.

21 MR. NELSON: I understand that you, Dr. Lipinski,
22 you have an article that relates to this particular
23 subject matter. We have not seen the article. I think
24 it might be more appropriate if we could see the article
25 before we responded and make sure we respond to the right

1 issues.

2 DR. PLESSET: That's okay, that's fine.

3 MR. NELSON: So if you could make that available
4 to us, I think we can try to answer that.

5 DR. LIPINSKI: It's strictly generic though,
6 because the plastics that are being used today do give
7 off odors. If you saw this business of insulating your
8 house with I think it's styrofoam, now they're recommending
9 against it because the odor from the plastic finds its
10 way into the building and it's toxic. The general issue
11 though, is given the range of plastics that you use
12 and the fact that they do emit odors and if you're
13 circulating, well, when it's being swept out on a
14 continuous basis but if you seal up what plastics do you
15 have and what do they give off and are they serious?

16 It may be a non-issue but to say that you can --

17 MR. NELSON: The general feeling we had, we
18 discussed this on a break -- the general feeling we had
19 is we didn't think it would be a particular problem
20 however, we haven't really looked into it in that much
21 detail to really give you the answer you deserve.

22 MR. OWEN: I think we've got a couple of
23 mitigating things, too, and one of them is that the
24 material that's given off by plastics will be absorbed
25 by activated charcoal and so therefore, even the circulating

1 system will assist in that and the other one is, that
2 we haven't identified any toxic substances here. We
3 don't have any -- nobody has, you know, the REG guides
4 or anybody else has given us anything that these
5 plastics are giving off a toxic subject, maybe allergic,
6 but not toxic.

7 MR. NELSON: Maybe Frank, maybe we ought to
8 reserve any further response until we've seen the article.

9 DR. PLESSET: We can leave it at that and
10 thank you. Mr. Corcoran, the floor is yours.

11 MR. CORCORAN: The next subject is decay heat
12 removal.

13 (Slide)

14 Following a reactor shut down, steam generation
15 continues at a reduced rate to the core efficient product
16 decay heat. In the normal sense, the main steam is directed
17 to the main condenser by way of the turbine by-pass valves
18 and the steam is condensed in the condenser and feedwater
19 then is supplied back to the reactor vessel to maintain
20 water level.

21 Now, heat is rejected to the cooling towers
22 by way of the circulating water system. Now, as soon
23 as the main steam pressure has been reduced to the point
24 where you have insufficient to maintain a steam jet air
25 jet performance, at that point, we want to go into the

1 shut down cooling mode of the RHR system. Now in
2 this mode --

3 MR. EBERSOLE: Pardon me, may I ask a question?
4 You have a station auxiliary boiler, don't you?

5 MR. CORCORAN: Yes.

6 MR. EBERSOLE: Can you use that with the ejectors?

7 MR. CORCORAN: No.

8 MR. EBERSOLE: No. You cannot..

9 MR. CORCORAN: Cannot use it with the ejectors.
10 The pressure of the rejectors is something like 200 pounds.
11 The auxiliary boiler does not provide steam but at a very
12 high pressure.

13 MR. EBERSOLE: Is this a more or less standard
14 mode of operation? Inability to use the air ejectors
15 all at the station bar?

16 MR. CORCORAN: Yes, I believe it is.

17 MR. EBERSOLE: Okay, well, thank you.

18 MR. CORCORAN: Now we're at approximately 135 pounds
19 in the reactor pressure vessel. We would like to go into
20 the shut down cooling mode of the residual heat removal
21 system, and cool down the cold shut down.

22 (Slide)

23 In order to do this, we will take a suction
24 from the A recirculation loop upstream with the recirculation
25 pump past through these isolation valves to either one of the

1 A or B RHR loops. From the discharge of one of the RHR
2 pumps, we will pass through the RHR heat exchanger and
3 we will go back to the downstream of the main recirculation
4 pump, so the flow path then comes from the inlet right
5 here through the RHR system, back through the recirculation
6 loops, through the jet pumps and through the core
7 and up and down and out again.

8 Now, the rate at which we cool down is
9 controlled by the position of the heat exchanger by-pass
10 valve, right here. And we used stand-by service water
11 provide a cooling means for the heat exchanger. The
12 heat is rejected then to the cooling towers or to the
13 spray ponds by way of the stand-by service water system.

14 (Slide)

15 Now in this case, I'd like to describe the
16 decay heat removal when the reactor pressure valves
17 are isolated from the main condenser.

18 MR. CATTON: How well are your spray ponds
19 going to work when they have all that volcanic ash all
20 over them?

21 MR. NELSON: We have our task force as we mentioned
22 earlier that is evaluating the system that is in place,
23 the Trojan. Involved with that task force also, not only
24 the evaluation of the Trojan system but also involved with
25 that is the evaluation of the U.S.G.S. concerns that are

1 placed in the SSER. We're under evaluation right now.
2 We are in fact looking at ash in critical areas like
3 the heat sink. The answer is it would sink. We do
4 have some concerns that we are looking into related
5 to how we would work with that and how much we would have
6 to worry about. So that's kind of under study right now
7 so we really don't have the solid answers for you but
8 the answer is we're not ignoring it, we are in fact looking
9 at it.

10 MR. CATTON: But it doesn't just float on the
11 top?

12 MR. NELSON: My indications are that it does
13 not.

14 MR. CATTON: You're going to test it to find out.

15 MR. NELSON: We will. We're looking into it,
16 okay, so we're evaluating what U.S.G.S. told us and
17 the SSER and we're certainly looking into that. We owe
18 the staff a response sometime later this year.

19 MR. CORCORAN: I'd like to recap where I was.
20 We're trying to cool down the pressure vessel. We are
21 isolated from the main condenser by way of the MS, main
22 seal isolation (ph) valves being closed.

23 The reactor pressure vessel relief valves will
24 pass the steam to the suppression pool in this case to
25 maintain pressure and we will make up to the reactor pressure

1 vessel by way of the high pressure porous spray system,
 2 from the Class A storage tank, or we can make up to the
 3 reactor pressure vessel by way of the reactor core
 4 isolation cooling system better known as the RCIC system
 5 from either the Class A storage tank or the suppression
 6 pool.

7 (Slides)

8 Now the RCIC system takes a portion of the
 9 decay heat or takes a portion of the steam from the vessel
 10 and drives the turbine and the pump, takes a suction on
 11 either Class A storage tank or the suppression pool.

12 In this mode, the pressure vessel can be depressurized
 13 down to the neighborhood of 100psig at which point we
 14 would then like to go into the shut down cooling mode
 15 of RHR, just the same as I described a few minutes ago,
 16 the normal case.

17 (Slide)

18 Now I'd like to describe the case in which the
 19 RHR shut down cooling mode is unavailable. Initially,
 20 we have got the pressure in the vessel down to the
 21 neighborhood of 100 psig. We find that as an example,
 22 the suction valves to the RHR loop from the recirculation
 23 loops cannot be opened. If this is the case, we will not
 24 be able to use the shut down cooling mode of RHR, however,
 25 we can continually pressurize the vessel by way of using the

1 relief valves, venting steam to the suppression pool.
2 We can take a suction on the suppression pool by way of
3 one of the three RHR loops going through either A, B or
4 C. In this case, we show going through the B loop and
5 pass it to the heat exchanger and back to the vessel
6 through the injection, in otherwords to the low pressure
7 coolant injection path, or we can take the low pressure
8 core spray pump which takes a suction from the suppression
9 pool which is not shown on the drawing and we can provide
10 water back to the vessel. In this mode, the heat is
11 rejected to the suppression pool and the RHR system
12 will take that water, pass it to the heat exchanger, the
13 stand-by service water will then cool that water and will
14 reject the heat to the stand-by service water spray
15 ponds.

16 MR. EBERSOLE: Pardon me. What if this problem
17 develops just after you've taken the lid off, so you
18 can't pressurize?

19 MR. CORCORAN: After you've taken the vessel
20 lid off?

21 MR. EBERSOLE: Yes.

22 MR. CORCORAN: You're already down to less
23 than 200°F?

24 MR. EBERSOLE: Yes, and then you lose the,
25 by malfunction of some sort, you lose the valves off. Can

1 you then handle the cooling problem subsequent to that?

2 MR. CORCORAN: We will probably not have a cooling
3 problem, because we have other systems at our disposal.
4 We have reactor water clean up system which can be used
5 to maintain cooling shut down condition at this point.
6 We have CRD system which supplies cool water to the vessel.

7 MR. EBERSOLE: Do they have enough mass flow to
8 keep it below boiling?

9 MR. CORCORAN: We have the feedwater pumps
10 which can maintain additional cold water to the vessel.
11 The combination of these things will be maintain --

12 MR. EBERSOLE: It's not an inventory problem,
13 it's a temperature problem. Will you be -- will you have
14 to boil the pool?

15 MR. CORCORAN: I believe not. We will not have
16 to boil because we can pass the cold water back to the vessel.
17 We can draw off excess water with the reactor water clean
18 up system.

19 MR. EBERSOLE: Okay, good enough.

20 MR. CORCORAN: In summary, we have shown that
21 we have several diverse means available to remove decay
22 heat from the core and to bring the reactor to the cold
23 shut down condition.

24 (Slide)

25 This includes a degraded or abnormal condition

1 of which we have an unavailability of the shut down
2 cooling mode of the RHR system. That concludes my
3 comments on this topic.

4 MR. EBERSOLE: In the long run, all of the heat
5 out of the reactor after it's shut down and not connecting
6 to the condenser has to go to the spray pond, doesn't it,
7 eventually?

8 MR. CORCORAN: The heat can be directed to the
9 cooling towers. The stand-by service water --

10 MR. EBERSOLE: That's what I meant. That is
11 where it all goes.

12 MR. CORCORAN: Either the cooling towers or
13 the spray ponds.

14 MR. EBERSOLE: You can also take it to the
15 cooling towers.

16 MR. CORCORAN: Yes. It would be the normal
17 course of business, take it to the cooling towers.

18 MR. EBERSOLE: How do you take the -- okay,
19 that's if -- that's if I have the main steam isolation
20 valves closed, if I've lost the normal heat sink I
21 don't take it to the cooling towers then, do I?

22 MR. CORCORAN: Yes, we can take it to the
23 cooling towers because the stand-by service pumps will
24 direct water to the cooling tower inlet basin by
25 way of the cooling towers. We'll go to the cooling towers

1 and go back to the basin.

2 MR. EBERSOLE: I see, so you have a diverse
3 path then?

4 MR. CORCORAN: Yes, and that basin will provide
5 water to the stand-by service water spray pumps.

6 MR. EBERSOLE: So you really are not totally
7 dependent on those two spray headers over the two pumps?

8 MR. CORCORAN: That's correct.

9 MR. EBERSOLE: And you know, the question was
10 whether tornadic winds would blow them down. You'd have
11 a problem, since they're not qualified.

12 MR. CORCORAN: Since we are not dependent upon
13 the service water, stand-by service water spray ponds
14 for this evolution, there's not a problem.

15 MR. EBERSOLE: Thank you.

16 MR. CORCORAN: The last topic I wish to discuss
17 is the emergency operating procedures.

18 (Slide)

19 Emergency Operating Procedures are those plant
20 procedures that direct actions necessary to mitigate the
21 consequences of a transient or an accident that may cause
22 a plant parameter to exceed a reactor protection system
23 set point or an injured safety feature set point.

24 Prior to Three Mile Island, the plant operators
25 role in the mitigation of an accident, was event specific.

1 In otherwords, the event orientation required the
2 operator to diagnose and to respond to one of several
3 predetermined accident scenarios. If you all remember,
4 we had procedures which describe small break accidents,
5 large break accidents, stuck open relief valves,
6 loss of feedwater pumps and those kinds of things
7 which the operator tried to respond to.

8 Now, subsequent to TMI lessons learned,
9 the plant operators' role shifted. During an emergency
10 he would try to maintain vital safety functions such
11 as adequate core cooling, regardless of where the
12 cause of the accident had been diagnosed.

13 Now, this shift in philosophy was implemented
14 by the BWR owner's group development of generic emergency
15 procedure guidelines. These symptom based guidelines
16 used parameters such as low water levels or high dry wall
17 pressure which are symptomatic of both emergencies and
18 events which may degrade it to emergencies. The objective
19 is to restore this parameter to stabilize the plant and
20 to ultimately bring the reactor pressure vessel into
21 a cold shut down condition if necessary.

22 Now, these emergency procedure guidelines
23 accomodate multiple failures without requiring the
24 operator to diagnose a specific event or set of events.

25 (Slide)

1 The next slide shows the organization of
2 the emergency procedure guidelines. At the present
3 time, the guidelines are under development and what
4 we presently have is we have two, we have two main
5 guidelines, the reactor pressure vessel control guideline
6 and containment control guideline.

7 Within the pressure vessel control guideline
8 we will enter by way of one of these abnormal parameters
9 and we will then -- assuming we have a low water level,
10 we would then go to a level control guideline which
11 would then try to restore the water level and stabilize
12 the plant and then, we would then go out of the guideline
13 back to a normal situation.

14 The same holds true for the containment
15 control guideline, based on one of the entry conditions
16 we would then go into -- if we had a high dry wall
17 temperature, for example. We would then go into the
18 guideline for that and we would take care of the problem
19 in that manner and then remove from the guideline and
20 go back to normal conditions.

21 (Slide)

22 The supply system has been and continues to
23 be an active participant in the effort of development
24 and refining these emergency procedure guidelines. We
25 are presently using these guidelines as a basis to develop

1 our emergency operating procedures. These emergency
2 operating procedures will be written plant specific.
3 The guidelines are written in the general fashion for
4 all the BWRs. Our implementation plans for the emergency
5 operating procedures will follow the intent of NUREG 0899
6 which addresses the following areas. We will use
7 a writers guide which will be written by us to confirm
8 that we have -- excuse me, We will be using a writers
9 guide to ensure the consistency in these procedures so
10 they're all written approximately the same, in the
11 same kind of format. We will do a verification review
12 of the procedures to confirm their technical adequacy
13 and the completeness of the procedure. We will do
14 a hands on validation of the procedures by way of a
15 walk-through through our control room and possibly
16 use on a simulator and we will also provide operator
17 training via a classroom lectures and use on our simulator
18 prior to fuel loading.

19 In conclusion, the supply system has participated
20 in the industry process to develop emergency procedure
21 guidelines which are the new symptom based guidelines and
22 we know that these will improve the operator's response
23 to emergency conditions.

24 This concludes my remarks on this subject.

25 DR. PLESSET: Yes, Jesse:

1 MR. EBERSOLE: Mr. Corcoran, it looks like
2 you're the right man to answer some of these, one of
3 these questions.

4 I noticed that the ultimate heat sink, the two
5 ponds that I was somewhat astonished to see that you had
6 some low level, low MPSH trips on the pumps for the
7 stand-by cooling system, indicating that you had a low level
8 in those spray ponds.

9 MR. CORCORAN: Yes, we do have low level trips.

10 MR. EBERSOLE: My first reaction to that was,
11 if those ponds are low, where do I go from here and what
12 is your emergency procedure when you suddenly find, I presume
13 that you've got low level in these ultimate heat sinks.

14 MR. CORCORAN: The low level condition and
15 the ultimate heat sink is very low. It's almost -- I
16 believe it's the basis of the lower level of the suction
17 basin. The pond extends above that approximately 25
18 feet or so.

19 The river make up system, the tar make up system
20 provides river water to the ponds. Also the circulating
21 water basin by gravity feed, could supply water to the
22 ponds.

23 MR. EBERSOLE: I guess I was wondering why
24 that thing was ever there in the first place, on the
25 grounds that it should never get that it should never get

1 that low.

2 MR. CORCORAN: That's true.

3 MR. EBERSOLE: So what I have done, I've put
4 a protective interlock on the pumps which it'd never
5 function and you know, it's like having a protective
6 interlock on the landing gear motor. It keeps from
7 running the motor out but it ruins the plane. Is there
8 a valid reason for a low trip on those pumps?

9 MR. CORCORAN: I'll have to get back with you
10 on that answer.

11 MR. EBERSOLE: One must ask, when it gets that
12 low, what do I do now?

13 MR. CORCORAN: Well, we've got two ponds.

14 MR. EBERSOLE: And you're --

15 MR. CORCORAN: We've got a source of water for
16 both ponds from the river or the cooling tower basin.

17 MR. EBERSOLE: It leads me to suspect that you
18 have a reason for believing that you're going to lose the
19 water through a leak or something. Is that a supposition?

20 MR. CORCORAN: There are no lines in the bottom
21 of the ponds during the ponds. (ph)

22 MR. EBERSOLE: You did have some leakage problems
23 at one time?

24 MR. CORCORAN: We did have some leakage problems
25 during construction which were fixed.

1 MR. EBERSOLE: All right, fine.

2 MR. CORCORAN: We'll get back with you on that
3 answer.

4 DR. LIPINSKI: On your relief valves on the
5 reactor pressure vessel, if your main steam isolation
6 valves slam shut, what percentage of rate of flow can
7 put into the wetwell, to pressure from the vessel?

8 MR. CORCORAN: If you're operating at full power
9 then your MSIVs go closed?

10 DR. LIPINSKI: Right.

11 MR. CORCORAN: We can provide enough steam flow
12 to the suppression pool by way of the 18 relief valves
13 to maintain the pressure within the set points.

14 DR. LIPINSKI: But what percentage of 100% flow
15 is that?

16 MR. CORCORAN: It is full flow.

17 DR. LIPINSKI: You can take 100% reactor --

18 MR. CORCORAN: That's correct. Now, at the same
19 time, yes, at the same time we have a scram signal sent.

20 DR. LIPINSKI: Well, that's what I was getting
21 at because here earlier we had talked about where it
22 goes to after you had reset pump trip (ph) but your relief
23 valve capacity to the pool would take 100% of what would
24 normally go to the turbine?

25 MR. CORCORAN: It can in this instant. The same

1 time we have a scram signal and so the steam generation
2 rate decreases rapidly.

3 DR. PLESSET: He's talking about a failure to
4 scram.

5 DR. LIPINSKI: I'm talking about a failure,
6 that if you're at normal pressure in the vessel and you
7 close your main steam isolation valve, continue 100% power
8 production, that you get 100% steam through those valves,
9 that you're not limited based on the number of valves
10 you have?

11 MR. CORCORAN: That's correct.

12 DR. PLESSET: But the temperature of the
13 suppression pool would go up.

14 MR. CORCORAN: Oh yes, drastically.

15 DR. PLESSET: How long will you be able to do
16 that? Until the SRVs won't work anymore? How long would
17 it be, before the suppression pool temperature is excessive,
18 how's that?

19 MR. CORCORAN: I don't understand the question.

20 MR. NELSON: Are you saying, how long does
21 it take us to get to the full temperature limit under
22 these conditions?

23 DR. PLESSET: Yes.

24 MR. NELSON: The basic ATWS scenario.

25 DR. PLESSET: Right.

1 DR. LIPINSKI: Yes, but under this condition,
2 they tripped the research pumps and yesterday you quoted
3 what, 43% power limit it goes to?

4 MR. CORCORAN: Yes, Mr. Powers will present
5 that, approximately 47% power.

6 MR. NELSON: Maybe we can do first this one again,
7 this gentleman that is prepared to answer the questions --

8 DR. PLESSET: Now these are not, these are not
9 criticisms of your insulation. These are generic questions.

10 MR. NELSON: Yes, we recognize that they are
11 generic and we've looked into them.

12 DR. PLESSET: All right.

13 MR. EBERSOLE: One new feature that I got out
14 of this was this is a new high power level which suggests
15 what I think used to be about 4 minutes. It's not
16 even four minutes anymore before you're in trouble.

17 MR. NELSON: Yes.

18 DR. PLESSET: You mean temperature limits.

19 MR. EBERSOLE: Yes, and it also suggests
20 another problem. When you're desperately working to get
21 the stand-by liquid control system in, you may be
22 experiencing pressures which will lead to a hydraulic
23 system leak some place and will dump it overboard as
24 fast as you put it in and you're up the creek. So
25 there's quite a bit of implication to this new high power

1 level.

2 DR. PLESSET: Well, it's not all that different
3 from some of the other Mark IIs. Right, we understand
4 that. Okay. Well, I think that's all, Mr. Corcoran.
5 Can we go on?

6 MR. NELSON: We hadn't prepared for this meeting
7 to give our ATWS scenario.

8 DR. PLESSET: No, I know you hadn't so we're
9 not holding that against you.

10 MR. NELSON: We certainly have looked into
11 all these subjects and we're working very very closely
12 with G.E. and all the other utilities.

13 DR. PLESSET: We're not holding it against you,
14 be sure of that.

15 MR. NELSON: We certainly can offer something
16 or send something to you if you wish.

17 MR. EBERSOLE: Mr. Chairman, may I ask Mr. Corcoran
18 one question?

19 DR. PLESSET: Okay, sure.

20 MR. EBERSOLE: Due to the enthusiastic nature of
21 all these pumps that pump water in on this reactor, one
22 then looks at the opposite end of the question and maybe
23 you don't stop when you should and maybe you over fill
24 the boiler, you know it's the other end of the spectrum,
25 and the water goes on up to the top and goes through the

1 dryers and separators and gets out into the main steam
2 lines. Could you say a few words about what stops that
3 unfortunate process and whether it could ever actually
4 dump water into the main steam lines and if it did,
5 would the main steam isolation valves close against the
6 enormous hydraulic loads that they would suddenly face
7 if that were the case?

8 MR. CORCORAN: You have to recognize that there
9 are high level trips on high pressure core spray pump --

10 MR. EBERSOLE: Are these safety grade double
11 tracked?

12 MR. CORCORAN: Yes, on that system.

13 MR. EBERSOLE: That's the core spray pump.

14 MR. CORCORAN: Pipe pressure core spray pump.

15 MR. EBERSOLE: What about the main feeds?

16 MR. CORCORAN: The main feedwater system
17 will also trip the high water level in the reactor
18 pressure vessel.

19 MR. EBERSOLE: Is that double tracked?

20 MR. CORCORAN: I believe it's redundant
21 also.

22 MR. EBERSOLE: I think you better look at that.

23 MR. CORCORAN: The high water level trip is
24 redundant.

25 MR. EBERSOLE: For the main feeds?

1 MR. CORCORAN: Main feed system. High pressure
2 core spray system, reactor core isolation cooling system
3 also has this feature.

4 MR. EBERSOLE: And so what you're saying, you've
5 got double tracked over fill protection. Is that --
6 I don't want to put words in your mouth --

7 MR. CORCORAN: Yes. We have protection,
8 automatic protection by way of the high level set points,
9 the reactor pressure at some water level. In addition to
10 that, we have emergency procedures which allow the operator
11 to monitor this water level condition. He knows this
12 is happening by way of instrumentation.

13 MR. EBERSOLE: So we've got the reasonably high
14 assurance that this will never happen.

15 MR. CORCORAN: That's correct.

16 MR. EBERSOLE: I guess the other end of the
17 question, but if it did will the main steam lines carry
18 the water load or will they cave in?

19 MR. CORCORAN: If it did, the main steam lines
20 will carry the water load. It's similar to a code pressure
21 vessel hydro at a lower pressure --

22 MR. EBERSOLE: Will they --

23 MR. CORCORAN: Filled with water.

24 MR. EBERSOLE: Will they carry the weight without
25 sagging?

1 MR. CORCORAN: Yes, they will carry the weight.

2 DR. PLESSET: Any other questions?

3 MR. CORCORAN: The next speaker is Chris Powers.

4 Chris Powers is the reactor injury supervisor on the
5 number II plant staff.

6 DR. PLESSET: Thank you.

7 MR. NELSON: Dr. Plesset, during the courses of
8 meetings that we had yesterday and there were a few questions
9 that came up that we deferred very intelligently to the
10 right person. The right person is now at the podium
11 and he is prepared to answer at least a good portion
12 of the questions at this time so if we missed the point
13 on the question, please don't hesitate to restate it
14 but Chris is prepared to respond to those questions.

15 DR. PLESSET: All right, fine, thank you, Roger.
16 Go ahead.

17 MR. POWERS: May I propose that we answer questions
18 in this interim period prior to lunch and then after the
19 lunch break I'll continue on with the presentation on
20 the subject you see there.

21 DR. PLESSET: Fine, that's very good.

22 MR. POWERS: There were a number of questions
23 raised. The first one I would like to address is the
24 question from Mr. Lipinski yesterday that dealt with core
25 stability and what the natural circulation power level we

1 would achieve, should we experience a two pump trip.

2 What I'm putting before you right now is a
3 simplified drawing of our power flow map which indicates
4 the best conditions under which we intend to demonstrate
5 plant performance during our power extension test program.

6 (Slide)

7 I'd like to draw your attention to the shaded
8 area Test Condition 4 which is this area right here. You
9 can see that it's bounded. This is our natural circulation
10 line. It is bounded in power level by approximately
11 42% and 48%. This particular power flow map predicts for
12 us what the power level would be should we trip the
13 recirculation pump from 100% equilibrium conditions.
14 We would basically follow this line down and achieve
15 this particular power level in the natural circulation
16 mode without recirculation pumps and service.

17 Now, we have submitted to the Staff the results
18 of poor stability analysis or power levels that exceed
19 this particular level and are more up in the order of 55%
20 or so. The results of that analysis indicates that our
21 decay ratios are on the order of 0.6%.

22 MR. EBERSOLE: A question, please.

23 MR. POWERS: Yes, sir.

24 MR. EBERSOLE: That power condition you described.
25 Was that at the relief set point of the safety relief valves

1 or the normal steam pressure? There would be a difference.

2 MR. POWERS: Excuse me, sir.

3 MR. EBERSOLE: That terminal power level would
4 be altered by the pressure level of the reactor, wouldn't
5 it?

6 MR. POWERS: To some extent, yes, that's correct.

7 MR. EBERSOLE: So was the condition for the
8 normal steaming, normal pressure and normal content?

9 MR. POWERS: Yes, the test condition that I
10 have shown here is, assuming we're under normal pressure
11 control, by the DH system (ph).

12 MR. EBERSOLE: How much worse would it be -- I
13 know it would be worse if you were at the relief safety
14 set point? Would it be higher power? Well, it would
15 be higher power, but how much?

16 MR. POWERS: It would be higher power. I'm
17 not prepared to answer that directly.

18 MR. EBERSOLE: It might be significant because
19 the void compression problem is present.

20 MR. POWERS: Yes, I understand the transient
21 and again I'm not prepared to discuss the utmost
22 scenario. I'd like to also clarify for Mr. Lipinski.
23 I believe his question also involved that the power level
24 that we were discussing here was significantly different
25 than what he had understood from previous presentations from

1 the General Electric Company.

2 I believe that the number Mr. Lipinski was
3 quoting was something on the order of 30% to 35% which
4 comes from a different product line which is a BWR 4.
5 G.E. has submitted the results of their ATWS analysis
6 for that product line. In addition, I believe that number
7 has inherent in it assumptions that for the particular
8 plant analyzed, they implemented an alternate 3 modification
9 for the ATWS concern which involves tripping the feedwater
10 system and allowing water level to decrease to the point
11 where HPCI injected and continued plant operation occurs
12 with the lowered water level and HPCI injection which
13 changes the amount of core flow induced through the
14 core, reduces the amount of moderation within the core,
15 increases the void fraction and reduces the power level
16 into the ranges that he was quoting yesterday.

17 MR. EBERSOLE: Doesn't all this sum up to the
18 fact that this plant looks a little worse for the ATWS
19 problem than the earlier plants?

20 MR. POWERS: I am not prepared to draw that
21 conclusion.

22 DR. PLESSET: How did you get to that, Jesse,
23 so quick?

24 MR. EBERSOLE: Well, the apparent higher power
25 against an already extremely too short interval for recovery

1 on the older plants, suggest that here there may be only,
2 I don't know, two minutes, one minute.

3 DR. LIPINSKI: When G.E. first made their
4 presentations, the discussion hinged on the ten minute
5 interval with respect to boric acid and the staff says you
6 know, if it's longer than 10 minutes, manual injection
7 is satisfactory. If it's less than 10, it has to be
8 automatic. When G.E. came back with their second round
9 of analysis they were quoting numbers like 2 to 3 minutes.

10 MR. EBERSOLE: Well, this is worse.

11 MR. POWERS: And these were not for plants that
12 were 47% power, because now unless your water inventory
13 is considerably higher, your suppression pool temperatures
14 are going to arise much faster with this type of power
15 production.

16 MR. EBERSOLE: Chris, what I'm getting around to,
17 the recirc pump trip was a great thing in it's day
18 but maybe it's suddenly lost its's significance unless
19 you've got some time to do something with the suppression of
20 power. You may have just lost your time within which to
21 do do anything. That's all I'm saying. I think you
22 should put an intensive investigation out for that aspect.
23 We are riding on recirc pump trip to give us a not too
24 comfortable interval within which to shut it down. That
25 comfortable interval I think is getting extraordinarily short.

1 MR. POWERS: Mr. Ebersole, the feature that
2 we have in our plant, that is, recirc pump trip, provides
3 us with some very tangible benefits for other more
4 credible accidents that --

5 MR. EBERSOLE: I know, I understand. I'm going
6 to the ultimate state.

7 DR. PLESSET: We've pushed him into ATWS.

8 MR. EBERSOLE: Oh yes, I guess we have.

9 DR. PLESSET: That may not be entirely fair.
10 It's not only his problem.

11 MR. EBERSOLE: His problem is one of the worst
12 of any that I've heard.

13 DR. PLESSET: I don't think it's really
14 that much different than LaSalle.

15 MR. EBERSOLE: Well, if LaSalle's core is
16 the same as this one, then --

17 DR. PLESSET: I think it is. Isn't it the same?

18 MR. CORCORAN: That is correct.

19 MR. EBERSOLE: Okay, then I guess there's no
20 difference. I guess I'm talking to the whole class of
21 these new things.

22 DR. PLESSET: Right, right.

23 MR. EBERSOLE: But they're distinctly different
24 than the old ones.

25 DR. PLESSET: Oh yes, right. And this is something

1 for ATWS consideration all right. That's certainly true.

2 MR. EBERSOLE: I'd like to have the staff give
3 us the response in the generic context of what's happening
4 to us here.

5 DR. PLESSET: Yes, I think it's now something
6 that the staff has to get into and let us know about
7 these things and not only Mr. Ebersole, Mr. Lipinski and
8 I will all be interested in what they come up with.

9 Now, you say there's a meeting on this?

10 DR. LIPINSKI: Yes, I just checked my calendar.
11 It's scheduled for October 1 in Washington, on ATWS with
12 the ACRS Subcommittee and I don't know what the total --

13 DR. PLESSET: Which one is that?

14 DR. LIPINSKI: ATWS.

15 DR. PLESSET: Which Subcommittee?

16 DR. LIPINSKI: The ATWS subcommittee. I
17 think Dr. Kerr is chairman.

18 DR. PLESSET: That's Dr. Kerr. Do you ever
19 get any data from those? Do you get any feedback from
20 those other subcommittee meetings?

21 MR. POWERS: Definitely.

22 MR. NELSON: Are you talking about ACRS
23 Subcommittee meetings?

24 DR. PLESSET: Yes, this is one that Dr. Lipinski
25 points out is coming up --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. LIPINSKI: October 1.

DR. PLESSET: October 1 on ATWS.

DR. LIPINSKI: I haven't seen the agenda as to whether we'll hear anything from General Electric or the Staff on these new BWRs. It would be very important.

MR. NELSON: Maybe we can answer that more directly as far as our involvement in these kinds of activities. My manager Jerry Sorensen is the chairman of an ATWS group and maybe he can address that more directly as to exactly what our involvement is.

DR. PLESSET: Be patient, Mr. Powers. Don't go away.

MR. SORENSEN: As Roger mentioned, I'm manager, or the chairman of the AIF ATWS group. Jerry Sorensen, manager of licensing for the supply system. We are aware of the upcoming subcommittee meeting with the ATWS subcommittee and it's my understanding that the utility group on ATWS does plan to make a presentation at that meeting and I have seen nothing further as to what the overall agenda will be but I do understand that the utility group has been asked to make a presentation. That has been largely supported by the BWR owner's group and supported by General Electric Company. I'm sure that none of them are aware of the discussions that have taken place here in the last couple of days, so I suspect that they're

PENGAD CO., BAYONNE, N.J. 07002 FORM 2084

1 not prepared right now to discuss that topic but we will
2 make them aware of what has gone on here the last
3 couple of days and see what new things we might be able
4 to come forward with.

5 DR. PLESSET: You might get some of the Mark III
6 people involved, Jesse. They're not any better off and
7 may be a little worse. Grand Gulf is certainly ahead of
8 this plant in power level, above it.

9 MR. EBERSOLE: It's interesting how this matter
10 kind of crept along under the rug so long.

11 DR. PLESSET: Well, I don't think -- we knew
12 it was there.

13 MR. EBERSOLE: This 47 -- at least I didn't.
14 I was, maybe I should read more but this high power level,
15 I didn't grasp that.

16 DR. PLESSET: It's been there for quite a while.
17 Well, thank you, Mr. Powers. Why don't you go on.

18 MR. POWERS: The next question that I'd like to
19 address is one that was raised very early in the program
20 and had to do with the differences between the LaSalle
21 and the WNP-2 core design.

22 DR. PLESSET: Specifically you were a little
23 higher power I think.

24 MR. POWERS: Yes, our thermal reading was
25 3323 megawatts thermal as compared to 3293 for the LaSalle

PENGAD CO., BAYONNE, N.J. 07002 FORM 2084

1 unit. The fundamental reason for that difference is that
2 we have increased our core flow capability which results
3 in a somewhat -- about a 2% flattening in our power
4 distribution.

5 We are limited by peak energy generation rate
6 so that we can increase our core thermal power with a
7 flatter power distribution in order to achieve or reach
8 before we reach the 13.4 kilowatts before the peak limit.

9 DR. PLESSET: You have a higher peaking factor
10 as I recall, don't you?

11 MR. POWERS: No, I believe we have a lower
12 peaking factor.

13 DR. PLESSET: Lower. Then I misread that.
14 That's what bothered me. I'm glad to hear that actually
15 it's lower because that fits.

16 MR. POWERS: And that lower peaking factor
17 allows us to increase the thermal plant output while
18 still maintaining 13.4 kilowatts per foot. We have
19 a 2% higher core flow capability.

20 MR. CATTON: There was another part of the
21 question, too. The maximum heat flux that is noted for
22 your reactor is 428,000. For LaSalle, it's 361,000.
23 That's a significant increase in the maxim of heat losses.

24 MR. POWERS: You said maximum?

25 MR. CATTON: Maximum. The average that's listed

1 in the table is 163,000. The average for LaSalle is
2 145,000.

3 MR. POWERS: Our average will go up if we have
4 a flatter power distribution.

5 MR. CATTON: Twenty percent? Fifteen percent?
6 And also the maximum fuel temperature is up by 100°.

7 MR. POWERS: That particular table was not prepared
8 by --

9 MR. CATTON: It was prepared by the Staff.

10 MR. POWERS: It was prepared the Regulatory
11 Commission. Our design is well-conceived. We have a 2%
12 higher core flow rating which allows us to flatten our
13 power distribution and increase our thermal output roughly
14 equivalent to 1- $\frac{1}{2}$ % or 2%, which is -- we experienced
15 a 30 megawatt increase between --

16 DR_PLESSET: What bothered me in connection
17 with Dr. Catton's question. On page 1-9 of the SER for
18 your plant, total peaking factor is 2.51 and for LaSalle
19 it's 2.25. And this is what I was struck by when he
20 brought the question up. There may be an error.

21 MR. CATTON: Something is wrong.

22 MR. POWERS: There has to be an error in this.

23 DR. PLESSET: I would like it if you would
24 correct that for us.

25 MR. POWERS: We did not operate with a 2.51 peaking

PEGGAG CO., BAYONNE, N.J. 07002 FORM 2094

1 factor.

2 DR. PLESSET: I beg your pardon?

3 MR. POWERS: We do not operate at the 2.51
4 factor.

5 DR. PLESSET: That's a pretty high factor
6 anyway and there must be an error.

7 MR. SCHWENCER: DR. Plesset, Al Schwencer from
8 the Staff. I think we do need to check this table. From
9 what I'm hearing here, the staff's table for WNP-2 is
10 incorrect in a number of columns here.

11 DR. PLESSET: So you'll correct that for us Al?
12 Okay. Thank you.

13 MR. AULUCK: We will provide the full committee
14 the correct one.

15 DR. PLESSET: Yes, that will help people understand
16 this a little better. Okay, thank you.

17 MR. POWERS: But we do have a different flow
18 control power configuration and we've managed to increase
19 our total core flow by 1- $\frac{1}{2}$ % which allows us to flatten
20 the power distribution, increase our thermal output for
21 the same peak, kilowatt per foot and our average
22 generation rate goes up accordingly.

23 DR. PLESSET: You don't have any problems
24 with flexibility of operation with this flatter profile,
25 power profile?

1 MR. POWERS: No, we do not. We are not
2 limited by our maximum average plant regeneration rate
3 which is typically a problem if you run with flatter
4 power distribution.

5 DR. PLESSET: Yes, but you're not troubled
6 by that?

7 MR. POWERS: No, we're not. Our analysis
8 shows we have sufficient margin from the MAPLHGR limits.

9 DR. PLESSET: Thank you, that helps. I feel
10 a little better now that there may be an error -- well,
11 I'm sure there is an error in that particular number.

12 MR. CATTON: This might be the fellow to ask.
13 In the SCR there was also some discussion of a stability
14 analysis. Could you maybe explain to me what that's
15 all about?

16 MR. POWERS: We have a cycle 1 specific
17 core stability analysis that was performed on the G.E.
18 fuel for our initial cycle. During the course of the
19 project, we have elected to go to Exxon reload cores.
20 We have not submitted stability analysis to take into
21 account differences in the fuel types, or subsequent
22 core operation. We have a license condition imposed
23 upon us that we cannot operate beyond cycle 1 without
24 performing additional core stability analyses.

25 MR. CATTON: Oh, okay. Gee, then there's really

PENGAD CO., BAYONNE, N.J. 07002 FORM 2084

1 not much to it. Thank you.

2 DR. PLESSET: If you'll let me address you on
3 another question. I'm building up faster than you can
4 answer them, maybe. Had you any plan to develop
5 familiarity with any of the advanced codes NRC has made
6 available, like RELAP-5 or TRAC within your own house?

7 MR. POWERS: That question would be more
8 appropriately addressed by other individuals.

9 DR. PLESSET: Just as a matter of information.

10 MR. POWERS: I can't answer directly to
11 your question.

12 DR. PLESSET: I beg your pardon?

13 MR. POWERS: I will attempt to get an answer
14 directed to your question.

15 DR. PLESSET: Maybe Dr. Shen.

16 MR. NELSON: Yes, I was just going to say --

17 DR. PLESSET: May be able to tell us.

18 MR. NELSON: Is Dave Larkin in the audience?
19 I think he may have answered one of those questions
20 yesterday relating to RELAP.

21 MR. CATTON: I asked that question a little
22 differently and the answer was no.

23 DR. PLESSET: On RETRAN. You're not planning
24 to have any in-house capability on any of these codes?

25 MR. NELSON: Franz, go ahead.

1 MR. MARKOWSKI: Franz Markowski; I'm the
2 assistant design engineer. I have knowledge of two
3 persons right now who are using the RELAP code and
4 we have used it since at least to my knowledge for the
5 last four years. We have a WNP-2 RELAP Model and we
6 have reproduced some of the General Electric Chapter
7 15 licensing transients with it.

8 DR. PLESSET: Well, I'm very glad, pleased
9 to here that. Which RELAP version were you using? Do
10 you recall now?

11 MR. MARKOWSKI: I believe it's 5 but I
12 cannot be sure. I can go back and find out.

13 DR. PLESSET: I would like to know, if you
14 can do it without too much difficulty.

15 MR. MARKOWSKI: All right, I will find out.

16 DR. PLESSET: I think that the committee will
17 be interested to know about your developing your own
18 independent capabilities so that you don't have to go
19 outside to make an analysis if you need it.

20 MR. MARKOWSKI: Okay, all right. It's RELAP-5.

21 DR. PLESSET: Oh, thank you. That's about as
22 good as we have.

23 MR. NELSON: If I heard your carry-over to that,
24 you want us to get back with you as to what our plans
25 are for in-house analysis capability using these codes?

1 DR. PLESSET: It seems that you do have it
2 already.

3 MR. NELSON: We demonstrate that we do, of course,
4 know the codes. We have knowledge of the codes.

5 DR. PLESSET: And you will exercise this
6 capability?

7 MR. NELSON: Yes.

8 DR. PLESSET: Thank you, that's what I was
9 glad to here.

10 MR. EBERSOLE: May I? Chris, something funny
11 about this. It seems to me the trend as you have done here
12 toward higher and higher flows would make the ATWS performance
13 improved due to the lowering of the board content, before
14 we give them power level. I guess the answer to that is
15 you've raised the power output a little bit, is that
16 right?

17 MR. POWERS: That's correct.

18 MR. EBERSOLE: So you're back at the old void
19 fraction that you originally had. You're just moving
20 the water faster.

21 MR. POWERS: That's also correct. We also
22 get about 10 megawatts of electric for that.

23 MR. EBERSOLE: Thank you.

24 MR. POWERS: I can continue answering several other
25 questions that were raised if --

1 MR. NELSON: Ye, go ahead.

2 DR. PLESSET: You've got the floor. You'd
3 better keep it.

4 MR. POWERS: There was also a question asked
5 earlier I believe from Mr. Catton that had to do with
6 bundle lift and LOCA seismic concerns with -- and it's
7 interaction with channel bowing. I understand that
8 from discussions with General Electric that they have
9 recently submitted within the last month, new methodology
10 and new analysis that does in fact account for the
11 amount of bundle bolts that would be experienced due to
12 a differential depressurization rate between the core
13 flow by-pass region and the bundle channel region, such
14 that they do account for this bulging of the bundle in
15 the LOCA and seismic bundle whip interaction.

16 MR. CATTON: The question had to do with the
17 accounting of the deflection when they already had some
18 deformation at the box.

19 MR. POWERS: In addition, well, as I understand
20 the analysis, the analysis assumes a certain degree of
21 bulging to start with in the bundle. We have a -- we
22 have committed to the Staff through the licensing process
23 to implement a channel management program in which we
24 will control the amount of bulge that we experience on
25 the channels, resident in the core and discharge those

1 bundles when they appear to reach a significant bowing
2 level such that we're within the, within the bounds of
3 the analysis on the seismic LOCA lift.

4 MR. CATTON: As I understand it, the way you
5 do that is you measure the rate at which the rod will
6 drop and basically you measure the friction between the
7 rod and the box, is that correct?

8 MR. POWERS: That is one approach to the solution,
9 that's correct.

10 MR. CATTON: That means that you, you're going
11 to do something when the deflection is already enough
12 to rub on the control rod.

13 MR. POWERS: As I said that is one approach. Our
14 approach has offered an alternative direction. We will
15 aggressively measure the channel bow and we have developed,
16 based on statistics we have acquired from operating
17 plants to date, we have the ability to predict the amount
18 of bow given the resonant time of the reactor, locations
19 within the reactor, some specific material properties
20 of the channel. We can predict when a bundle will reach
21 an unacceptable amount of bows. Our program is primarily
22 based in a measurement program that confirms those
23 correlations and we intend to discharge bundles prior
24 to their reaching an unacceptable level of bow. We're not
25 going to rely solely on this friction measurement as you

1 alluded to.

2 MR. CATTON: Now, the unacceptable bulge is
3 the point at which you would get into difficulties
4 if there were the LOCA that would cause further
5 deformation?

6 MR. POWERS: No, our criteria will be based
7 on degradation of scram speeds, of the rods which is a
8 bow level that is less than the bow level that would
9 create a problem for the seismic, the bundle uplift
10 problem.

11 MR. CATTON: I'll look forward to reading
12 your report.

13 DR. PLESSET: May I ask you another question
14 in connection with your flatter power distribution.
15 It occurred to me, I wonder what this does to your fuel
16 utilizability? Does this affect the efficiency with
17 which you use the fuel? Do you have to discharge the
18 fuel earlier? Do you get more energy out of the fuel?
19 People don't worry so much about fuel economy anymore but
20 maybe we should.

21 MR. POWERS: Our analysis shows that towards
22 the end of cycle, we have significant margins to our
23 thermal limits of 13.4 kilowatts per foot. During that
24 period of time, we are examining operating strategies
25 that will extend the bundle useful lifetime or our

1 ability to extract energy from them. Things on the, that
2 have to do with changing the void fraction within the
3 core which would produce a more fissile material with
4 which we could extract an energy from later on in life,
5 that bundle in subsequent cycles, so we are constantly
6 looking at fuel cycle economics and adjusting our
7 operating strategies to account for any fluctuations
8 that would impact on bundle energy extraction.

9 DR. PLESSET: Do you think he may get a gain
10 out of this flatter profile?

11 MR. POWERS: I'm not really sure. I'm
12 not completely --

13 DR. PLESSET: You're giving us what your
14 experience will be after you've run through a couple
15 of cycles, but you don't expect much difference either
16 way?

17 MR. POWERS: No, I do not. Not for the 1% difference
18 in distribution.

19 MR. EBERSOLE: Chris, what would you expect
20 to be a reasonable margin of safety about this box uplift
21 problem for a LOCA in view of the end effects, if you
22 do get an uplift? What will happen if you have an
23 uplift is you'll raise the cans and they'll go up
24 and hit the steam separators? I don't know to what
25 extent this will affect the actual scram. It certainly would

1 do damage to the fuel, but what is a practical safety
2 margin to be sure these cruciform rods go in and do not
3 drag the fuel up? Do you have any feel for how much
4 confidence you need about this? By the way, that channel
5 box deflection probably is not axially uniformed. It's
6 probably worse at the bottom.

7 MR. POWERS: I would expect that to be the
8 case, yes.

9 MR. EBERSOLE: Whereas, the blow down load
10 is worse at the top.

11 MR. POWERS: I guess intuitively I would guess
12 that the bundle uplift problem would not be a severe
13 problem.

14 MR. EBERSOLE: How high can it lift? Two feet,
15 three feet?

16 MR. POWERS: Physically how high could the
17 bundle lift?

18 MR. EBERSOLE: Yes.

19 MR. POWERS: I believe the separation between
20 the top guide and the upper head, upper shroud head is
21 on the order of, depending on where you are radially
22 within the core, is probably on the order of 3- $\frac{1}{2}$ feet.

23 MR. EBERSOLE: Three and a half feet.

24 MR. POWERS: Something like that.

25 MR. EBERSOLE: Something like a third of the

1 core length.

2 MR. NELSON: Jess? There's a report that has
3 just been issued by General Electric on this subject
4 and I've just been informed that this subject matter is
5 discussed in the report. In all due fairness to Chris,
6 he hasn't had an opportunity to review this report. We
7 do have some fuel individuals in our plant that have reviewed
8 it and we're evaluating that right now, so I think Chris
9 is maybe, doesn't have the right ammunition at this point.

10 MR. EBERSOLE: Well, let's defer this.

11 MR. MARK: I would like to raise a question
12 which I don't believe needs to be commented on immediately
13 but there is this business of the pressurized thermal
14 shock which comes in some forms down to a radiation
15 history of the pressure vessel. I don't think it's a
16 problem for you, but it is a problem that you must
17 obviously have in site and give thought to, and could
18 you tell us just a word on the extent to which you are
19 aware of that and giving any heed to it?

20 MR. POWERS: We have a specimen measurement
21 program where we have core samples of the base metal
22 of the reactor vessel located at appropriate locations
23 above, around the core that we monitor the fluents and
24 it's effect on the base metal of the reactor pressure
25 vessel. I believe the question that you're referring to is

1 most severe on a pressurized water reactor because they
2 have a much smaller --

3 MR. MARK: That is certainly true.

4 MR. POWERS: Much smaller annulus region if you
5 will. We have a very large, relatively large area filled
6 with water that acts as a shield and so our fluences are
7 smaller on a reactor vessel.

8 MR. MARK: I agree with you entirely, of course,
9 but it is much more a problem for other people than for
10 you. On the other hand, at some time you are almost
11 certain to address questions on that subject and my
12 query, I guess, are you going to be prepared to do so
13 and what you're telling me is, you think you are.

14 MR. NELSON: Dr. Mark, we have members on our
15 engineering staff that are part of Westinghouse owner's
16 group and of course, Westinghouse is looking into this
17 very deeply with various subcommittees within AIF where
18 we're informed on this issue. We have a safety engineering
19 group that reviews LERS on a continual basis so this
20 kind of information is being fed back to our engineering
21 and plant operations system so we are aware of the
22 concern that is coming forth in this issue and we're
23 abreast with it. Again, Chris has mentioned that the
24 concern now appears to be narrowing in on PWRs. However,
25 we do have two PWR plants as well, we we are involved with

1 that kind of work that's going on in that area in PWR
2 specifically to see it's application to our plant as
3 well.

4 DR. MARK: What you say is just fine.

5 MR. EBERSOLE: Let me ask a question. This new
6 high pressure electric driven core spray pump -- it's
7 pretty close to the main feedwater pressure it can
8 deliver. Is there an inhibit on that when it fills the
9 boiler to keep it from going water solid?

10 MR. POWERS: Yes, there is. Mr. Ebersole,
11 Mr. Corcoran referenced that high level trip on the
12 high pressure core spray system.

13 MR. NELSON: Yes, we're talking high pressure
14 core spray.

15 MR. EBERSOLE: High pressure, okay, thank you.

16 DR. PLESSET: Do you have any more questions
17 that you want to answer? Did you have one?

18 MR. NELSON: Not after this.

19 (Pause)

20 DR. MARK: Would he like to introduce some
21 questions none of us have thought of?

22 (Pause)

23 MR. POWERS: There were a number of questions
24 raised by Mr. Ebersole and Mr. Lipinski during our tour
25 yesterday morning.

1 MR. NELSON: Dr. Catton as well.

2 MR. POWERS: That I could answer. I believe
3 I've got our responses to them. There was another
4 question however that was raised in this form yesterday
5 that I'd like to address. It has to do with providing
6 jet impingement force protection or shield between the
7 recirculation lines and the CRD insert withdraw lines
8 modules as they penetrate the sacrificial shield and go
9 underneath the vessel.

10 What I would like to do is simply summarize
11 our response to exactly that question that was raised on
12 our docket and I would like to basically summarize
13 the response that we submitted to the commission at
14 that time.

15 Fundamentally, we have had an analysis performed
16 that studies the impact of jet impingement forces on
17 CRD withdraw lines and how much force or how much
18 deformation of the line is required in order to begin
19 to effect our ability to scram the rods.

20 That study indicated that we could take up
21 to an 87% reduction in the flow area of the withdraw
22 line before we begin to affect the scram times at all.
23 In addition to that, we can experience a reduction of
24 the flow area to the point where there's only 1- $\frac{1}{2}$ % of
25 the original flow area available and studies have indicated

1 that we would still be able to scram the rods. It would
2 be at a reduced scram speed on the order of about 3 times
3 the normal scram speed. That gives you the spectrum of
4 amount of damage that we can tolerate on the withdrawal
5 lines and still maintain the ability to scram the rods.
6 Now, I might point out that with -- completely taking
7 a CRD withdraw line and holding it completely in half
8 so it has 180° bend in it, the studies have also shown
9 that because of the material properties in the small
10 diameter piping, there is still a 10% flow area remaining
11 which would still allow us to scram the CRD so we don't
12 feel the jet impingement force on the CRD withdraw
13 lines could preclude us from scrambling, driving the
14 rods in.

15 MR. CATTON: I wouldn't have expected that kind
16 of damage. I would have thought that jet impingement would
17 just shake it until one of the ends broke. Those
18 lines are pretty long.

19 MR. POWERS: If we completely sever a line
20 and break the line, that even --

21 MR. CATTON: Flow vibration is what I'm referring
22 to, not just a steady push by the jet. Do you know why
23 they are putting shields at some other plants?

24 MR. POWERS: No, I do not.

25 MR. CATTON: I really think you ought to take a

1 look into that. I don't believe that they would do it
2 without reasons.

3 MR. EBERSOLE: If I suddenly severed a supply
4 line during a LOCA, does the rod go in?

5 MR. POWERS: The rod scrams?

6 MR. EBERSOLE: You see, it has available
7 pressure from the check valve from boiler pressure.
8 The boiler pressure is going away from you awful fast and
9 the time scale, there's a very neat calculation you have
10 to do to see whether you made it before you lost the
11 pressure.

12 MR. POWERS: I believe the vessel pressurization
13 rate is relatively slow enough to allow full stroke of
14 the scram.

15 MR. EBERSOLE: What's the depressurization
16 rate on the large LOCA compared to the rod insertion time?

17 MR. POWERS: I guess I do not know what the
18 actual depressurization --

19 MR. EBERSOLE: Do you follow my course of
20 thought is here?

21 MR. POWERS: Yes, I understand exactly what
22 your concern is.

23 DR. PLESSET: What's the rod insertion time?

24 MR. POWERS: The concern is the reactor pressure
25 would depressurize more rapidly than the scram stroke.

1 DR. PLESSET: What's the scram stroke time?

2 MR. POWERS: Our measured scram speeds are
3 on the order of 2- $\frac{1}{2}$, 2.2 to 2.5 seconds.

4 MR. EBERSOLE: But this is a different cap here,
5 this is a much lower pressure, going in on the boiler
6 pressure itself. The boiler pressure is going away
7 and boiler pressure is also driving the rod, because the
8 supply line from the accumulator is gone.

9 MR. CATTON: Still, 2.5 seconds is pretty short.

10 DR. PLESSET: That's pretty short for reactor
11 depressurization. Also, it might still be all right.

12 MR. POWERS: I might add, Mr. Ebersole, that
13 during our test program, we brought out the scram
14 accumulators and monitored, measured what the actual
15 CRD scram time is without accumulative pressure, relying
16 solely on reactor pressure and we do not see a significant
17 degradation of our scram speeds.

18 MR. EBERSOLE: But this dry pressure would be
19 going down exponentially.

20 MR. POWERS: Yes, I understand that.

21 MR. EBERSOLE: So you wouldn't be getting
22 a representative picture. But mainly --

23 DR. PLESSET: Two seconds is a fairly short
24 time for the depressurization rate.

25 MR. POWERS: The depressurization rate --

1 MR. EBERSOLE: Even on a large LOCA.

2 DR. PLESSET: Right, even on a large LOCA.

3 MR. EBERSOLE: Is the degree of damage that
4 you postulate to the rods obtained by how you quantify in
5 sort of break mode rather than the usual simple one
6 where you take a sequential or a split of cross-section
7 of pipe. In short, have you honed the thesis of level
8 of damage to these rods on a complicated and quite involved
9 and therefore suspicious number of conditional requirements
10 that limit the break violence?

11 MR. POWERS: As I recall, the test program on
12 the withdraw lines that tested under -- tried to simulate
13 two types of damage. One, where you took a long section
14 of piping and held it at either end and crimped it in the
15 middle and just bent it.

16 MR. EBERSOLE: I'm talking about the damage or
17 the impact or the forces that you're going to apply to it.
18 I'm not talking about the performance of the tubes, I'm
19 talking about the forces.

20 MR. POWERS: What I was trying to indicate
21 were the two methods in which we applied forces to the
22 point where we got deformation or damage to the withdraw
23 line.

24 MR. EBERSOLE: Let me tell you my basic problem.
25 I'm finding it a little difficult to believe that in the

1 presence of a large split or circumferential break, you
2 know, the simple minded mode of failure, that I'll have
3 anything left but rags in the vicinity of the break. I
4 simply won't have any tubes at all because of the violence
5 of this hydraulic explosion.

6 Now, what you have done, I think is said oh,
7 I'm not going to get a break that big, I'm going to get
8 a crack because it has -- it's in a certain region where
9 I can claim a modulated form of break using the NRC
10 methods to reduce the size of the break. Is that right?

11 MR. POWERS: Are you questioning -- let me
12 make sure I understand.

13 MR. EBERSOLE: It's the size and degree of
14 the break in the vicinity of the rods. Have you taken
15 a full scale split or a circumferential rupture?

16 MR. POWERS: Well, let's hypothesize that we have
17 a full size break that completely wipes out all of the CRD
18 withdraw lines.

19 MR. EBERSOLE: Yes.

20 MR. POWERS: Under that case, we still have the
21 maximum flow area available to relieve the over piston
22 area and the reactor pressure would drive the control
23 rod drives in under that condition.

24 MR. EBERSOLE: The last statement you made is
25 the one in question, because that pressure is rapidly

1 decreasing.

2 DR. PLESSET: That's rapidly in quotation marks.

3 MR. EBERSOLE: But the question is whether the
4 time is appropriate.

5 DR. PLESSET: I think you can easily get someone
6 to look up for you what the depressurization is for
7 2 to 3 seconds and I suspect that it's slow enough
8 so that you're all right. Do you have that or can you
9 get it?

10 MR. POWERS: I can get that number for you.
11 I believe that that number is greater than 2 seconds.

12 DR. PLESSET: I would agree with that too.

13 MR. EBERSOLE: I think it is, too.

14 DR. PLESSET: It's quite a bit greater than
15 2.5 seconds.

16 MR. POWERS: That forms the fundamental
17 basis of our resolving this particular issue, Mr. Ebersole.

18 MR. EBERSOLE: Mr. Chairman, of course that
19 only accounts for the supply line. If you fold the
20 discharge flat, you go no place. The thesis here is
21 that you won't ever quite fold them flat. You'll have
22 a leak path and therefore obtain a discharge and I
23 don't know how valid that is.

24 MR. POWERS: The information that was just
25 brought to me indicates that reactor pressure is above

1 800 pounds, out into 16 seconds following a large break
2 LOCA and it remains above 500 pounds.

3 DR. PLESSET: That sounds reasonable.

4 MR. EBERSOLE: Plenty of time.

5 MR. POWERS: Into 30 seconds.

6 MR. EBERSOLE: I think, the supply line failure,
7 there's no problem.

8 MR. POWERS: And again, I might add that during
9 the test program, we test selected drives with the
10 scram discharge volume or excuse me, the scram accumulator
11 valve at reduced reactor pressures as well as full
12 reactor pressures so we have complete confidence that
13 the rod will scram, should we damage the insert
14 withdraw lines.

15 MR. EBERSOLE: Did you deliberately disperse
16 the tubes so that you didn't have contiguous rods?

17 MR. POWERS: Yes, sir.

18 MR. EBERSOLE: And you had this in mind when
19 you did this, I guess.

20 MR. POWERS: Had the --

21 MR. EBERSOLE: The damage concept of a local --

22 MR. POWERS: It has to do with separation, yes
23 it does.

24 MR. EBERSOLE: Thank you.

25 DR. PLESSET: Very good. Well, we're happy,

1 relatively speaking.

2 MR. NELSON: Are you still concerned about
3 the variance (ph), Dr. Catton?

4 DR. CATTON: I'm just curious as to why they're
5 doing it at other plants. Your arguments sound very
6 convincing.

7 MR. NELSON: I think the answer is that these
8 arguments are, post-date the insertion of the shields.
9 I think the shields were added, it's my understanding
10 that the shields were added by the architect engineers
11 as an added conservatism prior to being aware of any
12 expense (ph) it had in mind.

13 DR. PLESSET: Mr. Powers, do you have more?

14 MR. POWERS: There were four or five questions
15 I believe Mr. Ebersole raised during the tour and I believe
16 he would like to have a response to those?

17 DR. PLESSET: Sure, why don't we do that.

18 MR. NELSON: We know the answer to that, Chris.

19 MR. POWERS: I believe one of the first questions
20 you asked me, Mr. Ebersole was up on the refueling floor
21 when we were looking at the reactor building crane and
22 you had asked whether or not we had dual cable cranes.
23 We do in fact have dual cable, single drum, dual hook,
24 main crane.

25 MR. EBERSOLE: I believe I asked you the question,

1 did you go via the logic of I will never drop the load,
2 like 125 ton cask or I will drop it but it won't hurt
3 anything? I believe you told me you went both ways?
4 That you can say you'll never drop it with high assurance;
5 second, if you do, you're all right. Am I correct?

6 MR. POWERS: That is correct.

7 MR. EBERSOLE: I guess I don't need to pursue
8 that any further. You can drop it.

9 MR. POWERS: When we were in the diesel
10 generator room, you asked the question whether or not
11 the -- each individual diesel had it's own independent
12 DC system to supply it's control logic and so forth.
13 On our HPCS system which is our division 3, it has a
14 completely independent, separate DC power system that
15 is powered off of it's own SM4 bus. The other two
16 divisions of the diesel have a, come off of the 125 volt
17 division 1, division 2 battery -- 125 volt battery system
18 that I'll be showing you a slide on later in my presenta-
19 tion.

20 You raised another question --

21 DR. LIPINSKI: Before you go on, I have one
22 question on those diesels. The motor driven compressors,
23 are those motors on the 125 volt DC?

24 MR. NELSON: This is air compressors?

25 DR. LIPINSKI: Air compressors for the diesel start.

1 MR. POWERS: I believe I have one AC powered
2 and one DC powered.

3 MR. NELSON: That is correct.

4 MR. POWERS: One DC is off the 120 -- I believe
5 it's 125 volt DC power for that division and then we have
6 our other AC motor that's powered from the emergency or
7 critical bus for it's respective division.

8 I believe Mr. Lipinski you asked the question
9 when we were on the 522 elevation and I pointed out to
10 you the pipe chase areas that were closed in a concrete
11 that as they came up the biological shield and turned
12 it and went into the primary containment, you had
13 asked what the design basis for that concrete shield
14 was, and I was uncertain as to whether or not they were
15 actually for radiation shielding of plant personnel
16 protection and in fact they are for normal plant operation
17 when we're in the shut down cooling mode -- those pipe
18 chases are enclosed in the structures for radiation
19 protection and plant shielding.

20 I think the last question that I have a
21 response to is Mr. Ebersole's question that had to do with
22 a cooling of the generator, on the diesel generators,
23 whether or not there it was room or was taken from
24 outside air. The answer to that question is, it is
25 room air, that is circulated through the generator to cool it.

1 MR. EBERSOLE: If it's room air, then that
2 leads to the next question. Are there any modes of
3 operation such as fire protection wherein you closed
4 the room by systems which are not seismic class 1 or
5 otherwise, class 1E safety grade competence? Are there
6 any devices which in essence can close the room air up
7 so you have no generator cooling? If you follow me --

8 MR. POWERS: I understand your question. I
9 do not have a direct answer for that question. I will
10 try --

11 MR. EBERSOLE: For that room -- it turns out
12 that the generator is cooled by room air and the next
13 question is --

14 MR. POWERS: The generator --

15 MR. EBERSOLE: The room air.

16 MR. POWERS: The generator is rated for 155°
17 or 315°, 311°F are the environmental conditions in which
18 that particular generator was designed for. It has
19 a very high ambient temperature that it can run at.

20 MR. EBERSOLE: Do you mean it can run via
21 a room ambient of 350°?

22 MR. POWERS: 311°.

23 MR. EBERSOLE: 311°.

24 MR. POWERS: Yes, sir.

25 MR. EBERSOLE: That's astounding. Nobody can go

1 in there to service it, of course.

2 MR. POWERS: I believe the scenario we were
3 talking about is say we had a fire in another section of
4 the room or something like that that would require us to --

5 MR. EBERSOLE: Let me just ask you to look at
6 the potential for blockage of the room, open cycle
7 ventilation system. I assume you don't have a closed
8 cooling system in there?

9 MR. MARKOWSKI: May I interject? Franz Markowski,
10 System Design Engineer. There are cooling coils, a smaller
11 one and a heavy one which come on automatically when
12 the diesel starts. Or more correctly, the smaller one
13 is normally on and the heavier one comes on as soon as
14 the diesel generator starts and cooling is not achieved
15 by circulating the air out of the room but cooling is
16 achieved by circulating the air through these cooling
17 coils internally.

18 MR. EBERSOLE: You just answered the question.

19 MR. MARKOWSKI: Yes, you do not need outside
20 air.

21 MR. EBERSOLE: Thank you.

22 MR. POWERS: Those were all the questions.

23 DR. MARK: I have a question I'd like to ask.

24 DR. PLESSET: Well, it's up to you. You can't
25 silence a member. Dr. Mark has a very general kind of

1 question.

2 DR. MARK: Very general indeed. There are many
 3 people present here as there were yesterday and this is
 4 of course, quite agreeable to the subcommittee and we'd
 5 like to think that there are people interested in what it
 6 was doing. Many of those will be here because of their
 7 connection with General Electric or connection with
 8 Washington Public Power and there will be some I suppose
 9 who are here because of interest. I'm wondering if those
 10 who are here, not connected with one of the organizations
 11 who are trying to present their case would be willing
 12 to let us know by showing their hands, just roughly,
 13 how many of any such there are? Members of the public,
 14 that is.

15 DR. PLESSET: Just one. Well, that shows you
 16 that you have a limited attraction because you're not
 17 known.

18 Let's recess for lunch and we'll reconvene at
 19 1 o'clock.

20 (Whereupon, at 12:02 p.m., the hearing in the
 21 above-entitled matter was recessed, to reconvene at
 22 1:00 p.m. this same day, Friday, September 3, 1982, in
 23 the same place.)

24
 25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A F T E R N O O N S E S S I O N

1:07 p.m.

DR. PLESSET: Let's get back to the meeting and continue with our agenda.

We'll go back to Mr. Powers. Is he here? Oh, yes. Mr. Powers. Will you begin?

MR. POWERS: I'd like to begin my formal presentation in which I'll be covering three topics.

(Slide)

They are AC/DC system reliability.

MR. BIBB: Can we take a minute before we get started and answer a question that Mr. Ebersole had on a service board pumps (ph).

MR. NELSON: Yes, I think Mr. Rifaye can answer that question.

MR. RIFAYE: This switch is --

DR. PLESSET: Who are you?

MR. RIFAYE: Shafike Rifaye. That switch is merely for maintenance and during outage you can have the pumps maintained or something like that, you don't want an operator to start the pump and just all completely drawing. Because you float the weir and you maintain the area, during, only during outage.

MR. EBERSOLE: Was this because of the level interlock?

PENGAD CO., BAYONNE, N.J. 07002 FORM 2094

1 MR. RIFAYE: The low level trip.

2 MR. EBERSOLE: Why don't you just open the
3 breaker and tie it off?

4 MR. RIFAYE: Because I have it there -- it's
5 just for me to -- it's just for maintenance purpose. I
6 don't have it for operation. For operation when it works,
7 that means the whole spray pond is completely empty so
8 I have no water anyhow.

9 MR. EBERSOLE: Do you mean that that, now this
10 is the level lock out, right?

11 MR. RIFAYE: The level lock out, yes.

12 MR. EBERSOLE: You mean a normal operation,
13 it short-circuited?

14 MR. RIFAYE: A normal operation once it reach
15 to that level that means the spray pond is completely empty.

16 MR. EBERSOLE: I know that, but if I also have
17 a malfunction of the switch, the pump stops.

18 MR. RIFAYE: You can switch to the other three
19 and you have completely two independent drains of --

20 MR. EBERSOLE: I understand. What's the
21 relative probability that I will go to low level versus
22 the probability that the switch will go bad.

23 MR. RIFAYE: I can't answer that.

24 MR. EBERSOLE: I think the odds are fantastically
25 higher that it's going to be about switch malfunctions.

1 MR. RIFAYE: That's true, but in that case I
2 can switch to the other spray pump and go and bridge it
3 and take it off the circuit.

4 MR. EBERSOLE: I guess, I don't understand, I
5 mean, do you mean to clean out the pool you're going to --

6 MR. RIFAYE: To clean the pool and that nobody
7 can start the pump during that time.

8 MR. EBERSOLE: And you don't depend on opening
9 circuit breakers and locking out the pump for that
10 purpose?

11 MR. RIFAYE: No, I don't think.

12 MR. EBERSOLE: This is sort of an indirect --

13 MR. RIFAYE: It's indirect permissive --

14 MR. EBERSOLE: You've got a local interlock
15 that's virtually manual.

16 MR. RIFAYE: That's right.

17 MR. EBERSOLE: I don't know what to say about
18 it except that I'm suspicious that it's got problems.

19 MR. RIFAYE: Normally, normally you're going
20 to lose water in the ponds to address the operation and
21 we have 30 days reservoir in both ponds.

22 MR. EBERSOLE: How frequently do you anticipate
23 that you're going to empty the things to clean them out?

24 MR. RIFAYE: I don't expect, in perhaps in
25 20 years or so I might have to.

1 MR. EBERSOLE: And once every 20 years I'm
2 going to have this switch have to work?

3 MR. RIFAYE: It's true, I mean, I can, I see
4 your point, you know. Okay.

5 DR. PLESSET: Let's go on, Mr. Powers.

6 MR. POWERS: I'll be covering three subjects
7 today as I said. The description of the AC/DC distribution
8 systems and it's associated reliability. I'd like to
9 spend a few minutes and discuss total loss of AC incident
10 and how we would anticipate to responding to such an
11 incident and finally, I'd like to present to you some
12 design modifications that we're making on the remote
13 shut down systems to make it a more reliable system.
14 Before I go into the formal presentation, I'd like to
15 clarify two items from my earlier period of time up
16 here prior to lunch.

17 I would like to clarify a statement that I
18 made that may have left the wrong impression to the
19 members of the ACRS committee in regards to the
20 air compressors that provide air starting power for
21 the diesel generators.

22 We have one AC motor that's powered from the
23 emergency bus. We have a second diesel driven air compressor
24 that has it's own DC supply for the starting logic and
25 the starting motive force to start the diesel driven air

1 compressor. This diesel driven air compressor takes a
2 suction from and discharges it's exhaust to the respective
3 inlet and outlet of the associated diesel generator that
4 is providing a start capability for so I think there may
5 be a misconception on what I said earlier on that subject.
6 I'd like to clarify that.

7 DR. LIPINSKI: Where was that other compressor
8 located because we looked into the one room and I only
9 saw the motor compressors with the receiver tanks?

10 MR. POWERS: They are located in the same room,
11 completely set behind, back behind the AC motor that
12 we pointed out to you on the tour.

13 DR. LIPINSKI: Okay, we missed that.

14 MR. POWERS: Yesterday. The other point I
15 would like to clarify is a statement that I confirmed
16 from Mr. Ebersole in that we felt that we could withstand
17 a cask drop incident. We have a situation analyzed from
18 a radiological protection standpoint and we feel comfortable
19 with our ability to control the radiological consequences
20 of such an incident. We have not analyzed a situation
21 from a potential damage to the fuel pool and what a drop
22 in the cask would do to the fuel pool. Our fundamental
23 line of defense is that we won't drop the cask. So I
24 would like to clarify that.

25 MR. EBERSOLE: Well, then that gets into an

PENGAD CO., BAYONNE, N.J. 07002 FORM 2094

1 intensive study of this matter of the crane being able
2 to override itself, the duality of the limits which is
3 on travel and torque and so when you -- have you opened
4 the crane designs and it's controls and upgraded to
5 safety grade functions. Those drum drive systems and
6 breaking systems so that you really have a valid basis
7 for safety grade lifting?

8 MR. POWERS: We have submitted a report in
9 response to a NUREG on control of heavy loads and it's --

10 MR. EBERSOLE: I'm unfortunately not familiar
11 enough with that to really say that, whether it covers
12 the problem fully or not.

13 MR. POWERS: What I was about to say, Mr. Ebersole,
14 was that our submittal to that NUREG on a control of
15 heavy loads, addresses the interlocks that we have on
16 the crane, our measures to keep them in service, the
17 surveillance on those, that sort of thing that I believe
18 would address your concern.

19 MR. EBERSOLE: Suppose I, the over travel
20 interlock fails on the crane and keeps running. What's
21 the ultimate consequence on the drum and the cable?
22 Do I have excessive torque capability?

23 MR. POWERS: I cannot directly answer that
24 question.

25 MR. EBERSOLE: You follow my line of questioning?

1 MR. POWERS: Yes, I do.

2 MR. EBERSOLE: I'm getting into the box that
3 we call the crane and addressing it as being necessarily
4 having to be designed to reactor grade, class 1E type
5 rationale. Does the Staff not require this? If you
6 invoke infallibility of dropping? And, you have in
7 this case maybe the potential for puncturing a hole in
8 the fuel pump?

9 MR. SCHWENCER: I think with respect to this
10 plant, Mr. Ebersole, we have not completed the review.
11 We're still -- need to look at this report that they've
12 submitted.

13 MR. NELSON: I can clarify that a little bit.
14 Chris made a statement that we have responded to NUREG
15 0612, the heavy loads issue. We have had verbal discussions
16 with the staff and the staff's consultant on this issue.
17 We know what our response is. It has been drafted.
18 The Staff knows what it's going to be, but we have
19 not actually submitted it yet.

20 MR. EBERSOLE: Mr. Nelson, what I'm really getting
21 at, do you consider the Staff's requirements an adequate
22 baseline for the safety of this crane operation?

23 MR. NELSON: Yes, we have evaluated the NUREG
24 0612 requirements and we believe that they're adequate.

25 MR. EBERSOLE: It's comprehensive, you think.

1 MR. NELSON: Yes, it is comprehensive and we
2 feel it's adequate.

3 MR. EBERSOLE: Okay, thank you.

4 DR. PLESSET: Go ahead, Mr. Powers.

5 MR. POWERS: I'd like to get into now a
6 presentation that I had prepared that describes the
7 AC power distribution. What I have in front of you
8 now is a -- is the Washington portion of the Pacific
9 Northwest grid, which is commonly referred to within
10 the Benton power administration as the federal Columbia
11 River power system.

12 (Slide)

13 It is a little bit difficult to see, but I'll
14 try to point this out with the pointer here. WNP-2 is
15 physically located in this area right here. What I want
16 to point out to you is the major 500 KV transmission lines
17 that criss-cross the State of Washington into which
18 the output of WNP-2 is tied. Here is a major 500 KV line
19 that goes over to the major load center on the West to
20 a portion of the State of Washington in the Seattle-Tacoma
21 area. In addition, we have a major 500 KV inter-tie coming
22 down to the Bonneville Region in this area and continuing
23 on down to another major load center that the BPA grid
24 here in the Northwest services and that is the State of
25 California. I would like to also point out that we import

PENGAD CO., BAYONNE, N.J. 07002 FORM 1084

1 and export a significant degree of power from BC hydro,
2 that passes through the BPA grid. The impression I'd
3 like to leave you here is that the BPA grid has an installed
4 capacity of something on the order of 12 million kilowatts.
5 We are interconnected with grids in the rest of the
6 United States at 100 locations, approximately and there
7 are inter-tied with 17 other transmission systems that
8 tie into the Northwest power grid.

9 MR. RAY: Mr. Powers, do I read this diagram to
10 indicate that you also have 500 KV ties into Canada?

11 MR. POWERS: Yes, as I was indicating, we transmit
12 import and export power from BC hydro through the BPA grid
13 to the load center in California.

14 (Slide)

15 It's not particularly graphic in this slide
16 however, I would like to point out that there are 27
17 hydro projects on the Columbia, federal Columbia River
18 power project.

19 (Slide)

20 This particular slide is showing you a little
21 bit more detail of the area immediately surrounding the
22 WNP-2 location. We are physically located right there.
23 This symbol represents WNP-2. Here is WNP's 1 and 4 projects
24 located here.

25 The output of our generator is transmitted to the

1 Howard Ashe substation where it is connected with the
2 500 KV system by this line, goes up into the major 500 KV
3 transmission point. In addition, we also have a 500 KV
4 coming into Ashe, going into the lower Monumental Dam
5 complex. I would like to point out while I'm on this
6 slide, one of the major 115 KV transmission system points,
7 the Benton substation -- what I'm trying to point out
8 here is, that we have at least four sources of supply into
9 the Benton substation of 115 KV. We have two lines
10 coming in from the lower Snake Dam complex where Ice Harbor,
11 the lower Monumental, the Little Goose dam are located.
12 In addition to that, it's just off the left edge of this
13 map, I would like to point out that the number of sources
14 of supply of 230 KV power coming into the midway substation
15 which supplies us the major power excitation for our
16 start up transformer which we showed you on the tour
17 yesterday, coming from Midway down through the 230 KV
18 lines into Ashe and then onto our unit.

19 MR. RAY: You mentioned two 500 KV lines at
20 Ashe and I see one connected to Pebble Springs. Is that
21 isolated from the WNP input?

22 MR. POWERS: No, it is not. I simply did not
23 choose to --

24 MR. RAY: So you have three lines there.

25 MR. POWERS: That's correct.

1 I want to emphasize that coming into the
2 midway substation, we have as a minimum, four separate
3 sources of supply coming into Midway that come from the
4 various dams on the upper Columbia and the middle Columbia
5 and even to tie into the lower Columbia hydro projects
6 at the La Dalle's and Bonneville Dam complexes.

7 Also over in the Benton substation as I pointed
8 out, we have at least four sources of supply coming
9 from the hydro project.

10 MR. SCHWENSEN: The clarification is -- the
11 one to Pebbles Springs, is that an existing line or
12 is that a future planned one to the Pebble Springs Nuclear
13 area?

14 MR. POWERS: I believe that this -- I believe
15 that this particular line is a future planned area and
16 the major inter-tie with the coal fire units down there
17 is through the 115, 230 KV line that you see coming
18 down towards the area dam project.

19 MR. RAY: I fail to follow that. Are you saying
20 that the third 500 KV line is a future line?

21 MR. POWERS: There is an intention to fill,
22 there is on the drawing boards I should say, an intention
23 to build a Pebble Springs nuclear plant by Portland
24 General Electric. That is sometime off in the future.

25 MR. RAY: I see. Will that be in conjunction with

1 the additional nuclear power units at WNP?

2 MR. POWERS: I'm sorry?

3 MR. RAY: Will that be in conjunction with
4 the next units? The rest of your nuclear program?

5 MR. POWERS: No.

6 MR. RAY: It's beyond that.

7 MR. POWERS: It's independent of our activities.

8 (Slide)

9 What I was attempting to indicate on this particular
10 slide, this shows you a little bit more detail of the
11 Midway Substation and shows you the ring bus configuration
12 which is connected into the 230 KV supply line that comes
13 into the HOWard Ashe substation that's immediately to
14 the North of our facility.

15 MR. RAY: Do you have a detail of the 500 KV
16 switching at Ashe?

17 MR. POWERS: I'm sorry, I do not have a slide
18 on that. It is a similar configuration. The ring-bus
19 concept is applied to the 500 KV that you see on the 230.

20 MR. RAY: So the 500 KV going over to Midway
21 and the one going to Lower Monumental are separately
22 switched?

23 MR. POWERS: That is correct.

24 MR. RAY: How about -- is there a transformation
25 tie between this 230 KV bus and that 500 KV ring bus that

1 you mentioned?

2 MR. POWERS: In the Ashe?

3 MR. RAY: Yes.

4 MR. POWERS: No, there's not.

5 MR. RAY: No transformation.

6 MR. POWERS: No.

7 (Slide)

8 While I'm on this particular slide, I would also
9 like to point out that there is a connection between the
10 Ashe substation and the 230 KV supply that comes down
11 and comes out through the White Bluff substation and is
12 transformed down between 230 and 115 KV and goes onto the
13 Benton substation. If you recall the Benton was our primary
14 source of 115 supply to the back up transformer. Here
15 we see the ring-bus arrangement in Ashe that we draw off
16 the power supply for our starter transformer TRS which
17 we showed you on the tour yesterday.

18 (Slide)

19 This shows you the similar arrangement at the
20 Benton substation. Again, we have at least 4 independent
21 sources of supply coming from the hydro project that tie
22 in the supply of 115 KV. Here is the White Bluff's
23 inter-tie that I mentioned from the previous slide. It
24 comes in -- it's an additional source of 115 and comes
25 into the Benton substation.

1 The important concept that I would like you
2 to understand here is that the ring-bus configuration
3 which would allow us basically -- we have the ring-bus
4 aligned such that we have the circuit breakers between
5 the major load and incoming source to protect our sources
6 from faults on the grid external to our switching station.
7 Should we have a problem should this particular component
8 fail, we have the opportunity to close in a manual disconnect
9 switch located here which will bring in again all four
10 sources of supply in the ring-bus configuration into
11 our source of supply.

12 MR. RAY: I'm confused by your nomenclature.
13 To mek that's not a ring-bus. A normal operation, I
14 gather that the top bus without the switches on it is
15 not closed in, am I right?

16 MR. POWERS: That's correct.

17 MR. RAY: Well then, that's a straight bus,
18 really, and the normal operation, the bottom bus is
19 energized and each source is switched to it except
20 your start-up transformer. That's a straight bus.
21 See, you don't have the continuity of service without
22 switching that goes with a ring-bus. Now, it's an
23 academic point, but don't call it a ring-bus if in
24 a normal operation it isn't in the ring configuration.
25 Do you follow me?

1 MR. POWERS: Yes, I understand your point.
2 I'll attempt to clarify that.

3 MR. RAY: That's alright. You see, there is
4 an element of reliability. I'm not prepared to give you
5 a quantitative measure of it but there's an element of
6 reliability, additional reliability, if you have a ring-
7 bus rather than a straight bus because if you have a bus
8 fault there, you lose every connection to it. Every source
9 as well as every load and you're out until you switch
10 back in the bus at the top. Do you follow me? And the
11 ring-bus, this isn't necessarily true. You may get a fault
12 between breakers. It's cleared and everything on the
13 bus except what was connected to that section is still
14 in service. So when you call it a ring bus, you're
15 giving it a connotation of additional reliability over
16 what that represents. And it isn't correct.

17 MR. POWERS: I think there may be -- I'm pretty
18 confident that we have a ring bus arrangement. I think there
19 may be a problem with the simplified diagram that I've
20 got up here. I'm very confident --

21 MR. RAY: If this is correct, whatever presentation
22 you make or whatever you publish, don't call it a ring-bus.

23 MR. POWERS: I understand your concern and
24 again I'll clarify that as quickly as I can.

25 (Slide)

PENGAD CO., BAYONNE, N.J. 07002 FORM 2094

1 What this particular slide is attempting to
2 show is the immediate vicinity of WNP-2 and the incoming
3 and outgoing sources of supply. Very quickly, I have the
4 reactor building here and the turbine building and I have
5 the switch yard indicated, encircled in the fence.

6 Our normal source of supply for the emergency
7 buses which are depicted here as SM 7 and 8, would come
8 from TR-M 3 and 4 which are normal auxiliary transformers
9 which take a feed off of our generator output and supply
10 normal source of power through SM-1 and 2 to SM-7 and 8.

11 In addition to that, we have the incoming
12 start-up transformer located here that has a 230KV supply
13 again coming from the Ashe substation. In addition to
14 that we have the back-up auxiliary power transformer
15 located here which has switching mechanism that will
16 directly supply power to the critical buses, SM-7 and 8
17 and it's source of power as I said before was the Benton
18 substation. It comes in at 115 KV.

19 MR. EBERSOLE: Let me ask you a question. It's
20 kind of a fundamental one. You've got other plants coming
21 on, TWRs and so forth and some of them really don't want
22 to transfer after they get a generator trip. They want
23 to maintain the output of the generators to service the
24 reactor cooler pump for awhile on the grounds that a
25 certain kind of transient might have preceded the closure

1 that is, the trip out of the turbine. This tends to
2 raise a kind of fundamental question. Why is it advantageous
3 in the first place to run the auxiliaries of a nuclear
4 plant off the output of it's own turbine generator rather
5 than maintain such auxiliaries through station service
6 systems and not be faced with the necessity of the switch
7 which is inevitable every time the turbine generator
8 comes down. My understanding is, that I -- I asked TVA
9 this question and they are going to henceforth do this
10 beginning at Bellafont. They will no longer carry the unit
11 auxiliaries off the turbine generator output. They'll
12 carry it off of another source. Therefore, there'll be
13 no switching. Is this just a historical way of doing
14 things from the fossil and hydro days and we keep doing it
15 this way or is there a distinct advantage in your view
16 of running off the unit which is sure to go dead when you
17 get in trouble?

18 MR. POWERS: I'm not prepared to conjecture
19 about the long term or the background of why we evolved
20 into this particular kind --

21 MR. EBERSOLE: Looking further down the road,
22 you might raise the question. Why do I always jump
23 to the unit for it's own support when I'm going to need
24 it worse when I don't have it. It's not the coal miners
25 and the hydros. I got to have it when I'm not running and

1 it doesn't fit any more. Well, it's just pertinent
2 to the distribution design here. Maybe in the future.

3 MR. POWERS: As I indicated yesterday to you,
4 Mr. Ebersole, it would be a simple matter of us closing
5 the TRS breakers --

6 MR. EBERSOLE: You could get it.

7 MR. POWERS: And opening the normal auxiliary
8 breakers and running with our normal house loads carried
9 off of the TRS.

10 MR. EBERSOLE: The question is, why do you even
11 have to do that?

12 MR. RAY: Chris, is the capacity of the back-up
13 transformer the same as your unit -- station transformer?

14 MR. POWERS: There is a rating difference.

15 MR. RAY: Then I presume that the loads that
16 would be switched onto the back up source are essentially
17 the safety loads.

18 MR. POWERS: That's correct.

19 MR. RAY: Rather than the general loads.

20 MR. POWERS: That is correct.

21 MR. RAY: Okay, thank you.

22 MR. EBERSOLE: Chris, since I seem to have an
23 infinite source of information in front of me, I'm going
24 to pull on it. What is the -- in the event of a turbine
25 generator disconnect where it loses it's main load and has

1 only house load left what's the reliability that you
2 might quote to me that you will guarantee loss of excitation?
3 That you must have it? You've got to have it? I don't
4 want a persistence of voltage at the unit transformer. I
5 want it to die and the reason I'm doing that is, if I don't
6 have a reliable way of doing that, I have a potential of
7 over speed on the house load.

8 MR. POWERS: The loads that we're primarily
9 concerned with, Mr. Ebersole, all are critical components
10 required for shut down. They are powered off SM-7 and 8.
11 We have two levels of under voltage protection on those
12 buses that since both an instantaneous under voltage of
13 69%, we also have an additional back-up -- perhaps I
14 shouldn't say back-up because the set point is higher,
15 but we have a sustained 83% under voltage trip where you
16 don't degrade to less than 69 but it's a time delay,
17 8 second trip on -- continued degraded under voltage on
18 the -- at 83% on the emergency buses. We have two levels
19 of under voltage protection on the critical bus.

20 MR. EBERSOLE: Oh, you clear these by breakers?

21 MR. POWERS: Yes.

22 MR. EBERSOLE: So you don't have as a for
23 instance, the main cooling pump still hung on the output
24 of the turbine generator?

25 MR. POWERS: No, they're not. When we receive a

1 turbine trip, we use our power supply to, in this case
2 SH 5 and 6 which are the 69KV supplies to the recirculation
3 pumps.

4 MR. EBERSOLE: Do you understand what I'm
5 getting at? I do not want to have a persistence of
6 voltage output at high frequency.

7 MR. POWERS: Yes, we recognize that and have
8 so made design changes to protect, and our desire here
9 was to protect the ECCS equipment.

10 (Slide)

11 This particular slide now provides some additional
12 detail of the power distribution system within the plant.
13 Very quickly, this is our main generator, our step up
14 transformer from 25 KV to 500 KV and we transmit the
15 out-out of the generator onto Ashe and the 500 KV
16 distribution system.

17 In addition to that, we have TR-N1 which is our
18 unit auxiliary transformer that steps down the 25KV output
19 from the generator to the 4160 volt supply that comes
20 through SM-3 down to SM-8 which is our critical division 2
21 bus. That it would be the normal line up as we are
22 operating, possibly would currently call for us to line up.

23 In addition to that, in periods of time when
24 we do not have the generator, we use the start up transformer
25 here coming in again, 230KV coming from Ashe. It is set down

1 to 4160 volts, comes again through SM-3 down to SM-8.

2 In addition, we have the back-up transformer which
3 has as it's source again coming from Benton, 115 KV
4 stepped down to 4160 that comes in and can directly
5 SM-8.

6 In addition to that, we have a diesel generator
7 system that can supply necessary power to SM-8. So in
8 summary, we have 4 sources of power to the critical
9 buses. We have the normal unit, TRS and TRV as will
10 as the diesel generators.

11 Now, to address your question, Mr. Ebersole on
12 why we couldn't normally line up to supply the -- normally
13 have TRS as opposed to relying on our unit, all we
14 would have to do in that case would be to open that
15 breaker and close that breaker.

16 MR. EBERSOLE: My basic question is why is that
17 the normal load?

18 MR. POWERS: I guess I'm not prepared to address
19 our philosophy in that regard.

20 MR. EBERSOLE: And SM-7 is the same?

21 MR. POWERS: That's correct.

22 MR. EBERSOLE: Opposite hands.

23 MR. POWERS: I have chosen to highlight Division
24 2. Division 1 which is SM-7 located here is identical.

25 MR. EBERSOLE: What prohibits are there on the

1 inter-tie? You have a tie bus.

2 MR. POWERS: These two breakers are mechanically
3 interlocked. Excuse me. These two breakers are interlocked
4 logically from closing at the same time.

5 MR. EBERSOLE: That's just electric.

6 MR. POWERS: That's correct.

7 MR. EBERSOLE: Can a single failure inter-tie
8 those buses and get the diesels to fail because of non-
9 synchronization? When I hear interlock I think of one
10 circuit affecting two breakers. Can I find a single
11 point in the interlock that I can punch and make an
12 out of phase connection to the diesels?

13 MR. RAY: Are you sure, Mr. Powers, that it's
14 only a logic interlock -- that there is not a mechanical
15 interlock?

16 MR. EBERSOLE: I believe it would take a long
17 bar, Jerry.

18 MR. RAY: It depends on how close they are.

19 MR. POWERS: I don't believe that there is a
20 mechanical interlock between the two. The two buses
21 are physically separated.

22 MR. RAY: Physically, why, why are they
23 separated?

24 MR. EBERSOLE: In general, when I hear the
25 word Interlock is it not proper for me to infer that that

1 is a single circuit inter-tying to other electrical
2 elements and in that circuit, I might have a single
3 failure which involves both of the others? And you know,
4 what appears to be redundant is really single tracked?

5 MR. RAY: There's always a possibility of an
6 interaction between control elements that --

7 MR. EBERSOLE: Well, it would be not nice to
8 have an inadvertent non-synchronization tie of these
9 diesels when they were needed.

10 MR. POWERS: Let me see if I can close this
11 particular question.

12 MR. MEADE: My name is Terry Meade. I'm engineering
13 plant staff. Will you repeat your question, please?

14 MR. EBERSOLE: Is there in the bus tie interlocking
15 system which ties two breakers together and therefore
16 prevents non-synchronized inter-ties of the diesels,
17 is there a single point in that circuitry which I could go
18 fiddle with and cause an out of synchronization closure
19 with those breakers.

20 MR. MEADE: No, there is not. They're
21 interlocked via A contacts on the circuit breakers.

22 MR. EBERSOLE: A contacts.

23 MR. MEADE: A contacts. They'll be closed.
24 A contacts indicate that they will be closed when that
25 particular breaker is closed. The other breaker has

1 in it's circuitry interlocked to that contact and
2 the other one has the same system. They are not tied
3 together at any point.

4 MR. EBERSOLE: So you just -- go to auxiliary
5 switches on the breaker?

6 MR. MEADE: That's correct.

7 MR. EBERSOLE: Can I devise a short-circuit
8 in the wires that will defeat that logic?

9 MR. MEADE: If you had a jumper wire, you
10 could possibly do that.

11 MR. EBERSOLE: I don't mean a jumper. I mean
12 a wire to wire fault.

13 MR. MEADE: No, I do not believe so.

14 MR. EBERSOLE: You can't do it with a wire to
15 wire fault?

16 MR. MEADE: I do not believe you can.

17 MR. EBERSOLE: Okay, well, I'll drop that for
18 the moment.

19 MR. NELSON: Thanks very much.

20 MR. EBERSOLE: Thank you.

21 MR. RAY: Before you go on to the DC
22 system, I have a couple of general questions. One, I
23 think we learned yesterday that the transmission system
24 into which whip speeds is operated by Bonneville and
25 what you said this morning would imply the same thing.

1 MR. POWERS: That is correct.

2 MR. RAY: So therefore the switching at Ashe
3 including this unit switching is under the control of
4 the Bonneville system operator?

5 MR. POWERS: That is correct.

6 MR. RAY: In the event that you should have, as
7 incredible as it may seem, an AC system black-out,
8 particularly the 500 KV, or the 230KV, is there any
9 priority agreement as to priority assigned by the
10 Bonneville system operator for restoration of AC supply
11 into whips?

12 MR. POWERS: Yes, we do. There are at present
13 two nuclear stations on the BPA grid that being Trojan
14 and in the very near future, the unit 2. We have
15 if you'll recall from my first slide, we have major
16 inter-ties between the mid-Columbia and upper-Columbia
17 as well as the lower Snake hydro projects. We have
18 an agreement with the Bonneville Power Administration
19 that we would have top priority for power restoration.

20 MR. RAY: Good. The other question, do you
21 know if Bonneville has made a transient stability system
22 analyses involving whips operation? That is, for instance

23 MR. POWERS: Should we trip off 1100 megawatts
24 from their grid?

25 MR. RAY: I beg your pardon?

1 MR. POWERS: Should we trip off 1100 megawatts
2 from the grid?

3 MR. RAY: No, but you may not be able to
4 prevent it. If you have a bad enough fault, it may
5 be that this unit goes unstable and trips.

6 MR. POWERS: That is a distinct possibility.

7 MR. RAY: Unless they've analyzed it and found
8 that that won't happen for the worst fault on the system.
9 Do you know if they've done that?

10 MR. MARKOWSKI: May I answer this one?

11 MR. RAY: Yes.

12 MR. MARKOWSKI: Franz Markowski, system design
13 engineer. I have talked to three different Bonneville
14 people in the course of retrieving grid reliability
15 data from Bonneville and I have asked them this very
16 question and they have a group working on stability
17 analysis continuously.

18 MR. RAY: I would expect that.

19 MR. MARKOWSKI: Yes, they have looked at this
20 problem.

21 MR. RAY: And they're satisfied that for
22 the worst fault condition on the 500 KV system, the WNP-2
23 stays in service? It does not go unstable?

24 MR. MARKOWSKI: It does not go -- yes, the
25 stability question is what they particularly look at.

1 MR. RAY: And it's affirmative that it's
2 a stable situation?

3 MR. MARKOWSKI: Yes, that is correct. And
4 this is a continuous effort, this is not a one shot task.

5 MR. RAY: No. Any time a major change is
6 made in transmission connections or source connections
7 to such a system, the stability study should be made
8 and a good organization like Bonneville would certainly
9 make it. But I wanted to make sure that they have done
10 it for this unit.

11 MR. MARKOWSKI: Right, they have.

12 MR. RAY: Thank you.

13 MR. POWERS: What I have before you at the
14 present time is a schematic of a 250 volt DC distribution
15 system.

16 (Slide)

17 This is the 250 volt DC distribution panel
18 depicted here with the station, 250 volt batteries
19 riding on, normally riding on the bus. In addition to
20 that, we have a 250 volt battery charger that is
21 continuously maintaining a battery charge. In addition,
22 it is the normal source of supply, if you will for the
23 250 volt DC loads. The division one power supply
24 comes ultimately from SM-7 which is a critical bus, as
25 I indicated previously, that has 4 sources of supply to it.

1 What we have depicted here are typical
2 loads off of the 250 volt DC system. Here's a typical
3 motor operated valve starter. Here's a typical motor
4 starter. Some of the loads off of the 250 volt DC system
5 include the RCIC system valves, the reactor head spray
6 valve, the reactor water clean up outboard isolation valve,
7 but primarily there are the RCIC system valves are powered
8 off of the 250 volt division 1 DC bus.

9 (Slide)

10 I wanted to show a similar arrangement for
11 a 125 volt DC distribution system. Again, we have the
12 same arrangement and we have the batteries on the
13 distribution panel. Normally, a battery charger -- again,
14 ultimately powered back up through a series of switching
15 arrangements back up to SM-7 which is our critical bus,
16 again, with four sources of power to it. Some of the
17 typical loads off of this particular instrument or
18 excuse me, this particular distribution panel are,
19 the diesel generator control circuitry, the switch gear
20 logic, and the inverters that supply the critical
21 instrument buses that provide the power for our critical
22 instrumentation in the control room.

23 MR. EBERSOLE: Does the high pressure core spray
24 and the RCIC DC controls come off of separate DC buses?

25 MR. POWERS: The high pressure core spray system

1 has a -- it has it's own DC system.

2 MR. EBERSOLE: Has it's own DC -- okay, thank
3 you.

4 MR. POWERS: And therefore they're on diverse
5 systems.

6 MR. EBERSOLE: If I were to hypothesize that the
7 battery voltage regulators in their modulation mode
8 got stuck at maximum voltage, what would be the terminal
9 voltage obtainable on this, on say the 250 volt bus?
10 Would it be like 280 or 290 or 300 or --

11 MR. POWERS: I'm not sure but I'll try to get
12 you a direct answer.

13 MR. EBERSOLE: The point is, I'm trying to find
14 out where there is a nail in the modulation control.
15 Another way of asking this is, when I -- well, if I'm
16 equalizing the charge on the batteries, do I leave
17 the loads on this -- on these DC buses? Are they qualified
18 for the highest voltage necessary to equalize the charges?
19 You're on a periodic equalization charge. Do you do so
20 with the loads in their normal connected mode?

21 MR. POWERS: Yes, they do.

22 MR. EBERSOLE: So they take the saturation
23 voltage level.

24 MR. POWERS: Yes, they do.

25 MR. EBERSOLE: If I accidentally lose the battery,

1 do I have any stabilization problems with the charger?
2 Will it carry the DC loads without the stabilizing
3 influence of the battery?

4 MR. POWERS: Yes, it will. Yes, our normal
5 power flow, if you will if you can imagine it, is down
6 through the charger and up through the loads.

7 MR. EBERSOLE: And it doesn't need the battery?

8 MR. POWERS: The batteries are just riding on
9 the --

10 MR. EBERSOLE: Right, it doesn't need the battery
11 to assist in the regulation. Thank you.

12 MR. RAY: Mr. Powers, before you go on.

13 MR. POWERS: Yes.

14 MR. RAY: Have you evaluated how long you can
15 run on DC without AC supply into the station?

16 MR. POWERS: Yes, we have. I'll be addressing
17 that in more detail in a little while when I get on
18 with the presentation.

19 MR. RAY: You will. Thank you.

20 MR. POWERS: What I have here is Division 1
21 of the 24 volt DC system that we have. Typical loads off
22 of this particular system are exclusively our neutron
23 monitoring system. Again, the power supply, ultimately
24 if you trace this particular source of power back to
25 the -- it's a source for Division one. It also cascades

175
1 back to SM-7 which is our critical bus. We have Division 1
2 SRMs and Division 1 IRMs powered from this 24 volt DC
3 power supply.

4 DR. PLESSET: Well, let me make a comment here.
5 I think when you go to the full Committee, you can omit
6 this presentation.

7 MR. POWERS: This level of detail?

8 DR. PLESSET: But be prepared with the material,
9 all right?

10 MR. NELSON: Omit this presentation but be
11 prepared with the material.

12 DR. PLESSET: In case there are questions on it.
13 I think this part they might be interested in. They may
14 not believe it but they'd like to --

15 MR. EBERSOLE: The first reaction to numbers
16 like this is whoever analyzed it never heard of common
17 mode failure. When you get past 10^{-4} and 10^{-5} everything
18 gets very shady.

19 MR. POWERS: I'd like to point out that this
20 is a plant specific analysis that we have conducted for
21 our unit. Some of the information that is included in
22 here comes from an analysis that we submitted on our,
23 for our 1 and 4 projects because much of the information is
24 common between the two units. What I've got this slide
25 up here for is the probability of events per year of losing

1 all AC for longer than the appropriate times as
2 indicated. The point I would like to make here is that
3 we think that it's highly incredible to assume that we
4 lose all of our AC power supply for longer than 120 minutes.

5 DR. PLESSET: A new definition of incredible.

6 MR. POWERS: Yes. I believe the standard
7 industry is on the order of 10^{-4} or 10^{-5} and we're down
8 several orders of magnitude beyond that. I feel very
9 strongly that because we are on a hydro -- we're on
10 a very significant hydro grid with 27 hydro projects
11 each with self-start capability, that the probability
12 of our losing RHC for longer than 120 minutes is extremely
13 remote.

14 MR. RAY: I would agree that it looks like that.
15 Have you talked to Bonneville about time for restoration?

16 MR. POWERS: Yes, we have.

17 MR. RAY: And they say they can do it in two
18 hours?

19 MR. POWERS: These numbers have in them studies
20 from the Bonneville Power Administration on their mean
21 time between failures and the length of outages that they
22 have experienced to date in the 35 plus years of the
23 power distribution business.

24 MR. EBERSOLE: Chris, let me call your attention
25 to the earlier presentation on the probability of exceedance

1 of the earthquake that you expect. The numbers like
2 10^{-4} . Incidentally, what is this? Probability for what?

3 MR. POWERS: Events per year.

4 MR. EBERSOLE: Per year. The other was also.
5 And the probability of exceedance of the design basis
6 earthquake as I recall is 10^{-4} which invalidates these
7 numbers immediately. I mean, you've got to look broadly
8 when you create numbers like this. Look back at the
9 earthquake and they say these are no good.

10 MR. POWERS: I'm not sure that's a logical
11 conclusion, Mr. Ebersole.

12 MR. EBERSOLE: Isn't it? Well, the off-site
13 power system is not seismically competent, is it? And
14 the turbine generator is not at all.

15 MR. POWERS: Certainly the turbine generator
16 is not.

17 MR. EBERSOLE: Neither are the towers.

18 MR. RAY: I don't think that the industry
19 yet builds earthquake proof transmission lines.

20 DR. LIPINSKI: Well, let me ask the question --
21 I wanted to ask this yesterday when we were in the switch
22 yard and we saw those tall, vertical ceramic insulators
23 that fed the main transformers. What rating do they
24 have for G forces?

25 MR. POWERS: I'm certainly not prepared to answer

1 that question.

2 MR. RAY: Well, I don't think is specific with
3 WNP-2. It seems we're talking generic things.

4 MR. EBERSOLE: But the fellow who turns out
5 these numbers certainly doesn't work with the earthquake
6 team.

7 MR. MEADE: I think I should point out here
8 that these figures include both loss of off-site AC and
9 loss of on-site AC.

10 MR. EBERSOLE: Yes, I know that, right, so that
11 brings in the 99% reliability of the diesels.

12 MR. MEADE: Yes, we did not use a .01 factor,
13 but as far as orders of magnitude, yes, that's right.

14 MR. RAY: He wouldn't have believed that either.

15 DR. LAPINSKI: With no common mode on the
16 diesels you get 10^{-4} .

17 MR. EBERSOLE: Well, one looks at these numbers
18 with a kind of a you know, degree of suspicion.

19 MR. RAY: You have to commend your courage,
20 though, in citing them.

21 MR. POWERS: Are there any further questions
22 on the AC distribution? What I would like to do now is
23 provide a brief description of a total loss of AC incident.
24 How we would expect to respond to it to provide you some
25 assurance that we feel comfortable that under these

1 circumstances that we could adequately mitigate the
2 consequences of this particular incident.

3 (Slide)

4 What I'd like to do first is discuss the
5 plant transient, starting out with the first two items
6 there, form the basic assumption of the scenario under
7 which we are going to proceed. First of all, I assume
8 that for some particular reason, if I lose both the
9 230KV and the 115KV AC sources concurrent with failure
10 to start of the on-site diesel generators. In addition
11 to that, I also assume that whatever the major grid
12 disruption was that caused me to lose both the 230KV
13 and 115 will create a turbine trip and I've lost the
14 main generator and my ability to carry house loads from
15 our own generator.

16 Almost---instantaneously we would expect to
17 experience a reactor scram and a primary containment
18 isolation as a result of the turbine generator trip
19 and the loss of all of our AC power. Very quickly there-
20 after reactor pressure begins to rise rather rapidly
21 and reaches a safety relief valve set points whereby
22 the relief valves would open to relieve reactor pressure
23 transients.

24 Reactor water level would begin to decrease
25 because we lost our feed supply yet we are relieving pressure

1 through the relief valve so that water level would begin
2 to decrease. At the point where we reach a level 2 as
3 we call it which is -38 inches from normal water level,
4 from instrument zero on the narrow range, we would
5 experience an RCIC system initiation and RCIC would start
6 and begin vessel injection some 30 seconds after it
7 received it's initiation signal.

8 MR. RAY: What's the drive on the RCIC?

9 MR. POWERS: What is the drive? The steam
10 from the reactor. RCIC takes the steam supply when it
11 comes off the main steam line which, the tap point is
12 between the reactor vessel and the in board isolation valve.
13 So, that on a containment isolation we would still maintain
14 steam support.

15 MR. EBERSOLE: In view of the relatively low
16 reliability of the RCIC system, with all of it's
17 auxiliaries, I should think you would claim title to the
18 electrically driven diesel high pressure core spray as
19 not being a part of the electrical network. I think
20 you could claim that.

21 MR. POWERS: The HPCS system is an entirely
22 separate redundant or entirely separate electrical
23 system.

24 MR. EBERSOLE: Certainly, there's an element of
25 common mode significance, if they all have got the wrong

1 fuel or something.

2 MR. POWERS: Yes, the impact of that, assuming
3 that we have HPCS -- is that we have a water level
4 transient that is less severe. The conclusion would still
5 be the same, however which I will draw in a minute and
6 that is, that the water level never reaches the top of
7 active fuel and we provide adequate core cooling on
8 that basis.

9 Approximately 10 minutes after the isolation,
10 assuming the expected decay heat load approximately 10
11 minutes after isolation, the RCIC system capacity will
12 have caught up with the steam relieving rate and begin
13 to turn water level around. And in a matter of a few
14 moments, RCIC will return water level into it's normal
15 band whereupon the reactor operator would take the RCIC
16 system and control water level in the normal band -- the
17 point I want to make here is that level remains at all
18 times above top of active fuel.

19 MR. EBERSOLE: Chris, could you tell me, in
20 the beginning of this transient, how many safety reliefs
21 would have opened?

22 MR. POWERS: Depending on when this transient
23 occurred --

24 MR. EBERSOLE: At full loads is the best case.

25 MR. POWERS: Depending again on what cycle we're

1 operating in. If we're out in the equilibrium cycle,
2 we expect to -- we would expect to lift three to four
3 pressured relief groups which would be approximately 12
4 of the 16 total relief valves that we have.

5 MR. EBERSOLE: If one of them sticks open
6 as has been our experience with them, are you in trouble?

7 MR. POWERS: Our feeling on that subject is
8 no, we would not. We would experience a lower minimum
9 reactor water level but relatively quickly into this
10 transient, the RCIC capacity would exceed the safety
11 relief valve discharge capacity and return water level
12 to near normal. It would take us a longer period of time
13 to do that.

14 MR. EBERSOLE: Would you eventually run out
15 of steam pressures so you couldn't run the RCIC?

16 MR. POWERS: That is a distinct possibility,
17 yes.

18 MR. EBERSOLE: And that's where the diesel
19 driven core spray is your main frame (ph)?

20 MR. POWERS: That is correct.

21 I'd like to point out that our critical
22 plant instrumentation and logic would be available
23 from both the two divisions of 125 volt DC as well as
24 we'd maintain control of the appropriate valves on RCIC
25 through the 250 volt DC system.

1 Continued relief valve operation in this mode
2 would begin to raise pool temperature. In conjunction with
3 that, our loss of drywell cooling because we've lost AC,
4 would also cause containment temperature to increase.
5 Associated with that, containment pressure would also begin
6 to increase. However, for the initial portion of the
7 transient, we would -- in a matter of minutes, have
8 reactor pressure and level under control. Therefore,
9 we have adequate core cooling in that scenario.

10 Now there are some mitigating actions that
11 as operators of the plant would have to take in order
12 to maintain an acceptable plant response to this particular
13 scenario and I would like to summarize those briefly.

14 We have some primary containment integrity
15 protection emergency procedures that would direct us
16 to take action to protect primary containment integrity
17 any time that the suppression pool temperature is
18 elevated at the same time that we have significant pressure
19 in the reactor. Should we go beyond the heat capacity
20 of the suppression pool, we would be directed by those
21 procedures to rapidly depressurize the vessel and maintain
22 it depressurized. In that situation we would depressurize
23 to approximately 100 pounds, such that we would maintain
24 the operability of the RCIC system. RCIC system would
25 isolate 50 pounds reactor pressure.

1 Immediately upon recognition that we have
2 lost AC power, we would begin immediate action to restore
3 AC power as quickly as possible. There are a number of
4 actions that the operator must take in order to maintain
5 RCIC operability. Some of those would include in the
6 very long term, taking manual action to preclude the
7 leakage detection that's applied to RCIC system from
8 actuating and isolating a system. That would involve
9 jumpering (ph) things like high room area temperature, high
10 turbine exhaust pressure because our containment pressure
11 is increasing, those sorts of measures that we have identified.

12 The concern is raised about how long we can
13 operate without a source of supply to the DC loads.
14 The operators have identified non-critical DC loads on
15 the buses and we would take action to shed those buses
16 to maximize the length of time that we would have DC
17 power on the batteries.

18 There is a potential that we would have, in
19 long term line ups that we would have to provide for
20 continued safety relief valve actuation capability
21 and I believe we have a unique design in that regard in
22 that we have on the containment instrument air system,
23 we have normally writing on that system, approximately
24 16 nitrogen bottles that would supply motive air to, for
25 us to be able to actuate the safety relief valves. If we

1 get beyond that capacity ---- we have the ability to
2 connect directly into the containment instrument air system
3 from outside the reactor building with an external source
4 of nitrogen and continue to supply nitrogen to the safety
5 relief valves.

6 MR. EBERSOLE: Still through the solenoid (ph)
7 valves, though?

8 MR. POWERS: That is correct, that is correct.

9 MR. RAY: Chris, you mentioned that an analyses
10 had been made to determine what the maximum time of
11 operation of the batteries could be without recharging.
12 Do you know what that is?

13 MR. POWERS: Our design basis is, on maximum
14 load, our batteries are rated for more than two hours.

15 MR. RAY: No, I mean with only, with the non-
16 critical load shed?

17 MR. POWERS: With non-critical loads, we are
18 talking on the order of 8 to 10 hours minimum.

19 MR. RAY: Which would certainly be ample
20 time to restore the AC system.

21 MR. POWERS: We feel that way yes, that's correct.

22 MR. RAY: In fact, under those circumstances
23 if you went the 8 hours, you could still bring a source
24 in, gas driven, gasoline driven charger to drive AC through
25 the charger for the batteries.

1 MR. POWERS: That is correct.

2 MR. RAY: You're certainly not going to sit
3 and wring your hands.

4 MR. POWERS: No, that's certainly not the case.
5 I might also point out at this point in time that there
6 are some additional measures that are concerns that
7 we have in terms of maintaining the RCIC system operability
8 and that has to do with the loss of room coolant to the
9 RCIC system and we believe that we can maintain adequate
10 room cooling for a minimum of 2 to 3 hours simply on
11 the natural circulation that would be -- or natural
12 convection that would be established by circulating the
13 reactor building air volume through the RCIC room;
14 should we go beyond that, we can again bring in portable
15 DC or portable generators in supply portable room cooling
16 to the RCIC system.

17 MR. EBERSOLE: Chris, it seems to me that this
18 all hinges on two basic things. That is, you hold --
19 well one thing really. You hold from 150 pounds pressure
20 in the reactor because that's what you need to run the
21 RCIC.

22 MR. POWERS: That's correct.

23 MR. EBERSOLE: Way back many years ago, the
24 stand-by cooling system was a different thing than you
25 call it. It was a terminal way to get water into the reactor

1 from a brass nozzle or some place via the usual piping
2 channels. You don't have anything like that here. I
3 understand you're a graduate of Brown's Ferry?

4 MR. POWERS: That is correct.

5 MR. EBERSOLE: And you recall that low pressure
6 system that was the ultimate flutter? I don't see that
7 here, is that correct? There is no way to get water
8 in at about 200 pounds from some totally external source,
9 having nothing to do with this unit, like domestic
10 water or city water?

11 MR. POWERS: We have an interconnection from
12 the stand-by service water system that we can directly,
13 through the tower make up system located at the river,
14 would be the normal supply for -- I shouldn't say normal
15 but, would be the installed capacity to inject river water
16 directly into the reactor.

17 MR. EBERSOLE: Oh, you do have such a --

18 MR. POWERS: We have a connection on a stand-by
19 service water system, yes, that would allow us to by-pass
20 or take the stand-by service water system and eject directly
21 into the core.

22 MR. EBERSOLE: I see, and what powers that?

23 MR. POWERS: Our normal supply of AC.

24 MR. EBERSOLE: So that goes back.

25 MR. POWERS: That is correct.

1 MR. EBERSOLE: You don't have another nuclear
2 unit some place? Or another AC power supply for this plant?
3 You just listed all of them.

4 MR. POWERS: That's correct.

5 MR. EBERSOLE: I just want to understand that
6 that system is not here.

7 MR. POWERS: I'm informed that we also have a
8 diesel driven fire pump that we can inject -- cross-connect
9 from the circ water system into the stand-by service
10 water system which would then allow us to go into the
11 reactor.

12 MR. EBERSOLE: Well fine, you found it.

13 (Slide)

14 MR. POWERS: I think in summary what we'd like
15 to say on this particular subject is, that because of
16 our unique situation, we have confidence in our loss of AC
17 numbers. We believe that the total loss of AC for longer
18 than two hours is absolutely incredible. We have a
19 very strong hydro based system on which we can isolate
20 the output of each dam. We have a multiple flow path of
21 hydro--we have multiple flow paths of power into either
22 the Benton or the Midway substation to supply power to
23 our unit. Each of those hydro stations has a self-start
24 capability. In addition, we have a very high priority
25 within the Bonneville Power Administration to restore that

1 power to us. We feel comfortable that we would restore
2 power within two hours. In addition to that, we have
3 adequate emergency procedures that would prescribe for
4 us mitigating actions that we can continue to operate,
5 certainly beyond two hours as we have discussed here, and
6 so we feel we're adequately designed to survive the loss
7 of AC.

8 (Slide)

9 The last subject I'd like to discuss very
10 quickly is some modifications we have made to the remote
11 shut down system to provide us with an alternate remote
12 shut down capability or a redundant remote shut down
13 capability.

14 We are in the process at the present time
15 of implementing design changes to the plant that would
16 provide for us local control switches and equipment
17 status lights at localized motor control centers to
18 provide for operation of critical pumps and valves such
19 that we can light the A RHR system up in the alternate shut
20 down cooling mode which Mr. Corcoran described to you
21 previously. In addition to that, we would provide
22 local control in status indication such that we can
23 operate the safety relief valves. We would also provide
24 local instrumentation to monitor containment parameters
25 and stand-by service water flows and in this fashion, we

1 feel like we can adequately control reactor pressure
2 level and bring the plant to cold shut down using the
3 A RHR system from a location that's independent of both
4 the control room and the remote shut down panel.

5 (Slide)

6 What I wanted to show you basically here was a
7 concept which shows that we have two alternate paths to
8 achieve cold shut down. On the left, we have the normally
9 presently installed design that has control from the
10 control room through the remote shut down panel of the
11 BRHR system. In addition, as I said before we are
12 implementing modifications to the plant design that
13 would allow us to control the other loop of RHR via
14 the alternate shut down cooling mode to get to cold
15 shut down.

16 In summary, the ultimate shut down cooling
17 mode of operation is approved and is in our licensing
18 basis. We feel that the proposed modifications that
19 we are about to implement provides us an adequate control
20 of that shut down cooling capability and therefore,
21 we provide the ability to have a redundant remote
22 shut down capability.

23 Are there any further questions of me?

24 DR. PLESSET: Thank you, Mr. Powers. We'll go
25 on.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. POWERS: Thank you. Our next presenter will be Dave Evans who is the program manager for fire protection engineering on Unit Two. He comes to us with over 10 years fire protection engineering experience. Mr. Evans?

///

1 MR. EVANS: Good afternoon. In the interest of
2 holding to the time schedule, I'm going to try to speak
3 rather quickly as far as my part of the presentation.
4 If I go too fast, please ask me to slow down.

5 (Slide)

6 Under the fire protection, the WNP-2 position
7 is that the fire protection evaluation report, or fire hazards
8 analysis documents compliance with BTP APCS 9.5-1 Appendix A
9 and 10CFR 50 Appedix R. These were provided to the NRC
10 as Amendment 19 to the FSAR in October of 81, and Amendment
11 24 to the FSAR of May 82.

12 The objective of the fire hazards analysis was
13 to assure that a fire will not adversely affect the ability
14 to bring the plant to a safe shutdown condition or result
15 in a significant release of radioactivity to the environ-
16 ment. The first step of this analysis was to divide the
17 plant into a number of fire areas. This considered all build-
18 ings and fires that could have a potential impact on safety.

19 (Slide)

20 For each of these areas, we identified barriers
21 that define the area, safety related equipment in the area,
22 consequences of a design basis fire, design criteria for
23 fire protection of safety-related equipment and cabling
24 in the area, consequences of a fire in fire protection systems
25 function as designed, radioactive material contained in

1 the area, type, quantity and characteristics of combustible
2 materials in the area. This also included transient combust-
3 tibles. Fire loadings which represent those combustibles
4 were calculated. Extinguish and detection and alarm capa-
5 bilities in the area were identified. A means for containing
6 and inhibiting progress of fire in the area was identified.
7 Extinguish and detection alarm equipment outside, but with
8 access to the area, was culled out. An Appendix R evaluation
9 was performed for each area and indicated the capability
10 of plant division components to achieve reactor shutdown
11 and maintain core cooling was not lost.

12 The result of the evaluation was the cabling com-
13 ponents were identified which required analysis and protec-
14 tion. All safety-related systems have been separated for
15 unacceptable fire hazards through remote separation or barriers
16 to the extent that is possible. Redundant safety-related
17 equipment has been located such that it is either in separate
18 fire areas or separated to prevent damage from a single
19 fire hazard. Each fire area is individually evaluated in
20 accordance with the requirements of Appendix R. Divisional
21 fire areas such as pump rooms, diesel generator bays sent
22 or assigned to one of the major electrical separation divisions
23 1, 2 or 3. Analysis then verifies that there are no intruding
24 cables or equipment, in other words, not compatible with
25 the fire area divisional assignment in the area. Or that

vc3

1 fire-induced failures and any intruding equipment or cables
 2 does not impact capability of those redundant divisions
 3 to achieve safe shutdown. Where analysis indicates the intruding
 4 cables or equipment can not be lost, protection is provided.
 5 General fire areas, open floor areas, etc. are reviewed
 6 to determine if they contain any cables or equipment of
 7 an alternative safe shutdown system. Any alternative safe
 8 shutdown system equipment or cables located in the fire
 9 area is protected from the fire.

10 (Slide)

11 Major factors that ensure defense in depth are
 12 a passive fire prevention/protection measures. These are
 13 mostly 3Hour rated walls, floors, ceilings, doors, etc.
 14 We also use one or three hour rated cable envelopes for
 15 required safe shutdown within the sphere of the possible
 16 exposure fire. Use of a three hour envelope is unique to
 17 the supply system. In our recent test program which I have
 18 slide presentation I'll show later.

19 We also have administrative control of combustibles
 20 and ignition sources. For the fire water system, we have
 21 redundant water storage facilities, redundant pumps, redun-
 22 dant flow paths.

23 For the water fire suppression systems, we utilize
 24 preaction systems with our supervision on the piping and
 25 most safety related areas with comparatively high fire loading.

1 This type minimizes accidental discharge and water damage.
2 Small manual spray systems and safety-related charcoal filter
3 units are provided, but we do have redundant units available
4 if an accidental discharge should occur. But these are
5 manual systems.

6 Standpipe hose systems, we have multiple standpipes
7 in each building. These are valved to prevent loss of two
8 standpipes, or a standpipe and a major suppression system.
9 Under gaseous fire suppression systems, we have no gaseous
10 systems in occupied safety-related areas. We use Haylon
11 1301 in the PGCC subfloor sections for protection in the
12 control room.

13 For the fire detection system, the detection system
14 is the prealarm concept with an alarm in the control room.
15 In addition, activation of a suppression system or a manual
16 station initiates control room and building-wide alarms.
17 Most suppression systems have detection systems independent
18 of the prealarm system.

19 For component reliability, we have maximum use
20 of equipment tested by National Testing Labs. We have spare
21 parts stocked on site. We utilize complete in situ func-
22 tional testing performed initially and periodically as
23 required by technical specifications.

24 As previously covered, we have remote shutdown
25 capability outside the control room. The remote shutdown

1 panel and related components in the remote shutdown room
2 will be able to achieve cold reactor shutdown in the event
3 of a control room fire.

4 An ongoing fire protection/prevention program
5 includes plant fire and safety coordinators, supply system
6 fire protection engineers, ANI regular inspections, fire-
7 related training in accordance with Appendix R, surveillance
8 and maintenance procedures, administrative controls.

9 (Slide)

10 Major fire protections improvements being made
11 by WNP-2 are indicated on this slide. The cable raceway
12 systems protection and test program is the most significant
13 of these improvements as the supply system has sponsored
14 a test program to develop both one and three hour fire rated
15 envelope systems. The three hour envelope would be an
16 alternative to automatic sprinklers, and alternative to one
17 hour fire rated envelope. It is the intent of the Supply
18 System to utilize both alternatives, but to also minimize
19 the use of sprinkler systems by installing the passive three
20 hour fire rated envelope wherever possible, particularly
21 in the reactor building. I have a slide program which I
22 would like to show at this time which illustrates results
23 of that test program. Before I start the slide program,
24 I'll give you a little background on the material.

25 The Supply System sponsored with TSN Inc. of

1 St. Louis an engineering test plan to perform fire endurance
2 and impacity D rating in chemical tests on thermolite 330-1
3 subliming coating envelope system in conjunction with American
4 Nuclear Insurers.

5 These tests were applicable to all three sites
6 for the Supply System, as we included cables from our sites
7 1, 2 and 3.

8 The testing program was conducted in three separate
9 but interrelated phases, and used the materials and processes
10 to be employed in the actual installation of the thermolite
11 systems for the Supply System.

12 The Phase 1 fire endurance test. This testing
13 phase involved performing one and three hour fire endurance
14 tests, water hose stream tests, and electrical continuity
15 tests. These tests were performed in accordance with American
16 Nuclear Insurers Bulletin No. 579 which is the standard
17 fire endurance envelope for Class 1E electrical circuits.
18 We also performed these in accordance with ASTM E-119, and
19 NAP Standard 251, the standard method of fire-tested building
20 construction materials.

21 The impacity D rating tests consisted of establish-
22 ing a baseline impacity for power cables installed in an
23 open top cable tray test assembly and then determining the
24 amperage D rating which occurs when the cable tray test
25 assembly is enclosed by a three hour fire endurance envelope

1 and results therefrom. These tests were performed with
 2 insulated -- excuse me, these tests were performed in accor-
 3 dance with the Insulated Power Cabling Engineering Associa-
 4 tion and National Electrical Manufacturers IPCA Standard
 5 No. P-54-440, and NEMA Standard No. WC-51-1975.

6 We also performed chemical properties tests.
 7 These involve performing infrared spectrophotometry, pH
 8 of gaseous effluents when mixed with water and flammabilities
 9 of condensibles.

10 The acceptance of the fire endurance test was
 11 based on the criteria of the American Nuclear Insurers under
 12 their test program. The current status of the test reports
 13 that were prepared as a result of those tests: the one
 14 hour report has been accepted by the American Nuclear Insurers,
 15 is presently under review by the NRC. The three hour report
 16 is currently under review by ANI, and we hear to date that
 17 the results of that are going to be favorable. I'll go
 18 to the slide program at this time.

19 (Slide)

20 What you see here is the three hour test. This
 21 is typical in many ways of what we did for the one hour
 22 test also. Here you see our test sample No. 6 coming out
 23 of the furnace.

24 (Slide)

25 These furnace temperatures at the end of the three

PENGAD CO., BAYONNE, N.J. 07002 FORM 2084

vc8

1 hour periods were averaging 1925 degrees fahrenheit, but
2 yet we were able to maintain internal temperatures at the
3 highest thermocouple reading of between 240 degrees and
4 328 degrees fahrenheit. Those were the highest readings.
5 The average would have been much lower.

6 (Slide)

7 What you see here is the sample being moved into
8 the hose test booth. The hose stream test then impacted
9 the specimen giving you thermal and mechanical shock.

10 (Slide)

11 You see here the results of this particular specimen,
12 in this case, it was conduit, but this is typical of the
13 tray samples also.

14 (Slide)

15 You can see the relative amount of impact of the
16 hose stream where it stripped away material. One of the
17 criteria we had to meet was that we maintained continuity
18 on the circuitry during these tests, also during -- I mean,
19 during the fire tests and the water stream tests. We had
20 to maintain continuity with no faulting. This was successful
21 in all tests.

22 (Slide)

23 Here you see Test Number One, a three hour tray
24 sample. We cut this open here to show the end, cut it open
25 at the top to show repair patch.

1 (Slide)

2 Here is a closeup of the end view on Test 1.

3 Note the undamaged cables.

4 (Slide)

5 Here's a closeup of the repair patch to show the
6 undamaged cables. Note the undamaged nylon cable tie here.

7 (Slide)

8 This is Test No. 3 and 5. This combined a tray
9 with an airdrop cable. Here it's been cut open to show
10 an end view of the results. The top section cut open, and
11 down here I'll show you a closeup of the free drop cable
12 here and the results of that.

13 (Slide)

14 Here is the top cut open. Notice the undamaged
15 cable. All continuity was maintained, no faulting.

16 Again, temperatures never even reached the point where we
17 damaged the nylon cable tie.

18 (Slide)

19 Here is the airdrop cable. Note that even the
20 electricians tape that was used to hold a thermocouple wiring
21 in place was not damaged.

22 (Slide)

23 Here's a closeup of that.

24 (Slide)

25 This last slide shows the Test 3 and 5 end view

vc10

1 as part of the assembly. For whatever reason, there was
2 some masking tape that was used for notations like that
3 that happened to get left in there. And notice that the
4 masking tape is not even damaged.

5 (Slide)

6 These are the cables or nylon ties.

7 This ends the slide program.

8 MR. MATLOCK: Is this stuff any good, to you?

9 MR. EVANS: I think it is.

10 MR. LIPINSKI: Question. Did your cable tray
11 loading have to be D rated based on the fact that the trays
12 are being wrapped and not exposed to air?

13 MR. EVANS: As part of our testing program, we
14 took into account impacity D rating. What we did under
15 the impacity D rating portion of the test was perform those
16 tests, as I indicated previously. Our results from that
17 were we had a 17% impacity D rating factor which is quite
18 low compared to alternatives. This was for three hour,
19 which is a one inch thickness of a thermolite material.
20 If you go to the one hour barrier which is a half inch thick-
21 ness of this thermolite material, it's approximately 12.5%
22 impacity D rating. So as you're well aware, this is primarily
23 affecting power cables, so we're well within the range on
24 our plant of being able to use this material and not running
25 into impacity problems.

c11

1 MR. LIPINSKI: Then the D rating also allows you
2 to maintain the same life on the insulation?

3 MR. EVANS: Yes.

4 MR. LIPINSKI: And the life of the plant.

5 MR. EVANS: Yes.

6 MR. PLESSET: If you hve other points you want
7 to make, why don't you do that?

8 MR. LIPINSKI: Okay. When we toured the cable
9 spreading room, we saw the fire protection system that was
10 in there. You have the ionization detectors. They turn
11 on the water supply to the headers, but water does not leave
12 until the bimetallic strip melts at the particular point
13 where the fire is located. Now, the spacing on these heads
14 was not uniform, and a reference was made to the fact that
15 a study had been done to determine what the spacing require-
16 ments were. Are you prepared with what the study calls
17 for in terms of a maximum spacing between heads in order
18 to offer protection?

19 MR. EVANS: Yes. The spacing of those heads was
20 established by the consultant that was hired by the sprinkler
21 company who installed them. He went through a hydraulic
22 analysis, evaluated the spray pattern of the heads which
23 is a hemispherical spray pattern, evaluated coverage of
24 them, and positioned the heads accordingly so that they
25 would have spray coverage. I remember one of your areas

1 of concern was near that column, that one head above --

2 MR. LIPINSKI: Right. Those two heads were quite
3 close together. Next to the column there wasn't a head.

4 MR. EVANS: Right.

5 MR. LIPINSKI: The head appeared on the other
6 side of the column.

7 MR. EVANS: Right. The head appeared on the other
8 side. But we did have the head there right in front of
9 us that could give enough of a side pattern. These won't
10 spray directly ahead. They will spray to the side. So
11 you do have a hemispherical pattern that will encompass
12 the trays as designed.

13 MR. LIPINSKI: That still doesn't answer my ques-
14 tion. What's the maximum spacing between heads that you
15 can accept? I know they're installed, but there had to
16 be a number that was used to guarantee that they were meeting
17 the specifications.

18 MR. EVANS: Well, a minimum spacing would be in
19 the range of six feet, because if you get below six feet,
20 then you run into the problem of the potential of cooling
21 the fusible element on adjacent heads. The maximum spacing
22 is a function of the tray configuration. If you had a flat
23 ceiling, you could go to a maximum spacing such as say,
24 like on an ordinary hazard area, you can go to 130 square
25 foot spacing. When something is congested as a cable spreading

vcl3

1 room, it's more of a custom design to the actual configuration
2 of the tray runs. As far as the spacing. It's not a linear
3 type --

4 MR. LIPINSKI: Well, who did the custom design,
5 your consultant?

6 MR. EVANS: Yes.

7 MR. LIPINSKI: He did the custom design for the
8 layout of those spray heads.

9 MR. EVANS: Yes. And the man that designed that
10 has some twenty years experience in specialized protection.

11 MR. LIPINSKI: Aren't these the first applications
12 where tray heads are being used on trays, though?

13 MR. EVANS: Not to my --

14 MR. LIPINSKI: This is not an old technology.

15 MR. EVANS: Not to my knowledge, this is. I don't
16 believe this is the first application of spray heads on
17 the cable systems. It's been --

18 MR. LIPINSKI: This has been done in the electrical
19 industry prior to the -- after the Browns Ferry fire?

20 MR. EVANS: To my knowledge, it has.

21 MR. LIPINSKI: Jesse?

22 MR. EBERSOLE: I don't know. I want to ask another
23 question about the fire protection system, though. Is there
24 a localized control panel that you call the fire protection
25 panel?

vcl4

1 MR. EVANS: The fire protection panel that we
2 have is the three panels that I indicated to you, Mr. Ebersole,
3 in the control room, which is the bank of three panels up
4 there, it's the central control panel.

5 MR. EBERSOLE: Well, you know we have remote shut-
6 down in consideration of potential losing the control room.
7 Do I have something left after I lose the control room to
8 control the fire suppression equipment?

9 MR. EVANS: The fire suppression equipment, if
10 that's your concern, is actually controlled by their own
11 subcontrol panels.

12 MR. EBERSOLE: They don't need that central panel
13 then?

14 MR. EVANS: No, sir. The central panel receives
15 signals from the prealarm signals such as ionization detectors
16 and like that, but the suppression systems have their own
17 subcontrol panel which controls that suppression system.
18 That panel itself reports to the main control panel.

19 MR. EBERSOLE: Now I'm going to ask you a kind
20 of a general question. By permission of the staff, the
21 fire control equipment is not seismic in complete. Suppose
22 I inadvertently shake the plant with an earthquake, and
23 everything goes off in the wrong direction. Will that bother
24 the function of any of my critical shutdown equipment?

25 MR. EVANS: It should not. The majority of the

1 system we're using are the preaction type system which would
2 enable you to have an earthquake like that and -- it takes
3 two different functions to activate the preaction system.
4 You physically have to have either smoke or heat depending
5 on the primary detector to electrically activate the valve
6 controlling that system. That then floods the piping with
7 water. From there you have to individually fuse each sprinkler
8 head to deliver water.

9 MR. EBERSOLE: So the fusing part would not fail,
10 but the electrical part might.

11 MR. EVANS: The electrical part might, yes. Because
12 of the relays and obviously the panels with modern boards
13 going from older, sturdier relays to more of the printed
14 circuit boards, it is more susceptible.

15 MR. EBERSOLE: I'm going to ask you another general
16 question. We find electrical powered switchboards depend
17 on local ambient temperature to judge whether or not the
18 circuits are in overload or not. In short, they have a
19 heater in each breaker -- a lot of them do, this is not
20 motive case for the others -- and they judge against that
21 heat temperature rise with the background of the ambient
22 whether or not the motor at some distant place is running
23 under overload. This makes these boards dependent on ambient
24 to avoid their own tripping. If that ambient runs to about
25 150 degrees fahrenheit, the board thinks all of its attached

vcl6

1 loads are at overload and starts clearing. Some H&V systems
2 use damper and ducting design based on fusible links that
3 appear to require a higher than 150-odd degree temperature
4 to fuse. Therefore, they would permit ambience to rise
5 in even distant switchboard before they would close, since
6 these are designed to old standards of stopping fire progress
7 not stopping ambient temperature. Do you have a system
8 anywhere in the plant where you wouldn't get an appropriate
9 damper function before you lost the board on the discharge
10 side of that flow system?

11 MR. EVANS: Okay. If I may summarize your question,
12 I believe that your concern is the passage of heat past
13 a fire damper before the fusible element can operate, and
14 it may have some effect on electronic equipment?

15 MR. EBERSOLE: Electric or electronics. Right.

16 MR. EVANS: I believe your primary concern would
17 be our switchgear rooms and our MCC rooms where we would
18 have that type of electronic equipment. All safety-related
19 switchgear and MCC equipment are located in their own rooms
20 with appropriate barriers or fire dampers. All of these
21 rooms have high temperature alarms which alarm at approximately
22 105 degrees fahrenheit in the control room. The control
23 room operator would then have the ability to operate emergency
24 cooling units that are fed by the RHR. And these would
25 allow you cooling in there even in the event that you did

1 get this occurrence.

2 MR. EBERSOLE: Oh, you have an override cooling
3 capability in these rooms?

4 MR. EVANS: That is my understanding, yes.

5 MR. EBERSOLE: You don't depend on open cycle
6 cooling of the rooms. You have another way of cooling the
7 rooms, unit coolers. Is that what you're saying?

8 MR. EVANS: Yes.

9 MR. EBERSOLE: But they're not normally in use?

10 MR. EVANS: No, they're backup.

11 MR. EBERSOLE: And they will override the influx
12 of hot air, that's what you're telling me?

13 MR. EVANS: They would enable you to keep the
14 room at a temperature compatible with the electronic equipment
15 until such time locally that damper would activate.

16 MR. EBERSOLE: Right. Thank you.

17 MR. RAY: I'd like to return to Dr. Lipinski's
18 concerns. Did you, by any chance, make any tests of instal-
19 lation of the spray heads that would demonstrate their capa-
20 bility for coverage?

21 MR. EVANS: The spray heads installed all have
22 UL testing behind them, and documented spray coverages under
23 different pressures of what they can cover, and it was that
24 documented test coverage from Underwriters Laboratories
25 that was used for the basis of design of those heads. We

1 do not individually try to turn them on in the plant because
2 of obvious water damage.

3 MR. RAY: Okay, but that documented test indicated
4 the adequacy of what you put in?

5 MR. EVANS: Yes.

6 MR. RAY: Your installed spacing?

7 MR. EVANS: Yes.

8 MR. RAY: Does that help?

9 MR. LIPINSKI: Unless somebody took a look at
10 each one of those heads and took the standard pattern for
11 that head and made sure the water's going to travel in all
12 directions, then yes to your answer. I assume that this
13 consultant that laid this thing out in detail did that in
14 order to determine whether the spray pattern was adequate.

15 MR. EVANS: That's correct. The consultant did
16 walk down each area and verify that the system had been
17 installed in accordance with his design. These were also
18 walked down by American Nuclear Insurers' representatives
19 to make sure that -- they had copies of the design also
20 -- to make sure that they complied with their requirements.

21 (Slide)

22 Okay. This slide shows NRC concerns in the SER
23 and SSER which involve verification during the site visit
24 later this year of adequacy of unlabeled fire doors, and
25 low fire loading in areas where automatic fire suppression

1 systems are not installed for cable raceway protection in
2 addition to one hour fire rated envelopes. At this site
3 visit, additional data provided by the Supply System is
4 expected to close these two issues.

5 (Slide)

6 The next slide indicates an NRC concern regarding
7 the completion of hose standpipe changes before fuel loading.
8 The Supply System presently has a request with the NRC for
9 an extension of time to make the committed changes by the
10 end of the first refueling outage. This would allow a more
11 manageable time frame to accomplish the changes and still
12 maintain plant safety during the modification process.

13 (Slide)

14 In summary, the WNP-2 position on the analysis
15 contained a point by point comparison to the BTP APCS 9.5-1
16 (Appendix A) and 10CFR50, Appendix R. Full or essential
17 compliance with the NRC reviewers taking into account commit-
18 ments made by the Supply System. An ongoing analysis will
19 be contingent to insure that any future changes will be
20 evaluated under the fire protection program.

21 This concludes my presentation. If there are
22 no further questions, I'll introduce the next speaker.

23 Our next speaker is Mr. Ed Fredenburg, manager
24 of WNP-2 civil structural engineering with a presentation
25 on containment systems. Ed is also the Supply System repre-

1 tative on the Mark II owners group. Thank you.

2 (Slide)

3 MR. FREDENBURG: In the issue of hydrodynamic
4 loads and Mark II containments, this has been around for
5 several years now. This is a generic issue. It affects
6 not only this plant, but other Mark II plants. I believe
7 that several of the members on the subcommittee are somewhat
8 familiar with the issue through participation in fluid dynamics
9 subcommittee meetings and also on hearings in other plants.
10 Therefore, in the interest of maintaining schedule on this
11 presentation and avoiding redundancy, I plan, in this presen-
12 tation, to focus on those aspects of our plant and our load
13 definitions which differ from what you might have seen before
14 in the generic Mark II program, or in other plants.

15 First, however, I'll summarize kind of an overview
16 of where we are on this issue. Basically, about seven years
17 ago, seven or eight years ago, 1974, 1975 time period we
18 and other utilities became aware of hydrodynamic loading
19 issues in Mark II containments. Since that time we and
20 other utilities, AE's and the NRC have been involved in
21 a fairly comprehensive program to try to understand these
22 loading phenomena, loading conditions, and to resolve the
23 issue. Part of that effort involved forming an owners group
24 which was used as the basis for evaluating some of this
25 information.

1 One of the key elements of this program involved
2 conducting tests and evaluating test data from various tests
3 in the U.S. and overseas. The principal test as far as
4 our plant is concerned which formed the basis of both generic
5 and some plant-unique load definitions were the what is
6 called the 4T tests and the 4T CO tests which were funded
7 and conducted by the Mark II owners. These were single
8 downcomer tests conducted down in San Jose.

9 In addition to that, there were tests run in the
10 -- by the Japan Atomic Energy Research Institute in a facility
11 commonly known as Jaeri. This is a multi-vent facility.
12 It simulates a segment of a Mark II containment.

13 In addition to that, those tests I've mentioned
14 so far were principally to look at and evaluate loading
15 conditions from loss of coolant type accidents. In addition
16 to that, of course we're concerned about main steam relief
17 valve discharge loads in the pool. And the principal tests
18 which were used to formulate our load definitions for SRV
19 discharge loads were two in-plant tests, one conducted in
20 the Caorso plant in Italy, and one in the Tokai plant in
21 Japan. From this test data, conservative load definitions
22 have been developed, both generic load definitions and plant-
23 unique load definitions. There are currently no open issues
24 between us and the NRC staff on hydrodynamic loads. The
25 NRC has accepted these load definitions.

1 Another major element of this program as far as
2 we were concerned involved making extensive modifications
3 in the wet well. To enhance the structural capacity of
4 the plant. And I'll point out some of those in a minute.

5 The final documentation of plant adequacy will
6 be provided in our final revision of our design assessment
7 report which is an appendix to the FSAR.

8 In summary or in conclusion on this issue, the
9 hydrodynamic loads are accommodated in the final design of
10 the WNP-2 plant.

11 (Slide)

12 This slide indicates just a summary of some of
13 the major modifications that we have made in the wet well.
14 I'd like to briefly point some of them out. One of the
15 major modifications that we made was adding horizontal stiffeners
16 to the steel shell. We replaced our existing downcomer
17 bracing system and added a new downcomer bracing system
18 to accommodate vertical drag loads during the pool swell
19 event. We added pipe supports, a lot of pipe supports and
20 some of the suction lines in the pool. We originally had
21 main steam relief valves discharge lines which came into
22 the wet well through downcomers. They were routed in the
23 outer row of downcomers concentrically all the way down
24 to the pool, terminated in open ended pipes in the pool.
25 When we became aware of the SRV discharge loading problem,

vc23

1 it became obvious that we would have to reroute some of
2 these lines to achieve a better distribution of loads in
3 the pool. This is indicated up here -- this is not a very
4 good sketch, but -- now these MSRV discharge lines penetrate
5 the downcomers just below the diaphragm floor slot. They're
6 routed around the pool and now terminate in cross quenchers.
7 Which are supported off the floor.

8 Because of the pool swell problem, or the pool
9 swell issue, some of the structures which were in the pool
10 swell impact zone were either relocated or removed. One
11 example of that was we used to have a catwalk around the
12 pool about six feet above the pool level. This was taken
13 out except in a local area in the immediate vicinity of
14 the equipment hatch which provides access to the pool.
15 Also, vacuum breakers which are mounted on the downcomers
16 originally were mounted at a lower elevation on the downcomers.
17 They happen to be in or near the pool swell impact zone.
18 Consequently they were relocated up at a higher elevation
19 to get them out of the pool swell impact zone.

20 (Slide)

21 Those are some of the principal design changes
22 that were made. I want to point out some of the features
23 of our containment which differ from the other domestic
24 Mark II plants. One I think I've mentioned is we have a
25 free standing steel containment, an inclined pool bottom,

1 and cross quencher devices on the end of the SRV discharge
2 lines. All the other domestic Mark II plants have reinforced
3 concrete containments. They're all flat bottom containments
4 and they all utilize a T-quencher rather than a cross quencher.

5 (Slide)

6 It's because of these differences, principally
7 because of these differences that we have some plant-unique
8 load definitions. I'll just summarize the difference between
9 the load definitions that we utilize and -- or in other
10 words, where we have utilized plant-unique load definitions
11 as opposed to generic load definitions.

12 We comply with the NRC acceptance criteria in
13 NUREG 0808 for all loca related hydrodynamic loads except
14 that we developed an alternate plant-unique chugging load
15 which is a conservative load definition not only for chugging
16 but for condensation oscillation. Therefore we utilize
17 it for both load cases and we've also developed a plant-
18 unique SRV load definition.

19 (Slide)

20 This slide summarizes some of the key elements
21 of our plant unique SRV discharge load and chugging load
22 definitions. The SRV discharge load is based on test data
23 from in-plant tests conducted at the Caorso plant in Italy
24 which I mentioned before. Caorso is a flat bottom reinforced
25 concrete containment with cross quenchers. It is essentially

1 identical to WNP-2 in terms of those parameters which govern
2 SRV discharge loads in the pool. Those parameters include
3 overall suppression pool geometry, SRV discharge line dia-
4 meters and volumes, SRV blowdown conditions, quencher location,
5 quencher submergence, and quencher geometry.

6 The Caorso in-plant test included single valve
7 blowdowns under both initial and subsequent actuation condi-
8 tions, and multiple valve blowdowns under initial actua-
9 tion conditions.

10 An SRV discharge load definition was developed
11 from the Caorso test data which is defined in terms of dynamic
12 pressures on the suppression pool boundary.

13 The peak pressures and frequency spectra of the
14 SRV discharge load conservatively bound the suppression
15 pool boundary pressures which were actually measured in
16 the Caorso in-plant test.

17 For application to No. 2, WNP-2, adjustments were
18 made in the load definitions to account for differences
19 in Caorso test conditions and WNP-2 plant conditions and
20 design conditions. Using criteria which were developed
21 in the Mark II program.

22 Confirmation of the adequacy of the SRV load defi-
23 nition was provided by means of evaluating in-plant test
24 data from the Tokai plant in Japan. The Tokai plant is
25 a free standing steel containment also, Mark II geometry.

1 It is a flat bottom containment and it utilizes cross quenchers.
2 Therefore, the plant geometry and parameters which affect
3 SRV discharge loads in the pool at Tokai are also essentially
4 identical to WNP-2.

5 In Tokai, pressure amplitudes and wave form charac-
6 teristics were similar to what was observed in Caorso and
7 structural responses were similar to what is predicted for
8 the No. 2 project.

9 The SRV load definition for WNP-2 was reviewed
10 and accepted by the NRC with an increase in the magnitude
11 of the peak pressure for added conservatism in the load
12 definition.

13 In June of 1979 -- getting down to the chugging
14 load now. In June of 1979 the Supply System submitted a
15 proposed chugging load definition to the NRC which was based
16 test data from the 4T tests. This design mode consisted
17 of pressure impulse supplied at the discharge end of the
18 downcomer in a finite element model of the suppression pool.
19 Subsequently, additional steam condensation tests were per-
20 formed in a modified configuration of the 4T test facility.
21 This modified configuration or these additional tests are
22 referred to as the 4T CO tests.

23 In the 4T CO tests some chugs were observed which
24 imposed substantial higher pressures on the 4T CO tank
25 boundary. And different frequency content than what had

1 been observed previously in the 4T tests.

2 From this test data then that was generated in
3 the 4T CO tests, Mark II owners group developed a generic
4 load definition which involves solving a wave equation in
5 cylindrical geometry. This approach may be utilized in
6 a flat bottom but really is not applicable to the WNP-2
7 plant which has an inclined bottom or a bottom with a trape-
8 zoidal shape.

9 Consequently, it was necessary to modify the chug-
10 ging load definition which we developed in 1979 and submit
11 it to the NRC to reflect the new information about chugging.

12 Using an approach similar to what was used in
13 the 1979 load definition, it was found that the magnitude
14 and frequency spectra of the applied pressure on the 4T
15 CO tank boundary could be simulated by an impulsive source
16 applied at the discharge end of the downcomer in a finite
17 element model of the 4T CO system.

18 Furthermore, the peaks in the frequency spectra
19 of the pressures measured on the 4T CO tank boundary were
20 found to be attributable to structural response of the 4T
21 CO tank and acoustic properties of the steam in the downcomers
22 and the water in the pool. It was concluded from this study
23 that since the measured pressures on the 4T CO tank boundary
24 were caused not only by the chugging in the ends of the
25 downcomer but also by structural response of the 4T CO steel

vc28

1 shell that in order to properly extract a source load defini-
2 tion for application to a steel containment that the effects
3 of the structural response of the 4T CO shell had to be
4 separated from the forcing function.

5 Therefore, a set of sources for pool disturbance
6 were extracted from the 4T CO test data which are free of
7 the physical characteristics of the 4T CO test facility.
8 These sources produce dynamic pressures on the tank boundary
9 4T CO tank which bound the measured 4T CO test pressures
10 and which also simulate the frequency content which was
11 measured in those tests.

12 With this load definition, each source is defined
13 in terms of a pressure gradient impulse applied at the
14 discharge end of the downcomer in a finite element model
15 of the 4T CO system. The load definition utilizes as para-
16 meters acoustic properties and damping properties for the
17 steam in the vents and for water in the pool. This informa-
18 tion was obtained from the 4T CO test data.

19 For application to a Mark II containment, the
20 chug start times between vents with respect -- from one
21 vent with respect to another are desynchronized in a manner
22 similar to what was utilized in the generic Mark II method-
23 ology. And this accounts for randomness in timing which
24 is known to exist because of observations made in the Jaeri
25 test facility. In WNP-2 the desynchronization methodology

1 is more conservative than the generic Mark II methodology
2 which leads to added conservatism in the WNP-2 load defini-
3 tion.

4 As a result of the NRC review of this load defini-
5 tion, the WNP-2 chugging load was applied in finite element
6 model of the Jaeri test facility, and was shown to bound
7 the Jaeri test data.

8 In addition, this chugging load was shown to bound
9 the effects of condensation oscillation and we therefore
10 use it in all required load combinations which include either
11 chugging or CO. Again, this plant-unique chugging load
12 has been accepted by the NRC for both chugging and CO and
13 it's not an open item.

14 (Slide)

15 The only open item that we currently have in the
16 containment systems area and it's not really a containment
17 hydrodynamic loading issue, but a containment system issue
18 as it relates to vacuum breaker impact loads. During either
19 pool swell when you get wet well airspace compression as
20 result of pool swell or during chugging when you get rapid
21 fluctuation of pressures inside the vent, the vacuum breaker
22 will open and it could open with impact velocities high
23 enough on either opening or on closing to possibly damage
24 the disc. Therefore, if that occurs that could lead to
25 suppression pool bypass leakage, and therefore, this is

1 a concern which must be resolved.

2 You're probably familiar with what is being
3 done on the other Mark II plants to resolve this issue.
4 This is also a generic issue. The other plants with
5 Anderson Greenwood valves are doing something slightly
6 different than what we're doing. Basically, the reason
7 for that is that we have some slight differences between
8 our valve design and the valve design on the other plants.
9 These differences relate to the fact that in our plant we
10 have a single valve body with two discs that -- if you can
11 imagine this vacuum breaker is mounted on the downcomer
12 through a flange, volted flange right here. This is the
13 downcomer.

14 (Slide)

15 The front disc pivots around a shaft at the top.
16 The rear disc pivots around a shaft at the bottom. The disc
17 is held shut against the seat of the valve by means of
18 torsional springs which are attached around the bottom between
19 the shaft and the disc. In our plant, the disc is held shut
20 therefore by a combination of that torsional spring and also
21 with magnets which are embedded in the periphery of the disc.

22 Our solution to the vacuum breaker impact problem
23 is to install shock absorbers or dampers, if you will, on the
24 valve body which will attach to the shaft or to, in this case,
25 rear disc to the -- there's another shaft up here to which a

1 pivot arm is attached, which will dampen the impact load,
2 reduce the impact velocity so that we do not get into a situa-
3 tion where we damage the vacuum breaker disc.

4 And that concludes my presentation on hydrodynamic
5 loads except just in summary -- if we could go back to the
6 first slide for just a minute --

7 (Slide)

8 As I mentioned, this is an issue that's been around
9 -- pressure suppression type containment designs for a long
10 time now. A lot of actions have been taken in the inter-
11 vening period to resolve the issue and as of today, the issue
12 or the hydrodynamic loads are accomodated.

13 MR. PLESSET: Let's see if there are any questions
14 on this point. Jesse?

15 MR. EBERSOLE: I might just have two questions.
16 Are you going to do some SRV testing?

17 MR. FREDENBURG: We're going to do an SRV in-plant
18 test to measure local cool temperature differences.

19 MR. EBERSOLE: Are you going to test in the regime
20 where you get the nasty chugging problems and do some measure-
21 ments on the vibration of the SRV downcomers?

22 MR. FREDENBURG: Well, the test for -- no, we're
23 not going to do any additional test other than what's been
24 done in the 4T test, the 4T CO test.

25 MR. EBERSOLE: You're not going to do any unique

1 plant test for your --

2 MR. FREDENBURG: Are you referring to SRV in-plant
3 tests for loads?

4 MR. EBERSOLE: Yes, SRV in-plant tests for loads.

5 MR. FREDENBURG: No, we do not plan to do any SRV
6 in-plant tests to measure loads in the pool because of the
7 fact that we have prototypical tests, those being the Caorso
8 tests and the Tokai tests which really represent our plant.

9 MR. EBERSOLE: Well, you will put somebody down
10 there just to listen to the rumbles?

11 MR. FREDENBURG: We'll probably have somebody stand-
12 ing outside containment and listening.

13 MR. EBERSOLE: I hope. Maybe with a tape recorder.

14 MR. PLESSET: You had another question.

15 MR. EBERSOLE: Yes, sir. At the last dynamics
16 meeting, we were talking about bypass, in the event we lose
17 one of these lines or lose a valve, and it's a matter of
18 the degree of the bypass, and what was invoked was a thesis
19 that the spray above the suppression pool would be a mitiga-
20 ting method in the event that you got a bypass. Subsequent
21 to that meeting, it occurred to me that, and you can correct
22 me if I'm on the wrong track, I don't know that the spray
23 will do anything other than perform a condensation function
24 up to a point where you get a laminar layer of uncirculated
25 hot water on top of the suppression pool. And your heat

1 transport mechanism is blocked by the fact that you don't
2 have mixing. At least, that occurred to me after the meeting.
3 So at this point I am inclined to deny that the spray system
4 will accomodate as much bypass as was thought at that meet-
5 And I would like to hear your opinion and maybe have you
6 look at that unless you're convinced we won't have that kind
7 of bypass.

8 MR. PLESSET: Let me help you help Mr. Ebersole.
9 For instance, he's concerned about an SRV line breaking --
10 being broken above the water level, steam is discharging
11 into the airspace, and he's concerned about what this might
12 do. And if you have any comments on this. The answer I
13 think he just told you was given, I think, by the staff,
14 wasn't it, Jesse?

15 MR. EBERSOLE: Yes, I think it was some months
16 ago.

17 MR. PLESSET: Suppose he had -- that the wet well
18 sprays would help in the condensation of that steam that
19 was being discharged into the airspace above the water line.

20 MR. EBERSOLE: But the problem is, see, I still
21 have a heat transport problem after I lay this hot water,
22 this condensed hot water down on the plastic surface of the
23 pool.

24 MR. FREDENBURG. Okay. Well, let me try to address
25 them one at a time. The first one we've evaluated, we've

vc34

1 done Class I type fatigue analysis on downcomers and SRV
2 discharge lines and verified that we don't exceed the criteria
3 for a Class I fatigue analysis.

4 MR. EBERSOLE: On that score, may I make a comment?
5 The question is really, what's the level of reliability in
6 that analysis because of the critical nature of the conse-
7 quence that we might have.

8 MR. ELTAWILA: Mr. Ebersole, I think the staff
9 when he said the spray system is going to help. My name
10 is Farouk Eltawila from the containment system branch. It's
11 the dry well spray, not the wet well spray. Because when
12 you have the steam line, the airspace region, you pressurize
13 the airspace region higher than the dry well. The vacuum
14 breaker will open and connect the dry well with the wet well.
15 So if you enshade the dry well spray, it will help. The
16 wet well spray definitely is not going to help, but the dry
17 well spray is very effective in condensing the steam.

18 MR. EBERSOLE: So if you carry steam up through
19 the vacuum breakers, then hit it with the dry well spray,
20 it will condense and run into the lower region of the sup-
21 pression pool? And then be taken off by the RHR pumps?

22 MR. CATTON: It'll drain right through the top
23 of the downcomers.

24 MR. FREDENBURG: But I don't think in our case --

25 MR. EBERSOLE: So it will get circulated via that

1 route.

2 MR. ELTAWILA: That's correct.

3 MR. EBERSOLE: All right. Fine. That didn't occur
4 to me, so thank you.

5 MR. FREDENBURG: Just one more point on that subject.
6 In ours, we've got a twelve-foot submergence on downcomers
7 so that when the heated water does go down through the down-
8 comers, it will enter the pool at a depth of twelve feet,
9 and we really wouldn't expect to get pool temperature strati-
10 fication.

11 MR. EBERSOLE: Well, will it enter the downcomers
12 at a rate consistent with the mass flow needed to cool the
13 -- through the heat exchange? Or will it simply sit there
14 as a hot column? You know, having entered the downcomers.

15 MR. CATTON: It'll sit in the downcomers, Jesse.

16 MR. EBERSOLE: It won't move.

17 MR. CATTON: It won't go out of the -- it will slowly
18 displace the cold water.

19 MR. EBERSOLE: I guess I'm still stuck on the thesis
20 that I don't know what the circulatory pattern is, and whether
21 it's consistent with the mass flow needed to move the heat
22 off to the heat exchange. Do you follow me? I don't get
23 homogeneous mixing. I get a laminated structure, and I may
24 not be able to reject the heat. I'll just get a layer of
25 hot water, either in the downcomers or on top of the wet

vc36

1 well on the outside of the downcomers.

2 MR. FREDENBURG: I understand your question and
3 I think this is also an issue which we are in the process
4 of preparing a response to with regards to the issues raised
5 by Mr. John Humphrey. We've -- I believe it's the same issue
6 regarding pool temperature stratification.

7 MR. PLESSET: Oh, he had a general question about
8 pool stratification.

9 MR. EBERSOLE: I don't recall that. It was very
10 general. It wasn't this specific.

11 Well, I guess we'll have to get some sort of confi-
12 dence that we've got heat transport.

13 MR. PLESSET: Yes, Jerry?

14 Ivan? Walt? I guess nobody wants to make any
15 more trouble.

16 MR. CATTON: I think they've done a good job on
17 the submergence pool.

18 MR. FREDENBURG: Okay, our next speaker is --

19 MR. NELSON: No, he's not. You're the last speaker.

20 MR. PLESSET: We do not have security discussions
21 at subcommittee meetings because we do not have provisions
22 for closed sessions. However, we most likely will have one
23 at the full committee meeting. So do you have any final
24 comments that you would like to make on your side?

25 MR. BIBB: No.

vc37

1 MR. PLESSET: Al, do you want to make any concluding
2 remarks?

3 MR. SCHWENSER: No.

4 MR. PLESSET: Just a moment, Al.

5 MR. EVANS: I just want to make one correction
6 for the record for Mr. Ebersole's question on the cooling.
7 It was the standby service water, not the RHR that provided
8 emergency cooling water. I just wanted to correct that for
9 the record.

10 MR. EBERSOLE: Now, wait a minute. What water
11 was this?

12 MR. EVANS: This was the emergency cooling units
13 for the MCC and switchgear rooms that we were talking about.

14 MR. EBERSOLE: Oh, okay. Thank you.

15 MR. NELSON: The reference was made it came from
16 RHR. It didn't.

17 Dr. Plesset, the Supply System would like to make
18 one closing remark related to expressing our thanks to the
19 Committee for allowing us to give our presentations in almost
20 complete fullness. And I hope that we have answered the
21 questions that the Committee may have had, and I hope we
22 didn't leave too much outstanding, but we certainly want
23 to express our thanks for you blessing us with your visit
24 to the glorious Tri-Cities.

25 MR. PLESSET: Well, thank you, I'll come back to

1 you after we hear from Al, if you'll wait a moment.

2 MR. SCHWENCER: We just checked. We have no further
3 comments to make.

4 MR. PLESSET: All right. Thank you, Al. Presumably
5 your unresolved issue list may even be reduced further.

6 MR. AULUCK: Yes, in the next two or three weeks
7 we hope to resolve at least three or four more issues.

8 MR. PLESSET: All right. Well, let me tell you
9 that I expect that you'll be coming in October 7th or 8th,
10 I can't tell you which day because the agenda hasn't been
11 finalized as of yet, but you will be coming in. I don't
12 know if you're happy about that, but I think you should.

13 MR. NELSON: We are.

14 MR. PLESSET: But you'll only have four hours.
15 I mentioned that before. And so you have a large problem.
16 You have to be prepared to answer questions on anything,
17 but to make short presentations. And have time for questions
18 from Committee members. And that's going to be one of your
19 chores between now and then, to decide how to do this, because
20 what you told us was very interesting, very pertinent, and
21 I think, very helpful. And I think I speak for the Committee
22 and our consultants when I say we appreciate your effort.
23 We appreciate the tour. It was very well organized, and
24 the presentations here were also well organized. A little
25 voluminous for a full committee meeting, but that's the way

vc39

1 it is when you go to the full committee. And I thought you
2 did very well indeed, and I hope that you will uphold my
3 prediction that you'll do well at the full committee.

4 And with that thought, I'll adjourn the meeting.
5 Thank you all.

6 (Whereupon, at 3:12 p.m., the meeting in the above-
7 entitled matter was adjourned.)
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

in the matter of: Subcommittee on Washington Public Power Supply

Date of Proceeding: September 3, 1982

Docket Number: Open Meeting

Place of Proceeding: Richland, Washington

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Margaret Miller

Official Reporter (Typed)

Margaret Miller

Official Reporter (Signature)