

ORIGINAL

OFFICIAL TRANSCRIPT
PROCEEDINGS BEFORE

NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

DKT/CASE NO. 50-537

TITLE UNITED STATES DEPARTMENT OF ENERGY
PROJECT MANAGEMENT CORPORATION - TENNESSEE VALLEY
AUTHORITY (Clinch River Breeder Reactor)

PLACE Bethesda, Maryland

DATE January 4, 1993

PAGES 6732 thru 6912

8301060133 830104
PDR ABOCK 05000537
T PDR

TRX 1



ALDERSON REPORTING

(202) 628-9300
440 FIRST STREET, N.W.
WASHINGTON, D.C. 20001

1 APPEARANCES:

2

3 On behalf of Project Management Corporations:

4 GEORGE L. EDGAR, Esq.

5 Morgan, Lewis & Bockius

6 1800 M Street, N.W.

7 Washington, D.C. 20036

8

9 On behalf of U.S. Department of Energy:

10 WILLIAM D. LUCK, Esq.

11 Office of the General Counsel

12 U.S. Department of Energy

13 Washington, D.C. 20585

14

15 On behalf of the Tennessee Valley Authority:

16 EDWARD J. VIGLUICCI, Esq.

17 Tennessee Valley Authority

18 400 Commerce Avenue

19 Knoxville, Tennessee 37902

20

21 On behalf of Intervenors, Sierra Club and

22 Natural Resources Defense Council:

23 BARBARA A. FINAMORE, Esq.

24 ELDON GREENBERG, Esq.

25 THOMAS B. COCHRAN

1 APPEARANCES: (Continued)

2 On behalf of the Nuclear Regulatory Commission:

3 DANIEL SWANSON, Esq.

4 ROBERT DUBE, Esq.

5 U.S. Nuclear Regulatory Commission

6 Washington, D.C. 20555

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C O N T E N T S

	<u>PAGE</u>
1	
2 <u>ARGUMENT OF:</u>	
3 George Edgar, Esq.,	6737
4 On Behalf of Applicant,	
Project Management Corporation	
5 Daniel Swanson, Esq.,	6758
6 On Behalf of the Staff,	
7 Nuclear Regulatory Commission	
8 Eldon Greenberg, Esq.,	6766
9 On Behalf of The Natural Resources	
Defense Council	
10 George L. Edgar, Jr.,	6784
11 On Behalf of Applicant,	
Project Management Corporation	
12 Thomas B. Cochran, Esq.,	6794
13 On Behalf of Natural Resources	
14 Defense Council	
15 Daniel Swanson, Esq.,	6805
16 On Behalf of Staff,	
Nuclear Regulatory Commission	
17 George L. Edgar, Esq.,	6822
18 On Behalf of Applicant,	
Project Management Corporation	
19 Daniel Swanson, Esq.	6834
20 On Behalf of the Staff	
Nuclear Regulatory Commission	
21 Thomas B. Cochran, Esq.,	6839
22 On Behalf of Natural Resources	
23 Defense Council	
24 George L. Edgar, Esq.,	6860
25 On Behalf of Applicant,	
Project Management Corporation	

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C O N T E N T (cont'd)

ARGUMENT OF:

PAGE

Thomas B. Cochran

6867

On Behalf of Natural Resources
Defense Council and the Sierra Club

Daniel Swanson, Esq.,

6871, 6891

On Behalf of Staff,
Nuclear Regulatory Commission

REBUTTAL ARGUMENT BY:

PAGE

George L. Edgar, Esq.,

6781, 6856,
6876

On Behalf of Applicant,
Project Management Corporation

1 MR. LUCK: William Luck, Department of
2 Energy.

3 MR. VIGLUICCI: Ed Vigluicci, Tennessee Valley
4 Authority.

5 MS. FINAMORE: Barbara Finamore for
6 Intervenors, Natural Resources Defense Council and the
7 Sierra Club.

8 MR. GREENBERG: Eldon Greenberg for
9 Intervenors, Natural Resources Defense Council and the
10 Sierra Club.

11 MR. COCHRAN: Thomas B. Cochran with the
12 Intervenors.

13 MR. SWANSON: Daniel T. Swanson, counsel for
14 Staff. And with me for the first issue at the counsel
15 table is Mr. Robert Dube.

16 JUDGE MILLER: Is there anyone else now who
17 should be identified for the record, who is present and
18 intends to participate in any fashion?

19 (No response.)

20 JUDGE MILLER: All right. You may proceed,
21 Mr. Edgar.

22 ORAL ARGUMENT OF GEORGE EDGAR, ESQ.,

23 ON BEHALF OF APPLICANT,

24 PROJECT MANAGEMENT CORPORATION

25 MR. EDGAR: In terms of the safeguards

1 contention, in our judgment the basic issue is whether
2 the environmental effects of safeguarding CRBRP and its
3 fuel cycle facilities have been adequately analyzed.
4 This broad question in turn breaks down into two
5 subissues.

6 The first can be expressed as, is it feasible
7 to design a safeguards system for CRBR and its fuel
8 cycle facilities such that the risk of theft and
9 sabotage can be made acceptably low. The second element
10 of that broad question consists of the following: what
11 are the costs of such systems?

12 Turn to issue one, that is the feasibility of
13 designing the system. It should be noted by way of
14 introduction that both CRBRP and its fuel cycle
15 facilities can and will draw on the latest methods and
16 technology for designing safeguards systems through the
17 overall DOE safeguards program. The reference here
18 would be Applicants' Exhibit 39, TR. 3479 through '96.

19 There are three basic elements to the
20 safeguards program which are of importance here. The
21 first is the program involving threat assessment; the
22 second, the program involving effectiveness evaluation;
23 and the third, the program involving technology
24 development. These elements are discussed in
25 Applicant's Exhibit 39, TR. 3480 through '89.

1 Through application of these programs to CRBR
2 and the fuel cycle facilities, the Applicants can show
3 and have shown in this record that the safeguards risk
4 for CRBR and its supporting fuel cycle facility are
5 extremely small.

6 To consider how these programs are and have
7 been applied and will be applied at CRBR first and then
8 the fuel cycle facilities, let us first consider CRBR.
9 The initial point of reference for consideration of
10 safeguards risk at CRBR, particularly in terms of theft
11 or potential theft of material, must consider the
12 inherent plant design characteristics, in particular
13 consider the fuel handling system as described in
14 Exhibit 39 at TR. 3497 through '54.

15 The theft of fuel at CRBRP, that is fresh
16 fuel, is highly unlikely even without regard for the
17 physical security system. The fresh fuel is first
18 delivered in 3,000-pound containers. Once delivered and
19 received in the facility, the fresh fuel will be stored
20 in molten sodium at temperatures between 400 and 500
21 degrees Fahrenheit.

22 Each fuel assembly itself weighs more than 400
23 pounds. The assemblies are intact during their entire
24 lifetime in the plant and require remote handling
25 through sophisticated computer systems to obtain

1 access.

2 If one examines the paths for fresh fuel
3 within the facility, it is readily apparent that even
4 without regard for specific systems for safeguards, that
5 there is a high degree of inherent protection against
6 theft within the Clinch River plant. The reference for
7 those discussions would be contained at TR. 3493 through
8 3500.

9 As for irradiated fuel, the irradiated fuel is
10 both radiologically and thermally hot. And as
11 intervenors have conceded, it is an extremely
12 unattractive theft target. See TR. 3252.

13 Notwithstanding this, CRBR will have and has a
14 preliminary design for a physical security system that
15 will meet all NRC requirements. See Staff Exhibit 10,
16 TR. 3738.

17 In addition, during the past several years and
18 continuing into the future this safety system will
19 undergo a continuing review to assure its
20 effectiveness. See TR. 3467 through '69.

21 It should not go unnoticed by this Board that
22 this plant has undergone a series of detailed analytical
23 programs to consider the safeguards system and to
24 evaluate its effectiveness without regard for the NRC
25 regulations. It is not being designed merely to meet

1 the NRC regulations, but rather it is being designed as
2 an effective system, and then in addition compliance
3 with NRC regulations is assured.

4 Based on this, that is the physical security
5 system and the inherent protection provided for fresh
6 fuel within the plant, it is clear that theft is a
7 highly unlikely event and that the risk of theft within
8 the CRBRP is extremely low. See Applicant's Exhibit 39
9 at 3500 through -- and 3251, Staff Exhibit 10, TR. 3742
10 through '43.

11 After considering theft, one should also
12 consider sabotage at CRBRP. As with theft and due to
13 the plant design, and without regard for the security
14 system, initiation of a transient and a resultant severe
15 accident requires manipulation of complex electronic
16 equipment, and any mistake by a would-be saboteur would
17 result in scram shutdown of the reactor and placement of
18 the reactor in a safe condition. See TR. 3505, TR. 3444
19 through '45.

20 It is not only the case that automatic
21 equipment would deter the saboteur, but in addition any
22 saboteur would have to manipulate equipment at two or
23 more locations within the plant in close proximity in
24 time. See TR. 3283 through '84.

25 The CRBRP safeguards system, aside from the

1 inherent protection afforded by plant systems, provides
2 an effective additional overlay on the plant inherent
3 features to ensure that the risks associated with
4 safeguarding CRBRP against sabotage are extremely low.
5 CRBR has undergone and has continuing at least four
6 detailed analyses of the safeguards system in terms of
7 sabotage. These have included black-hatting exercises
8 by safeguards experts and fault tree analyses. See TR.
9 3506 through 3510.

10 The plant itself is built such that the
11 individual components are housed in reinforced concrete
12 cells which are subject to an inerted atmosphere. The
13 compartmentalization within the plant itself eliminates
14 in major part the prospects of access by a would-be
15 saboteur to two or more locations within the plant.
16 Even then, the plant is broken into the four classes of
17 areas contemplated by the NRC regulations, each of which
18 has increasingly more stringent layers of safeguards.

19 Vital areas in particular, which are the most
20 sensitive areas within the plant, have the highest
21 degree of security measures, because those areas have
22 equipment important to safety. And it should not go
23 unnoticed in the record that no one has unlimited or
24 uncontrolled access to vital areas within the plant.
25 Computer systems for keycard access and controls will

1 assure that access will be strictly limited to those who
2 have a need to be in the area and that that access is
3 controlled. See TR. 3518 through '19.

4 The plant security system uses the most
5 advanced proven safeguards technology which is available
6 today. This includes sophisticated communications
7 systems, access control systems, perimeter alarm systems
8 and the like. See TR. 3516 through 3521.

9 In addition, this system has been designed
10 with flexibility to allow changes which may be needed
11 because of future changes in perception of the threat or
12 advances in technology. This system is modular in
13 concept, that is, it can be modified by changing
14 elements of software if there is a need which arises
15 from future analyses.

16 The project did experience the fact that after
17 performing vulnerability analyses and fault tree
18 analyses, the experience taught that any changes which
19 were warranted as a result of those analyses were indeed
20 changes in software. They may, for example, have been
21 in the interlock or a circuit which would preclude
22 certain elements of vulnerability within the plant.

23 The significant fact about the software
24 changes is that their cost is rather small. One does
25 not have to consider major changes in the layout of the

1 plant or in the concept of the plant design by virtue of
2 safeguards. See TR. 3522 through '33.

3 Lastly but by no means a less important
4 matter, the Applicants are firmly committed to implement
5 effective statements at CRBRP. The Applicants have
6 already gone beyond the regulations. The Applicants
7 intend to continue their programs in place to ensure an
8 effective system, and there is a total management
9 commitment to that end. See TR. 3451 through '52.

10 Finally, the cost of CRBR safeguards. Having
11 shown that the risk of CRBR safeguards are low, what are
12 the economic costs? Are they significant? Are they so
13 large that they will affect the cost-benefit balance for
14 this plant?

15 The capital costs for CRBR safeguards have
16 been estimated at \$3.8 million, while the operating
17 costs are estimated at only \$2.5 million per year. I
18 say "only" because that should be compared in context to
19 the \$3.2 billion cost of the plant.

20 As previously indicated, any future changes in
21 requirements would not contemplate major items of
22 expense. Rather, we are speaking at this stage of
23 software changes which are of relatively modest cost.
24 See TR. 3523 through '24.

25 In conclusion, as to the Clinch River breeder

1 reactor plant, it is clear on this record that the risk
2 of theft and sabotage is extremely low. The costs are a
3 small percentage of total plant costs. We believe,
4 therefore, that the Board can and should make
5 affirmative findings that the risks of safeguarding
6 CRBRP are acceptably low.

7 Turning now to the supporting fuel cycle, the
8 first item of reference is that all fuel cycle
9 facilities will in fact be DOE Government-owned
10 facilities subject to DOE safeguards. There are three
11 types of facilities or activities of interest in regards
12 to safeguards in the fuel cycle.

13 The first involves fuel fabrication. This
14 will be accomplished at the SAFF line, that is the
15 Secure Automated Fabrication Facility, at Hanford. See
16 TR. 3530 through '32. This facility is now under
17 construction and should be operating in the mid-1980's.
18 Check that. It should be operating within the next
19 three years.

20 The second facility of importance would be
21 reprocessing. At the present time DOE contemplates
22 reprocessing would be undertaken at a proposed
23 developmental reprocessing facility which has been
24 described in the testimony at 3541. The fuel
25 fabrication facility, I might add, is described at TR.

1 3530 through '32.

2 Transportation is planned using the existing
3 DOE transportation system for strategic special nuclear
4 material. See TR. 3532.

5 It should be emphasized that all of these
6 facilities, that is fuel fabrication and reprocessing,
7 will have both physical security and material control
8 and accounting systems as required by existing DOE
9 orders. See TR. 3309, 3525 through '30, 3541 through
10 3550.

11 All of these facilities having safeguards
12 systems in accordance with DOE orders will in fact
13 include requirements and have a level of effectiveness
14 which is comparable to the requirements and level of
15 effectiveness contemplated by NRC regulations. We
16 believe that this will assure that there is an extremely
17 low risk of sabotage or theft within the fuel cycle.
18 See TR. 3627 through '32.

19 The cost of these statements are indeed, as
20 with the Clinch River breeder reactor plant itself,
21 quite modest. For fuel fabrication initial cost would
22 be \$1.5 million, annual cost would be \$.8 million per
23 year. For reprocessing the initial cost would be \$4.0
24 million, the annual costs would be \$1.1 million. For
25 transportation, as I had previously indicated, there is

1 an existing system which is operational today. Thus the
2 annual cost which one can attribute to that system would
3 be \$.2 million per year.

4 The pertinent citations for fuel fabrication,
5 reprocessing and transportation respectively are found
6 at TR. 30 -- strike that -- TR. 3532, fuel fabrication;
7 TR. 3551, reprocessing; and TR. 3541 for
8 transportation.

9 As with the plant itself, DCE is committed as
10 a matter of policy to assuring effective safeguards
11 within the fuel cycle. By virtue of DOE orders which
12 are binding and mandatory upon its facilities, effective
13 safeguards systems will be in place which are comparable
14 to those meeting NRC requirements. See TR. 3455, 3464,
15 3472, and 3307 through '09.

16 Thus, on the basis of the affirmative evidence
17 we conclude and we urge the Board to find that the risk
18 and cost of safeguarding fuel cycle facilities is very
19 low, both on an absolute basis and a relative basis.
20 Similarly, the risk and cost of safeguarding CRERP is
21 low, both absolutely and relatively. The affirmative
22 evidence clearly supports favorable findings as to NRDC
23 contentions 4 and 6.B.4.

24 Now, let us turn to what we regard as NRDC's
25 central arguments and what might be best characterized

1 as the major disputed issues raised in the record.

2 There are five of these.

3 The first involves NRDC's argument that the
4 empirical evidence shows a very significant theft and
5 sabotage threat for CRBRP in its fuel cycle facilities.
6 The second argument involves NRDC's position that the
7 diversion of plutonium from CRBRP in the fuel cycle is
8 "possible." The third involves NRDC's argument that
9 there are shortcomings within the material control
10 accounting systems contemplated for CRBRP in its fuel
11 cycle facilities.

12 The fourth involves the argument that there
13 are significant civil liberties risks associated with
14 safeguarding CRBRP fuel. And the final argument is that
15 the fuel cycle facilities in question do not yet exist
16 and therefore one cannot validly analyze the risks.

17 Given these five issues, let us begin with the
18 question of empirical evidence. So the argument goes,
19 the theft and sabotage from CRBRP and its fuel cycle are
20 extremely significant risks, based on a series of
21 incidents which they describe in Dr. Cochran's testimony
22 as "empirical evidence."

23 Let us just go down this list of incidents and
24 discuss the evidence in the record as a whole as to each
25 of these incidents. The first involved a theft or

1 diversion, and on the record it is unclear whether it is
2 either or simply material unaccounted for in the
3 statistical sense, at the NUMAC facility in Apollo,
4 Pennsylvania, in the early 1960s.

5 We do not regard that as any significant
6 evidence. It is certainly not reliable probative
7 evidence of today's threat or risk. At that time
8 safeguards and security were virtually nonexistent
9 within the fuel cycle. See TR. 3800 through 3801.

10 The next incident involved the possible theft
11 of uranium at the General Electric Wilmington, North
12 Carolina, facility. It should be noted, however, that
13 that facility handles only low-enriched material. It
14 does not handle formula quantities of strategic special
15 nuclear material, including plutonium. See TR. 3801.

16 The security and statements at that facility
17 are not the same as one would have at CRBRP and its
18 supporting fuel cycle facilities. In fact, the
19 standards for safeguards and security for CRBRP and its
20 fuel cycle facilities are much more stringent than those
21 of a low enriched facility. Thus, this evidence, such
22 as it is, bears no relationship to the issue at hand.
23 See TP. 3801.

24 The next incident which is cited as empirical
25 evidence involves the VEPCO Surrey reactor. In that

1 incident several plant workers damaged some fuel, fresh
2 fuel which had been sitting in a storage area. Several
3 points of importance here should be emphasized.

4 The first is that no release of radioactivity
5 resulted. In fact, radiological sabotage was not
6 intended. The fuel involved was low enriched uranium,
7 which was not stored in a vital area and which was not
8 stored in an area subject to statements. The security
9 system at Surrey was not designed to meet current NRC
10 safeguards requirements and the storage area in question
11 was not subject to those regulations which one would see
12 imposed on Clinch River.

13 We are not dealing in the Surrey case, again,
14 with strategic quantities and kinds of special nuclear
15 material. Thus, the Surrey incident again provides no
16 empirical evidence suggesting an undue safeguards risk.
17 See TR. 3804 through 3806.

18 The next incident which is cited as experience
19 or empirical evidence concerns the sabotage of
20 components for an Iraqi reactor while those components
21 were under fabrication in France. The first thing is
22 that that facility was not subject to safeguards. See
23 TR. 3807.

24 There is no evidence in the record which would
25 suggest that this facility, which is a manufacturing

1 plant not for fuel but for reactor components, would
2 have security requirements which even approached those
3 contemplated for Clinch River and its fuel cycle.

4 One, however, must concede, as Dr. Cochran
5 did, that the safeguards and security for that facility
6 were not as stringent as those to be imposed on Clinch
7 River and its fuel cycle. See TR. 3808. What we have
8 here is simply a case of industrial sabotage. It is not
9 radiological sabotage, and it represents no evidence
10 whatsoever which gives any credence to a substantial
11 threat at CRBRP.

12 The next incident cited as empirical evidence
13 involved an attack by Basque terrorists in Spain on a
14 reactor under construction. It was not an operating
15 plant. There were no safeguards imposed on the facility
16 at the time, and again there was no possibility of
17 radiological release in that instance. We think it is a
18 wild jump of logic to transpose that incident into a
19 finding that there is an undue risk of safeguards threat
20 at CRBRP. See TR. 3808.

21 The same thing can be said for the attack by
22 terrorists on the Super-Phoenix facility in France.
23 Here again we were dealing with a facility under
24 construction. We are not dealing with breach of
25 safeguards systems. The damage which was incurred was

1 to the side of a concrete building and there was no
2 breach or significant damage to containment which
3 related to radiological risk. See TR. 3814 through
4 3816.

5 Another important point of perspective here is
6 that if one examines these incidents as a whole and one
7 examines the state of the record as to the threat, it
8 should be emphasized that since 1977, after NRC
9 underwent a substantial review and upgrade of its
10 safeguards requirements, there has been only one
11 incident in the U.S. which could be considered a
12 substantial threat to a facility. I use that term
13 advisedly because the incident in question involved
14 placing an explosive device outside a plant and it
15 caused damage to a visitors center off the site.

16 In fact, the same evidence in the record
17 indicates that since 1977 there is no increase in
18 perception of the threat in regard to domestic
19 reactors. See 3812 through 3813.

20 On the basis of this evidence, we believe that
21 NRDC's so-called empirical evidence is entitled to no
22 weight whatsoever. It attempts to prove too much, yet
23 it says too little, and indeed fails to support the
24 proposition asserted.

25 Let's turn now to the second argument, which I

1 will treat rather briefly. This concerns the NRDC
2 argument that, in addition to the so-called empirical
3 evidence, the point is made that diversion of plutonium
4 from CRBR and its fuel cycle facilities is "possible" in
5 the sense of not being impossible. TP. 3896.

6 We submit that this information and this
7 evidence is entirely speculative and entitled to no
8 weight whatsoever. This is based on the possibility of
9 a threat from an insider or an outsider. But the
10 statement is made and the evidence is presented without
11 regard to the fact that NRC will require substantial
12 stringent safeguard requirements for CRBR and that DOE
13 will impose similar requirements for the fuel cycle
14 facility. See TR. 3896.

15 We believe that Intervenors' possibility
16 argument is simply that. It is a hypothetical, it is
17 speculative, and it should be dismissed summarily by the
18 Board.

19 The next point for consideration by this Board
20 is NRDC's assertion that material control and accounting
21 systems will be inadequate for CRBRP and the supporting
22 fuel cycle facilities. The apparent thrust of this
23 argument is that the material control and accounting
24 systems are not independently sufficient means for
25 detection and prevention of diversion, that the idea is,

1 well, they've got to be stand-alone.

2 Well, the fact is that these systems were
3 never intended and are not now intended to perform that
4 stand-alone function. The material control and
5 accounting system --

6 JUDGE MILLER: Off the record.

7 (Discussion off the record.)

8 MR. EDGAR: In regard to MC&A, just to
9 backtrack, the argument is apparently that it's got to
10 be an independently sufficient stand-alone means for
11 detection of diversions. There are several elements of
12 the material control and accounting system which should
13 be clarified here.

14 The first is that new real time accounting
15 systems which are under development and which will be
16 implemented and proven on CRBR and the supporting fuel
17 cycle facilities have the ability to detect diversion in
18 a matter of hours. See TR. 3339 through 3344.

19 The normal material control and accounting
20 system refers to a periodic physical inventory. It is
21 not real time accounting per se. That is TR. 3361
22 through '63.

23 Material control and accounting and physical
24 security are designed to work together as an integrated
25 system. The information provided through physical

1 inventories, the information provided through new real
2 time accounting, and the protection afforded by the
3 physical security system must be evaluated as an
4 integrated whole. Each has a role to play, and there is
5 no contention advanced by either the Staff or the
6 Applicants that each in and of itself is independently
7 sufficient. See TR. 3363 and TR. 3695.

8 We believe, therefore, that the Board should
9 consider material control and accounting systems in that
10 context, in the real physical sense of how they will be
11 implemented and find that those systems are not only
12 available, feasible and effective in context, but in
13 addition that the availability of near real-time
14 accounting will provide a significant additional layer
15 of detection to reduce safeguards risks.

16 The next point raised by NRDC concerns the
17 so-called risk that one could attribute to civil
18 liberties violations in the context of CBFR safeguards
19 and security risks. As we understand it NRDC's argument
20 is that if fuel or material were diverted from the
21 Clinch River fuel cycle, one could have warrantless
22 search, one could have no-knock, one could have other
23 civil liberties violations.

24 That may be the case. It is possible, to use
25 NRDC's phrase. However, we believe that is highly

1 speculative. Applicants have stated, and Dr. Cochran
2 conceded on cross that this was the case, that this is
3 in fact highly unlikely. See TR. 3838. We do not
4 believe that the Board should base its opinion and the
5 Board should base its findings on the presumption that
6 the laws of the United States will be violated.

7 We believe that this is a nation of laws, that
8 such laws as exist will be enforced, and that this Board
9 need not go beyond that and assume that the laws will be
10 violated in evaluating safeguards risks.

11 The final point concern's NRDC's argument that
12 the fuel cycle facilities for Clinch River are not now
13 in existence, and for that reason one cannot perform a
14 valid analysis. The first answer to that is that the
15 transportation system is in existence. The second
16 answer is that the fabrication facility is now under
17 construction and will be completed in the near future.

18 As for the reprocessing facility, that seems
19 to be the bone of contention. However, the Applicant's
20 analyses assume that the developmental reprocessing
21 facility would be in place. See TR. 3495.

22 It should also be recognized that the
23 alternative facilities to DRP can be easily upgraded as
24 necessary to meet the DCE orders and to provide
25 statements which are equivalent to those of NRC, and

1 that DOE is committed to that end. See TR. 3495 and TR.
2 3680.

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 It should also be recognized that any
2 alternative facilities to DRP can be easily upgraded as
3 necessary to meet the DOE orders, and to provide
4 safeguards which are equivalent to those of NRC, and
5 that DOE is committed to that end. See TR. 3495 and TR.
6 3680.

7 In summary, as to each of NRDC's arguments,
8 the empirical evidence that the version is possible, the
9 role of material control and accounting, civil
10 liberties, and future facilities, there is simply no
11 reliable, probative evidence in the record in support of
12 those arguments.

13 On the other hand, and most importantly,
14 applicants have clearly shown by the overwhelming weight
15 of the evidence that costs and risks of safeguarding
16 CRBR in its fuel cycle are extremely small.

17 JUDGE MILLER: I think we have asked the staff
18 and the intervenors to alternate in following and hence
19 in closing, in the closing arguments. Whose turn is
20 it?

21 MR. SWANSON: I think it is the staff's turn
22 to go first.

23 JUDGE MILLER: You may proceed, Mr. Swanson.

24 ARGUMENT OF DANIEL SWANSON, ESQ.,

25 ON BEHALF OF THE STAFF,

1 NUCLEAR REGULATORY COMMISSION

2 MR. SWANSON: I will continue the practice I
3 followed down in Oak Ridge of not repeating the details
4 that have been stated prior to the staff's argument, so
5 I will not get into a description of the safeguards
6 specifics, nor will I address any further the detailed
7 arguments raised by intervenors outside of the specifics
8 of the contention, because I believe they have been
9 addressed already.

10 I would, however, like to clarify and
11 summarize the staff position with regards to the
12 safeguards issue. Now, the basic issue raised in
13 Contention 4 and 6-B-4 can be summarized in terms of the
14 staff's position in terms of an argument that the staff
15 has not adequately analyzed in its environmental impact
16 statement and the supplement the environmental impacts
17 of acts of sabotage or theft directed against Clinch
18 River and its related fuel cycle.

19 The staff position is set forth in the
20 prefiled written testimony of Mr. Dooby and others --
21 that is Staff Exhibit 10 -- and in Appendix E of the
22 staff's final environmental supplement, statement
23 supplement -- that is Staff Exhibit 8. The staff
24 position is that it believes that the consequences of
25 successful acts of sabotage or theft could be severe.

1 That point is conceded by the staff in its Exhibit 10,
2 at Page 5. That is Transcript Page 3,737.

3 As a consequence, the staff has addressed this
4 environmental impact by conducting an analysis to
5 determine that the applicants have committed to a
6 safeguards system which is sufficient to provide
7 reasonable assurance that acts of sabotage or theft will
8 not be successful.

9 The staff, as is detailed in its Exhibit 10,
10 and in the final environmental statement supplement,
11 Exhibit 8, Appendix E, concluded that there is
12 reasonable assurance that the applicant's safeguards
13 system will be effective in protecting against theft and
14 sabotage, and that the environmental effects of possible
15 theft and sabotage have therefore been adequately
16 addressed by the applicants and reasonably assessed by
17 the staff for the purposes of its NEPA review.

18 This conclusion is set forth in greater detail
19 at Transcript Pages 3,744 through 3,746.

20 In looking at the appropriateness of the
21 staff's approach, it is helpful to begin by looking at
22 the staff's analysis premise, which is that safeguards
23 which meet the NRC design basis threats and other NRC
24 regulations and standards are adequate to effectively
25 prevent theft, and to protect against sabotage, and

1 thereby successfully addressing the environmental impact
2 of such acts.

3 The staff position is that to argue otherwise
4 would be to challenge the regulations. The design basis
5 threat is defined in 10 CFR Section 73.1, Section (a),
6 and this is discussed further in staff testimony at
7 Transcript Pages 3,573 and 3,582 through 83.

8 A system is in effect to continually review
9 the design basis threat, and related to address and
10 assimilate information and to semiannually determine the
11 adequacy of the design basis threat. This is discussed
12 at Transcript Pages 3,849 through 59.

13 And finally, regulatory mechanisms are
14 available to respond as quickly as is necessary in the
15 event that the perceived threat would change. This is
16 discussed at Transcript Pages 3,849 through 59.

17 For an environmental review, and in particular
18 for an environmental report for which another agency
19 such as DOE has primary responsibility, and this would
20 now address the fuel cycle facilities not regulated by
21 NRC, the staff need only conclude that there is
22 reasonable assurance that DOE's assessment of impacts is
23 reasonable. The staff does not have to conduct a
24 crystal ball inquiry into this type of an analysis, but
25 merely assure itself by taking a hard look that this

1 reasonable assurance exists.

2 Support for this conclusion can be found in
3 the D.C. Circuit Court case of NRDC versus Morton. That
4 is 458 Fed 2nd 827, and specifically at Pages 834
5 through 838. For Clinch River, which is required to
6 meet regulations, NRC regulations, a detailed review of
7 the safeguards and security plans is not required until
8 the operating license stage.

9 Therefore, the staff's analysis of Clinch
10 River appropriately conducted a systems level analysis
11 to determine and provide the requisite reasonable
12 assurance for the staff to be able to conclude that the
13 applicant's safeguards system will be effective in
14 protecting against theft and sabotage. This is
15 discussed in the staff testimony at Transcript Page
16 3,739, and the regulatory support for that conclusion
17 can be found at 10 CFR Section 50.34(c) and (d).

18 The details of the staff methodology for the
19 environmental analysis appear at Pages E-1 through E-4
20 of Appendix E to the FFS supplement. That is Staff
21 Exhibit 8. And it is also described in Pages 6 through
22 8 of the staff testimony. That is Transcript Pages
23 3,738 through 3,740, as well as at Transcript Page
24 3,682.

25 Turning again to the balance of the fuel

1 cycle, that is, those portions of the fuel cycle not
2 subject to NRC safeguards requirements, the staff
3 concluded that DOE 1976/1978 threat guidance which
4 applied to those facilities is comparable to NRC threat
5 levels, and will provide comparable protection to NRC
6 requirements. This is discussed at Transcript Pages
7 3,627 through 3,642.

8 The staff's analysis also resulted in a
9 conclusion that the impacts, both dollar and other
10 environmental costs of the preventive systems proposed
11 would be negligible. This can be found in staff
12 testimony at Transcript Page 3,740.

13 With respect to subpart D of Contention 4,
14 which addresses the Clinch River plant itself, the staff
15 specifically addressed the issue of sabotage initiated
16 accidents. The staff concluded that sabotage could
17 initiate an accident, but that the NRC regulations, and
18 specifically 10 CFR Section 73.55, are specifically
19 designed to ensure that compliance with the regulations
20 will provide the requisite assurance that sabotage
21 threats can be deterred. This is discussed at
22 Transcript Page 3,745.

23 Since Clinch River will be required to meet
24 that regulation and other safeguards regulations, the
25 environmental effect discussed is therefore adequately

1 addressed.

2 Turning to some of the other specific issues
3 raised in those contentions, I will turn first to the
4 clandestine fission explosives and dispersal devices
5 argument raised by intervenor, or concern raised by
6 intervenors. In conducting its analysis, the staff, in
7 order to be conservative, has not allowed any credit for
8 the difficulties that a sub-national group may encounter
9 in trying to construct a clandestine fission explosive
10 device, although both the staff and outside experts
11 believe that such difficulties may be substantial.

12 This is discussed in staff testimony at
13 Transcript Page 3,741, and it was discussed elsewhere in
14 the record at Transcript Pages 3,579 through 3,580, and
15 again at Pages 3,700 through 3,704, and in Staff Exhibit
16 11.

17 Thus, this possibility is considered within
18 the context of the staff's assurance that safeguards can
19 adequately prevent the theft of formula quantities of
20 plutonium, and was encompassed within the staff's
21 overall and broader review of that aspect of safeguards.

22 With respect to dispersal devices, the staff
23 noted, first, that safeguards instituted to prevent
24 theft of nuclear material for use in a clandestine
25 fission explosive device would also provide protection

1 against theft from manufacture of a dispersal device.
2 This is discussed in staff testimony at Transcript Page
3 3,741.

4 Secondly, the staff noted that there are other
5 radiological, chemical, and biological agents which
6 could cause more widespread death and would be more
7 easily obtained. This means that widespread use of
8 plutonium would not significantly increase the risk to
9 the public health and safety from dispersal of toxic
10 materials, since other such materials are already more
11 readily available. This is discussed in greater detail
12 in staff testimony at Transcript Page 3,741, and also at
13 Transcript Pages 3,663 through 3,664.

14 I will not repeat the arguments that have
15 already been made in response to specific concerns
16 raised by intervenors during the hearing. I think each
17 one has been addressed thus far, and I would simply
18 refer the Board again to the overall conclusions set
19 forth in staff testimony at Transcript Pages 3,744
20 through 46. That is set forth in greater detail at that
21 transcript location. The staff has concluded that there
22 is reasonable assurance that the applicant's safeguards
23 system will be effective in protecting against theft and
24 sabotage, and that the environmental effects of possible
25 theft and sabotage were adequately addressed by the

1 applicants and reasonably assessed by the staff in
2 compliance with NEPA, and that the Board should so find
3 in response to intervenor Contentions 4 and 6-B-4.

4 That concludes the staff's arguments.

5 JUDGE MILLER: NRDC?

6 ARGUMENT OF ELDON GREENBERG, ESQ.,

7 ON BEHALF OF THE NATURAL RESOURCES DEFENSE COUNCIL

8 MR. GREENBERG: Mr. Chairman, Judge
9 Linenberger, as Mr. Edgar pointed out, the essence of
10 Contentions 4 and 6-B-4 is that neither the staff nor
11 the applicants have adequately analyzed safeguards,
12 risks, and consequences for the Clinch River Breeder
13 Reactor plant and its supporting fuel cycle facilities.

14 In our judgment, this case presents largely
15 legal issues relating to the proper nature and scope of
16 the analysis which we believe should have been
17 undertaken in this licensing proceeding. There are
18 relatively few factual disputes, although there are some
19 of importance, and I will point them out as I proceed.
20 We believe that the evidence in this matter
21 demonstrates, first, that the use of plutonium in a
22 commercial demonstration plant is a new venture that
23 poses a new and different set of safeguards risks, risks
24 that are greater than those associated with a
25 conventional light/water reactor fuel cycle.

1 It is undisputed that this is the first
2 plutonium demonstration reactor associated with a power
3 system, a civilian power system. It is the first time
4 that significant quantities of separated plutonium will
5 be used in a power reactor system. The amount used is
6 equal to the amount used in the military fuel cycle in a
7 single year.

8 It is also, I think, conceded that plutonium
9 can be readily converted into weapons, both clandestine
10 fission explosives and plutonium dispersal devices.

11 Now, in our judgment, the safeguards, risks,
12 and consequence have not been adequately analyzed, and
13 there are two points of major significance which I will
14 get into in some detail.

15 First, the three criteria used by the NRC
16 staff to assess the reasonableness of safeguards are in
17 our view insufficient in that they do not provide a high
18 degree of confidence that risks will be acceptably low,
19 and secondly, the staff in conducting its analysis did
20 not go substantially beyond information contained in
21 applicant's environmental report. It essentially
22 accepted the Department of Energy assertions with
23 respect to the nature and scope particularly of the fuel
24 cycle and risks associated with the fuel cycle, and did
25 not look at other analyses of the DOE programs, did not

1 take an independent look at R&D efforts or current
2 operations at other DOE facilities.

3 The effect of the staff's approach is that it
4 cannot properly conclude that risks at the CRBR and its
5 supporting fuel cycle facilities are comparable or no
6 greater than other facilities currently handling special
7 nuclear material.

8 Our final point is that there is a lack of
9 assurance that the fuel cycle facilities will meet NRC
10 licensing criteria. Now, as a practical matter, how the
11 NRC has proceeded in this matter is to look at DOE
12 regulations to determine if they are as stringent as the
13 NRC's own regulations, and that determination becomes a
14 shorthand for conclusion that there is a low risk
15 associated with the fuel cycle facilities.

16 Our problem with this approach is that merely
17 undertaking an analysis of the comparability of
18 regulations is not enough, and that there is substantial
19 uncertainty with respect to the actual safeguards
20 programs which may or may not be applied at DOE
21 facilities in the future, particularly those facilities
22 such as a development reprocessing plant, which are not
23 yet in existence.

24 Now, turning to the nature of this venture, we
25 believe that it is clear that the Clinch River Breeder

1 Reactor plant and its supporting fuel cycle involves the
2 utilization of materials which pose grave safeguards
3 risks, that there are real threats which exist and which
4 may be directed against those facilities, and that the
5 consequences of a successful theft would be severe in
6 the extreme.

7 The ultimate conclusion is that contrary to
8 the position taken by the NRC staff in Appendix E of the
9 final environmental statement, that is, Staff Exhibit 8,
10 there are significant risks above those encountered in
11 the conventional light/water reactor fuel cycle.

12 First of all, in this fuel cycle, we are
13 dealing with plutonium as a fuel. There is no dispute
14 that substantial quantities of plutonium, approximately
15 1,000 kilograms per year, will be available at the CRBR
16 and other fuel cycle sites. That is found in the
17 transcript at 3,847, 3,892, and 3,893.

18 The applicants have also conceded that because
19 of the nature of this fuel, the risks of theft are
20 greater than in the conventional LWR fuel cycle. See
21 Transcript 3,434 and 3,435. Indeed, the greater risks
22 associated with plutonium as a fuel are reflected in the
23 stringency of the NRC's own regulations.

24 It is also true that the amounts of plutonium
25 at issue in this case are unique in the context of

1 commercial power. If one excludes the fast flux test
2 facility and the weapons program, one simply does not
3 find equivalent quantities of plutonium in use today.
4 See transcript at 3,730, 3,433, 3,437, and 3,440.

5 There is no dispute in this case that
6 plutonium is weapons usable. Plutonium can be utilized
7 to manufacture explosive devices or dispersal devices,
8 though there is some debate about the difficulty to
9 actually manufacture such devices. However, what is
10 critical for purposes of this proceeding is that the
11 operating assumption which the NRC uses, and that is
12 reflected in the final environmental statement at E-4,
13 is that a CFE could be manufactured from stolen
14 plutonium and could be successful. In other words, we
15 have to operate on the assumption for purposes of
16 analyzing safeguards that it is possible if plutonium
17 were stolen to manufacture a device which would have
18 severe environmental consequences.

19 There is also no dispute that fresh mox fuel
20 is preferable to anything in a light/water fuel cycle
21 for illicit weapons purposes. See transcript at 3,894
22 and 3,895. With respect to the consequences of
23 diversion, it is undisputed that a CFE could produce
24 substantial yields, and that the environmental
25 consequences would be severe. See Transcript 3,902 to

1 3,904.

2 During the course of testimony at the
3 hearings, NRC staff conceded that the consequences of
4 the use of either a CFE or a plutonium dispersal device
5 are "unacceptable." See transcript at 3,586 and 3,591.
6 Contrary to the statement made by Mr. Swanson, moreover,
7 we do not believe that the record evidence indicates
8 that other materials are more readily available for
9 elicit weapons purposes. We believe the record
10 indicates that there are other materials which are found
11 in this country which might be used for weapons
12 purposes, but the record with respect to the safeguards
13 or physical security surrounding those materials is
14 unclear.

15 Now, in addition to environmental
16 consequences, there may also be civil liberties
17 consequences associated with the theft or diversion of
18 special nuclear material. Transcript at 3,849, 3,905,
19 and 3,906. I would emphasize in this context that we
20 are not talking about violations of laws. We are
21 talking about civil liberties restrictions which might
22 be imposed on society as a whole or on certain areas of
23 society, consistent with existing law resulting from a
24 discovery of theft of plutonium.

25 Mr. Edgar has suggested that the threat of

1 theft or diversion is insignificant or not realistic. I
2 don't intend to run through the list of incidents which
3 Mr. Edgar mentioned this morning. Our point is a simple
4 one. It is that there is a history of attacks on
5 nuclear facilities, albeit not attacks on facilities
6 that are equivalent to the CRBR or its supporting fuel
7 cycle.

8 Our purpose is to demonstrate that there is a
9 threat to nuclear facilities, and the possibility of
10 that threat cannot be ruled out. Whether attacks have
11 been successful or not in the past, whether they have
12 been directed at one aspect of a facility or another
13 aspect of a facility is in our judgment not relevant,
14 nor is the nature of the security requirements and
15 safeguards at those other facilities.

16 The question is, are nuclear facilities the
17 kind of facilities which might be subject to a terrorist
18 attack. In our judgment, the evidence indicates that
19 this is the case.

20 We further believe that because of the use of
21 plutonium at Clinch River, and its supporting fuel
22 cycle, and because of the high visibility of this
23 project, Clinch River and its fuel cycle represent
24 attractive targets to terrorists. See transcript at
25 3,901 and 3,902.

1 Now, how do the applicants and the staff go
2 about analyzing the risks, the safeguards risks at
3 Clinch River and its supporting fuel cycle facilities?
4 Let me first focus on the criteria which the staff
5 used. The staff used three basic criteria to look at
6 safeguards, risks, and consequences, and those are set
7 forth in the FES at Page E-1. Essentially, those
8 criteria are whether the safeguards have a potential for
9 deterring theft or diversion, or whether they are likely
10 to detect such theft or diversion, and whether there is
11 reasonable assurance that attempts would be
12 unsuccessful.

13 Those three criteria were the core of the
14 staff's safeguards analysis. See transcript at 3,644
15 and 3,645. In contrast to these criteria, both the
16 staff and applicants have stated that their goal, their
17 ultimate goal in the safeguards area is to obtain a high
18 assurance that material would not be diverted or
19 stolen. See applicant's environmental report at Page
20 5.7-37. The three criteria used, however, do not
21 provide high assurance or high confidence that
22 safeguards will be effective.

23 Secondly, comparability is at the heart of the
24 staff's analysis. See final environmental statement at
25 E-9. As I mentioned earlier, the basic approach of the

1 staff was to compare NRC regs with DOE regs in examining
2 fuel cycle facilities. If the DOE regs were comparable
3 to the NRC regs, in essence, that was the end of the
4 staff safeguards analysis for the fuel cycle facility.

5 In our judgment, NEPA requires something
6 more. This is not just an exercise in licensing the
7 Department of Energy safeguards regulations. It is an
8 exercise that involves the assessment of the risks at
9 DOE fuel cycle facilities. It is undisputed, however,
10 the staff did not go beyond the DOE orders and look at
11 the facilities in detail or the risks which might be
12 directed against those facilities. See transcript at
13 3,604 and 3,605.

14 Neither did the staff examine critiques of
15 safeguards at DOE facilities, such as those prepared by
16 the General Accounting Office, and further, the staff
17 did not look at fuel cycle alternatives other than those
18 presented by the Department of Energy. See transcript
19 at 3,605.

20 In our judgment, this approach was
21 insufficient as a matter of law. Deciding whether DOE
22 regs are comparable to NRC regs is not the same as
23 deciding whether the risks at DOE facilities are
24 comparable to the risks at NRC licensed facilities, and
25 the basic conclusion that risks associated with the CRBR

1 and its fuel cycle are not greater than other licensed
2 facilities, and that is a conclusion that is contained
3 in the FESS at 1,234, is not supported. While the staff
4 has stated that it has made a comparative analysis --
5 see FESS at 1,234 -- this analysis is limited in the
6 extreme.

7 Not only is the comparability analysis of the
8 NRC staff flawed, but the NRC staff did not engage in
9 the kind of searching, independent assessment of DOE's
10 submissions which is required under NEPA. Dr. Cochran
11 in his testimony pointed out the number of areas in
12 which the staff simply accepted DOE assertions with
13 respect to such critical issues as limits of error in
14 material control and accounting. See transcript at
15 3,911 and 3,912.

16 In effect, what the staff did was rely upon
17 DOE representations with respect to the nature of the
18 facilities in the DOE fuel cycle and the ability of
19 those facilities to meet safeguard goals. Transcript at
20 3,601, 3,642 and 43, and 3,684.

21 We believe that NEPA requires something more,
22 that it requires a hard, independent analysis. That
23 analysis was not undertaken in this case. And we would
24 cite to the Board the cases of Green County versus
25 Federal Power Commission, 455 F 2nd 412, and

1 Conservation Society of Southern Vermont versus the
2 Federal Highway Administration, 508 F 2nd 927, both
3 Second Circuit cases.

4 Turning to the last aspect, or rather the
5 penultimate aspect of our differences with the approach
6 taken by the staff and the applicants, let me focus on
7 the assurances with respect to the future safeguards at
8 these supporting fuel cycle facilities.

9 Mr. Edgar stated quite rightly that the most
10 severe, the most serious bone of contention in this case
11 relates to reprocessing. In our judgment, that really
12 is the Achilles heel of the entire CRBR fuel cycle.
13 What we have proposed for reprocessing in this fuel
14 cycle is a plant which has at this time only a
15 conceptual design, not an actual design. See transcript
16 at 3,387, 3,678, and 3,679.

17 At this point, the applicants have not
18 quantified goals for inventory differences or errors in
19 inventory balances. See transcript at 3,387. And at
20 the very best, there is substantial uncertainty whether
21 the design goals for this facility can be met. See
22 transcript at 3,379, 3,381, 3,387, and 3,407 to 3,408.

23 Furthermore, the staff at least conceded that
24 if one considered the entire throughput of the
25 development reprocessing facility, and not just the

1 contribution of the CRBR, then there is no assurance at
2 this time that two kilogram diversions, that is,
3 diversions of formula quantities of plutonium, could be
4 reliably detected. Transcript at 3,682.

5 I would add in this context that the
6 development reprocessing plant represents applicant's
7 best case. It is a model reprocessing facility.
8 However, the DRP may never be built. See transcript at
9 3,389. And when one looks at alternative fuel cycle
10 facilities, there is even greater uncertainty with
11 respect to the ability of those facilities to achieve
12 safeguards goals. See transcript at 3,601, 3,642 to 43,
13 3,680.

14 The staff, as we noted earlier, did not look
15 at those alternative fuel cycle facilities, and it
16 admits that the technical capabilities of those
17 facilities are uncertain. See transcript at 3,909.
18 Even with respect to the BRP, if the design goals are to
19 be met, certain research and development programs must
20 be successful. There is no dispute that the measurement
21 capability of the safeguards -- excuse me, of the
22 material control and accounting system at the BRP has
23 not yet been demonstrated. See transcript at 3,417,
24 3,690 to 91, and the final environmental statement at
25 12-70.

1 Whether those measurement capabilities will be
2 demonstrated remains to be seen. Budget constraints may
3 have the needed research. It is impossible to predict
4 with certainty that R&D will in fact pay off, and the
5 Department of Energy must acknowledge that the scope and
6 direction of its entire safeguards research program for
7 reprocessing facilities has been subject to substantial
8 criticism such as that directed against it by the
9 General Accounting Office. See transcript 3,314 and
10 3,325.

11 If there are uncertainties with respect to R&D
12 payoff, there are also uncertainties with respect to
13 future compliance by DOE with its own safeguards
14 orders. It was pointed out during the course of the
15 proceedings that there are no specific written
16 assurances that the Department of Energy will
17 incorporate specific items of technology as they are
18 developed at its fuel cycle facilities. See transcript
19 3,307.

20 Conceding for purposes of argument that DOE
21 will comply with its own orders, what does that mean?
22 Those orders are general. They do not provide, for
23 example, for incorporation of best available
24 technology. See transcript at 3,308 and 3,309.

25 Furthermore, under the DOE orders, the

1 operations office will make the final decisions. See
2 transcript at 3,309. Just what those decisions will be
3 cannot be predicted with any degree of certainty at this
4 point in the licensing process. In fact, what will or
5 will not be incorporated at DOE facilities in the future
6 will depend very much on who is most persuasive in the
7 budgetary process. See transcript at 3,467, 3,455.

8 Before concluding, I would like to make one
9 short point with respect to the consideration of costs
10 by both applicants and staff. Concededly, initial
11 investment in operating costs are not enormous numbers
12 in comparison to the overall cost of the CRBR and its
13 supporting fuel cycle facilities. Our point here,
14 however, is that neither applicants nor the staff made
15 any effort to assign costs to certain other aspects of
16 the program.

17 For example, earlier we mentioned civil
18 liberty restrictions which might be associated with
19 theft or diversion of special nuclear material. There
20 may be civil liberties restrictions associated with
21 safeguarding these plants absent theft or diversion.
22 Our point is that no costs have been assigned to the
23 social consequences of the safeguards programs, nor has
24 any effort been made to assign costs to the
25 environmental consequences of diversion or theft should

1 diversion or theft be successful.

2 In conclusion, what we see here is a house of
3 cards built by the applicants and the staff, filled with
4 assumptions with respect to the future which may or may
5 not be proven to be correct. In our judgment, the risks
6 have been understated, and the effectiveness of the
7 safeguards programs have been overstated. We do not
8 believe that the conclusion can reasonably be reached
9 that there is any high assurance today that DOE
10 facilities will be effectively safeguarded, and under
11 NEPA, there is no basis for reaching the conclusion that
12 the benefits outweigh the safeguard costs in this
13 licensing.

14 JUDGE MILLER: We will take about a ten-minute
15 recess.

16 (Whereupon, a brief recess was taken.)
17
18
19
20
21
22
23
24
25

1 JUDGE MILLER: All right. NRDC had concluded,
2 Mr. Greenberg?

3 MR. GREENBERG: Yes.

4 JUDGE MILLER: Is there any brief rebuttal by
5 applicants?

6 REBUTTAL BY GEORGE L. EDGAR, ESQ.,

7 ON BEHALF OF APPLICANT,

8 PROJECT MANAGEMENT CORPORATION

9 MR. EDGAR: Yes. The first point raised in
10 Mr. Greenberg's argument was that the risks associated
11 with safeguarding the Clinch River reactor and its
12 associated fuel cycle is greater than that which one
13 would associate with a light/water reactor fuel cycle.
14 We think that is somewhat beside the point. NRDC has
15 conceded that this risk is reflected in the greater
16 stringency of the applicable NRC and DOE regulations.

17 We do not believe that this Board can and
18 should evaluate the safeguard risks in a vacuum. It is
19 vitally important to consider the nature of that risk in
20 light of the safeguards which will be provided for
21 Clinch River and its associated fuel cycle.

22 This brings us to a related point. Counsel
23 characterized our position as that the threat is
24 insignificant or not realistic vis-a-vis the Clinch
25 River plant and the fuel cycle. What we did say was not

1 that, but rather that the empirical evidence, if you can
2 call it that, advanced by NRDC is simply without merit.
3 It is simply not applicable to the case at hand. What
4 NRDC is arguing here is that the kind of facility in
5 question and the nature of the attack are not
6 important. It is only important, as their argument
7 goes, that the facilities in question are nuclear
8 facilities.

9 We submit that the mere labeling of a facility
10 as nuclear, we can paste a red label on it, or a green
11 label if it is red, then certainly that is significant.
12 We believe it is important to look behind the
13 superficial assertion that these are nuclear facilities,
14 and ergo the threat is substantial. In fact, NRDC's
15 argument concedes the superficial nature of the evidence
16 advanced.

17 If one examines below the surface the
18 empirical evidence cited by NRDC, it does not show that
19 there is no risk at all. It rather shows that the
20 evidence in question indicates that the safeguards risks
21 are not so substantial that they cannot be handled and
22 accommodated within the limits of existing technology
23 and existing systems.

24 The next point that we think is of great
25 importance for this Board's decision relates to NRDC's

1 argument concerning the assurance of future safeguards.
2 NRDC indicates that because the facilities do not exist
3 because one must project into the future, that one
4 cannot have a high degree of assurance that safeguards
5 will be effect and that the environmental effects
6 associated with the safeguards have been adequately
7 analyzed.

8 We would suggest as the Board's point of
9 reference that we are not licensing the fuel cycle
10 facilities in this case. We are not going through an
11 in-depth total examination of each facility to be sure
12 that it will meet all applicable licensing
13 requirements. Rather, we are guided here by a rule of
14 reason. There is no need to undertake a crystal ball
15 inquiry. There is no need to foresee the
16 unforeseeable.

17 Calvert Cliffs and the Morton case clearly
18 indicate that within the ambit of NEPA one can adopt a
19 rule of reason, and one can apply the best tools
20 available to analysis and attempt to reasonably assess
21 the risks and costs associated with safeguards.
22 Significantly, NRDC stated in its argument that they and
23 we and the Board cannot know what DOE will do in the
24 future. It will depend upon who is most persuasive in
25 the budget process, and be that as it may, we believe

1 that that goes far beyond the range of reasonable
2 inquiry within the rule of reason, and under NEPA.

3 We believe that the risks and the costs and
4 the environmental effects of safeguards for Clinch River
5 and its fuel cycle have been within the limits of human
6 understanding reasonably estimated and reasonably
7 stated.

8 JUDGE MILLER: We now proceed to Woods' next
9 cluster of contentions.

10 MR. EDGAR: I believe we would go to
11 Contention 5 Baker.

12 JUDGE MILLER: Which roman numeral?

13 MR. EDGAR: That would be subject area III.
14 And by my count, we have completed I, II, and VI as of
15 this time.

16 JUDGE MILLER: All right, Mr. Edgar. When you
17 are ready, you may proceed.

18 ARGUMENT OF GEORGE L. EDGAR, JR.,

19 ON BEHALF OF APPLICANT,

20 PROJECT MANAGEMENT CORPORATION

21 MR. EDGAR: Contention 5-B relates to the
22 effects of Clinch River operations and the risks posed
23 by Clinch River operations to nearby industrial
24 facilities. In particular, the contention attempts to
25 make the argument that evacuation of Y-12, the gaseous

1 diffusion plant, and the Oak Ridge National Laboratory
2 would result in unacceptable risk to the national
3 security and to the national energy supply.

4 It is our position that the risks, such as
5 they are, to those facilities have been shown by an
6 overwhelming weight of the evidence in the record to be
7 low and acceptable in terms of national energy supply
8 and national security.

9 There are two important points of evidence on
10 the affirmative side in this case which we commend to
11 the Board's attention. The first is applicant's direct
12 testimony concerning Contention 5-B. That is
13 Applicant's Exhibit 47. The second is Staff Exhibit 18,
14 the staff's direct testimony on the same subject.

15 Related testimony which has a bearing on the
16 analysis in Applicant's Exhibit 47 and Staff's Exhibit
17 18 are found in Applicant's Exhibit 46 and Applicant's
18 Exhibit 17 respectively. Let's consider in sequence the
19 state of the record and the analysis which has been
20 presented in regard to the effects on the Oak Ridge
21 National Laboratory first, and then second turn to
22 consider the effects on Y-12 and the Oak Ridge gaseous
23 diffusion plant, otherwise known in shorthand as K-25.

24 As to ORNL, the record clearly shows that
25 there would be no effect either in the short term or

1 long term if evacuation were required, in terms of
2 either national security or national energy supply. The
3 citations which are of importance here are Applicant's
4 Exhibit 47 at 4, TR. 5,424, the Staff's Exhibit 18 at 4
5 and at 15, TR. 5,686, 5,697.

6 In addition, consider TR. 5,197 and TR. 5,272
7 through 3. We do not believe that there is any serious
8 dispute, nor is there any information or evidence to the
9 contrary in the record that there is no significant
10 effect on ORNL or effect if ORNL were evacuated.

11 Turning now to Y-12 and K-25, there are two
12 levels of analysis which the applicants performed which
13 are of importance to assessment of these risks. The
14 first level of analysis considered the effects on the
15 nearby facilities, Y-12 and K-25, assuming a release of
16 fission products from the core to the containment in
17 amounts as defined by the so-called site suitability
18 source term.

19 The site suitability source term is an
20 extremely important point of reference here, because in
21 our judgment -- and our basis for that is found
22 primarily in Applicant's Exhibit 1 -- the site
23 suitability source term produces consequences which
24 bound the consequences of design basis accidents, that
25 the site suitability source term represents under 10 CFR

1 .11A, Footnote 1, a release of fission products which
2 results in hazards not exceeded by any accident
3 considered credible.

4 Using conservative meteorology for that
5 calculation, it is seen through Applicant's Exhibit 47
6 at 5 through 6, and at TR. 5,425 through 6, that the
7 doses at the Oak Ridge gaseous diffusion plant from the
8 site suitability source term would be well below
9 existing DOE standards for occupational exposure.
10 Evacuation, if it were required at all, would consist
11 merely of evacuating non-essential personnel.

12 However, if that occurred, production would
13 continue, that one can operate the facility with a
14 reduced staff on a mode of recycling the material. See
15 Applicant's Exhibit 47 at 7 through 8 and TR. 5,427
16 through 8.

17 Thus, if one examines the condition at the Oak
18 Ridge gaseous diffusion plant in light of an accident
19 which is more severe than any accident considered
20 credible, the bottom line is that there is essentially
21 no risk to national energy supply.

22 Consider now the effects at Y-12. Y-12 is
23 located at a greater distance from the Clinch River
24 plant than is the Oak Ridge gaseous diffusion plant. As
25 with the site suitability source term analysis for the

1 diffusion plant, at Y-12, one would find doses which are
2 even smaller fractions of DOE occupational standards,
3 and even a short term evacuation which might be
4 undertaken for non-essential personnel out of an
5 abundance of caution should not be necessary.

6 If there was a short term evacuation, it would
7 be extremely limited, and there would be no impact on
8 production schedules. See Applicant's Exhibit 47 at 9
9 through 10, TR. 5,429 through 30. See Staff Exhibit 18
10 at 7, TR. 5,689.

11 Now, having established that point of
12 reference, that the risks of an accident which are more
13 credible or which are more serious than any accident
14 considered credible for the Clinch River plant are quite
15 small and indeed would not result in evacuation of any
16 significant moment for either the diffusion plant or
17 Y-12, both staff and the applicants went beyond that
18 point to consider what the effects would be on those
19 plants if one had an accident which is even more
20 severe. That is, if one had an event which went well
21 beyond the design basis for the facility.

22 The applicants, and the relevant citation here
23 is Applicant's Exhibit 46 at 37, TR. 5,413, also
24 Applicant's Exhibit 46 at 39, TR. 5,415, the applicants
25 have analyzed four HCDA cases which vary in severity and

1 vary in terms of the assumptions made regarding primary
2 system leakage and failure of equipment. The applicants
3 chose for the purposes of analysis their CDA Case Two,
4 which resulted in the highest releases and the highest
5 doses at the facilities in question.

6 From a functional standpoint, Applicant's Case
7 Two is similar in terms of its mechanics to the staff's
8 HCDA Class 1, which is found in Appendix J, Staff
9 Exhibit 8, Table G-2.

10 Now, it is important to put in perspective
11 what these cases assume. The staff has analyzed several
12 more severe CDA cases. This would be Classes 2, 3, and
13 4. But let's examine what is involved in CDA Classes 2,
14 3, and 4, and this is expressed in Appendix J of Staff
15 Exhibit 8. For the Clinch River Breeder Reactor, in
16 order to get to a Class 2, 3, or 4, what has to happen
17 is that all features within the design basis fail. That
18 is, the reactor shutdown system, the shutdown heat
19 removal system, features for preventing primary system
20 pipe breaks and features for preventing fuel failure
21 propagation.

22 Assuming that to be the case, then one must
23 have a failure of all containment safeguards systems.
24 Now, that does not end the matter, because, unlike any
25 reactor with which one can associate existing

1 experience, Clinch River has an additional set of
2 features to those found in conventional containment
3 safeguards, the so-called third level, the thermal
4 margin design basis and structural margin beyond design
5 basis features.

6 These features provide an additional set of
7 safeguards to control releases and to control
8 containment integrity in the event of an accident beyond
9 the design basis. Among these one would include a
10 filtration or cleanup system for the containment and an
11 associated vent, also an annulus cooling system. The
12 plant thus has the capability so that if everything
13 failed and one found oneself beyond the design basis,
14 and there was a substantial release within containment,
15 the plant has the capability to vent that containment
16 through a cleanup system and thus control containment
17 integrity and, significantly here, control radiological
18 effects.

19 Now, how does this all go into the analysis?
20 Well, in order for a CDA to be more severe than
21 applicant's Case Two or the staff's Class 1 CDA, one
22 must assume that not only is the design basis exceeded,
23 not only are all design basis containment safeguards
24 defeated, but in addition the third level additional
25 features for beyond design basis events are not

1 available.

2 I will return and address the significance of
3 that extremely improbable series of events in terms of
4 the risk, but first, consider what the effects are at
5 Y-12 of the Class 2 CDA or the Case 2 CDA as calculated
6 by applicants at Exhibit 47 at 11 through 14, at TR.
7 5,431 through 4. The effect here that under these
8 conditions one might have a short-term evacuation of
9 non-essential personnel for the first few days of an
10 initial release, the doses would be quite similar to
11 those calculated for the site suitability source term
12 case. No long-term evacuation would be required, and
13 there would be no significant impact on production.

14 In terms of K-25, again, that would be a
15 short-term evacuation of non-essential personnel, and no
16 long-term evacuation would be required, and there would
17 be no impact on production. Hence, as to both Y-12 and
18 K-25, there is no effect on national security or
19 national energy supply. In regards to K-25, the
20 relevant citations are Applicant's Exhibit 47, 11
21 through 14, TR. 5,431 through 4, also Staff Exhibit 18
22 at 4, TR. 5,686.

23 The applicants believe that a long-term
24 shutdown of Y-12 would be undesirable. There is a
25 "possibility," to coin a popular phrase, of more severe

1 consequences than those associated with the HCDA Case
2 Two analyzed by applicants. However, one cannot stop
3 there. There are some very important points of
4 perspective on that analysis.

5 The first thing that the doses calculated for
6 the CDA Case Two, which is a beyond design basis event,
7 represent small fractions of the allowable occupational
8 doses. This is found at Applicant's Exhibit 47, at 8,
9 11, 13 through 15, TR. 5,428, 31, and 33 through 5. The
10 point here is that there is a large margin to spare in
11 terms of consequences, that there is, in doing a
12 realistic environmental analysis, nevertheless a wide
13 margin between the occupational standards and the
14 expected dose.

15 Now, I mentioned earlier the effect of
16 assuming failures of the design basis features, the
17 containment and in addition the third level beyond
18 design basis features. More serious consequences than
19 the HCDA Class 2 or Case 2 assume failure of the beyond
20 design basis features. The significant fact here is
21 that if one looks at the staff's cases in Table J-2 in
22 Staff Exhibit 8, Appendix J, and if one looks at the
23 probability and consequences of going from their Class 1
24 up through Classes 2, 3, and 4, one does see an
25 ascending level of consequences.

1 However, by the same token, the probability of
2 those events goes down. If one multiplies the
3 probability times the consequences for each such event,
4 one sees an interesting pattern in terms of the risk.
5 The risk is indeed flat. One does not see an increase
6 in probability times consequences as one goes from Class
7 1 all the way up to Class 4. See Applicant's Exhibit 46
8 at 38, TR. 5,413, see Staff Witness Sopher at TR. 5,664.

9 We believe that the overall risk of HCDA's is
10 low for the Clinch River Breeder Reactor. See the
11 staff's Appendix J to Staff Exhibit 8. Because of this,
12 the risk to Y-12 from a prolonged shutdown is also low.
13 Notwithstanding that, from a programmatic standpoint,
14 this risk is acceptable to DOE. See Applicant's Witness
15 Hibitz, TR. 5,274.

16 In summary, the applicant's position can be
17 simply stated as follows, that under the most reasonable
18 frame of reference for analysis of environmental risk,
19 that is, the site suitability source term, that there
20 will be no effect whatever on national security or
21 national energy supply. If one as a matter of prudence
22 goes beyond that reasonable standard to consider the
23 effect of more severe accidents beyond the design basis,
24 the fact remains that the risk is nevertheless
25 acceptable, and indeed we believe that the Board should

1 make and can make affirmative findings as to Contention
2 5-B.

3 That concludes our affirmative argument.

4 JUDGE MILLER: NRDC? Mr. Cochran?

5 ARGUMENT OF THOMAS B. COCHRAN, ESQ.,
6 ON BEHALF OF NATURAL RESOURCES DEFENSE COUNCIL

7 MR. COCHRAN: There are two major areas on
8 which the Board should focus with respect to Contention
9 5-B. The first of these is whether there is a national
10 security risk or implications from a CDA at the Clinch
11 River reactor due to the proximity of Y-12, and whether
12 these risks have been adequately addressed, and the
13 second major aspect that we ask you to focus on is the
14 implications of both staff and applicant's analysis of
15 Contention 5-B of CDA's, the implications this has on
16 our other contentions, namely, 1, 2, and 3.

17 Now, with regard to the first of these two
18 aspects, the national security aspect, staff and
19 applicants both agree or at least the applicants agree,
20 and I believe the staff does also, but in any case, they
21 have not disputed it, that Y-12 is vital to national
22 security. TR. 5,243, Hibbitz. Applicants have also
23 said that the consequences of long-term evacuation of
24 Y-12 would be unacceptable. TR. 5,193, Hibbitz. Staff
25 did not know what the impact of evacuation would be.

1 TR. 5,657, 5,667, Thadani. Both staff and applicants
2 assert the risks are acceptably low because the
3 probabilities are so low, and that is TR. 5,274,
4 Hibbitz, and TR. 5,668 to 69, Sopher.

5 I will return to that point subsequently,
6 because in both cases the staff and applicants are
7 relying on the validity of the Appendix J analysis of
8 probabilities to make that claim. I believe you just
9 heard Mr. Edgar make that claim himself.

10 The applicant's claim that evacuation would
11 only be for a short term, during a short duration of the
12 release and curtailment of operations would not
13 significantly impact production schedules. That is TR.
14 5,429 to 30. No impact if there were a two-week
15 evacuation. There would be some impact but the
16 applicants didn't know the magnitude of the impact if
17 the evacuation were for six months. That is at TR.
18 5,244 to 45, Hibbitz.

19 I should note in passing that the staff has a
20 different definition of short and long. Short-term to
21 the staff means perhaps hours or perhaps a few days.
22 Long-term means many days or months. TR. 5,662,
23 Sopher. So one must be careful in jumping back and
24 forth between their conclusions with regard to long and
25 short-term. The applicants have calculated dose and

1 gram contamination levels at Y-12 associated with a
2 CDA. TR. 5,433 to 35.

3 And I would point out that they did not do any
4 sensitivity analysis. They simply provided you one sort
5 of set of numbers, one for the source term, the site
6 suitability source term calculation, one for the HCDA.
7 They reduced the PU definition by a factor of
8 approximately 100 using some new gas purging assumption
9 from what they would have gotten had the applicant used
10 their analysis in their evidence in the first week of
11 hearings with respect to Contentions 1, 2, and 3.

12 They didn't look at wet deposition or
13 rainfall. That is TR. 5,233 to 34. They didn't
14 consider more energetic CDA's or containment failures,
15 and as Mr. Edgar noted, they used HCDA Class 2. That is
16 at TR. 5,234. They didn't use plutonium from recycled
17 LWR fuel, which is another issue of disagreement. That
18 is at TR. 5,236 to 37, 5,163 to 65, Hibbitz and
19 Strawbridge. They used applicant's filter efficiencies,
20 which are much less conservative than staff's by a
21 factor of 14 or so. This is the difference in the
22 numbers you get between the staff and applicant's
23 analyses due to filter efficiencies and to some extent
24 meteorology.

25 They didn't consider doses and releases with

1 respect to ground deposition beyond seven days. That is
2 at TR. 5,210, 5,433. And the reason I bring all of
3 these to your attention is that the plutonium deposition
4 or ground contamination levels that they report in their
5 single value have a large uncertainty associated with
6 them. There is a factor of four with respect to the
7 fuel, a factor of 60 to 80 with respect to containment
8 failure, whether or not it is included. You can see
9 that from the Appendix J numbers. A factor of 100 with
10 regarding to sparging, some unknown factor with regard
11 to wet deposition, a factor of 14 or so with respect to
12 filter efficiency, and so forth.

13 And when you consider these ranges of these
14 uncertainties, you can see that you can get ground
15 deposition levels that are several orders of magnitude
16 higher than they report, and in fact can exceed the EPA
17 guidance with respect to ground contamination,
18 acceptable ground contamination level. There is another
19 -- the EPA report that we discussed with regard to
20 previous contentions.

21 Furthermore, there is no analysis by the
22 applicants of the implications of the total, and I am
23 now not speaking of the plutonium contamination levels,
24 but the total contamination levels in the period, in,
25 say, the period of time from a week or two to six

1 months, and what is the implication of this deposition
2 level. They report a value of, I think, 8.7 microcuries
3 per square meter at the Y-12. That is TR. 5,434.

4 And I would simply point out that 8.7
5 microcuries per square meter is approximately 2,000 EPRM
6 per 100 square meters, which is the way the health
7 physicist with the smears would like to see the data,
8 and that exceeds the limits for removable contamination
9 in cold areas, and therefore whereas the applicant did
10 some occupational exposure calculations, their analysis
11 in my view, in our view, is inadequate, because it does
12 not really look at the implications for getting to and
13 from the facility and removing smearable contamination
14 and tracking it home, and so forth and so on, that are
15 going to affect decisions with regard to evacuation. So
16 it is not, in our view, sufficient just to look at the
17 change in the occupational dose. You have to look at
18 the effect of the ground contamination and the
19 contamination on the automobiles, and personnel
20 clothing, and so forth and so on, and how you are going
21 to cope with that.

22 And there is nothing in the applicant's
23 analysis with regard to that issue. In fact, the staff
24 has ignored ground contamination altogether, because
25 they have eliminated the issue on the basis of

1 probabilities, looking at the Appendix J probabilities.
2 And the staff assuming evacuation will be triggered by
3 the EPA limits, that is, TR. 3,489 to 90, and in effect
4 reported only the thyroid and whole body doses, but
5 staff and the applicants both admit that evacuation
6 could be triggered at projected dosages, or less than
7 the tags. That is TR. 5,221, 5,276 to 77, Hibbitz, TR.
8 5,661, Sopher.

9 So they admit that the tag limits are not the
10 limits that would necessarily trigger evacuation to
11 begin with, so the fact that the dosages are below the
12 tag limits is not the sole basis that should have been
13 examined. The tags apply only to whole body and thyroid
14 dose. That is at TR. 5,689. There are no tags for bone
15 dose, which, as we have seen throughout this proceeding,
16 is an important and often controlling organ dose. That
17 is TR. 5,296, Hibbitz.

18 In fact, applicants state that bone dose would
19 be controlling. That is at TR. 5,297, Hibbitz. Staff,
20 as I may have mentioned earlier, admits that long-term
21 evacuation of Y-12 may result from a more severe CDA or
22 site suitability source term accident, but ruled this
23 out on the basis of probabilities of such accident.
24 That is at TR. 5,691.

25 One of the bases for our view that this

1 analysis is inadequate is that in effect the staff and
2 applicants are applying their old Class 9 philosophy to
3 avoid looking at the consequences of evacuation due to
4 more severe accidents, more severe CDA's. In other
5 words, they are saying because the probabilities are
6 lower, they don't have to look at those consequences,
7 and it is the same sort of philosophy that was rejected
8 by the Commission in their policy statement on the Class
9 9 accidents. It basically said, you can't use that
10 procedure any longer. You have to discuss consequences
11 of Class 9 accidents, even though you view the
12 probabilities as sufficiently low as to not merit --
13 previously as to not merit the discussion.

14 Well, all they have done is sort of shift the
15 line a little higher, and now they are saying they will
16 look at an HCDA but they won't look at one a little bit
17 bigger, because that probability is sufficiently low.
18 So, in our view they should have looked at the
19 consequences of long-term evacuation that would be
20 triggered for more several HCDA's, and in any case we
21 believe the analysis for the HCDA's that they examined
22 was insufficient because of the inadequate analysis that
23 was performed both with regard to the sensitivity and
24 with regard to the treatment of ground contamination.

25 Now, the second point is one that I have made

1 previously, or at least touched on previously, namely,
2 how does the 5-B analysis impact on Contentions 1, 2,
3 and 3, and I want to remind the Board that one of the
4 themes that has run through these hearings is that one
5 must look beyond the labels. In fact, Mr. Edgar just
6 brought that theme up again with respect to his
7 criticism of Mr. Greenberg's discussion of safeguards at
8 nuclear facilities, and he complained about labeling it
9 a nuclear facility and said, you have to look beyond the
10 label, and you recall in the discussions we had over
11 explosions, there was -- statements were made that the
12 relevance is not in the name or the label. This is at
13 TR. 5,011. It doesn't matter what you call it. What it
14 does is significant. Let's get past the terminology and
15 down to realities. TR. 5,119.

16 Well, that theme or philosophy, I think, must
17 be applied to the applicant's labeling of systems as
18 beyond the design basis, because that is a fundamental
19 issue in dispute, and they labeled this vent purge
20 filter system as a system, as a part of the enlargement
21 beyond the design basis, and I think you have to look at
22 what that system does and model it and look at the
23 implications of a system that takes radioactivity from
24 within the containment and blows it outside through a
25 filter, and you cannot ignore that filter system either

1 in your site suitability analysis, which is a point I
2 made earlier.

3 And this second point with regard to the
4 implications 5-B has on these earlier contentions, there
5 are three parts of it, three issues I wish to address.

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 First, we showed that it is remarkable that
2 the staff did not do an HCDA analysis at the LPZ in the
3 worst case direction. And of course, the reason is
4 because the doses exceed the 10 CFR 100 guide line
5 values, and we discussed how you can -- I discussed
6 earlier in the summary while we were at Oak Ridge -- how
7 you can show that you would exceed the 10 CFR 100
8 limits. That was what Mr. Edgar referred to as the
9 tortuous calculation involving taking a ratio and
10 multiplying it by a third number; somewhat less
11 tortuous, I would suggest, than finding his reference,
12 that tortuous procedure he gave you for looking up one
13 of his references in some of their exhibits while we
14 were in Oak Ridge.

15 The main point in this first part is an HCDA
16 performed with the staff's assumptions is the worst
17 case, worst sector direction of the LPZ, exceeds 10 CFR
18 100 limits. Now, this says you should go beyond the
19 label of calling it -- well, let me defer that.

20 When this is considered in conjunction with
21 Appendix J; namely, the probability of this CDA, 10⁻⁴
22 times 10⁻¹, to get it in the worst sector direction,
23 you see that by the staff's own analysis the CDA should
24 be the design basis accident. So we believe that the
25 staff's and applicant's 5B testimony, in conjunction

1 with Appendix J, proves our case on Contention 1. And
2 you should, for reference to the test that we are
3 applying, you should see Staff Exhibit 6 at page
4 2.2.3-2; that is the standard review plan and procedure
5 for determining whether an external event should be
6 considered a design basis event, applying the 10^{-6} or
7 10^{-7} probability to the test of whether you exceed the
8 10^{-6} CFR 100 guideline values.

9 The third of this three-part point is the same
10 analysis. When you look at the CDA analysis compared to
11 the site suitability analyses and you discover that lo
12 and behold, the "more realistic" calculation gives you
13 larger consequences than the "conservative site
14 suitability source" calculation, it tells you that
15 there's something wrong with the way they are labeling
16 this "vent/purge filter system." They are labeling it
17 as something beyond the design basis and, therefore,
18 something you should ignore in modeling the site
19 suitability analysis.

20 And our point that I've made previously is
21 that this demonstrates that you must consider the
22 vent/purge system in your site suitability analysis and
23 the impact as simply another filter system, just like
24 the annulus filtration system except it blows the
25 activity out of the containment instead of taking

1 activity that is already out of the containment and
2 blowing it back in.

3 Both are filters; two different filter
4 systems, and the only distinction is that applicants and
5 staff have labeled one. Remember the Abraham Lincoln
6 joke I gave you about calling a leg a tail, or calling a
7 tail a leg and pretending it's a leg. Well, let's get
8 away from the labels and just do the modeling.

9 Well, I think that concludes my discussion of
10 5B.

11 JUDGE MILLER: Staff?

12 ARGUMENT OF DANIEL SWANSON, ESQ.

13 ON BEHALF OF NRC STAFF

14 MR. SWANSON: Again, I will try to avoid
15 repeating the detail that has been stressed before and
16 keep my comment as nearly focused as possible.

17 Briefly, the staff position on the likelihood
18 of accidents -- and again, the basis of the staff's 5B
19 testimony -- can be found in the staff's FDS supplement
20 at Appendix J -- that is Staff Exhibit 8 -- and in Staff
21 Exhibit 17. That is the test by Dr. Morris et al.

22 These matters have already been argued by the
23 staff and I won't repeat them again, but the basis for
24 the assumptions and the likelihood of recurrence of
25 accidents, particularly the core disruptive accidents,

1 is discussed in those exhibits and serves as the basis
2 for the staff's testimony on 5B. The staff's primary
3 testimony on this issue, 5B, is contained in the
4 testimony, Staff Exhibit 18, looking at the three
5 primary facilities of concern.

6 Starting first with K-25, the K-25 facility,
7 the gas diffusion plant, provides enriched uranium for
8 LWRs and for military applications. This is discussed
9 briefly at staff testimony transcript page 5693. The
10 staff does calculations regarding K-25.

11 When compared with the EPA's protective action
12 guidelines, the tags show that protective measures such
13 as evacuation would not be necessary following a site
14 suitability source term accident, but would be necessary
15 following a hypothetical core disruptive accident, as
16 discussed at transcript page 5689.

17 The staff calculations referred to are
18 conservative since they do not account for topography or
19 plume depletion, as discussed at transcript 5656. The
20 staff concluded that it would not expect any impact on
21 national energy supply because of the operational
22 flexibility of the remaining two gas diffusion plant
23 cascades and the construction and operation of the
24 Portsmouth gas diffusion plant. That is discussed at
25 transcript 5695.

1 Regarding national security, the staff would
2 expect little impact on national security since all
3 national security needs for highly enriched uranium are
4 provided by the Portsmouth gas diffusion plant, as
5 discussed at 5696. In other words, regarding K-25, the
6 staff conclusion is that there would not be a
7 non-acceptable risk to national security or the national
8 energy supply from Clinch River.

9 Turning to the Oak Ridge National Laboratory,
10 the staff, as it discussed at transcript 5695, points
11 out that ORNL is twice as far from Clinch River as is
12 K-25, and the atmospheric dispersion would be lower in
13 ORNL's direction. The staff based its dose calculations
14 for ORNL on doses that it had calculated for K-25. The
15 staff concluded that the site suitability source term
16 accident would not require evacuation of Oak Ridge
17 National Laboratory, but that a hypothetical core
18 disruptive accident may require evacuation. This is
19 discussed at transcript 5696 through 97.

20 The staff concluded it would not expect
21 evacuation of ORNL to result in an impact on the
22 nation's energy supply since Oak Ridge National
23 Laboratory does not play any role in the fuel cycle for
24 the energy modes. This is discussed at transcript 5695
25 and 5272 through 73.

1 Regarding national security, applicant witness
2 Hibbits testified he knew of no significant impact on
3 national security that would result from losing Oak
4 Ridge National Laboratory for a period of months, as
5 discussed at transcript page 5197 and then again at
6 5274. Applicant has testified that the risk of
7 evacuation on national security is acceptable.

8 Regarding Y-12, the staff described Y-12 as a
9 weapons production facility which does not play any role
10 in the national energy supply, as discussed at
11 transcript 5272 and 5693. We are thus limited to our
12 concern of the national security aspects of Y-12. The
13 staff testimony indicated that dose calculations for
14 Y-12, when compared with EPA's protective action
15 guidelines, showed that protective measures would not be
16 required for Y-12 following the occurrence of a site
17 suitability source term accident, or a hypothetical core
18 disruptive accident of the Class 1 variety, as discussed
19 in staff testimony starting at page 5690.

20 The staff evaluated the probability risk of
21 Y-12 evacuation on the nation's security and factored
22 that into the NEPA cost-benefit analysis. This is
23 discussed at transcript 5681 to 82, and 5667 through
24 69. The staff did not evaluate the consequences of an
25 accident beyond the site suitability source term

1 accident or the hypothetical core disruptive accident,
2 Class 1 for the following reasons:

3 First of all, as was indicated, we're now
4 getting into national security matters and the
5 information simply was not available, nor did it seem
6 prudent to -- or probably even available to have this
7 information exposed in a public forum such as a
8 hearing. However, the staff did fulfill its NEPA
9 obligations by factoring in the probability risk of a
10 long-term evacuation of Y-12 on the nation's security.

11 The staff found that it was acceptable to
12 limit its consideration to the site suitability source
13 term accident and the hypothetical core disruptive
14 accident, Class 1, based on first, as explained in
15 Appendix J to the staff's final environmental statement
16 -- that is, Staff Exhibit 8 -- the risk of occurrence of
17 accidents greater than the two mentioned is the same as
18 or in excess of 10⁻⁶ per year. When you factor in the
19 added dimension of such an accident and additional
20 factors which would require long-term evacuation of X-25
21 or Y-12, the probability drops to 10⁻⁷ per year.
22 That's discussed at transcript 5691 through 92.

23 The staff was therefore able to take a
24 reasonable look at the impacts of accidents at Clinch
25 River on these facilities and was able to conclude that

1 the environmental risk of long-term evacuation of nearby
2 facilities was acceptable in terms of both national
3 security and the national energy supply.

4 Now turning to the arguments raised by
5 intervenors today, -- and I will limit myself to those
6 that are applicable to the staff's analysis -- the first
7 point was that the staff and applicants didn't look at
8 rainfall and wet deposition. However, if you will look
9 at transcript page 5656, staff witnesses Thadani and
10 Sofer testified that the staff methodology was
11 conservative, not to use wet deposition or assumed
12 rainfall because if they were to assume rainfall such an
13 occurrence would deplete the inventory of the
14 radioactive cloud and would reduce the dosage to the
15 affected facilities.

16 Therefore, in fact, if we were to accept
17 intervenors' suggestion and utilize wet deposition, you
18 would find that doses would decrease, not increase.

19 A second point raised was the failure to
20 consider recycled LWR fuel. This is a point that arose
21 in consideration of the fuel cycle issues, and the staff
22 will address that in greater detail at that time.

23 I will leave it to say, however, that the
24 staff did do a fuel cycle sensitivity analysis to
25 consider alternate cycles, and we also have testimony on

1 the record to indicate that it is extremely unlikely
2 that there will be a need to use recyclable LWR fuel
3 because of the availability of ample quantities of
4 plutonium during the first five years, and then after
5 that five-year period the Clinch River facility will be
6 breeding its own supply of plutonium.

7 The details of that argument will be put off
8 to the fuel cycle issue where it properly arose.

9 The intervenor, Dr. Cochran, raised concern
10 about the evacuation, when it would begin, what the
11 protective action guidance limits should be, et cetera.
12 And I would simply respond that the details of an
13 evacuation plan, what the requirements must be, what the
14 limits must be, are matters which really go beyond the
15 scope of Contention 5B.

16 What 5B addresses is what the impacts would
17 be, the environmental consequences, of having nearby
18 facilities in proximity to Clinch River, and whether or
19 not a long-term evacuation of those facilities is
20 likely, and if so, whether or not that would result in
21 unacceptable consequences or risks to the national
22 security or the national energy supply.

23 The staff testimony does address that issue,
24 and as I previously indicated, concluded that the
25 existence of these facilities did not present an

1 unacceptable risk to national security and national
2 energy supply.

3 With regard to Y-12, as I previously pointed
4 out, the staff didn't just simply take the old Class 9
5 philosophy, but did, in fact, look at the various
6 accidents beyond the site suitability source term. This
7 was done not in connection with this issue, but in
8 connection with the accident issues 1, 2 and 3. And in
9 Appendix J to the staff's final environmental statement,
10 there is a probabilistic look at these various accidents.

11 The staff did conclude, with respect to Y-12,
12 as I previously mentioned, that at least as to the first
13 level of Class 9 accidents, the site suitability source
14 term and the hypothetical core disruptive accident,
15 Class 1, the risks are acceptable. And that if you go
16 into the more remote types of accidents, that in fact
17 their likelihood of occurrence is sufficiently low that
18 it's not necessary to probe into the national security
19 matters and take a detailed look at the impacts of these
20 accidents. But that the staff could merely look to the
21 extremely unlikely occurrence of such an accident and
22 find that acceptable risks do occur with respect to
23 those types of accidents -- do occur from Clinch River
24 on the Y-12 facility. In other words, the risks are
25 acceptably low under NEPA for the Y-12 facility.

1 Dr. Cochran finally I think attempted to
2 reopen the argument for the third time on the
3 hypothetical core disruptive accident and site
4 suitability source term analysis and the impacts of
5 these accidents in terms of site suitability analysis
6 and the environmental analysis. We have argued this
7 matter twice already, and I am not going to engage in a
8 detailed response to this reference to his argument made
9 at Oak Ridge.

10 I will simply point out that, of course, in
11 our opportunity to respond to that issue, accident
12 contentions 1, 2 and 3, the staff will show that the
13 accident scenario pointed out by Dr. Cochran is flawed,
14 the methodology is flawed, that it's based on
15 assumptions which are contrary to the record and that
16 the conclusion he reaches simply does not stand up to
17 scrutiny.

18 But in addition to the argument at this point
19 to Contention 5B, the one under consideration, I would
20 simply conclude that the staff analysis demonstrates
21 that the environmental risk to accidents at Clinch River
22 to nearby facilities were considered by the staff and
23 that the risks of such accidents are acceptably low in
24 terms of the national security and national energy
25 supply.

1 That concludes staff's argument.

2 MR. COCHRAN: Mr. Chairman, I mentioned in the
3 beginning of my statement that there was a point I
4 wanted to return to, and I overlooked it. Is it too
5 late to bring it up?

6 JUDGE MILLER: All right.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. COCHRAN: It is a short point. It goes to
2 this issue of the application of Appendix J to the
3 various contentions, and the staff and applicants rely
4 on Appendix J not only to meet the Commission's Class 9
5 policy requirements, NEPA requirements, but as we have
6 seen in Contention 5-B, to exclude consideration of the
7 national security implications of larger CDA's, and
8 also, as we will see when we get to the alternate siting
9 contentions, the staff relied on Appendix J to exclude
10 consideration of alternate sites, in effect saying the
11 risks of CRBR at this site were sufficiently low.

12 And the point I want to make is, they can't
13 have it both ways. If Appendix J and the probability
14 calculations in Appendix J have validity for purposes of
15 use by the staff and applicant, as I have just
16 mentioned, then it also has validity with respect to
17 testing whether the CDA is a DBA and the test under
18 Contention 1 that I mentioned earlier. Thank you.

19 JUDGE MILLER: Do you care to respond?

20 MR. SWANSON: I am not sure I can make an
21 immediate response right now. I think I would have to
22 read over the statement again. My point was simply that
23 I didn't think it was appropriate now to reargue our
24 position on Contentions 1, 2, and 3. To the extent that
25 a response will be forthcoming, it would be done in a

1 written response. My point was simply that Appendix J
2 served as the basis for staff assumptions in other
3 issues such as 5-B, and that in Appendix J the staff did
4 do the required NEPA analysis of accidents, including
5 those beyond the design basis, and that it was the
6 result of this analysis and the resulting frequency or
7 likelihood of occurrence that allowed the staff to make
8 certain assumptions as to the likelihood of occurrence
9 of accidents with respect to Y-12.

10 And again, the details of that staff analysis
11 on the likelihood of occurrence will be addressed, and
12 it was addressed previously orally, and it will be
13 addressed in writing in the response to findings.

14 JUDGE MILLER: Mr. Edgar?

15 MR. EDGAR: Several points. First, Dr.
16 Cochran indicated that applicants and staff had
17 considered the risk of Y-12 to be acceptably low,
18 because the probabilities are low, and that both rely on
19 Appendix J for that. That is part of the answer. It is
20 not only that. The point is that, one, and the
21 applicants indeed have considered more than simply
22 probabilities, they have considered risks. Applicant's
23 Exhibit 46 at 38, TR. 5,414, provides an analysis of the
24 probabilities and consequences that one can associate
25 with other increasing severity of CDA cases, and shows

1 that the risk is flat, as measured by that calculation,
2 so that the representative case for measuring risk is in
3 fact applicant's CDA Case 2.

4 So, the short answer to that is, more than
5 probabilities were considered, that risk was considered,
6 and it has been properly accounted for in the analysis.
7 A similar answer applies to the point made by Dr.
8 Cochran that sensitivity analyses were not done. Well,
9 clearly, they were. Applicant's Exhibit 46 at 38, at
10 5,414 includes consideration of more severe cases in the
11 context of risk. There is a point of severe confusion
12 now that has come up in the record concerning the role
13 of the containment engineered safety features for
14 annulus venting and purging and the role of the vent
15 purge system, which is provided in the case of an
16 accident beyond the design basis.

17 Now, Dr. Cochran made a big point about
18 labels. Let's talk about it in terms of physically what
19 it does, what the respective purposes are, and try to
20 understand it. If that approach is taken, you will see
21 that Dr. Cochran does not understand the difference
22 between the two features in terms of the functions and
23 the statement that one cannot ignore the third level
24 vent purge system on the site suitability analysis is in
25 a word not physically a meaningful statement.

1 The first reference here would be Applicant's
2 Exhibit 1 at 50, TR. 2,039, Figure 4.1 -- excuse me,
3 4-1. This shows a diagram of the annulus filtration and
4 recirculation system. CRBR has a single steel shell
5 containment surrounded by a concrete confinement
6 building. The space between the steel shell containment
7 and the concrete confinement building is an annulus.
8 The system pulls the suction on the annulus. It then
9 passes through a filter. Part of the stream is vented
10 off, and the major part of the stream is vented or is
11 recirculated back to the annulus. The effect of that is
12 to establish a negative pressure in the annulus. This
13 system is a part of a conventional engineered safety
14 feature system for a containment confinement concept as
15 one might find it on a PWR.

16 Now, assuming that one has the containment
17 intact and not subject to challenge from pressure
18 buildup because of a severe accident, that system will
19 provide protection in terms of assuring that the
20 containment does not create any excessive pressure, and
21 there is always a negative pressure in the annulus. Now
22 consider the other system in question. Look to
23 Applicant's Exhibit 17, Section 2.1, for a description
24 of that system. What you see there is that there is a
25 vent pipe inside the primary containment or steel

1 shell. That pipe passes through a cleanup system which
2 is inaccurately described by Dr. Cochran as a filter
3 system. It actually consists of venturi scrubbers.
4 That passes directly to the environment. It is not
5 passing through the annulus.

6 All right. Let's assume that one has pressure
7 buildup in the containment, and that one has a condition
8 where containment integrity is threatened. This system
9 gives one the ability to vent containment so as to
10 reduce pressure while maintaining radioactive releases
11 within control. It has an entirely different physical
12 purpose than the annulus filtration system which I have
13 previously described.

14 Now, Dr. Cochran suggests that you ought to
15 include the vent purge system which goes from the
16 primary containment to the outer atmosphere in the site
17 suitability analysis. That makes no sense at all. If
18 the containment is intact, if the containment engineered
19 safety features are functioning, which is the
20 appropriate setup of functions for site suitability
21 analysis, there cannot be a challenge to pressure in the
22 containment. One would be foolish then to open the vent
23 from the primary containment and increase releases while
24 one has containment integrity and no threat to
25 containment. It does not make any physical sense.

1 The next point is one that we think should
2 have a matter of attention for the Board. It is not a
3 point which we think is dispositive in the context of
4 Contention 5-B. But Dr. Cochran raises the proposed EPA
5 guidance on ground contamination. This has been
6 discussed previously in the record. See TR. 2,908
7 through 13, 2,887 through 96.

8 Several points are pertinent to this EPA
9 guidance. The first is that it is a proposed set of
10 guidance. It is not effective. It is not a matter of
11 federal law. Secondly, the ground contamination levels
12 which are contemplated by that guidance are merely
13 screening levels. They are not standards. What it says
14 is that if ground contamination is at the screening
15 level, that one should go farther and look at monitoring
16 or other means to see if doses are exceeded.

17 What it says is that if you don't exceed, or
18 rather, if your contamination level is below the
19 screening level, no further action is required. We do
20 not believe that this guidance has any pertinence to the
21 question of site suitability dose term calculations or
22 for the context of Contention 5-B in terms of measuring
23 an unacceptable level of risk. This guidance was
24 developed for existing sites which are contaminated and
25 provide a cleanup standard.

1 We have no further response at this time.

2 JUDGE MILLER: Thank you.

3 We will take our lunch recess, and reconvene
4 at 1:00 o'clock, please.

5 (Whereupon, at 11:56 a.m., the Board was
6 recessed, to reconvene at 1:00 p.m. of the same day.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 As the Board well knows, 10 CFR.11.A footnote
2 2 contains values incorporated in the NRC regulations
3 for whole-body exposure of 25 rems and thyroid exposure
4 of 300 rems.

5 In order to provide some means of developing
6 guidelines which would cover plutonium exposure and
7 organs of interest to plutonium exposure, the staff
8 derived a set of additional guidelines, using, however,
9 the existing 25-rem whole-body value and 300-rem thyroid
10 value, which are codified in 10 CFR 100.1. The
11 derivation of those values can be found at staff Exhibit
12 3 at 27 through 38 at TR. 2,510 through 12, also
13 applicant's Exhibit 25 at 3 through 7, TR. 2,077 through
14 2081.

15 Essentially, what has been done is to take the
16 25-rem whole-body value and the 300-rem thyroid value,
17 apply weighting factors from ICRP 26, which provide
18 relative radiosensitivities for the various organs. The
19 staff scaled from the whole body and from the thyroid
20 values the 25 rem and 300 rem, respectively, and then
21 selected the lowest set of values for each organ, which
22 as it turns out is the set of values which are based on
23 scaling from the 300 rem thyroid value. The staff then
24 reduced the values completed from the existing values in
25 the regulations and ICRP 26 weighting factors by a

1 factor of 2 to account for uncertainties. See staff
2 Exhibit 3 at 30 TR. 2,513.

3 The approach taken is not only reasonable, it
4 is entirely consistent with the existing values in 10
5 CFR Part 100 and reflects the explicit purpose of the
6 does guideline values in Part 100. See TR. 2,077
7 through 8 and applicant's Exhibit 25 at 3 through 4;
8 also, Staff Exhibit 3 at 29 and TR. 2,912.

9 It should be emphasized that according to the
10 regulations themselves -- that is, footnote 2 to 10
11 CFR.11.A -- the values in question are not intended to
12 imply that these numbers constitute acceptable limits
13 for emergency doses to the public under accident
14 conditions.

15 Rather, the 300-rem whole-body and the 300-rem
16 thyroid values have been set forth in Part 100 as
17 reference values which can be used in the evaluation of
18 reactor sites with respect to reactor or potential
19 reactor accidents of exceedingly low probability of
20 occurrence and a low risk of public exposure to
21 radiation. So thus, under the very express purpose of
22 the regulations, they are not intended as limits on
23 emergency doses.

24 We believe that the affirmative evidence just
25 cited clearly demonstrates that the values selected by

1 the staff are well founded in terms of technical support
2 and well founded in terms of consistency with the
3 regulations. We believe that the Board should find that
4 these values are adequate and should be applied to the
5 site suitability analysis in Clinch River.

6 Now, NRDC has advanced an array of arguments
7 in an attempt to avoid the force of the affirmative
8 evidence in favor of the dose of the guideline values.
9 The major arguments presented by NRDC are, first, that
10 one should apply the stochastic limit of 50 rems per
11 year given an ICRP 26.

12 The next argument is that the ACRS once
13 recommended 25 rems to both bone and lung and that the
14 higher values which are encompassed within the staff's
15 recommended set of dose guidelines should therefore not
16 be applied.

17 The next involves the argument that the EPA
18 occupational standards for the fuel cycle contemplate 25
19 rem to the whole body, millirem to the whole body, and
20 25 millirems for any other organ. Therefore, the dose
21 guideline values should use the 10 CFR 100 whole-body
22 value and then for every other organ they should use the
23 same value, again resulting in a lower array of numbers.

24 Then the argument proceeds to consideration of
25 uncertainties. And at that point let me now double back

1 and address each one in turn.

2 The first argument concerns the application of
3 the so-called stochastic limit in ICRP 26 of 50 rems per
4 year to the derivation of the does guidelines. This
5 argument is addressed and/or is presented in Intervenor's
6 Exhibit 4 at 29 through 29 TR. 3,078 through 9.

7 The argument is answered dispositively in
8 Applicant's Exhibit 25 at 8 TR. 2,082. And the argument
9 is rather simple. The stochastic limit is a limit which
10 is imposed on occupational exposures or recommended for
11 imposition on occupational exposures to limit health
12 effects which show a threshold phenomenon. In other
13 words, doses below the stochastic limit would not show a
14 health effect, those above would. Nonstochastic effects
15 which are normally things such as cancer are those which
16 do not show a threshold.

17 Now, there are three important points in
18 relation to the arguments that one should use the
19 stochastic limits. First, the stochastic limit is an
20 annual occupational dose limit. It talks of 50 rems per
21 year. This bears no relation to the purpose and intent
22 of Part 100 dose guidelines. If indeed one were to
23 carry the logic out consistently, the 50 rem per year
24 annual limit over the 30-year lifetime at Clinch River
25 would result in a dose guideline value of 1,500 rems.

1 Direct application, however, and probably the
2 more telling point is this: that if one scaled from the
3 whole-body and thyroid values in Part 100 using ICRP 26
4 dose guideline values -- excuse me -- ICRP weighting
5 factors and then computed as did the staff a set of dose
6 guidelines and then took the next step urged by NRDC and
7 applied the nonstochastic limits, the
8 300-rem-to-the-thyroid value now found and codified in
9 Part 100 would have to be reduced to 50 rems to the
10 thyroid because the stochastic limit would apply across
11 the board.

12 This merely means one thing: that application
13 or acceptance of Intervenor's argument for application
14 of the stochastic limit necessarily challenges and
15 invalidates the 300-rem-to-the-thyroid value set forth
16 in 10 CFR Part 100.11.A, footnote 2.

17 Therefore, for all of those reasons, we urge
18 the Board to reject that argument.

19 The second point raised by NRDC is that at one
20 point the ACRS had recommended dose guideline values of
21 25 rems to bone and 25 rem to lung. Applying this
22 argument to the facts at hand, one would have a
23 reduction in the values recommended by the NRC staff.
24 However, examination of the record indicates that the
25 ACRS simply did not so recommend.

1 Consider Intervenor's Exhibit 4 at 29 TP.
2 3,079. Compare Intervenor's testimony at TR. 2,985
3 through 2,990 with Applicant's Exhibit 33. Applicant's
4 Exhibit 33 is the document relied on by the Interveners
5 for this argument, and if you read it, you will see that
6 the ACRS did not recommend 25 rems to the bone and 25
7 rems to the lung. Their own reference does not support
8 the proposition asserted.

9 The next argument advanced concerns the point
10 that one should apply or use as a frame of reference for
11 derivation of the dose guideline values the EPA
12 occupational standards which were developed for the
13 uranium fuel cycle. These standards contemplate 25
14 millirems to the whole body and 25 millirems to any
15 other organ.

16 If one assumes a 25-rem whole-body dose under
17 Part 100 and applies consistent logic using the EPA
18 standards as an analogy, one would then set all other
19 organ doses at 25. This would have the immediate effect
20 of challenging and invalidating the 300-rem thyroid
21 value set forth in Part 100, but, in addition, would
22 lower all of the other values recommended by the NRC
23 staff.

24 It is interesting to note here two things
25 about the EPA standards. The rulemaking notice, which

1 is found at 39 Fed Reg 16906, May 10, 1974, indicates
2 that these values are in fact based on cost-benefit
3 principles. And, more importantly, the rulemaking
4 notice explicitly states that, "Although the standards
5 will encompass abnormal but anticipated releases of
6 radioactivity to the environment associated with
7 effluent control measures, potential releases associated
8 with the possibility of accidents involving the nuclear
9 safety of facilities are beyond the scope of the
10 proposed rulemaking, which is limited to environmental
11 radiation due to normal operations."

12 We thus believe that not only does application
13 of the EPA standard argument invalidate the existing
14 Part 100 regulations but, in addition, the use of that
15 argument runs directly counter to the basis and purpose
16 of those EPA regulations.

17 The next consideration that NRDC has raised is
18 that there are considerable uncertainties associated
19 with the state of the art or state of technology in
20 regard to health effects and the underlying information
21 upon which the dose guideline values are based.

22 NRDC in Intervenor's Exhibit 4 at 32 through
23 33 TR. 3,082 through 83 raises three points which relate
24 to uncertainty. They first argue that the hot particle
25 theory engenders considerable uncertainty. They then

1 argue that Morgan's bone dose hypothesis engenders
2 considerable uncertainty. And finally, they argue that
3 the so-called polonium-210 argument, the so-called
4 warm-particle theory, engenders uncertainty. In fact,
5 the record shows that none of these three theories are a
6 significant source of uncertainty.

7 As to the hot particle, even NRDC concedes
8 that theory is not widely accepted. Indeed, it was
9 thoroughly considered by both the staff and applicants
10 and disposed of in the following discussion:

11 First, Staff Exhibit 3 at 29 through 32, TR.
12 2,512 through 15, Applicant's Exhibit 25 at 9 through
13 10, TR. 2,983 through 4, Applicant's witness McClellan,
14 TR. 1,916 through 1,920. In a word, the hot-particle
15 theory has been rejected by virtually every
16 authoritative scientific body in the world.
17 Furthermore, the Nuclear Regulatory Commission and the
18 Environmental Protection Agency have issued denials of
19 petitions for rulemaking based on that theory.

20 The next theory advanced by the Intervenors in
21 the area of uncertainty is the so-called Morgan
22 hypothesis concerning the fact, and Morgan's thesis is
23 essentially that the existing plutonium maximum
24 permissible body burdens which had their source in ICRP
25 2 and form the basis for the 10 CFR Part 20 limits for

1 plutonium, are a factor of 240 too high.

2 If one looks at Applicant's Exhibit 25 at 10
3 through 12, TR. 2,084 through 86, one can see that if
4 you change the ICRP 2 values but not the dose guideline
5 values, that is logically consistent. The derivation of
6 the dose guideline values for site suitability were not
7 dependent on Part 20 or ICRP 2, they were based on a
8 derivation which starts with Part 100 as given and then
9 weights with ICRP 26 weighting factors. So the import
10 of the first point is simply that the Morgan theory is
11 not relevant to the question of the dose guidelines.

12 In any event, the review of the available
13 scientific information contained in ICRP 30 indicates
14 that considering all of the available information, which
15 includes the Morgan theory, that at the most one would
16 see justification for a factor of 2 change with respect
17 to ICRP 2.

18 If the NRC should someday change the Part 20
19 standards to reflect that line of thinking, that is
20 fine. But in any event, that would not change the dose
21 guideline values since they are not dependent upon the
22 derivation in ICRP and 10 CFR Part 20.

23

24

25

1 I see here Applicant's Exhibit 25, TR 2084
2 through 86; also see Staff Exhibit 3 at 32 through 33,
3 TR 2515 through 15.

4 Third and last in regard to uncertainties, the
5 polonium 210 argument or one-particle theory, was raised
6 as the source of an uncertainty. Here again, we are
7 dealing with a speculative theory which is not well
8 supported by the scientific evidence, and which we
9 believe the Board should not credit. See applicant's
10 witness McCollum, TR 4043.

11 Your Honor, we submit that in regard to the
12 dose guideline values, the dose guideline values on an
13 affirmative basis have a sound foundation in terms of
14 the NRC regulations. The dose guidelines values
15 recommended by the NRC staff are predicated on those
16 regulations and include the best available scientific
17 information for the purpose of assigning weighting
18 factors. We believe that the Board should adopt those
19 guideline values in its decision and affirm their
20 validity for the purpose of site suitability analysis.

21 We think, by the same token, that the Board
22 should consider and reject the arguments presented by
23 NRDC concerning the stochastic limit of ICRP 26, the
24 ACRS recommendation, the EPA occupational standards and
25 the three theories which purportedly engender

1 uncertainty.

2 In sum, we believe that the Board should make
3 affirmative findings in regard to the staff's
4 recommended dose guideline values under contention 2E.
5 That concludes our affirmative statement.

6 JUDGE LINENBERGER: Mr. Edgar, I may have
7 heard you incorrectly. Could you check your notes and
8 tell me what you think you said with respect to the EPA
9 occupational values?

10 MR. EDGAR: I have it right here. I said that
11 they contemplate 25 millirem to whole body, 25 millirem
12 to any other organ.

13 JUDGE LINENBERGER: I thought that is what I
14 heard you say, and I think it should be rem rather
15 millirem.

16 MR. COCHRAN: If I may correct both of you, I
17 am not sure but I don't believe they are referring to
18 occupational exposures, and that is the difficulty.

19 MR. EDGAR: Let me make it entirely clear.
20 This is 40 CFR 190. I misspoke myself when I said
21 occupational. These are normal operations of activities
22 in the uranium fuel cycle. That is 25 millirem, by the
23 way.

24 The important point here is that examination
25 of the rulemaking notice, which is 39 Fed Reg, 16,906,

1 May 10, 1974, clearly indicates that these regulations
2 provide no reasonable basis for use as an analogy in the
3 dose guidelines. Thank you for the correction.

4 JUDGE MILLER: I believe the staff goes next.

5 ARGUMENT OF DANIEL SWANSON, ESQ.

6 ON BEHALF OF THE NRC STAFF

7 MR. SWANSON: Yes. As stated by Mr. Edgar,
8 the basic staff position on this issue is set forth in
9 Staff Exhibit 3 and particularly, that portion of Staff
10 Exhibit 3 that is attributed to Dr. Brannigan in that
11 testimony. I again will not repeat the matters raised
12 already by counsel for applicants.

13 The staff derivation of dose guidelines I
14 think was correctly summarized by Mr. Edgar. I would
15 like to point out just a couple of conservatisms which
16 support the appropriateness of the analysis which had
17 not been mentioned thus far, or perhaps were not gone
18 into in quite as much detail.

19 First, the staff used the dose to the thyroid
20 as a reference point for developing dose guidelines,
21 rather than whole body. This was altered in dose
22 guidelines which were three times more limiting, and
23 then the whole body dose limits were used as a reference
24 point. Discussion of that centers around transcript
25 page 2511.

1 The staff considered mortality risk weighting
2 factors from other sources than really ICRP 26. The
3 staff concluded that ICRP 26 mortality risk weighting
4 factors yielded more conservative guidelines. This is
5 discussed at transcript pages 2511 through 2512.

6 The staff specifically reviewed the Beir-I and
7 III recommendations and concluded that the mortality
8 risk weighting factors which went into the staff
9 analysis were consistent with values from the major
10 radiation protection agencies such as the Beir-I and III
11 committees, the NCRP and the UNSCEAR committees. This
12 is discussed at transcript pages 2511 through 2512; that
13 is, pages 28 through 29 of Staff Exhibit 3.

14 As stated by Mr. Edgar, it is very important
15 to understand that these guidelines are not intended to
16 be limits of acceptable doses to the public. That's a
17 point which I think has been confused somewhat in this
18 area. Rather, these doses are used for comparing sites
19 and determining site suitability. This point is
20 presented at transcript page 2512.

21 As indicated, the hot particle theory has been
22 discredited and there is not a major national or
23 international group which has supported this point.
24 This is discussed at transcript page 2514 through 15.
25 The somewhat related warm particle theory raised by

1 intervenors we think similarly has been discredited, as
2 discussed at transcript pages 4042 through 4044.

3 The collective judgment of the scientific
4 community supports the staff's use of the linear dose
5 response model in developing guidelines for Clinch
6 River. This is discussed in staff testimony at pages 33
7 through 34; that is, transcript pages 2516 through 17.

8 Dose guidelines for additional body organs
9 which are not specified by Part 100 were based upon the
10 mortality risk weighting factors recommended by one of
11 the major radiation protection organizations. That is
12 ICRP 26. This is discussed in the pre-filed testimony,
13 Staff Exhibit 3 at page 34, that is transcript 2517.

14 The testimony presented by Dr. Morgan I think
15 was addressed, to a large extent, by Mr. Edgar already.
16 There was a point raised by Dr. Morgan, however, that we
17 would like to point out is inconsistent with the record,
18 and that is, his assumption of doses based on the use of
19 recycle of LWR fuel. The staff in presenting its
20 analysis addressed only the fuel, as proposed in the
21 application, and I think that you can find numerous
22 cites to the transcript which support the proposition --
23 the assumption of the staff that, in fact, recycled LWR
24 fuel would not be used, and that the resulting doses
25 from such use would not be as projected by Dr. Morgan.

1 The staff's choice of the use of plutonium
2 isotopic composition is discussed at transcript page
3 3128. The applicants also discuss that at page 3130, as
4 far as the applicant's choice of plutonium isotopic
5 concentration. The applicants testified they do not
6 propose to use any high-burnup LWR fuel such as the
7 33,000 megawatt base per metric ton of fuel proposed by
8 Dr. Morgan. This was stated at transcript 1833 by Mr.
9 Strowbridge.

10 The record indicates that if, in fact, the
11 applicants sometime in the future chose to use some
12 other kind of fuel, as are proposed or relied on by Dr.
13 Morgan, that would be a change in the application and
14 such a change would have to go through the normal
15 licensing reviews at that time. Staff witness Holman
16 addressed this at transcript page 2348. Applicant
17 witness Strowbridge also agreed to this point at
18 transcript page 1833.

19 As a conclusion, the use of four-year or
20 two-year recycled LWR plutonium, as Dr. Morgan relied on
21 in his testimony, would be precluded under the current
22 application. Applicants conceded this at transcript
23 page 1834 by Mr. Strowbridge.

24 Another aspect of Dr. Morgan's testimony that
25 I would like to briefly mention is Dr. Morgan argues for

1 a lower limit on body doses but fails to recognize that
2 these limits he's talking about are not permissible
3 occupational exposures, but are reference values which
4 can be used in evaluating reactor sites with respect to
5 potential reactor accidents of low probability of
6 occurrence and low risk of public exposure.

7 In other words, again, we're talking about
8 doses which are not used for absolute limits under Part
9 100 but are used for evaluating sites. And I think Dr.
10 Morgan simply fails to recognize in his testimony the
11 proper use of these guidelines. This matter is
12 discussed in staff testimony at transcript 2515, and
13 also, at page III-9 of the site suitability report,
14 Staff Exhibit 1.

15 Moreover, unlike Dr. Morgan who concentrated
16 on the dose contribution of plutonium 239, the staff
17 dose guidelines considered the whole spectrum of
18 radionuclides, which includes plutonium 239. This is
19 discussed in greater detail at page III-8 of the site
20 suitability report, Staff Exhibit 1.

21 Dose guidelines which are used to evaluate the
22 consequences of the site suitability source term release
23 at the exclusionary boundary and the LPZ boundary are
24 specified in Part 100, and as I indicated before, those
25 additional organ dose guidelines which are not found in

1 Part 100 were derived using ICRP 26, as pointed out in
2 III-9 of the site suitability report.

3 As an additional conservative measure, the
4 staff added the guideline that mortality risk equivalent
5 to whole body dose from postulated design basis
6 accidents for Clinch River must be no greater than the
7 mortality risk equivalent to whole body dose value for
8 Part 100 for an LWR. This is discussed in staff
9 testimony, Exhibit 3 at page 34.

10 The staff concluded after considering the
11 various aspects of issue 2E, that the guidelines for
12 evaluating doses from postulated accidents for Clinch
13 River are appropriately conservative and are appropriate
14 for use in the site suitability analysis. This is
15 discussed on page 34 of Staff Exhibit 3; that is,
16 transcript page 2517. We believe that the record
17 adequately supports this conclusion, and that the Board
18 should find similarly.

19 That concludes our argument.

20 JUDGE MILLER: NRDC?

21 ARGUMENT OF THOMAS E. COCHRAN, ESQ.

22 ON BEHALF OF NATURAL RESOURCES DEFENSE COUNCIL

23 MR. COCHRAN: Mr. Edgar hit upon the major
24 points at issue. I would like to present them in a
25 little different frame of light.

1 In the 1977 site suitability report, the staff
2 used a factor of 10 to reduce the dose guidelines to the
3 lung and bone dose at the CP&LW stages. This factor of
4 10 was the product of two factors; a factor of 2 to take
5 into account uncertainties in the final design detail of
6 meteorological new data, and calculational techniques
7 that might influence the final design of engineered
8 safety features or the dose reduction factors or allowed
9 for those features. And also, a conservative factor of
10 5 to take into account uncertainty in the dose and
11 health effects models. This is transcript 3081, Cochran.

12 Now, in the 1982 site suitability report,
13 Staff Exhibit 1, page 3-9, the staff reduced the
14 uncertainty factor from 10 to 2, in effect reducing to
15 zero the factor to take into account uncertainties in
16 the dose and health effects model, or folding that into
17 the remaining factor of 2, claiming that the factor of 5
18 to take into account the uncertainty in the dose and
19 health effects models was no longer needed. TR 2513 to
20 14, Brannigan.

21 Now, the major or principal thrust of our
22 contention here is that the reduction or elimination of
23 this additional factor of 5 for plutonium is not
24 warranted at this time, based on the events that have
25 taken place between 1977 and 1982.

1 First, it should be noted that with respect to
2 these remaining factors, the meteorology and design
3 details and so forth, there's already a factor of 2
4 uncertainty in these alone. So in fact, by reducing the
5 uncertainty factor from 10 to 2, you, in effect, are
6 allowing for zero uncertainty with respect to the dose
7 and health effects modeling for plutonium.

8 And we gave one example of this. Staff
9 witness Spickler testified that the meteorological pi
10 over Q values differed by a factor of 2 from the 1977
11 SSR and the 1982 SSR. That's TR 2394. I don't have the
12 cite but I believe Spickler indicated that that was
13 primarily due to a change in the calculational procedure
14 for this particular example.

15 It is intervenor's position that the
16 uncertainty with regard to the risks associated with
17 plutonium exposure, the modeling of those risks for lung
18 and bone surfaces which are controlling, are in fact
19 larger than a factor of 10 and that a factor of 10 -- or
20 even certainly larger than a factor of 5, and that that
21 factor of 5 or 10 is really not a conservative
22 assumption to begin with.

23 Now as indicated by the other parties, we gave
24 several examples, and I will just go through these so we
25 can find the appropriate references in the transcript.

1 The adequacy of current federal radiation standards for
2 plutonium and other transuranic elements has been a
3 matter of considerable debate for a number of years. TR
4 3081, Cochran. And in this regard, there are several
5 examples which evidence the uncertainties and the risk
6 associated with plutonium and transuranic exposure.

7 The first example we gave was based on the
8 argument set forth by Dr. Carl Morgan in the American
9 Journal of Industrial Hygiene, August 1975.

10 The current plutonium 239 standard, based on
11 ICRP-2, was established at a tenth of a microcurie --
12 established using one-tenth a microcurie of radium 226
13 as the reference standard. That's TR 3142, Morgan. TR
14 2084, McClellan, Healey and Thompson.

15 Deriving the bone surface dose directly from
16 the radium 232 standard based on the approach by Morgan
17 in the American Journal of Industrial Hygiene, August
18 1975, TR 3141, Morgan, is a preferred methodology for
19 estimating the bone surface dose due to plutonium
20 exposure and for establishing the maximum permissible
21 bone and bone surface exposure levels. TR 2960, 2961,
22 3139, 2314, Morgan.

23 This is a matter of dispute, and the other
24 parties have indicated other experts that don't agree
25 with Morgan on this matter.

1 Applying Morgan's approach would increase the
2 staff's estimated bone dose by a factor of 240, TR 3141,
3 Morgan. By the same token, the current NRC standards
4 for the plutonium exposure are too high by a factor of
5 24. TR 3141, Morgan. TR 3140, Cochran.

6 Now, Mr. Edgar mentioned that going from
7 ICRP-2 to ICRP-30 models results in a change by a factor
8 of 2 overall. And his factor of 2 comes from a sort of
9 best memory estimate by one of the applicant witnesses.
10 I believe it was Thompson, I'm not sure. But it's
11 really more like a factor of 3, but that's really
12 neither here nor there. But you can get the actual
13 factor right out of the record by comparing bone surface
14 doses versus bone doses as given by the staff in the two
15 calculations in the site suitability analysis.

16 But the point is that there are experts,
17 principally Morgan, that don't believe that the ICRP-30
18 models are adequate in this regard and that there are
19 other approaches that are preferred. And that the bone
20 dose, -- if you use the Morgan approach, the bone dose
21 or bone standard, I should say, the permissible body
22 burden based on bone exposure would change by a factor
23 of 240. And if you discard the factor -- if you take
24 into account the factor of 3 from ICRP-2 to ICRP-30,
25 there is still a resulting sort of difference of opinion

1 of a factor of 80 between the different experts in this
2 regard.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 I have found the reference to the factor of
2 two that Mr. Edgar was referring to. It's TR. 2085,
3 McClellan, Beyea and Thompson.

4 A second example of the potential
5 nonconservatisms in the current limits that the Staff is
6 using, which are based on this ICRP 26 weighting factor
7 approach, is evidenced by the hypothesis of Markell that
8 the principal cause of tobacco-related carcinoma is a
9 result of the inhalation of plutonium-210, an alpha
10 emitter, in cigarette smoke. It is often referred to,
11 as Mr. Edgar indicated, as the warm particle hypothesis,
12 and is described at TR. 2082 to '83, Cochran.

13 With regard to Markell's hypothesis, it is
14 noted in a series of letters to the editor appearing in
15 the "New England Journal of Medicine," volume 307, 29
16 July, 1982, at pages 309 to 313, that the localized
17 distribution of plutonium-210 in the bronchial region of
18 the lung now appears to be a thousand times more
19 carcinogenic than gamma radiation, as compared to the
20 factor of 10²⁰ currently assumed. TR. 3083, Cochran.

21 There is an Applicant response to the
22 plutonium-210 hypothesis at TR. 4042 to '44 by
23 McClellan, in response to some questions by Mr.
24 Swanson. The Staff witness indicated he had virtually
25 no familiarity with this work. That is at TR. 2336,

1 Branigan.

2 Witness Cobb cited the plutonium-210 work as
3 part of the basis for his view that the present and
4 proposed standards of guidelines for plutonium and other
5 alpha emitting radionuclides, like americium and
6 uranium, may be seriously inadequate to protect the
7 public. TR. 3101 to 3102, Cobb.

8 A third example of possible nonconservatism
9 in the Staff's approach is the evidence presented by Dr.
10 John Cobb, TR. 3101 to 3109, Cobb, to the effect that
11 the present and proposed standards or guidelines for
12 plutonium and other alpha emitters, like americium and
13 uranium, may be seriously inadequate to protect the
14 public. TR. 3101, Cobb.

15 Cobb's concern was based on the findings of
16 recent research in four related areas: the findings of
17 his EPA-contracted study of plutonium in tissue of
18 people who live near Rocky Flatts plutonium weapons
19 facility; the findings of several epidemiological
20 studies showing an excessive cancer mortality and
21 incidence in the areas near and downwind from Rocky
22 Flatts; the findings of animal experiments suggesting
23 that at very low dose rates alpha emitters like
24 plutonium-239 and polonium-210 are very much more
25 carcinogenic than had previously been suspected, perhaps

1 by as much as a hundred times; the findings of animal
2 experiments showing that plutonium and other alpha
3 emitters caused mutations and genetic defects, as well
4 as cancers. Transcript 3102, Cobb.

5 Cobb concluded, based on his findings, at TR.
6 3103 to 3105 that we may have underestimated the
7 toxicity of plutonium by a large factor and we probably
8 overestimated our ability to control it, as shown by the
9 experience at the Rocky Flats plutonium weapons
10 facility, TR. 3109, Cobb. The plutonium burden on
11 humans near the Rocky Flats plutonium nuclear facility,
12 TR. 2284 to '85, Cobb, and the cancer incidence in that
13 period, TR. 2898, Cobb, suggests that the quantity
14 factors for alpha radiation may be too high -- may have
15 to be as high as a thousand if indeed the cancers which
16 have been observed in the area near Rocky Flats are
17 caused by the plutonium which is found in humans in that
18 area, TR. 2888 and 2919, Cobb.

19 Now, the fourth example we gave for the
20 possible nonconservatism was the hot particle
21 hypothesis, and we will stipulate that there is not much
22 support beyond the authors of that document in the
23 written literature. So I won't dwell on that.

24 The point of these examples -- well, there is
25 one more. I'll add a fifth example, and that was, Dr.

1 Carl Johnson challenged the adequacy of the scientific
2 basis for the existing plutonium standards, namely
3 ICRP-2 and proposed EPA guidance, the EPA 520/4-77-016,
4 for plutonium soil contamination, and citing several
5 studies in the literature which supported Dr. Johnson's
6 opinion in this regard, TR. 6026 to '27, 6029 to '30,
7 5859, 5922 to '25, 5941 to '42, all Johnson.

8 The point of this evidence is that there
9 remains substantial uncertainties with regard to the
10 dose and health effects associated with alpha radiation,
11 particularly from the trans-uranics. And that's not to
12 say that ICRP has not taken a different position as of
13 its latest reports as to whether one should -- as to
14 what sort of quality factors or dose distribution factor
15 one should assume in estimating the dose or, said in
16 another way, what assumptions they make with regard to
17 how one calculates the risks associated with plutonium
18 exposure.

19 It is just that there are other experts that
20 disagree, and we have cited a number of examples and
21 brought, in fact, the experts in to so testify, namely
22 Dr. Morgan and Dr. Cobb and Dr. Johnson. So, citing the
23 -- taking the ICRP 26 weighting factors as the best
24 estimate of relative risks of whole body dose and
25 thyroid dose and so forth is not the same as suggesting

1 that there won't be changes in these weighting factors
2 during the next decade, as evidenced by the fact that
3 there is a major debate in the scientific community over
4 the adequacy of these standards.

5 And you simply, in our view, can't set aside
6 one hypothesis with another hypothesis. I mean, you can
7 say that, yes, we'll take the ICRP 26 weighting factors
8 today, but I think any reasonable examination of the
9 evidence would indicate that there is substantial
10 uncertainty there and that these things are subject to
11 change in the future.

12 Therefore, it's our position that it was
13 improper to knock out the factor of five that was used
14 in the 1977 site suitability report to account for these
15 uncertainties. Now, it's interesting that the Staff in
16 1977 included that factor of five, I think in large
17 measure because of the debate surrounding the hot
18 particle report. I can't cite anything in the record to
19 support that, but they gave in their evidence several --
20 cited several studies to in effect claim that the issue
21 had gone away.

22 And one of those, of course, was the critique
23 of the hot particle analysis by Kaplan and Cochran. The
24 other was the BEIP III. Well, BEIP III is very
25 interesting, because if you look at the -- you read the

1 section on lung dose in the BEIR III report, and it's in
2 the record at TR. 3084 to '85, Cochran. You will see
3 that even the BEIR III report recognizes that the
4 evidence is still insufficient to determine whether
5 aggregates of radioactivity that remain localized in
6 specific regions of the lung give a greater or smaller
7 risk of lung cancer per average lung dose than uniformly
8 deposited radiation.

9 Preliminary experimental data indicates that a
10 small fraction of inhaled insoluble particles may remain
11 in the bronchial epithelial layer for long periods, but
12 the significance of this local exposure on lung cancer
13 risk is still uncertain. The BEIR III report
14 acknowledges the fact that there is still uncertainty in
15 this area.

16 It is not in the record, but that was written
17 by Dr. Radford, who happened to be an advocate of the
18 warm particle hypothesis. So it's not -- but just take
19 the BEIR III report on its face. There's still
20 uncertainty, and the uncertainty factors applied by the
21 Staff should recognize that.

22 Now, what is the range of the uncertainty?
23 Well, we would say the uncertainty ranges something on
24 the order of a factor of 80 or 100 or so, depending on
25 which study you want to use to define the outside limits

1 of the uncertainty range. But clearly the uncertainty
2 is much larger than a factor of five, which the Staff
3 has dropped altogether.

4 Now, the Applicants in their summary responded
5 to several other pieces of evidence that the Intervenors
6 have raised. The application of stochastic limits, the
7 ACRS recommendations, the EPA fuel cycle limits are
8 examples. I want to sort of put those in perspective.

9 There are now no dose guideline values for
10 bone and lung in 10 CFR Part 100. I don't think that's
11 in dispute, but that's TR. 3013, Cochran. And there are
12 several alternate ways of selecting guideline values for
13 bone and lung. That is TR. 3013, Cochran, TR. 2511,
14 A-53, Branigan.

15 Now, the Staff has adopted -- well, in fact
16 they adopted one procedure in the old 1977 site
17 suitability report, and in the intervening years they
18 have adopted another procedure using the ICRP 26
19 weighting factors. At Tr. 3078, Cochran, and TR. 2511,
20 A-53, Branigan.

21 Now, Intervenors offered evidence to show that
22 there is more than one way to skin a cat in this, trying
23 to pick some sort of appropriate value for guideline
24 value for bone and bone surface, and that there wasn't
25 -- and that part of the purpose of that exercise was

1 simply to show that there are a variety of ways to
2 approach this problem and that some are more
3 conservative than others.

4 Now, it's sort of interesting that Mr. Edgar
5 in responding to evidence on the ICRP stochastic limits
6 said, well, look at what happens if you apply this.
7 This is a direct challenge to the 300 rem to the thyroid
8 value. Well, in fact, what one finds is there's no way
9 you can do anything without challenging either the 25
10 rem, the existing 25 rem number for the whole body, or
11 challenging the existing 300 rem thyroid value, because
12 the two are not consistent using any approach that
13 anybody here would recommend.

14 And in fact, the Staff as much as said that.
15 They just kind of twist the words around. Instead of
16 saying it is a challenge to the existing standard, they
17 say, well, we had two alternatives and we applied it
18 here and took the more conservative alternative, which
19 means if you applied it there it's a challenge to the
20 other one.

21 Well, everybody here recognizes that anything
22 that you do is going to challenge either the 20 -- I
23 mean, when you try to come up with a number for the bone
24 surface and the lung, you're going to challenge either
25 the thyroid or the whole body. There's no way, in the

1 existing standards, there's no way you can get around
2 that. So that is hardly a basis for rejecting the ICRP
3 stochastic limits.

4 Now, Mr. Edgar raised another objection to it
5 when he said, the stochastic limits are an annual limit,
6 and he suggested if you really added up the annual
7 limits over 30 years you would end up with 1500 rems.
8 Well, that is true, but I think that is inappropriate.
9 I think the stochastic limits are meant to limit the
10 amount of exposure in any one annual period, to prevent
11 the effect.

12 I in the last few minutes misspoke. I am
13 referring to the non-stochastic limit of 50 rems per
14 year, not the stochastic limit. So the previous
15 statements should be so corrected.

16 With regard to the ACRS statements, well, the
17 ACRS statement is in the record and we can all read it
18 and see what it says. I won't get into a debate on how
19 they worded it.

20 Now, there is another sort of argument against
21 some of these alternative ways you could obtain a more
22 conservative limit for bone or bone surface, and that is
23 the reference to the fact that in 10 CFR 100 there's a
24 statement that these values are not meant to imply that
25 these are acceptable values for emergency conditions,

1 they are reference values, and so forth.

2 I interpret that the same way I do the
3 admonition that runs throughout virtually every
4 recommended standard put out by a radiation protection
5 organization, and that is, you know, the limit, even the
6 5 rem occupational exposure limit, is not an acceptable
7 limit of exposure. You must go on to ensure that all
8 exposures are kept as low as reasonably achievable.

9 I mean, they're saying the same thing here,
10 that 25 rems whole body is not an acceptable limit for
11 whole body exposure. You have to do as better than that
12 as you can. And I don't think you should read any more
13 into that than the admonition that none of these limits
14 were meant to constitute acceptable levels of exposure.

15 Now, in this same regard, the original intent
16 behind 10 CFR 100 dose guidelines was to ensure that
17 siting of the plant would not result in serious injury
18 to individuals offsite if the unlikely but still
19 credible accident should occur. And I mean, I'm just
20 reading 26 Federal Register 1224, February 11, 1961, TR.
21 3079, Cochran.

22 Therefore, I think it's inappropriate to say
23 one should just look at these levels as reference levels
24 and not imply that there is some intent there to protect
25 the public health and what level you are establishing,

1 and therefore that because of what Intervenors believe
2 is still substantial uncertainty with regard to the
3 appropriate levels, if the -- we believe if the ICRP
4 weighting factors are taken as the Staff's best approach
5 of establishing what the bone surface and lung guideline
6 values should be, we think they should continue to
7 recognize the significant uncertainties in that and
8 apply the uncertainty factors as before.

9 In fact, we believe they should an even much
10 larger uncertainty factor, instead of 5 something closer
11 to 80 or in that neighborhood.

12 With regard to the arguments that these annual
13 dose equivalent limits are not applicable, we
14 Intervenors believe the annual dose equivalent limits,
15 such as in the EPA and 40 CFR 190 standards, can be used
16 to give some indication of where one should properly
17 establish dose guideline values for lung or bone or bone
18 surface from plutonium exposure in order to provide
19 adequate public health under 10 CFR 100. That is TR.
20 3004, Cochran.

21 And the effect of this, of applying these, is
22 given at TR. 3080 by Cochran and TR. 2991 to '92,
23 Cochran. And with regard to the proposed guidance on
24 the dose limits for persons exposed to trans-uranic
25 elements, the EPA report, I refer you to TR. 3139,

1 Morgan, TR. 2884, 2890 to 2893, Cobb, TR. 2913, Cobb,
2 and 3139, Morgan.

3 While there's no proof that the EPA-proposed
4 limits and guidance are inadequate, there is indication
5 that they may be seriously inadequate to protect the
6 public health, TR. 3101, 2907, Cobb, and TR. 6029 to
7 '30, Johnson. And I should also say TR. 2098 and 3103,
8 Cobb, and TR. 6029 to '30, Johnson, in this same
9 regard.

10 That concludes my summary.

11 JUDGE MILLER: Any rebuttal?

12 REBUTTAL ARGUMENT OF GEORGE EDGAR, ESQ.,

13 ON BEHALF OF APPLICANT,

14 PROJECT MANAGEMENT CORPORATION

15 MR. EDGAR: Yes, Your Honor.

16 Initially a point of clarification, before
17 Judge Linenberger catches me. I gave an incorrect cite
18 at the very beginning of my argument. I had cited a
19 series of four documents as the primary source of
20 affirmative evidence, one of which was Staff Exhibit 1
21 at Roman II-10 through 13. That is incorrect. It
22 should be Roman III-9 through 11. The exhibit number
23 was correct. The page numbers were confused or
24 incorrect.

25 Several points we think the Board should take

1 into account. The first is, the argument has been
2 presented concerning ICRP 2 versus ICRP 30 and the
3 apparent factor of two difference between the two. If
4 true, the question remains, what is the significance of
5 that in the context of the dose guideline values?

6 The important point here is that the
7 derivation of the dose guideline values is in no way
8 dependent upon ICRP or 10 CFR Part 20. Applicant's
9 Exhibit 25 at 10 through 12, TE. 2084 through '86,
10 points out that irrespective of what may happen in
11 regard to ICRP 2, that will not affect the dose
12 guideline values. The dose guideline values have their
13 origins in the existing Part 100 values for thyroid,
14 plus the ICRP 26 weighting factors.

15 Thus, the conclusion can be drawn directly
16 that argument about ICRP 2 versus ICRP 30 is irrelevant
17 to the dose guideline values. Granted, Dr. Cochran and
18 Dr. Morgan do not agree with the existing Part 20 values
19 in ICRP 20, and they believe that they should be lowered
20 by a factor of 240. That is not in issue here. That
21 challenges another set of regulations which are not
22 under contention. Thus the point is simply irrelevant.

23 Another minor factual point. Dr. Cochran
24 asserted in argument, as he has in the past, that lung
25 and bone are always the controlling organs. The

1 evidence does not suggest that that is true. See Staff
2 Exhibit 1 at Roman III through XI.

3 A point that I had not considered significant
4 enough to identify as a major issue in dispute concerned
5 Dr. Cobb's testimony. It was raised on oral argument.
6 I will respond very briefly.

7 Under cross-examination Dr. Cobb admitted that
8 he did not know whether or in what way his testimony
9 related to the dose guideline issue. That is TR. 2897
10 through '98. Secondly, Dr. Cobb's testimony addressed
11 the adequacy of the EPA-proposed guidance for
12 contamination in soil, the so-called screening
13 guidelines for cleanup. TR. 2884 through '5.

14 The EPA guidelines which are proposed for
15 screening on cleanup of contaminated areas are simply
16 not applicable and are simply not relevant to the dose
17 guideline issue. See the discussion, Applicant's
18 Exhibit 25 at 8 through 9, TR. 2082 through '83.

19 In the same vein, Dr. Johnson's testimony,
20 which Dr. Cochran described in argument this afternoon
21 as "challenging the scientific basis for ICRP 2," for
22 the same reasons previously stated in rebuttal, this
23 testimony is irrelevant to the dose guidelines. See
24 Applicant's Exhibit 25 at X through XII, TR. 2084
25 through '86.

1 We have heard a great deal about uncertainty.
2 We have heard a great deal about the hot particle
3 hypothesis or the Morgan hypothesis and the polonium-210
4 warm particle hypothesis. We submit that the evidence
5 in the record sponsored by qualified experts
6 demonstrates that none of those three theories are
7 significant sources of uncertainty.

8 JUDGE MILLER: We'll take about a ten-minute
9 recess. We're ready to go on, I assume, to the next
10 subject, are we not?

11 MR. EDGAR: My count says, subject Roman V,
12 11B and C, health effects.

13 JUDGE MILLER: We'll resume there.

14 (Recess.)

15

16

17

18

19

20

21

22

23

24

25

1 JUDGE MILLER: Are we ready?

2 ARGUMENT OF GEORGE L. EDGAR, ESQ.

3 ON BEHALF OF PROJECT MANAGEMENT CORPORATION

4 MR. EDGAR: The next subject is Contentions
5 11B and C, which deal with the genetic and somatic
6 effects of operation of the Clinch River breeder reactor
7 plant. There are two points that I would like to make
8 by way of introduction in terms of scope.

9 The first is that this contention was admitted
10 on the basis of the so-called residual risk theory; that
11 is, the residual risk theory contemplates that assuming
12 operation in accordance with existing regulatory
13 requirements, that there nevertheless is some
14 irreducible or residual health effect; that therefore,
15 it is appropriate to undertake a calculation or analysis
16 of these health effects. And this is precisely what
17 applicants and staff have done in connection with
18 Contention 11B and C.

19 The major sources of affirmative evidence here
20 consist of applicant's Exhibit 42 and Staff's Exhibits
21 12 and 13. Applicant's Exhibit 42 is the direct
22 testimony of Dr. Preston, Dr. McClellan and Dr. Thompson
23 and Mr. Healey; whereas Exhibit 12 and 13 are the
24 testimony of Dr. Binder and Dr. Brannigan for the NRC
25 staff.

1 There was another fundamental point on scope,
2 and that is by its terms and consistent with the Board's
3 rulings, this contention deals with the effects of
4 operation of the plant; that is, the Clinch River
5 Breeder Reactor plant, and not other facilities
6 including fuel cycle facilities.

7 The contentions have the thrust that the
8 genetic and somatic effects of Clinch River operation
9 are not adequately assessed. The answer to that is that
10 the genetic and somatic effects have been evaluated and
11 properly analyzed by highly competent scientists.
12 Applicant's expert's qualifications appear at Applicant's
13 Exhibit 42 at 30 through 37, TR 4296 through 4303. The
14 staff's expert's qualifications appear first at Staff's
15 Exhibit 12, TR 4125, Staff's Exhibit 13, TR 2527.

16 The analyses performed by the applicants and
17 staff respectively can be compared and the basic
18 assumptions used can be compared, and perhaps it would
19 be of aid to the Board to have in the record in one
20 place a comparison of these calculations with detailed
21 record citations. It struck me in preparing the
22 argument that an assemblage of the information in one
23 place enables one to capture the meaning of the
24 information a little more fully.

25 In terms of first the genetic effects

1 category, which is Contention 11B, the NRC staff and
2 applicants used several different bases for risk
3 estimation. The applicants used the BEIR III values.
4 That is stated in Applicant's Exhibit 42 at 5. Dr.
5 Binder for the staff used risk estimators from the BEIR
6 III report; that is in Staff's Exhibit 12 at 6. In the
7 staff's FES supplement, BEIR I risk estimators were
8 used; that is, Staff's Exhibit 8 at 5-15.

9 In terms of results, the applicant's results
10 appear at Applicant's Exhibit 42 at 24. The applicants
11 computed genetic disorders per million live born for the
12 general public as a result of CRBR operation. The
13 applicants computed a range of 0.06×10^{-3} to 0.29
14 $\times 10^{-2}$. By comparison, the calculated current
15 incidents in the population due to background causes is
16 107 per million live born.

17 In terms of occupational exposure, the
18 applicants computed a range from 0.19×10^{-3} to
19 1.3. By way of comparison, the calculated current
20 incidents per million live born in the population is 106.

21 The staff calculated values in the FES for
22 combined occupational and general public. Those values
23 are given at FES supplement; that is, Staff Exhibit 8 at
24 5-21, as 0.3 per million live born per reactor year.
25 Dr. Binder in Staff Exhibit 12 at 10 calculated combined

1 occupational and general public value of 1.8 to 33
2 genetic disorders per million live born over all time.
3 This would translate into approximately 0.06 to 1.1 per
4 million live born per reactor year.

5 Both Dr. Binder at TR 4095 and Dr. Preston in
6 Applicant's Exhibit 42, considered the countervailing
7 arguments and the expertise offered by Dr. Goffman in
8 connection with the genetic effects and the bases for
9 estimating genetic effects of ionizing radiation. I
10 would commend to the Board in particular the discussion
11 in the first section of Applicant's Exhibit 42 by Dr.
12 Preston which addresses in complete detail the contrary
13 views expressed by Dr. Goffman and shows that those
14 views have been accounted for and, indeed, are incorrect.

15 In terms of somatic effects, the comparisons
16 which involve Contention 11C can be stated first in
17 terms of the bases for analyses. In terms of risk
18 estimators, that would be cancer mortality per million
19 person rems. The staff in Staff Exhibit 13 used a risk
20 estimator from the BEIR I report. That model used from
21 the BEIR I report was the absolute risk model which had
22 a linear non-threshold dose-response model.

23 The applicants, in Applicants Exhibit 42 at
24 27, used BEIR III risk estimators. They used both an
25 absolute risk and a relative risk model to show a range

1 of values, and as with the staff, used a linear
2 non-threshold dose-response model.

3 Both staff and the applicants have applied the
4 linear no-threshold model since it is more conservative
5 than the lineal quadratic estimator, which is an
6 alternate expressed in the BEIP report.

7 In terms of calculations, the dose times the
8 risk estimator, the staff in Exhibit 13 calculated for
9 the public 6.7×10^{-7} . That appears at page 7 of
10 Staff Exhibit 13. For the plant workers, the staff
11 calculated 0.14, and that appears at page 8 of Staff
12 Exhibit 13.

13 The applicants in Applicants Exhibit 42 at 28,
14 calculated for the public a range of values from 1.5×10^{-4}
15 to 5×10^{-5} , and for the plant
16 workers a range from 0.07 up to 0.2.

17 The basic thrust of this affirmative evidence
18 is that the staff's and the applicant's calculations are
19 consistent; they differ in respect to some of the
20 assumptions made, but the range of values reported are
21 essentially the same. The methodologies are clearly
22 stated and the health effects are conservatively
23 estimated.

24 In terms of the real issues in dispute in the
25 record, I must confess some difficulty in discerning

1 just what they are. The intervenors did not file
2 testimony in this subject area, and having searched
3 rather carefully the cross examination, we must go to
4 some length to define a set of contested issues.

5 The first issue -- and I use the term
6 charitably -- is that there were questions raised
7 concerning the validity of using the linear
8 non-threshold model. See TR 4022. The linear
9 non-threshold dose model was used because it is the most
10 conservative model. Applicant's Witness Thompson, TR
11 4030, Staff Exhibit 13 at 6. Dr. Brannigan, TR 4119,
12 Applicant's Exhibit 42 at 26, TR 4292.

13 The applicants also used both the absolute and
14 relative risk methods to calculate a range of somatic
15 effects. That appears in Applicant's Exhibit 42 at 27,
16 TR 4293. Having used this range, it is the applicant's
17 opinion expressed by Dr. McClellan that it is very
18 unlikely that the upper bound values would be exceeded.
19 That is TR 4033.

20 There was also a possible issue concerning the
21 uncertainty inherent in the BEIR III risk estimators.
22 There was at least one subissue that seemed to revolve
23 in the cross examination and that is the question of
24 whether the somatic risk estimators are likely to be
25 significantly affected by re-examination of the data

1 from Hiroshima and Nagasaki. That point was directly
2 addressed by applicant's witness, Dr. Thompson, TR
3 4029. The answer is straightforward; the answer is no.

4 Secondly, in terms of the uncertainty in the
5 genetic effects model, the record is quite clear. There
6 was some questioning as to whether the BEIR III genetic
7 effects estimators constituted an upper limit.
8 According to staff witness Binder, an eminently
9 qualified geneticist, sthey do, in effect, constitute an
10 upper limit. That is TR 4069.

11 Dr. Binder went on to emphasize that he
12 believes that represents the highest plausible or
13 credible estimate. TR 4071.

14 Furthermore, Dr. Binder went on to say that
15 it's highly unlikely that there are significant unknown
16 effects which may exist in the risk estimators for
17 genetic effects. See TR 4092.

18 We thus submit, Your Honor, that the
19 affirmative evidence in the record clearly demonstrates
20 that the somatic and genetic effects of operation of the
21 Clinch River Breeder Reactor plant have been adequately
22 analyzed and, indeed, have been extremely conservatively
23 analyzed. We submit that the Board should find that
24 that analysis is both adequate and conservative.

25 JUDGE MILLER: I guess it's NRDC's turn.

1 ARGUMENT OF THOMAS B. COCHRAN
2 ON BEHALF OF NATURAL RESOURCES DEFENSE COUNCIL
3 AND THE SIERRA CLUB

4 MR. COCHRAN: The estimate of somatic and
5 genetic risks associated with ionizing radiation are
6 generally performed by multiplying a risk estimator or
7 risk estimators times the whole body or some appropriate
8 organ dose. And this is, in fact, the approach that was
9 used by the staff in the FES, and it's also the approach
10 used by the applicants, and there's no dispute on sort
11 of the -- in regard to the general technique that was
12 taken.

13 The somatic and genetic risk estimators
14 assumed by the staff in the NEPA analysis were based on
15 BEIR I and are given at pages 5-14 to 5-15 of the FSFES.

16 The issue here is a rather straightforward
17 one; that is, whether the staff's NEPA analysis is
18 adequate if they selected estimators from a document in
19 the literature or one or more documents, without
20 discussing the uncertainties in those estimates as
21 represented by the range of expert opinion with regard
22 to the appropriate value or range of values.

23 Now the issue is not over whether one should
24 assume a linear non-threshold model or even whether the
25 absolute or relative risk model is better or worse.

1 Intervenor recognize that there is debate in the
2 literature on those matters. But whether or not the
3 staff in its NEPA analysis is obligated to discuss the
4 full range of expert opinion with regard to, in this
5 case, the somatic and genetic risk estimators.

6 Now, Cochran in Appendix J testimony, Part 4,
7 indicated that expert opinion on cancer risk
8 coefficients differs, in some cases markedly, from the
9 upper limit BEIR III estimates. For example, the
10 estimates by Morgan and Goffman -- and this is at TR
11 6229 to 30.

12 Applicant witness McClellan said in
13 determining the uncertainties in the BEIR III data and
14 the adequacy of BEIR III models, it would be prudent to
15 consider the views of other experts in the field.
16 That's at TR 4022 to 25. And applicants admitted that
17 the Nagasaki dose re-evaluations may indicate one of the
18 models used in BEIR III is not appropriate; a linear
19 quadratic model. That, however, was not the model that
20 applicants used in their own testimony, but that is at
21 TR 4029 to 31, Thompson.

22 The staff -- our difficulties are more with
23 the staff's representation than the applicant's
24 representation -- the staff's representations
25 principally in the NEPA document, rather than the

1 applicant's representations in their own testimony,
2 because the staff used a point estimate value for the
3 cancer risk coefficient; namely, a geometric mean
4 between two values, two BEIR I limiting values.

5 The applicant, more appropriately, looked at a
6 range of values but failed to consider expert opinion
7 beyond that given by the BEIR committee, as indicated by
8 Mr. Edgar. Their calculations were based on BEIR III,
9 which are -- with respect to the ranges, they are not
10 terribly different from the ranges in the BEIR I
11 estimates that are found in the FES at page 5-15, TR
12 4147 to 48.

13 Applicant's testimony indicated that a range
14 of values is more appropriate than a single estimate,
15 which is the approach that the staff took because of the
16 substantial uncertainty in the actual effects.

17 Staff witness Binder I believe felt that
18 generally, it's prudent to use a range of estimates in
19 determining genetic effects, and intervenors feel the
20 same applies to the cancer risk coefficients. That is
21 at TR 4083. Staff witness Binder also stated that the
22 findings of the BEIR III committee are still subject to
23 evaluation change based on new information and analysis
24 -- TR 4076 -- and that a single estimate does not give
25 the reader any real feeling for the possible variance

1 about that estimate. That is at TR 4084.

2 The staff admitted that the BEIR III report
3 genetic estimates in terms of overall health are subject
4 to great uncertainties and that the range of plausible
5 values are broad and that there's no assurance that the
6 true values are within these ranges, and that future
7 information will necessitate revisions. That's TR
8 4092. Yet, the staff failed to discuss the
9 uncertainties in the cancer and genetic risk
10 coefficients in any meaningful way in the FES.

11 So in summary, our criticism is directed
12 toward the treatment of uncertainties and with regard to
13 both staff and applicant, their failure to acknowledge
14 in the NEPA analysis that there is expert opinion that
15 ranges beyond the limits defined by the BEIR I and BEIR
16 III dose estimates.

17 That concludes my statement.

18

19

20

21

22

23

24

25

1 JUDGE MILLER: Staff.

2 MR. SWANSON: Yes.

3 ARGUMENT OF DANIEL SWANSON, ESQ.,

4 ON BEHALF OF NRC STAFF

5 MR. SWANSON: I think it is possible to keep
6 my comments relatively brief. Most of the detailed
7 conclusions have already been discussed by Mr. Edgar.
8 But I would simply point out that Intervenors did not
9 offer testimony specifically addressed to Contentions
10 11-B and C. They asked no questions of Dr. Branigan
11 when he testified on 11-C. And I think, though I can
12 treat that testimony briefly, I will spend a little more
13 time on Dr. Binder's testimony 11-B.

14 Dr. Binder, reference has already been given
15 for his qualifications. Let me briefly state, he is a
16 member of the National Academy of Sciences Committee on
17 Radiation Effects on Human Health, the BEIR III
18 Committee's Panel on Reassessment of Atomic Bomb
19 Dosimetry, and others.

20 He indicated that his analysis was done using
21 as a basis the staff FES supplement dose estimates and
22 BEIR III report recommendations. This is discussed at
23 transcript page 4,113. Dr. Binder indicated that he
24 utilized the BEIR III linear hypothesis for its genetic
25 effects estimations for populations exposed to low-level

1 radiation. He indicated that this hypothesis was
2 supported by experimental evidence and radiobiological
3 theory. This is discussed at transcript page 4,117.

4 Dr. Binder testified that this hypothesis is
5 likely to overestimate the genetic effects. The bases
6 for this conclusion are provided on transcript page
7 4,118. That is page 7 of Dr. Binder's prefiled written
8 testimony, which is Staff Exhibit 12.

9 Briefly, though, the bases for his conclusion
10 that his use of the hypothesis recommended by BEIR III
11 is likely to overestimate actual effects are, first,
12 that the linear hypothesis itself is likely to
13 overestimate effects as described in his testimony on
14 that page and previously; and secondly, that a paper
15 since the BEIR III report suggests that the sensitivity
16 of humans to the induction of genetic effects by
17 radiation may well be less than the BEIR III estimates.
18 Again, this is summarized on transcript page 4,118.

19 Nonetheless, Dr. Binder adopted the BEIR III
20 hypothesis as upper credible limit to be anticipated
21 with the operation of Clinch River. This is set forth
22 on transcript page 4,119. He concluded that genetic
23 effects from the operation of Clinch River are so small
24 as to constitute a negligible impact on human health and
25 welfare. This conclusion is set forth in greater detail

1 at transcript page 4,124.

2 He indicated that the expected increase in
3 genetic exposures among the 1 million live births
4 expected over the operation of the plant is not only
5 very small but would certainly not be detectable.

6 Furthermore, he concluded the actual increase
7 to be expected from the actual operation of Clinch River
8 is likely to be smaller, possibly much smaller than the
9 upper-limit estimates that he presented in his
10 testimony. Again, this is set forth in his conclusion
11 on transcript page 4,124.

12 Intervenors, although they do not present
13 affirmative testimony, attempted to get Dr. Binder to
14 endorse the opinions of Dr. Goffman on genetic effects.
15 However, the uncontroverted testimony in this record by
16 Dr. Binder is that Dr. Goffman was not an expert on
17 genetic effects, that he misunderstands some issues and
18 that the conclusions referenced by Intervenors were
19 wrong. This is set forth in transcript page 4,095.

20 I believe that the uncontroverted evidence in
21 this record supports the staff and applicant conclusions
22 that genetic effects were adequately considered and that
23 they are likely to be so small as to constitute a
24 negligible impact on human health and welfare.

25 Turning briefly to 11-C, as I indicated in

1 testimony that was presented by Dr. Branigan -- that is,
2 Staff Exhibit 13 -- there was no cross examination of
3 Dr. Branigan and there was no prefiled written testimony
4 by the Intervenor.

5 I will briefly just state the conclusions by
6 Dr. Branigan. They are found on transcript page 4,153;
7 that is, page 10 of Staff Exhibit 13. That is, that Dr.
8 Branigan and the staff adequately assessed the potential
9 cancers that may occur from exposure of plant employees
10 and the general public. The staff considered and
11 specified the impacts that we presented in section 5725
12 and 573 of the supplement to the Final Environmental
13 Statement that is Staff Exhibit 8, and concluded and
14 described the potential fatal cancer risk estimators
15 that were used were based on models described in the
16 National Academy of Sciences BEIR I report and are
17 consistent with the recommendations of other radiation
18 protection organizations such as ICRP, NCRP, and UNSCEAR
19 -- the U-N-S-C-E-A-R. These are described at Table 1,
20 page 12 of Dr. Branigan's testimony at transcript page
21 4,155.

22 A range of risk estimators by the various
23 groups was presented in the FES supplement, Staff
24 Exhibit 8 at page 5-15, as well as on page 12 of Dr.
25 Branigan's testimony. That would be transcript page

1 4,152.

2 These organizations represent the views of the
3 overwhelming majority of the members of the scientific
4 community and are consistent with the assumptions made
5 by Dr. Branigan. That statement is set forth in
6 transcript page 4,153. Dr. Branigan concluded that the
7 staff's estimates of potential cancers that may occur
8 from exposure of plant employees and the general public
9 are appropriately conservative. That conclusion is set
10 forth on the same page.

11 The staff compared these conclusions -- in
12 other words, the effects on the maximally exposed
13 individual and the public from Clinch River for one year
14 of routine operation with other sources of radiation --
15 and concluded that the risk is much less than exposure
16 to any of the other major sources of radiation, such as
17 medical exposure and natural background radiation. This
18 was discussed at transcript page 4,153 and in Table 2 of
19 Dr. Branigan's testimony at transcript 4,156.

20 For a plant worker, the risk of exposure from
21 Clinch River is a small fraction of the estimated normal
22 incidence of cancer fatalities in the exposed work
23 force. That conclusion is set forth on transcript page
24 4,152.

25 In conclusion, I would simply state that in

1 response to the argument put forth by Intervenor, a
2 full range of expert opinions was considered by the two
3 staff witnesses, that the assumptions made, the
4 hypotheses relied upon by these gentlemen were fully
5 supported by the major radiation protection
6 organizations and that a full range of expert opinion
7 was considered and is in fact supportive of the staff
8 conclusions.

9 And the Board is fully justified and should
10 conclude that staff and applicants did adequately assess
11 the impact of operation of Clinch River on the effects
12 of somatic and genetic instances and in fact these
13 effects are negligible.

14 That concludes the staff argument.

15 JUDGE MILLER: Any rebuttal?

16 REBUTTAL ARGUMENT OF GEORGE L. EDGAR, ESQ.,
17 ON BEHALF OF PROJECT MANAGEMENT CORPORATION

18 MR. EDGAR: Very briefly, in response to the
19 question of addressing the whole range of expert
20 opinion, the relevant inquiry here is the range of
21 expert opinion in this record. If you look at the
22 somatic issue, Dr. McClellan testified that it is very
23 unlikely that the upper-bound estimates computed by Dr.
24 McClellan and his colleagues would be exceeded. TR.
25 4,033.

1 With respect to genetic, Dr. Binder testified
2 that the highest plausible credible estimate had been
3 given. TR. 4,069, TR. 4,092.

4 With respect to the Nagasaki data and the
5 uncertainty reportedly associated with the reexamination
6 of that data, applicant's witness Thompson testified
7 that the somatic estimates are unlikely to be changed by
8 reexamination of this data. TR. 4,029.

9 We submit, Your Honor, that the full range of
10 credible expert opinion has been considered, that the
11 calculations in question provide upper-bound estimates.

12 JUDGE MILLER: That bring us now, I believe,
13 to Roman numeral VII, fuel cycle. Is that correct, or
14 do you have something different?

15 MR. EDGAR: Yes, sir.

16 In regard to the fuel cycle contention, which
17 is 6.B.1 and 6.B.3, we think in this instance there are
18 clearly discernible disputes in the record. The
19 affirmative evidence is found principally in the
20 following sources: first, Applicant's Exhibit 36;
21 that's Chapter 5.7 of the applicant's environmental
22 report; second, Applicant Exhibit 43 and the applicant's
23 direct testimony on fuel cycle issues. Next, Staff
24 Exhibit 14, at Staff's Exhibit 14, the staff's direct
25 testimony on fuel cycle issues; and finally, Staff's

1 Exhibit 8, the Final Environmental Statement Supplement
2 Appendix D, as in "dog."

3 Examination of the record indicates that the
4 issues under these contentions have been substantially
5 narrowed and the disputes which go to the adequacy of
6 the Appendix D analysis of the environmental effects of
7 the fuel cycle have been distilled to four basic points.

8 The first issue, and it's one that has been
9 alluded to on several occasions in previous arguments,
10 is the question of isotopic concentrations and the
11 effect, if any, that that has on the analysis.

12 The second issue has to do with the argument
13 that one should consider alternative plants for
14 reprocessing in addition to the developmental
15 reprocessing plant assumed by the applicant and the
16 staff in their analyses.

17 The third issue has to do with the confinement
18 factors which the applicants and NRC staff used for
19 their analyses of fuel fabrication and reprocessing
20 impacts or indeed radioactive releases from those
21 facilities during normal operations.

22 And a fourth and final issue concerns the dose
23 values which one should properly associate with waste
24 management activities. It should be noted in testing
25 that a portion of this contention, in particular the

1 B.6(b)(2) portion which dealt with transportation, was
2 dropped out and as a result of a mootness finding by the
3 Board in connection with the Board's ruling on the
4 staff's summary judgment motion or summary disposition
5 motion.

6 But in addition, 6.B.4, which is a safeguards
7 subelement of Contention 6, has been addressed by all
8 parties in conjunction with Contention 4 on safeguards.
9 So the remaining two pieces of the original contention
10 have been disposed of, one through summary disposition
11 and mootness, the other by joining in connection with
12 the safeguards testimony.

13 So I will proceed then to address what we
14 perceive to be the four basic contested issues which
15 have arisen in connection with NRDC Contention 6.B(1)
16 and 6.B(2).

17 The first is that involving isotopic
18 concentrations. The basic argument presented here by
19 Intervenor is that it is possible that the applicants
20 might use plutonium with higher isotopic concentrations
21 of the isotopes plutonium-238 and plutonium-241 than is
22 currently contemplated in the application and than is
23 currently used by the applicants and staff in their
24 analyses of the environmental effects of fuel cycle
25 operations.

1 The fact is that the application contemplates
2 the use and specifies the use of the so-called FFPF
3 grade fuel and all analyses which have been conducted
4 are enveloped by using assumptions appropriate to that
5 case or assumptions which bound that case. See
6 applicant's witness Strawbridge TR. 1,751.

7 Indeed, in its analysis of the fuel cycle, the
8 staff took the higher values of isotopic concentrations
9 for each isotope that one could associate with high
10 burn-up LWR fuel and FFTF isotopics. They laid each set
11 of isotopics side by side and for each isotope they
12 picked the highest value, the worst of all possible
13 cases. See in this regard Staff Exhibit 8 at 10 through
14 16 -- excuse me -- at page D-16 staff witness Lowenberg
15 TR. 4,383; Dr. Cochran, Exhibit 13 at 22, TR. 4,539.

16 Now, the apparent thrust of the NPDC argument
17 is that if one examines the recycle of mixed oxide fuel
18 in an LWR, the evidence suggests that plutonium-238 and
19 plutonium-241 will build up in relative concentrations.
20 See in this regard Dr. Cochran's Exhibit 13 at 25, TR.
21 4,538 through 39.

22 This, however, is totally beside the point.
23 We must look at CRBRP. Clinch River is not a
24 light-water reactor. It is a liquid metal fast breeder
25 reactor. A light-water reactor carries with it a

1 thermoneutron spectrum while Clinch River carries with
2 it a fast-neutron spectrum. As a result of this
3 difference, recycle of plutonium mixed oxide fuel in
4 Clinch River will burn up 238 and 241.

5 In fact, the relative concentrations of 238
6 and 241 will diminish as a function of time upon recycle
7 in Clinch River. Dr. Cochran admitted this on
8 cross-examination, TR. 4,539. Affirmatively, on this
9 point see the testimony of Dr. Sherwood, TR. 4,265, and
10 see Applicant's Exhibit 36, Volume 3, the 14.4(a)
11 amendment to section 5.7.

12 In any of that, aside from this basic physical
13 difference and the fact that the cause of this physical
14 difference the isotopic concentration issue is of little
15 moment. There is a significant amount of LWR-grade fuel
16 with low burn-up which is within the envelope of the
17 staff's analysis. See Dr. Sherwood, TR. 4,313; see
18 staff witness Mr. Lowenberg, TR. 4,360.

19 The other point to consider in the same regard
20 is what is the significance of this argument that if we
21 have higher concentrations of 238 or 241 and thus the
22 plutonium will have a greater effect, how does that
23 really matter in the fuel cycle analysis? The answer is
24 it doesn't. If one looks at the dose contributions of
25 the various isotopes released in the fuel cycle, the

1 fact is in terms of whole-body dose, tritium and
2 carbon-14 represent more than 99 percent of the total
3 dose. See staff witness Branigan, TR. 4,411; Staff
4 Exhibit 14 at 4,465; Applicant's Exhibit 43 at 4,324
5 through 25; applicant's witness Yarborough, TR. 4,266.

6 Even if, for the sake of argument, plutonium
7 were underestimated, and let's just assume that we take
8 Dr. Cochran at his word and we increased the plutonium
9 concentration or the total hazard from plutonium by a
10 factor of 4, the effect here is to multiply by a factor
11 of 4, a total dose which is less than 1 percent of the
12 total dose commitment from the fuel cycle. So you're
13 dealing with an insignificant argument. See applicant's
14 witness Yarborough, TR. 4,265 through 66; staff witness
15 Clarke, TR. 4,434.

16 In terms of bone dose, Dr. Cochran's testimony
17 is instructive here. Dr. Cochran's testimony, see TR.
18 4,594, indicates that there is an 875-rem-per-person
19 total dose commitment. Of this, 90 percent is due to
20 carbon-14, 9 percent is due to tritium, and less than 1
21 percent is due to plutonium.

22 So that is you examine the problem in terms of
23 bone dose as well as whole-body dose, Dr. Cochran's own
24 testimony shows -- let's multiply it by a factor of 4
25 for the sake of argument, and you are multiplying a dose

1 which is less than 1 percent of the total dose by a
2 factor of 4, and it still isn't significant.

3 We submit that the argument as to isotopic
4 concentrations is simply misplaced. There are three
5 reasons for that. One, in an LMFBR isotopic
6 concentrations of more hazardous isotopes of plutonium
7 will not build up, they will burn up. Two, the real
8 dose contribution in the fuel cycle is due to carbon-14
9 and tritium, and you can try to manipulate the numbers
10 to increase plutonium, and it's not going to make a
11 difference.

12 And the final point is that, so what? If
13 indeed there is a need to put in fuel with higher
14 values, that may require a license amendment, but that
15 is not the subject of the application at this time. It
16 is highly unlikely, however, that that would occur,
17 since the uncontradicted evidence in the record is that
18 there is no shortfall in the availability of the low
19 burnout LWR fuel. We thus submit that the isotopic
20 concentration argument is simply not a significant
21 point.

22 Turning now to the question of the alternative
23 reprocessing plant. The argument as it is expressed at
24 TR. 4,171 through 72 is that if the reprocessing
25 operations for Clinch River were conducted at Hanford or

1 Savannah River, the impacts which the staff estimates in
2 Appendix D based on the developmental reprocessing
3 plant, may indeed be different, they may be exceeded.

4 Now, it is important to consider the evidence
5 in the record on that point. The first point is that,
6 let's just assume for the sake of argument that
7 reprocessing were conducted at Hanford or Savannah River
8 rather than the DRP.

9 The first thing is that at both facilities it
10 would be necessary to construct a new head end of the
11 facility. See applicant's witness Yarborough, TR.
12 4,185. Virtually all of the impacts in the reprocessing
13 plant are in the head end, and more importantly, they
14 are attributable to tritium and carbon-14. See
15 applicant's witness Yarborough, TR. 4,250 through 51.

16

17

18

19

20

21

22

23

24

25

1 Now, carbon 14 is or represents 47 percent of
2 the dose from the fuel cycle, and more importantly, all
3 of the carbon 14 is assumed to be released from the
4 environment in the Staff Exhibit 8, Appendix D fuel
5 cycle analysis. Likewise, tritium is 52 percent of the
6 dose, and all of the tritium is assumed to be released
7 in the fuel cycle analysis. So let's suppose we go to
8 Hanford and Savannah River. Let's suppose we build a
9 new head end. How can you release more than 100
10 percent? How could the staff's analysis possibly be
11 non-conservative in view of that fact?

12 We submit that as a matter of necessary
13 implication, and the uncontradicted evidence in the
14 record, that you cannot have higher releases than those
15 contemplated in the staff's analysis. I should also
16 note in this respect that on a realistic basis, carbon
17 14 should be a factor of three lower than the 100
18 percent suggested by the staff, because a good deal of
19 that will stay in the cladding, and another portion of
20 that will be removed by the krypton 88 removal system.
21 See Applicant's Exhibit 43 at 14.

22 Furthermore, in regard to tritium, 90 percent
23 of the tritium will diffuse through the cladding and the
24 reactor and will be removed in sodium coal traps, so
25 realistically the tritium source term should be a factor

1 of ten lower. See again Applicant's Exhibit 43 at 13.
2 Thus, the analysis assumed or undertaken by the staff
3 which assumes 100 percent release of all of the carbon
4 14 and tritium is clearly conservative.

5 Now, the bottom line conclusion is that
6 because virtually all of the dose, that is, more than 99
7 percent, is tied up in carbon 14 and tritium, and
8 because 100 percent of both are assumed to be released,
9 one cannot get higher impacts, no matter what
10 alternative reprocessing plant one assumes. See
11 Applicant's Witness Yarborough, TR. 4,251.

12 Let's turn now to the third issue of
13 confinement factors. In Dr. Cochran's testimony,
14 Exhibit 13, at 29 through 30, in Dr. Cochran's
15 testimony, Exhibit 13 at 29 through 30, he displays
16 calculated values for confinement factors assumed for
17 the fabrication plant and for the reprocessing plant.
18 The NRC staff and applicants in the analysis assume a
19 value of 1.25×10^{-11} for the fabrication plant
20 overall and a factor of 5×10^{-10} for the
21 reprocessing plant overall.

22 The staff and applicants then purposefully
23 degraded the confinement factors to make them less
24 favorable and more conservative. You will see
25 discussion of this point in Applicant's Exhibit 36.

1 That is the environmental report, Chapter 5.7, at Pages
2 22 and 79.

3 Now, Dr. Cochran in his Exhibit 13 at 29
4 argues that the values assumed by the staff and the
5 applicants for the reprocessing plant should be a factor
6 of ten lower than those assumed. The basis for that
7 statement is calculations performed by Dr. Cochran first
8 for the Savannah River plant during the period 1975
9 through '78, where he calculated 4×10^{-9} , and then
10 for the Purex plant during the year 1972, when he
11 calculated a value of 3×10^{-9} .

12 Now, it is important to put this difference in
13 values in perspective here. One additional HEPA filter
14 placed in series on the reprocessing plant will give one
15 a 10^{-3} additional factor. See Dr. Cochran, TR.
16 4,548, and see Mr. Lowenberg at TR. 4,431. The use of
17 the HEPA filter to achieve a reduction which is much
18 greater than ten is easily achievable within the state
19 of technology. See Staff Witness Lowenberg, TF. 4,431
20 through 32.

21 And I would not go without mentioning the fact
22 of Mr. Lowenberg's experience in this regard. If you
23 read his resume, and his statement of professional
24 qualifications attached to Staff Exhibit 14, you will
25 see that he has more than 30 years of hands on in the

1 field engineering experience. So I would suggest to the
2 Board that that testimony should be credited very highly.

3 Mr. Lowenberg also testified during the same
4 passage in the transcript at 4,431 through 33 that
5 factors of ten reductions such as those that we are
6 arguing about here can be achieved without going to a
7 HEPA filter. One can merely expand a duct size or put
8 in a deflector or simple straightforward techniques that
9 don't even require the addition of equipment.

10 Now, there is a residual issue here about the
11 question of bypass leakage around filters, and I commend
12 to the Board's attention here the testimony of Messrs.
13 Lowenberg and Clark at TR. 4,436 through 37, that there
14 is a considerable base of experience with filter
15 performance under accident conditions, under abnormal
16 conditions. If a filter is bypassed, it doesn't affect
17 the remaining stages of filtration. In fact, the filter
18 trains will pick up the difference, and the confinement
19 factor does not degrade precipitously.

20 Now, getting back to Dr. Cochran's
21 calculations, we've got two calculations suggesting a
22 reduction of a factor of ten presented in the direct
23 testimony. Exhibit 13 and 29. However, upon cross
24 examination and then on redirect, Dr. Cochran admitted
25 that his own calculations are not complete, and a more

1 thorough analysis should be done. That is TR. 4,565.
2 We submit that on the weight of the evidence in the
3 record, there is no issue here, that at most the
4 argument revolves around a factor of ten difference in
5 confinement factor. Clearly, that is achievable either
6 by HEPA filters or by, as Mr. Lowenberg would testify,
7 by very simple, straightforward manners.

8 Turning to the last issue, Issue 4, waste
9 management, the intervenors here have proposed or
10 advanced an argument which relies upon the EPA proposed
11 standard, and the study accompanying the proposed EPA
12 standard. The argument goes as follows. The EPA
13 standard is designed to limit long-term risk from waste
14 management to 1,000 health effects over 10,000 years
15 after closure of the repository. See Intervenors'
16 Exhibit 13 at 35 through 36.

17 The intervenors then, however, take these
18 numbers and perform an unusual calculation. They assume
19 that CRBR is 1/100th of the repository volume, and
20 therefore ten health effects could be attributable to
21 CRBR. That is Intervenors' Exhibit 13 at 36. Okay so
22 far. No argument. Staff Witness Boyle at TR. 4,422
23 through 23. However, the next step causes the problem.

24 Then Dr. Cochran takes 30 years' operation and
25 calculates 3/10ths of health effect per year. That is

1 Intervenor's Exhibit 13 at 37. This is simply incorrect
2 testimony, and for several reasons it is a gross
3 overestimate of the health effects.

4 First of all, our testimony indicates that the
5 CRBR share of repository impacts is in fact less than 1
6 percent. It is more like .36 percent. Applicant's
7 Exhibit 43 at 16. Moreover, and more importantly, the
8 correct basis for this analysis would involve spreading
9 the risk over the repository lifetime of 10,000 years,
10 so that logically the health effects are more
11 realistically 3.36 health effects per 10,000 years, and
12 thus we would have a range from .0003 health effects up
13 to a maximum of .001 health effects per year.

14 In addition, however, if the intervenors
15 choose to rely on the proposed EPA standard, one should
16 consider two points which underlie that standard. The
17 standard for the EPA analysis is predicated upon several
18 things. First of all, it is an upper bound estimate.
19 See TR. 4,551. Secondly, it is developed as a measure
20 of relative risk, and the standard includes a caution
21 that it should not be used to provide any absolute
22 estimates of risk or health effects. See TR. 4,551, TR.
23 4,425.

24 Accordingly, we believe that on the basis of
25 the evidence in the record, the impacts of waste

1 management have been reasonably assessed and are indeed
2 small. To recapitulate, there are four basic arguments
3 raised within the ambit of the fuel cycle Contention
4 6-B-1 or B-3. Isotopic concentrations, alternative
5 reprocessing plants, confinement factors, and waste
6 management. As to each of those contentions, the
7 overwhelming weight of the evidence in the record
8 indicates that each is invalid.

9 MR. SWANSON: I believe it is staff's turn.

10 (Pause.)

11 MR. EDGAR: Judge Miller, before we break
12 today, could we take five minutes at the end of the day
13 and discuss the Comanche Peak order? I would like to
14 hear some discussion on that.

15 JUDGE MILLER: I would rather we do it
16 tomorrow.

17 MR. EDGAR: That will be fine.

18 JUDGE MILLER: When do you want to take it
19 up?

20 MR. EDGAR: I would like to take it up after
21 we conclude this segment of the argument, if that is
22 okay.

23 JUDGE MILLER: Fine. All right.

24 ORAL ARGUMENT OF DANIEL SWANSON, ESQ.,

25 ON BEHALF OF STAFF,

1 U.S. NUCLEAR REGULATORY COMMISSION

2 MR. SWANSON: The staff testimony on the fuel
3 cycle issues is concentrated primarily on Staff Exhibit
4 14, the prefiled testimony of Messrs. Lowenberg,
5 Branigan, Clark, and Boyle, and in the FES Appendix D,
6 Staff Exhibit 8. Mr. Edgar has presented a number of
7 points and addressed some major arguments by
8 intervenors. We would like to bring up just a couple of
9 others and just touch on one that he mentioned.

10 Basically, the intervenors are challenging the
11 adequacy of the assessment of the impacts of spent fuel
12 reprocessing and mixed oxide fuel fabrication. The
13 intervenors are challenging the appropriateness of the
14 staff analyses, and as Mr. Edgar indicated, they are
15 also challenging the adequacy of the assessment of the
16 impacts of waste management and disposal.

17 The staff has addressed these issues by
18 utilizing the rule of reason, which is legally mandated
19 to apply to facilities which are not subject to NRC
20 licensing, but are considered for their environmental
21 effects that they may contribute to the fuel cycle
22 related to the Clinch River facility which is under
23 consideration for licensing.

24 The staff requested from applicants a
25 description and assessment of the specific facilities

1 that would be used by DOE to carry out the Clinch River
2 fuel cycle activities. This information was provided to
3 the staff in the form of Amendments 14 and 16 to the
4 applicant's environmental report. The staff reviewed
5 and independently assessed the facilities proposed by
6 DOE, whether they be specific, conceptual, or generic in
7 nature, and concluded that the environmental effects
8 related to all contemplated steps and aspects of the
9 projected Clinch River fuel cycle are not significant
10 when compared to natural background radiation or even to
11 normally expected variations in the level of background
12 radiation.

13 This conclusion and discussion can be found at
14 Transcript Page 4,457.

15 With regard to the reprocessing operation,
16 which was brought into question by intervenors,
17 applicants indicated the use of four possible
18 alternatives. They stated that at this time, that DRP
19 represents the primary alternative for carrying out this
20 operation, and regardless of which alternative is
21 eventually utilized, the environmental effects for the
22 DPR presented in Amendment 14 to the environmental
23 report will bound the environmental effects of whatever
24 alternative is ultimately chosen.

25 This conclusion is set forth on Page 15 of

1 Staff Exhibit 14. That is Transcript Page 4,458.

2 Staff reached this conclusion in light of the
3 following factors, some of which have been touched on
4 already by Mr. Edgar, and I will just briefly recount
5 them. First of all, a major contributor to radiological
6 dose from the reprocessing plant is the release of
7 tritium and carbon 14, and that is set forth on
8 Transcript Page 4,465.

9 The applicant assumed 100 percent of the radio
10 nuclides to be released from those isotopes at the
11 reprocessing plant. The radio nuclides that are the
12 major contributors to radiological dose from plutonium
13 emissions are the isotopes of plutonium 238 and 241.
14 The applicants have assumed a plutonium composition of
15 20 percent of plutonium 240 at this plant which has
16 higher levels of these two plutonium isotopes than would
17 be encountered using the 12 percent plutonium 240, which
18 is the planned composition of plutonium for the Clinch
19 River operation.

20 Thus we have a conservative estimate of 12
21 percent of 240 versus the expected -- excuse me, an
22 assumed amount of 20 percent. The applicants have
23 assumed a plutonium content of 20 percent plutonium 240
24 versus the contemplated or planned 12 percent
25 concentration, which is built into the Clinch River

1 application. This is discussed in the staff's final
2 environmental statement supplement at Page D-10 and at
3 Transcript -- the transcript citation was mentioned by
4 Mr. Edgar in his presentation.

5 In light of these important considerations,
6 the staff has concluded that the DRP can realistically
7 be considered to bound the environmental effects of any
8 alternative that may be used for reprocessing Clinch
9 River spent fuel. Accordingly, the staff performed its
10 analysis of this operation based on an assessment of the
11 DRP. This is discussed at Transcript Page 4,405.

12 In this analysis, the staff analysis, and also
13 in the staff's review of the fuel fabrication operation,
14 the staff added further conservatism to its assessment
15 of plutonium effects by considering aged plutonium,
16 which accounts for a grow-in of americium 241 and for
17 each isotope of plutonium used the higher value
18 developed from either the DOE assumptions or the staff
19 assumptions was used. This is discussed at Transcript
20 Page 4,415.

21 Based upon all of these factors, the staff
22 concluded that the impacts, social and radiological,
23 resulting from the reprocessing of spent Clinch River
24 fuel would be insignificant. This conclusion and
25 discussion can be found at the staff testimony, Exhibit

1 14, at Pages 14 and 15, and 22 and 23. That is
2 Transcript References 4,457 and 8 and 4,465 and 6.

3 The second major area of intervenor's concerns
4 is the management and disposal of radiological wastes.
5 This matter was described in some detail by applicants,
6 and I will not -- I will try not to repeat what they
7 have said. I will simply point out that the staff
8 considered wastes and evaluated them with regards to
9 wastes that have been produced in the commercial sector.

10 Staff found that the waste expected from
11 Clinch River and the fuel cycle are quite similar in
12 nature and content to those that are produced by the
13 commercial nuclear utility industry. The wastes of most
14 radiological significance are the high level wastes from
15 the reprocessing of spent Clinch River fuel. These were
16 compared in detail with the wastes resulting from the
17 LWR fuel cycle and were found on an individual isotope
18 by isotope basis to be very much alike as discussed in
19 the staff's final environmental statement supplement at
20 Page D-22.

21 Having concluded that wastes from the Clinch
22 River fuel cycle were basically similar to LWR wastes,
23 the staff considered the significance of Clinch River
24 waste with regard to commercial LWR wastes, and this is
25 discussed in the FES supplement at Page D-22. In this

1 regard, the staff found that Clinch River wastes
2 represent a very small fraction, that is, less than 1
3 percent, of the comparable waste management needs of the
4 commercial nuclear fuel cycle. This is discussed at
5 Transcript 4,419 and 20 and 4,422.

6 Thus, the addition of Clinch River wastes
7 would not significantly perturbate the waste management
8 plans for the nuclear industry. This is discussed on
9 Pages 16 and 17 of Staff Exhibit 14. That is Transcript
10 Pages 4,459 through 60.

11 In regard to the appropriateness of the
12 analyses, of the staff's analyses, the third major point
13 raised by intervenors, it is easiest to consider this
14 point by briefly reviewing the processes used by the
15 staff. The staff reviewed applicant's submittals to
16 determine, first, that the applicant had used a
17 reasonable approach in its plan and analysis, and
18 second, that the applicant's assessment methods were
19 credible and adequately conservative. The staff then
20 performed its own assessments based on its independent
21 judgments of appropriate analytical techniques. These
22 points are made at Page 10 of Staff Exhibit 14. It is
23 Transcript Page 4,453.

24 The staff analyses took several forms based on
25 the nature of the facility or operation involved. When

1 the facility proposed for use by applicants' existed or
2 was firmly planned, the staff relied upon existing DOE
3 environmental information and based its assessment on an
4 evaluation of such information using a reasonableness or
5 hard look standard. This is discussed in the FES
6 supplement, Page D-10.

7 When facilities were less firmly established
8 or in a proposal stage, the staff used either a model or
9 generic facility concept as well as site conditions
10 considerations, plus utilization of the staff's related
11 experience and information which the staff possessed.
12 This is discussed in the FES supplement at Page D-7,
13 D-10.

14 Some of the specific aspects of intervenor's
15 concerns with regard to appropriateness of staff
16 evaluation can now be addressed. Mr. Edgar already
17 addressed the reduction. He indicated that particular
18 emissions of plutonium could be released by factors of
19 ten, and by a number of measures by the addition of
20 additional HEPA filters which would result in reductions
21 of several orders of magnitude in releases. This was a
22 concern raised not only by, I think, Dr. Cochran, but
23 Dr. Johnson, but this matter is discussed at Transcript
24 Pages 4,430 through 4,433.

25 As an indication of the independence of the

1 staff fuel cycle analysis, the staff considered
2 simplified open fuel cycle proposed by DCE and
3 determined that a more logical representation of Clinch
4 River operations would involve a closed fuel cycle after
5 the first five years of operation. This is discussed at
6 Transcript Pages 4,359 through 60.

7 Accordingly, the staff conducted a qualitative
8 analysis of such alternatives by means of a sensitivity
9 analysis, and by alternatives, I mean alternatives to
10 the proposed fuel cycle. This analysis considered the
11 isotopic compositions of plutonium previously discussed,
12 and any change of material quantities or transportation
13 activities from the proposed fuel cycle.

14 This discussion is at Section D-2, 4, 7, of
15 the FES supplement.

16

17

18

19

20

21

22

23

24

25

1 The Staff concluded that its analysis
2 qualitatively covered the environmental effects of
3 alternatives based on Applicant's amendment 16 to the
4 environmental report, performed a qualitative assessment
5 of the alternative to the fuel cycle which confirmed --
6 excuse me -- performed a quantitative assessment of this
7 alternative which confirmed the qualitative assessment
8 presented in the FES document. The results of the
9 quantitative assessment discussed are discussed at
10 Transcript page 4356.

11 The issue of the multiple LWR recycled
12 plutonium at Clinch River was already discussed by me in
13 connection with an earlier issue and was addressed again
14 by Mr. Edgar in his argument now. Simply put, though,
15 there are no current plans in the application for a
16 program which would use multiple recycles of LWR fuel at
17 Clinch River, nor does there appear to be any need for
18 such fuel at Clinch River since it is not needed for the
19 first five years and Clinch River will generate more
20 plutonium than it requires during the latter 25 years of
21 its operation.

22 Based on these points, the Staff believes the
23 Intervenors' so-called plutonium hazard indices, which
24 go as high as 4.3, are completely outside the scope of
25 the Clinch River proposal and are not relevant to this

1 proceeding.

2 Intervenor's witness Johnson also testified on
3 limited aspects of the fuel cycle issues. In response
4 to questioning, he raised two major concerns: that he
5 was not given assumptions for Staff fuel cycle dose
6 estimates on which to base his analysis; and secondly,
7 that the Staff failed to consider bone dose in its
8 analysis of effects of the reprocessing plant.

9 Regarding the assumptions for Staff fuel cycle
10 dose estimates, I would simply point out, first, that
11 Appendix D to the FES supplement does contain
12 assumptions for both the fuel fabrication facility, at
13 section D.2.4.2, and for the reprocessing facility, at
14 D.2.4.3.

15 Secondly, with regard to the same point, on
16 the providing of assumptions, Staff assumptions to
17 Intervenor's, in the FES supplement at page 12-63 the
18 Staff pointed out that it did provide computer printout
19 to Intervenor's in response to interrogatories,
20 specifically Interrogatories 14 through 18 of NRDC
21 twenty-seventh set of interrogatories.

22 In addition, the Staff had provided
23 information in deposition to Intervenor's, the details of
24 which are outside the record, but I can simply point to
25 page 12-63, as I mentioned, of the FES volume 1, where

1 it was pointed out that Intervenors were given the
2 specific computer printout on this matter, which
3 contained the analyses complained of by Dr. Johnson.

4 Regarding his second point, that the Staff
5 somehow failed to consider bone dose for a reprocessing
6 plant, I would simply point out that Mr. Johnson
7 admitted that he had not done an analysis which
8 permitted him to disagree with the following points:
9 First, the Staff made statements in Table D-17 of the
10 FES supplement, which contains a footnote A which
11 specifies specific organs that were considered by the
12 Staff, including bone, lung, kidney, and GI tract, with
13 annual population doses expected to be less than one
14 person-rem, he indicated. This is discussed at
15 Transcript page 5903 through 5904.

16 In that same area, Dr. Johnson indicated that
17 he did not perform an analysis which would allow him to
18 disagree with the Staff's assessment of doses expected
19 from the Clinch River fuel cycle facilities, which are
20 set forth in the FES supplement, Table D-17. In that
21 table the Staff established that the fuel reprocessing
22 plant was the dominant facility with respect to doses,
23 and that the Staff did consider other critical organs.
24 This is set forth in section D.2.4.2.

25 On the establishment of impacts from core fuel

1 fabrication, the FMEF, Dr. Johnson admitted he did not
2 have an analysis which would permit him to disagree with
3 Staff Exhibit 14, specifically the Branigan testimony at
4 page 22, where Dr. Branigan concluded that for the core
5 fuel fabrication facility and the fuel reprocessing
6 plants over 99 percent of estimated dose is due to
7 exposure from tritium and carbon-14.

8 In other words, at this point we've
9 established that Dr. Johnson did not have a basis for
10 disagreeing with the Staff conclusion, number one, that
11 specific organs were in fact considered; secondly, that
12 the dominant facility in terms of dose was the fuel
13 reprocessing plant; and thirdly, that the dominant dose
14 of concern from that facility was tritium and
15 carbon-14. The latter point again is discussed at
16 Transcript 5901 through 5903.

17 Finally, of these two elements of concern,
18 tritium and carbon-14, Dr. Johnson concluded that the
19 tritium and carbon-14 are of concern to the whole body.
20 He stated that at Transcript page 5901. Therefore, Dr.
21 Johnson conceded, despite his argument, that the Staff
22 had considered the effects of concern with tritium and
23 carbon-14 for the whole body, and that that was
24 appropriate to do that. He had no basis for disagreeing
25 with the Staff's analysis or conclusions.

1 In comparing Rocky Flats with other
2 facilities, Dr. Johnson in his written testimony drew
3 comparisons calling Rocky Flats a fuel reprocessing
4 facility and claimed that he based his expectations on
5 the impacts of the Clinch River fuel facilities from
6 those that he found at Rocky Flats. That was the tenor
7 of his entire prefiled written testimony.

8 Staff witness Lowenberg, who testified based
9 on his qualifications and experience with Rocky Flats,
10 said he was very familiar with the facility, set forth
11 at Transcript 6075, testified that Rocky Flats is not a
12 reprocessing facility, as Dr. Johnson had claimed. This
13 is set forth at Transcript page 6076.

14 At that page and the following page, Mr.
15 Lowenberg testified that the processes, products and
16 releases at Rocky Flats were not at all comparable with
17 those of the proposed DRP, the FMEF, or Savannah River.
18 Further, Mr. Lowenberg testified that DOE orders since
19 the Rocky Flats fire included fire detection, prevention
20 and protection measures as well as filter protection
21 devices, and that the Clinch River fuel cycle facilities
22 would be required to comply with these DOE orders.
23 Transcript page 6078 through '9.

24 Thus, the concerns raised by Dr. Johnson
25 regarding the Rocky Flats fire simply are not applicable

1 to the Clinch River fuel cycle facilities, and the
2 conclusions and concerns raised by Dr. Johnson do not
3 apply.

4 Regarding genetic effects of plutonium raised
5 by Dr. Johnson, in response to concerns raised by Dr.
6 Johnson I would simply refer to Staff witness Dr.
7 Bender, who is a geneticist, where he stated in his
8 testimony at page 12 that genetic effects that he
9 assumed quite conservatively accounted for estimates --
10 let me back up a second.

11 That genetic effects were quite conservatively
12 accounted for in Dr. Bender's testimony, and that the
13 use of whole body in lieu of the gonad dose recommended
14 by Dr. Johnson resulted, in Dr. Bender's, in an
15 overestimate of genetic effects from plutonium and other
16 trans-uranics. This matter is discussed by Dr. Bender
17 in page 12 of his testimony.

18 One final point by Dr. Johnson. His claim --
19 and it's advocated by Dr. Cochran again this morning --
20 that somehow there should be a different toxicity value
21 assigned to plutonium, was attributed in part to Dr.
22 Johnson's testimony. Dr. Johnson apparently relied on
23 an article attached to his testimony, a Cross article,
24 an article by a fellow by the name of Cross. Dr.
25 Johnson conceded that the Cross article is based on an

1 analysis done of 69 dogs. That's at Transcript 5916.

2 It can be readily seen from the Cross article
3 that Cross himself cautions against extrapolating the
4 effects that he derives from dogs to humans. That page
5 of the article can be found at Transcript page 6057.

6 Dr. Branigan's conclusions, on the other hand,
7 were based on BEIR estimates, and Dr. Johnson conceded
8 that the BEIR estimates were based on experience with
9 thousands of humans. He conceded that at Transcript
10 page 5917.

11 I think it can be readily seen that the very
12 bases that Dr. Johnson relied on for drawing his
13 conclusions regarding the incorrect use of toxicity
14 factors for plutonium simply don't support his
15 conclusion, and thus indirectly they fail to support
16 Intervenor's conclusions that plutonium toxicity was
17 incorrectly considered by the Staff and Applicants.

18 I would simply conclude that the fuel cycle
19 impacts were adequately considered by the Staff and
20 Applicants, that the Staff took the appropriate review
21 of Applicants' proposals, and that the environmental
22 impacts measured in a sense by the Staff were adequately
23 small and that they were adequately reported by the
24 Staff in its final environmental statement and in the
25 prefiled written testimony; that Intervenor's contention

1 6 regarding fuel cycle impacts simply does not -- is not
2 supported by the testimony presented in this record.

3 JUDGE MILLER: Thank you.

4 Dr. Cochran, we'll hear from you in the
5 morning. Would you rather come at 8:30 or 9:00 to
6 start? We don't care.

7 DR. COCHRAN: 9:00.

8 JUDGE MILLER: Okay.

9 Now, you asked for five minutes, Mr. Edgar.
10 So you've got exactly five minutes.

11 MR. EDGAR: I wanted to ask for a
12 clarification, if I could, on page 3 of the Comanche
13 Peak order. It is really the top two sentences there.
14 What I am looking toward is proposed findings that would
15 essentially provide the format of an initial decision,
16 and what I'm thinking of --

17 JUDGE MILLER: We didn't ask for that, though,
18 did we?

19 MR. EDGAR: I guess that's what I'm asking.

20 JUDGE MILLER: Proposed findings is really
21 proposed findings of fact, conclusions of law and
22 briefs. The only thing that we have requested that
23 should be mandatory would be proposed findings of fact.
24 We have not asked for it in the form of an initial
25 decision, although if you want to do it you can. We

1 haven't asked for conclusions of law. We haven't asked
2 for briefs, but you may if you wish.

3 We have asked for proposed findings of fact in
4 writing. We have asked also for this closing argument
5 in depth in order to expore mutually, to advise the
6 Board of what the gut issues are, and to advise all of
7 you ladies and gentlemen for your own purposes in your
8 proposed findings of fact.

9 Now, that is the scope which we had
10 considered.

11 MR. EDGAR: Okay.

12 JUDGE MILLER: You know, the last six months
13 or so the Licensing Boards have been using a somewhat
14 different format. They've been using a part one which
15 is more like an appellate decision or opinion, let us
16 say, where you are dealing more with ultimate facts, and
17 that way you get into some factual matters, but keyed or
18 footnoted, really, to findings of fact which are the
19 subsequent second part, where you go A, B, C, D, E and
20 you spell out the facts and give your references and so
21 forth.

22 Now, we realize that where you are dealing
23 with factual evidence which consists in substantial part
24 of opinions of expert witnesses, as we have here, we
25 realize these are not necessarily sharp distinctions.

1 But we think they're reasonably significant, unless you
2 ladies and gentlemen persuade us otherwise.

3 That's what we had in mind. We consider that
4 now is when you're having your best chance, really, at
5 argument, because we don't think the proposed findings
6 of fact should be really essentially arguments. You're
7 making your argument now. You may want to go and raise
8 that. I don't know. It's up to you.

9 But on the proposed findings of fact we want
10 your own. It's like you win the case on the strength of
11 your own entitlement, not on your opponent's
12 weaknesses. We view it in a similar fashion.

13 Does this cause a problem to people?

14 MR. SWANSON: If I could just give an
15 example. If findings were filed in conformance with the
16 most recent model proposed by the Chairman of the Board
17 panel, would that be consistent, then, with the range of
18 alternatives that you are suggesting?

19 JUDGE MILLER: Yes. That would be your
20 option. We're not requiring that of you.

21 MR. SWANSON: I understand that.

22 JUDGE MILLER: We intend to come out with
23 something similar to the new format in the sense that
24 we're going to have an opinion, really, and then we're
25 going to have Roman II or whatever the number is going

1 to be, the findings of fact, keyed in and numbered. The
2 opinion will not be in numbered paragraphs. It will be
3 as you've done here, really.

4 You've gone to the issues or clusters of
5 issues that you deem significant, which are in
6 controversy and which need to be assessed, analyzed and
7 decided by the decisionmakers. We will be doing much
8 the same thing.

9 As far as format, we're not concerned about
10 it, but to the extent that you wish to do so, fine. We
11 realize that all of us are on a short time schedule,
12 inasmuch as the Commission seems to be expecting
13 something from us in the middle or the latter part of
14 February. That doesn't give us a lot of time, so we are
15 working, too, like you, Mr. Edgar. And we are working
16 before the findings are submitted, but with them and
17 with briefs if you want, and so on.

18 But that is the reason that we did not give
19 you a reply, because we were considering everything to
20 be simultaneous. Does that put you at a significant
21 disadvantage?

22 MR. EDGAR: I suppose I don't know. I suppose
23 if it does I'll howl.

24 JUDGE MILLER: If you can make a showing on
25 good cause, we're not totally inflexible, but we think

1 maybe this will move things along for both the Board and
2 parties and counsel.

3 Is there anything else?

4 MS. FINANORE: I have one request for a
5 clarification. The second sentence on page 3, "Proposed
6 and proven facts do not depend upon what other parties
7 assert, but upon the record of it and cited by the
8 proponent."

9 In that sentence are you talking about the
10 affirmative evidence put on by a party?

11 JUDGE MILLER: Yes, essentially.

12 MS. FINANORE: The reason I am asking is that
13 for a couple of the contentions the Intervenors did not
14 produce any affirmative testimony, but are relying on
15 cross-examination.

16 JUDGE MILLER: Well, that is record evidence.
17 If you think that you fatally wounded someone by
18 cross-examination, you would be citing that and the
19 results of your effective cross-examination and the
20 finding of fact which should go your way.

21 We don't care how you do it. We don't insist
22 you put on your own witnesses. The whole record is
23 evidence, and if somebody has left a hole for you you
24 can use it. You're welcome to it, and you would
25 perfectly well fulfil what we've asked for. Only give

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
ATOMIC SAFETY AND LICENSING BOARD

in the matter of: UNITED STATES DEPARTMENT OF ENERGY PROJECT MANAGEMENT
MANAGEMENT CORPORATION - TENNESSEE VALLEY AUTHORITY

(Clinch River Breeder Reactor)
Date of Proceeding: Washington, D. C.

Docket Number: 50-537

Place of Proceeding: Bethesda, Maryland

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

ALFRED H. WARD

Official Reporter (Typed)



Official Reporter (Signature)