

T-1168

ORIGINAL

OFFICIAL TRANSCRIPT PROCEEDINGS BEFORE

NUCLEAR REGULATORY COMMISSION

DKT/CASE NO.

TITLE ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
SUBCOMMITTEE ON REGULATORY ACTIVITIES

PLACE Washington, D. C.

DATE January 4, 1983

PAGES 1 thru 155

TRO4
DELETE ACRL

8301060203 830104
PDR ACRS
T-1168

PDR

AR
ALDERSON REPORTING

(202) 628-9300
440 FIRST STREET, N.W.
WASHINGTON, D.C. 20001

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
SUBCOMMITTEE ON REGULATORY ACTIVITIES

Room 1046
1717 H Street, N.W.
Washington, D.C.

Tuesday, January 4, 1983

The Subcommittee on Regulatory Activities met,
pursuant to notice, at 8:45 a.m., Chester P. Siess,
Chairman, presiding.

ACRS MEMBERS PRESENT:

- CHESTER P. SIESS
- DAVID A. WARD
- WILLIAM KERR
- JEREMIAH J. RAY
- MAX W. CARBON

DESIGNATED FEDERAL EMPLOYEE:

- SAM DURAISWAMY

ALSO PRESENT:

- ANTHONY J. CAPUCCI
- ED WENZINGER
- ALLEN HINTZE
- WILBUR M. MORRISON
- CHARLES ROSSI
- JIM WATT
- CARL BERLINGER
- FRANK CONGEL
- PHIL STODDARD
- JOE JOYCE

P R O C E E D I N G S

1
2 MR. SIESS: The meeting will come to order.
3 It is officially 8:45 - by fiat.

4 (Laughter.)

5 MR. SIESS: This is a meeting of the ACRS
6 Subcommittee on Regulatory Activities. My name is
7 Chester Siess and I am Subcommittee Chairman. The other
8 ACRS members that are present are, starting on my left,
9 Dave Ward, Bill Kerr, Jerry Ray, and Max Carbon.

10 The purpose of the meeting today is to discuss
11 two Regulatory Guides. One of them is an "old friend",
12 Regulatory Guide 1.97, Revision 3. The title is
13 "Instrumentation for Light Water Cooled Nuclear Power
14 Plants to Assess Plant and Environs Conditions During
15 and Following an Accident."

16 The second item is Proposed Regulatory Guide,
17 designated Task No. IC 126-5. The title is, "Instrument
18 Sensing Lines."

19 The meeting is being conducted in accordance
20 with the provisions of the Federal Advisory Committee
21 Act and the Government in the Sunshine Act.

22 The Designated Federal Employee is Mr. Sam
23 Duraiswamy, who is sitting on my right.

24 The rules for participation in today's meeting
25 were announced in the Federal Register Notice on

1 December 21.

2 As usual, we are keeping a transcript. It is
3 important that you identify yourself when you first
4 speak so it will be on the record, and please use the
5 microphone. The reporter has a microphone on the table,
6 so I guess whether you use yours or not is not too
7 important as long as we can hear you.

8 We have received no written comments from
9 members of the public and no requests from members of
10 the public to make oral comments.

11 Who is running the show for the staff, Ed
12 Wenzinger?

13 MR. WENZINGER: Al Hintze is going to make the
14 presentation on both guides, and if you are ready to
15 start out on 1,97, why, he is ready to go.

16 MR. SIESS: Well, let me just introduce this
17 briefly to the committee. Sam sent you out a package of
18 material - I cannot assume you have read it all because
19 I have not read it all. I will not assume you have read
20 it all recently, I am sure you read it all at one time
21 or another because it includes a couple that we wrote
22 and a few other things.

23 And 1.97 is an interesting Guide because it is
24 essentially a response to something that the Committee
25 itself brought up - I forget how many years ago - about

1 instrumentation to follow the course of an accident. It
2 seems to have grown following TMI. We have seen two
3 revisions and we have seen drafts of this revision, I
4 believe, twice.

5 I think that I would like to focus the
6 discussion this morning primarily on the changes that
7 have been made since we saw this last. Several of these
8 changes are in response to comments or criticisms that
9 were made by the Subcommittee or by the ACRS.

10 I won't limit the discussion strictly to the
11 changes - in fact, I don't know how I can. The
12 Committee can obviously ask questions on it if it
13 wants. But I would like to concentrate on the changes,
14 and I think that is what Mr. Hintze will be emphasizing;
15 and then there are other things we can take up.

16 Are there any questions from members of the
17 Subcommittee before we let Al dig in? OK.

18 MR. HINTZE: When Revision 2 of Regulatory
19 Guide 1.97 was issued in December of 1980, there was an
20 outstanding question regarding Radiation Exposure Meters
21 (continuous indication in fixed locations). One of the
22 purposes of these monitors was to identify radioactive
23 releases from otherwise unmonitored release points from
24 the containment as a means of helping to detect a breach
25 of containment. The question involved the number and

1 location of the fixed location monitors necessary to
2 accomplish the intended function.

3 Since guidance for the number and location of
4 the fixed location monitors was not provided in Revision
5 2 of Regulatory Guide 1.97, the criteria for these
6 measurements were tied to a study on emergency
7 radiological monitors then being conducted by the
8 Radiation Assessment Branch of NRR.

9 The results of this study were recently
10 published in NUREG/CP-2644, dated April 1982, which
11 concluded that the use of a fixed location area
12 monitoring system to determine the magnitude of an
13 unmonitored release could not provide sufficiently
14 reliable technical information to be of use in a
15 decision-making process in the event of an emergency
16 situation.

17 The NRC staff agrees with the technical
18 evaluation of the study as documented in a memo from
19 Roger Mattson to Karl Goller dated July 29, 1982, and
20 the Radiation Exposure Meters (continuous indication of
21 fixed locations) has been deleted from the guide. These
22 are on pages 14 and 24 of the tables in the guide.

23 Another change which has been made in the
24 guide pertains to the Primary Containment Radiation
25 monitors.

1 Another change which has been made in the
2 guide pertains to the Primary Containment Radiation
3 monitors. In the judgment of the NRC staff, as
4 documented in a memo from H. Denton to R. Minogue, dated
5 August 12, 1982, the specified degree of accuracy (which
6 was a plus or minus 20 percent) for the Primary
7 Containment Area Radiation monitors - which is now given
8 in pages 9 and 18 of the guide - is an unnecessary
9 burden on sensor design and calibration and is an
10 unjustified recommendation.

11 Any errors due to energy spectrum will be
12 small for most geometries early in an accident. Later
13 in the accident, correction factors can be applied to
14 compensate for energy spectrum when required for a more
15 accurate measurement. This change involves the deletion
16 of the plus or minus 20 percent phrase in Note 7 on
17 pages 9 and 18 of the guide.

18 A third change involves the Radiation Exposure
19 Rate monitors (those located inside buildings or areas,
20 that is, for example, auxiliary buildings, fuel handling
21 buildings, secondary containment, which are in direct
22 contact with the primary containment where penetrations
23 and hatches are located).

24 Further study, as documented in a letter from
25 Harold Denton to R. Minogue, dated August 12, 1982, has

1 shown that detection of containment breach (such as the
2 Type C variables on pages 10 and 19 of the guide) can be
3 just as readily obtained, and with less ambiguity, from
4 radioactivity monitors in the effluent path from these
5 buildings adjacent to the containment.

6 Therefore, Radiation Exposure Rate monitors
7 inside buildings adjacent to containment for the purpose
8 of detecting containment breach (that is the Type C
9 variables) has been deleted from the guide. However,
10 those monitors for the Type E purposes (that is purposes
11 where access is required to service equipment important
12 to safety) are retained. Those are on pages 13 and 22
13 of the guide.

14 The fourth change involves the meteorological
15 measurements. Revisions to Regulatory Guide 1.23,
16 "Meteorological Programs in Support of Nuclear Power
17 Plants" and Regulatory Guide 1.97 were being developed
18 concurrently and were in agreement at the time
19 Regulatory Guide 1.97 was issued in December 1980.

20 Regulatory Guide 1.23 is the source of the
21 meteorological measurement criteria and the variables
22 are listed in 1.97 for completeness. However,
23 subsequent to the issuance of 1.97, Regulatory Guide
24 1.23 underwent further modifications as its development
25 continued. These modifications created some differences

1 between the two guides. This revision of Regulatory
2 Guide 1.97 brings it into agreement with the proposed
3 Revision to Regulatory Guide 1.23. The changes are
4 found on pages 15 and 24.

5 The fifth change involves the variable,
6 Coolant Level in Reactor. Both industry and NRC have
7 expended considerable effort to develop methods of
8 measuring coolant level in the reactor as an indication
9 of capability for core cooling.

10 As pointed out in SECY-82-407, "Implementation
11 of TMI Action Plan II.F.2 (NUREG-0737), it is probably
12 not possible to develop an unambiguous indication of
13 water level in the reactor.

14 However, it was concluded that it would
15 probably be sufficient to require a void indication or
16 inventory tracking system to supplement the subcooling
17 monitors and the core exit temperature monitors to
18 determine the capability for core cooling.
19 Consequently, the variable Coolant Level in the Reactor
20 has been changed to Coolant Inventory as provided by
21 SECY-82-407.

22 Other substantive changes are:

23 The variable BWR Core Temperature on pages 8
24 and 9 of the guide are not being recommended at this
25 time pending further development and consideration as

1 stated in Supplement 1 to NUPEG-0737.

2 For the PWR variable, Core Exit Temperature on
3 pages 17 and 18 of the guide, the range for operating
4 temperatures from 200 degrees to 1650 degrees F are
5 deleted, leaving the recommended range of 200 to 2300
6 degrees F, since all plants should have the 2300 degree
7 F capability as provided by NUREG-0737.

8 The Implementation section - which has been
9 passed out, a modification of it has been passed out
10 this morning - was modified to agree with Supplement 1
11 of NUREG-0737, which provides that the implementation
12 schedule should be negotiated by the applicant or
13 licensee with the NRC project manager on a
14 plant-specific basis.

15 Subsequent to the issuance of Revision 2 to
16 Regulatory Guide 1.97, a contract was issued to Idaho
17 Nuclear Engineering Laboratory to conduct an independent
18 evaluation of the guide to evaluate the
19 understandability of the guide and to determine if its
20 provisions could be met with state-of-the-art
21 instrumentation.

22 The preliminary results of this study revealed
23 some areas where clarification would be helpful and
24 where minor changes in instrument ranges could be made
25 which would not compromise the measurement objectives

1 but would be more consistent with practical instrument
2 capabilities. These changes are incorporated in
3 Revision 3 of Regulatory Guide 1.97.

4 The major change to the guide, which was for
5 clarification purposes, is in the re-formatting of the
6 qualification criteria for Categories 1, 2 and 3
7 variables. The criteria are now in tabular rather than
8 narrative form. This makes it easier to see the
9 differences in qualification requirements between the
10 various categories. Other changes are editorial and are
11 readily identified in the comparative text of the draft
12 guide.

13 MR. SIESS: Al, I might have missed
14 something. That change from Coolant Level to Coolant
15 Inventory, that is just for the PWR?

16 MR. HINTZE: Yes, sir.

17 MR. KERR: Why does it use "level" in one case
18 and "inventory" in the other? You are talking about --
19 I have forgotten which is which, maybe it is the PWR you
20 use "inventory" for.

21 MR. SIESS: The "level" is in BWR and
22 "inventory" is in PWR.

23 MR. KERR: Because the measurements are made
24 in the same way, I think. I wondered why in one case
25 you refer to "level" and the other case "inventory."

1 MR. HINTZE: I can't answer that, other than
2 the fact that the PWR was the more difficult one and we
3 have been concentrating on trying to measure levels.

4 MR. KERR: Well, the implication would be that
5 you are measuring different quantities in the two cases,
6 I would think, since in one case you are talking about
7 level and the other case inventory.

8 I wondered if it really was meant to be
9 different.

10 MR. WENZINGER: In the case of the boiling
11 water reactors using differential pressure is a
12 reasonably good way of measuring level.

13 MR. KERR: But you use differential pressure
14 in the PWR.

15 MR. WENZINGER: That's correct, and that is
16 not a very good way of measuring vessel level,
17 particularly with the pumps running.

18 MR. KERR: I guess I just don't see why it
19 will measure level in one case and not measure level in
20 the other case.

21 MR. SIESS: Since the BWR is a boiler --

22 MR. KERR: Because it really does not measure
23 level.

24 MR. SIESS: -- it does not seem to me that it
25 measures level there any better than it does in a PWR.

1 It must become two-phased at some point in the core.

2 MR. CARBON: Yes.

3 MR. WATT: Jim Watt. On the boiler it is part
4 of the normal control instrumentation to monitor some
5 level indication.

6 MR. KERR: But it really doesn't measure level
7 for the BWR any more than it measures the level for the
8 PWR. In both cases it measures what one might call
9 condensed level.

10 MR. WENZINGER: That's correct, collapsed
11 level.

12 MR. SIESS: I think the point, gentlemen, is
13 simply: this is semantics. But by making the change in
14 one and not in the other somebody starts looking at it
15 and says, "Why did they do that? What is the hidden
16 significance of this?"

17 MR. KERR: It seems to me "inventory" makes
18 sense in both cases, but I may be missing something.

19 MR. WENZINGER: No, I think you are right that
20 "inventory" does make sense in both cases. I don't see
21 any reason why the PWR would not be changed to the
22 "inventory."

23 MR. HINTZE: Since the question had not been
24 raised, I guess we had not discussed it.

25 MR. SIESS: You know, you can call it

1 inventory or you can call it level in quotes, and it
2 would not make any difference to me.

3 MR. WENZINGER: I think it would be more
4 appropriate to call it "inventory" for both cases.

5 MR. HINTZE: Do you have any objection to
6 that, Jim?

7 MR. ROSSI: I would proceed a little
8 cautiously in this area. My name is C. Rossi from the
9 Instrumentation and Control Systems Branch.

10 I think Mr. Watt made a good point that on the
11 BWRs, "level" has always been used, and I believe that
12 by "level" it has been actually a level in a down-cover
13 sense. So, I think it does have a meaning.

14 And on BWRs it has always been used as a basic
15 control parameter and a basic safety parameter, whereas
16 on the PWRs they operate essentially solid within the
17 reactor coolant system, and "level" has just
18 traditionally not been an important variable from the
19 standpoint of either safety or control. It is really
20 the total mass within the system that you would have
21 tried to control and maintain in the PWR.

22 MR. SIESS: That doesn't make any sense.

23 MR. KERR: The differential in a PWR does not
24 measure total inventory, it measures collapsed level in
25 the vessel.

1 MR. ROSSI: For the BWR now, you are talking
2 about?

3 MR. KERR: I am talking about the PWR.

4 MR. ROSSI: Well, I do not even think that it
5 necessarily measures that on the PWR because you have to
6 be very concerned about the pressure drops that are
7 caused by the reactor coolant pumps and close to the
8 core, and that sort of thing.

9 I don't think any of that was particularly
10 taken into account when the PWR vessel and core were
11 designed.

12 MR. KERR: If you talk about "inventory" in
13 that case, at best you can measure the collapsed level
14 when the thing is dead.

15 MR. ROSSI: OK.

16 MR. KERR: Yet, you use "inventory" in the PWR
17 case and it seems to me that --

18 MR. SIESS: It seems to me that what the staff
19 is trying to say is that they want to use level for the
20 BWRs because they are willing to accept the existing
21 "level" measurements for the future for BWRs, that we
22 don't want to change the name.

23 If that is what you mean, there ought to be
24 some way of saying it rather than hiding it in the words.

25 MR. ROSSI: Well, I also think that on the

1 BWRs that traditionally a considerable amount of thought
2 and design effort has been gone into maintaining what
3 they have always called level in the PWRs. Its normal
4 operation is that that is the important parameter,
5 whereas with PWRs it is not.

6 I think that the pressure drop situation in
7 BWRs is - and this is getting somewhat out of my area -
8 different than in the PWRs from this standpoint.

9 MR. SIESS: But is it a fact that you are
10 willing to accept the existing level measurements in the
11 boiler?

12 MR. ROSSI: That is basically correct.

13 MR. SIESS: As meeting the requirements of Reg
14 Guide 1.97.

15 MR. ROSSI: That is basically correct, yes.

16 MR. SIESS: And you have a feeling that if you
17 changed it to say "inventory" that there would be some
18 implication that you wanted something different than the
19 present "level" measurement.

20 MR. ROSSI: I don't know that that latter was
21 a consideration.

22 MR. SIESS: Well, that is what it sounds like
23 you are saying, that you are defending the words on the
24 basis of the fact that you are willing to accept the
25 tried and true.

1 MR. ROSSI: Well, certainly, I think on the
2 BWRs the level is indeed true and tried because it has
3 been used for many years and it is used during normal
4 operation in the controls of feedwater.

5 MR. SIESS: Well, I don't really see the
6 reason why the fact that it is used during normal
7 operation makes it particularly useful during an
8 accident condition.

9 MR. ROSSI: Well, I think the fact that it is
10 used during normal operation means that a lot of thought
11 has gone into what that measurement means, over the
12 years.

13 MR. SIESS: OK.

14 MR. ROSSI: And I think that is an important
15 factor.

16 MR. SIESS: OK, the interpretation of a
17 measurement.

18 MR. KERR: But has not a great deal of thought
19 gone into what it means during normal operation, and not
20 a lot of thought of what it means during an accident?
21 That would have been my feeling.

22 MR. ROSSI: That may be true, but I think it
23 is less of an extrapolation to figure out what it means
24 during an accident on a BWR than on a PWR.

25 MR. KERR: We certainly had some situations at

1 which the level measurement was misleading in terms of
2 what was in the core in what I call "abnormal" or
3 perhaps an accident.

4 MR. ROSSI: I think that when you are making a
5 comparison with PWRs and BWRs that you might better
6 compare the level measurement in the steam generator on
7 a PWR with the level measurement in the core on a BWR.
8 I would consider those two things to be more analogous
9 than "level" or "inventory" within the core.

10 In fact, the level in a steam generator on a
11 PWR is indeed, I believe, included in Regulatory Guide
12 1.97 and you have all the same problems there that you
13 got within the core. You got lots of void within the
14 tube region of the steam generator and what we are
15 measuring is the differential pressure out in the
16 down-comer and that you call "level."

17 So, I think when you are doing that comparison
18 that that is a better analogy than just looking at the
19 core.

20 MR. SIESS: The differential pressure and the
21 down-comer are different from the differential pressure
22 inside the core?

23 MR. ROSSI: I can't answer that question.

24 MR. SIESS: I couldn't figure out a good
25 reason for it unless there was a heck of a lot of flow,

1 friction drop of something.

2 MR. CARBON: We certainly have a different
3 friction drop with differential pressure.

4 MR. SIESS: And why is it in the down-comer
5 because that is where the pressure taps go?

6 MR. KERR: Yes.

7 MR. ROSSI: Well, I think in the down-comer
8 you have something that is very close to really a true
9 level, and you want to have a lot of void and that kind
10 of thing in the down-comer. You have water that you
11 measure the level. That is a very similar situation in
12 my mind to what you have in steam generators on a PWR.

13 MR. SIESS: But if I am really interested in
14 the level, it must be the level in the core I am
15 interested in. That is what I am trying to keep cool,
16 not the down-comer.

17 MR. ROSSI: But again, there is a close
18 relationship.

19 MR. SIESS: If it is boiling in the core there
20 is a close relationship?

21 MR. ROSSI: I think there is a close
22 relationship between what you want inside the core and
23 the level that you are measuring in the down-comer
24 around the BWP. Certainly, that is the situation on the
25 PWR and the steam generator.

1 MR. SIESS: I guess I could interpret that
2 another way and say that if I know the collapsed level
3 in the down-comer, I know something about the inventory,
4 which tells me something about how much there is to cool
5 the core.

6 MR. ROSSI: I also am not sure that you are
7 really talking about a collapsed level in the down-comer
8 because I think at least in a steam generator on a PWR,
9 it is not collapsed level that you are worried about in
10 the down-comer, it is level in the down-comer.

11 MR. KERR: Mr. Rossi, I mean, what you want is
12 what is in the core. You don't really care what is in
13 the down-comer. You measure what is in the down-comer
14 because you have a feeling that that will tell you what
15 is going on in the core.

16 MR. ROSSI: That is correct.

17 MR. KERR: And what you want to know in the
18 core is the inventory in the core, which will provide
19 cooling, I think.

20 MR. ROSSI: That is correct. I claim that is
21 analogous to the situation on a steam generator, on a
22 PWR where you are not interested in what is in the
23 down-comer. What you are interested in is the mixture
24 of whatever - if it is water in void or water in steam -
25 within the tube region of the steam generator. That is

1 what cools the core on a PWR when you are using the
2 secondary site as your cooling.

3 MR. KERR: Which is an argument which means
4 inventory to me.

5 MR. ROSSI: For the steam generator.

6 MR. KERR: And the BWR.

7 MR. SIESS: Let's back off from it a minute
8 and let's see if I can understand what this means if I
9 were a plant owner.

10 For a BWR, it seems to me what the Reg Guide
11 says is that the system of level measurement that has
12 been used for a number of years, with all the different
13 ranges, is acceptable for Reg Guide 1.97. Is that what
14 it says?

15 Are there any other criteria against which to
16 compare?

17 MR. HINTZE: Would you state that again?

18 MR. SIESS: For a BWR the requirement for
19 coolant level in reactor, which is one of the Type B
20 variables, is satisfied by the conventional --

21 MR. KERR: Existing.

22 MR. SIESS: -- existing level measurement,
23 Delta P measurement systems that BWRs have had all these
24 years.

25 MR. HINTZE: I think that has been accepted as

1 correct, yes.

2 MR. CARBON: May I raise a question before you
3 leave that?

4 MR. SIESS: Yes.

5 MR. CARBON: But that won't give you the level
6 in the core when flow rate changes, will it?

7 MR. SIESS: No.

8 MR. CARBON: So, it is not giving you in the
9 core.

10 MR. SIESS: No. As I understand the staff's
11 position, this requirement of Reg Guide 1.97 for BWRs is
12 satisfied by the existing so-called water level
13 measurements.

14 MR. ROSSI: Well, certainly by a system based
15 on that general principle. I think that over the last
16 few years there may have been - I am not absolutely sure
17 of this - some changes in range requirements and how the
18 indicators were calibrated, and that kind of thing.

19 MR. SIESS: There have been some changes to
20 get a reference level.

21 MR. ROSSI: Yes. But basically the
22 methodology we are accepting on the BWRs.

23 MR. CARBON: Can I still interject before we
24 leave it?

25 MR. SIESS: No, let me finish this. I am

1 trying to find out what it means and not whether it
2 works.

3 MR. CARBON: OK.

4 MR. SIESS: I will come back to you.

5 MR. CARBON: Fine.

6 MR. SIESS: Now, in Table 2 for PWR variables
7 there is one now listed as coolant inventory, and what
8 is acceptable to the staff on that is, it has been the
9 subject of a couple of NURFGs and I don't know what
10 else. There is a Westinghouse system acceptable, a
11 Combustion system acceptable, a B&W system acceptable
12 with certain modifications; right?

13 In essence, there is no existing system,
14 previously existing system, and there are always new
15 ones. And this is what this refers to; right?

16 MR. HINTZE: That is what this refers to,
17 right.

18 MR. SIESS: And, let's see, is there a
19 footnote that refers to one of those NUREGs or a SECY
20 that says Westinghouse Delta P is OK, and Combustion's
21 thermocoupler is OK?

22 MR. HINTZE: I believe we have a footnote
23 there, page 17.

24 MR. SIESS: It does reference to W&W but it
25 does not reference to -- is there a formal position yet,

1 that is, a SECY went up, proposing approval of the
2 Westinghouse Delta P and the Combustion thermocouple, is
3 that approved yet?

4 MR. WATT: SECY-82.407 addresses that. It
5 essentially agrees with the Westinghouse and Combustion
6 systems.

7 MR. SIESS: Is that referenced anywhere in the
8 Reg Guide?

9 MR. HINTZE: We just mentioned it in our
10 presentation. It is not referenced in the Reg Guide.

11 MR. SIESS: OK. But there is a footnote in
12 there that essentially includes what 82-407 says about
13 B&W, doesn't it?

14 MR. HINTZE: Right, on page 17.

15 MR. SIESS: Well, I understand now how this is
16 to be implemented. Max, I will come back to your
17 question.

18 MR. CARBON: Yes. The question I have is on
19 the BWE, the differential pressure in down-comer will
20 give you a measurement of flow rate, but it will be
21 different for a given pressure drop, depending on the
22 amount of the vapor-liquid mixture and therefore a
23 function in both the flow rate and the power level.

24 It is not real clear to me how you get from
25 the pressure drop in the down-comer to the level of the

1 coolant or the inventory in the core. It is not clear
2 to me why this satisfies the requirement in 1.97.

3 Is there some simple explanation of this?

4 MR. ROSSI: Well, on my part I am not an
5 expert on the pressure drops through the core in
6 relationship to the weater level or whatever in the
7 down-comer. I think if you really want to get into the
8 details of that, I suspect the people that can talk
9 about that knowledgeably are not here today.

10 Certainly, you should not infer from the
11 remarks that I have made on why I think it was done this
12 way, that I am an expert on pressure drops. But I would
13 again come back to the fact that on the BWRs, they have
14 always depended on what they called "level." It is
15 measured in a certain way from DPs to tell you what was
16 felt to be necessary, what was going on in the core for
17 normal operation to maintain core parameters within
18 ranges where you won't get into core damage or anything
19 like that. Initiating safety systems, many years of
20 experience, and a lot of design effort has gone into it
21 --

22 MR. CARBON: Yes.

23 MR. ROSSI: -- is what I am really saying
24 rather than that I understand all the details in the
25 pressure drops.

1 MR. CARBON: But I think you are also saying
2 what I think Dr. Kerr referred to, an awful lot of
3 experience under normal conditions at the edge of normal.

4 MR. ROSSI: Well, that is experience but do
5 keep in mind, when accident analyses are done in either
6 of these plants, they are doing it in terms of
7 measurements and how those measurements are really
8 related to the parameters that were important during an
9 accident.

10 I am quite sure that has been the case in the
11 PWRs. Again, I am not an expert on those pressure
12 drops, trying to explain all that.

13 But you know, when the accident analyses are
14 done they are done in terms of what they call "level" on
15 the BWRs, and it has not traditionally been the
16 situation on PWRs since they don't have an analogous
17 measurement for primary systems.

18 I do think they have an analogous measurement
19 on the steam generators.

20 MR. WATT: It falls in the post-accident
21 monitoring.

22 MR. SIESS: I want to get the cast straight
23 here. The three people at the table are from Standards
24 or Research, as it is called now.

25 Where are you guys from?

1 MR. ROSSI: I am from NRR, the
2 Instrumentations and Control Systems Franch.

3 MR. WATT: I am from Research and Standards
4 Coordination.

5 MR. SIESS: Are the rest of these NRR people?

6 VOICE: Yes.

7 MR. SIESS: OK, I just want to get who is
8 talking from what point of view, who is writing this and
9 who is enforcing it.

10 (Laughter.)

11 MR. CARBON: Can you gentlemen answer my
12 question?

13 MR. KERR: There is a third group, and that is
14 who understands it.

15 (Laughter.)

16 MR. SIESS: That is a smaller group.

17 MR. CARBON: I honestly don't understand how
18 the Delta P down-comer satisfies the requirements for
19 inventory on the core in PWRs. I presume it does, but I
20 don't understand it.

21 MR. HINTZE: I am not going to answer it
22 either.

23 MR. WATT: This is Jim Watt. Remember that we
24 are talking about decay heat period and we are talking
25 about a measurement in the down-comer. And with reduced

1 power you would expect the level to approach that of the
2 driving force which is in the down-comer.

3 It is close to accident monitoring. The Delta
4 P in the down-comer is close to it, certainly it
5 represents the collapsed liquid level in the core and it
6 would be very close to it during post-accident monitoring.

7 MR. ROSSI: If I can add a little bit more. I
8 have had some experience on PWRs with level calculations
9 in a steam generators and in relation to what is assumed
10 an accident analysis.

11 And what was done there was that you can do
12 calculations of the amount of void and the amount of
13 actual pounds of water within the tube region of a steam
14 generator as a function of things like power, pressure
15 in the steam generator, and down-comer level which is
16 called DP. And those kinds of calculations are indeed
17 done for the steam generators on PWRs.

18 And then, when you do accident analyses you
19 have a relationship between what you are measuring -
20 which is this DP and the down-comer which is close to
21 level but it is also affected by pressure drops and
22 flows and other things like that.

23 But that is taken into account in the
24 calculation. So, when you do an accident analysis you
25 are doing it, relating what you are measuring to what is

1 really going on in the tube region in terms of void and
2 so forth.

3 I am making an assumption - I am less familiar
4 and I have not done those calculations on a BWR - that
5 that same type of thing is indeed done on the BWR.

6 Now, I have been involved to some extent with
7 the ATWS Task Force where they have, General Electric
8 has been preparing emergency operating procedures for
9 ATWS which involve such things as lowering the major
10 level down following an ATWS in order to get a certain
11 void within the core between the power level down. And
12 there, I believe -- well, I really know that they have
13 done calculations on how the actual void and mass, and
14 reactivity within the core are related to the thing they
15 are measuring, which they call "level" again, as a
16 function of pressures and temperatures, and that kind of
17 thing.

18 So, I think that the real issue is that you
19 have to be able to relate what is going on in the core
20 to the thing you are measuring, rather than very closely
21 exactly reproduce the thing you really want.

22 MR. CARBON: You need to be assured there is
23 something unique, for each partial drop measurement that
24 you are getting something unique in the core.

25 MR. ROSSI: Well, unique or correctable,

1 usable at least in some way. I think that in some cases
2 you have to make some corrections to the readings that
3 you get or you have to maintain the level of reading
4 higher because of various pressures and other effects.

5 MR. CARPON: Thank you.

6 MR. SIESS: Let me see if I can summarize it.
7 There does not appear to be any real good reason for
8 using "level" in one place and "inventory" in the other.

9 But I think it is clear to me anyway as to
10 what the staff expects to be done in response to this
11 Reg Guide for BWRs.

12 It is not all that clear in the Reg Guide.
13 But for BWRs they are willing to accept the existing
14 Delta P "level" measurements, and for PWRs their
15 position is essentially that of SECY-82.407, accepting
16 the Westinghouse and CB systems and accepting B&W with
17 some modifications - which I don't think anybody has
18 quite come up with yet.

19 Now, whether that is a proper position I am
20 not prepared to say. We have discussed this in another
21 forum a number of times and I do not recall the
22 Committee having raised the kinds of questions we raised
23 today about the BWRs. It seems we devote most of our
24 attention to the PWRs.

25 So, I guess I am willing to assume it is a

1 question of semantics. The Standards people are willing
2 to change both to "inventory."

3 NRR seems to think that changing "level" on
4 BWRs to "inventory" implies something different than what
5 they have been doing, and they are willing to accept
6 what they have been doing and prefer to keep it "level"
7 to keep the picture clear.

8 MR. ROSSI: Yes. The last statement I would
9 strongly agree with.

10 MR. MORRISON: Chet, I am not sure that
11 Standards is willing to change the BWRs to "inventory"
12 either. I think "level" is the term that is commonly
13 used. We received no comments or objections to the use
14 of that term and I would be very reluctant to have to
15 change the term "level" to "inventory" for a BWR.

16 MR. SIESS: I think that is the reason. By
17 changing the term there you would imply something
18 different than what you have been accepting.

19 Now, for PWRs there is no similar problem
20 because you are requiring something completely
21 different. It has been explored and all the angles to
22 it have been looked at. So, changing it there makes
23 some sense and it puts emphasis on a new technique.
24 Changing in the other place would be wrong because it
25 would take the emphasis off of an existing technique.

1 That is the way I see it.

2 You want to let it ride, gentlemen?

3 MR. KERR: I just asked why. I now understand
4 it is tradition. I am in favor of tradition.

5 (Laughter.)

6 MR. SIESS: Are there any other of these
7 particular changes that anybody would like to discuss?

8 I would like to have an explanation of what
9 the revised implementation section means. You know, I
10 know the words but I need to understand.

11 MR. RAY: I have trouble understanding that,
12 too.

13 MR. KERR: Not knowing what is in Supplement 1
14 to 0737, if you will explain. I want to find out what
15 we are discussing.

16 MR. SIESS: The single sheet, Bill.

17 MR. KERR: OK, excuse me.

18 MR. HINTZE: If you remember, the CRGR minutes
19 indicated that we needed to work out an implementation
20 statement with the ELD, and what I passed out this
21 morning was in response to that requirement of CRGR for
22 their approval.

23 MR. RAY: But it seems to say the same thing
24 that you had on 1.97. I am having trouble understanding
25 what the changes mean. There are changes in the words,

1 but the intent, English-wise, means the same thing to me.

2 MR. HINTZE: You are right. Legal people like
3 to have their own way of expressing things.

4 MR. SIESS: Now, let's take it up. For new
5 plants, CBs after June 1, 1983 it is applicable. That
6 is the same in both versions, right?

7 MR. HINTZE: Yes, sir.

8 MR. SIESS: Now, for plants with OLS issued
9 before June 1, 1983, RCPs issued before --

10 MR. HINTZE: That is everything, everybody
11 else.

12 MR. SIESS: That is everybody else.

13 MR. HINTZE: Yes.

14 MR. SIESS: Should meet the provisions as
15 specified in Supplement 1 to NUREG-0737, right?

16 MR. HINTZE: Yes, sir.

17 MR. SIESS: Now, that is what the new one
18 says. The old one said, "Should develop a plan as
19 outlined in," right?

20 MR. HINTZE: That's right.

21 MR. SIESS: And this is more specific, it
22 says, "Should meet the provisions as specified in
23 Supplement 1 to 0737."

24 What does Supplement 1 to 0737 say?

25 MR. HINTZE: We provided a copy for you. It

1 says essentially, as far as the schedule is concerned,
2 the same thing that we say here.

3 MR. SIESS: Does it require that everything in
4 Table 1 be implemented?

5 MR. HINTZE: Eventually. The legal people are
6 a little bit concerned that if we just said --

7 MR. SIESS: Forget about the legal people,
8 Allen, just tell me what a plant that is operating -
9 let's take a specific plant, Connecticut Yankee-Hoddam
10 Neck - what do they have to do to meet this? Do they
11 have to meet all the requirements?

12 MR. HINTZE: All the requirements with the
13 exception of the qualification of some of the
14 instruments.

15 MR. SIESS: That is in 737?

16 MR. HINTZE: That is in 737.

17 MR. SIESS: But the schedule for doing it is
18 something that should be negotiated.

19 MR. HINTZE: That's right.

20 MR. SIESS: With the project manager.

21 MR. HINTZE: That's right.

22 MR. SIESS: And the project manager for Hoddam
23 Neck is going to be a regional man one of these days;
24 isn't he?

25 MR. HINTZE: Probably.

1 MR. KERR: In the revision where it says,
2 "Meet the provisions of this guide as specified," does
3 that mean meet them as specified, or the provisions as
4 specified?

5 MR. HINTZE: As far as the list of the
6 variables, there is no question that they have to have
7 those measurements.

8 MR. KERR: No, I am trying to find out what
9 the statement means. See, "as specified" could refer to
10 the provisions, or to meeting the provisions, or to both.

11 Is it talking about the provisions as
12 specified in 0737, that is, Provisions 1 through 10; or
13 is it talking about meeting them in a way which is
14 specified in 0737, or both?

15 MR. HINTZE: It means -- let's see if we can
16 find what you are talking about.

17 MR. KERR: I am talking about the sheet that
18 was distributed this morning.

19 MR. HINTZE: Yes.

20 MR. SIESS: Sam is getting a copy.

21 MR. KERR: Somebody must have written this and
22 had something in mind. What did the writer mean to say?

23 MR. HINTZE: He tried to say this, it says,
24 "It is acceptable to reply on currently installed
25 equipment if it will measure over the rates indicated in

1 1.97, even if the equipment is presently not
2 environmentally qualified."

3 MR. KERR: So, the provisions.

4 MR. HINTZE: So, that is the provision 0737 is
5 imposing over and above what the guide says. If you
6 just had the guide that has to have everything qualified
7 you have to --

8 MR. KERR: I am trying to understand the
9 English here. It would mean the same thing if it said,
10 should meet the provisions specified, the provisions of
11 this guide specified, as specified?

12 MR. SIESS: Let me try another wording, Bill.
13 Suppose it said, "Should meet those provisions of this
14 guide specified in Supplement 1 to NUREG-0737?"

15 MR. KERR: If that is what it means. Is that
16 what it means?

17 MR. WARD: No, 0737 is modifying the
18 provisions of the guide; right?

19 MR. HINTZE: Modifying them by accepting
20 existing measurements.

21 MR. WARD: Right.

22 MR. HINTZE: If they tell them what it is. If
23 we just said, "Meet the guide," they might have to tear
24 some things out. They have now an opportunity to
25 propose a little different than the guide says, by this

1 statement. That is what we are trying to say.

2 MR. SIESS: Yes.

3 MR. WENZINGER: As specified in 0737.

4 MR. KERR: You see, it could mean, meet the
5 provisions in the way that is specified, or it could
6 mean, meet the provisions, those provisions specified in
7 0737, or it could mean both.

8 MR. SIESS: Yes. It does mean both because
9 the way gives them a time schedule leeway which is
10 important, and it also gives them outs.

11 MR. HINTZE: Right.

12 MR. KERR: If it means both, then that is
13 probably the way to say it.

14 MR. SIESS: Well, if we understand what it
15 means, and they understand what it means, and NRR
16 understands what it means, I guess it's all right.

17 MR. KERR: It does not matter whether the
18 licensee understands it.

19 (Laughte.)

20 MR. WARD: Would it mean what you want to if
21 it said, "Should meet provisions of this guide as
22 modified in Supplement 1 to NUREG-0737," is that what it
23 means? That is what I thought it meant.

24 MR. WATT: May I quote a phrase from the
25 guide, from the NUREG, a SECY document?

1 "It is our intent that the guidance documents
2 themselves referred to in the enclosures are not to be
3 used as requirements, but rather they are to be used as
4 sources of guidance for NRC reviewers and licensees
5 regarding acceptable means."

6 Now, that is the guidance.

7 MR. KERR: Well, if one said, "Should meet the
8 provisions," that is not a requirement. What is it?

9 MR. SIESS: Well, I can find some words. You
10 can say --

11 MR. KERR: Should follow the guidance?

12 MR. SIESS: To meet the provisions of this
13 guide to the extent and in the manner specified in the
14 SECY. Is that it?

15 SECY tells you the extent to which you must
16 meet them in terms of equipment qualifications and the
17 manner in which you must meet them, which includes the
18 timing and the interpretation. I think that is what it
19 means.

20 I am not sure that is not what it says if you
21 wanted to read it loosely. There are two things
22 involved.

23 MR. HINTZE: Would you say that again, Chet?
24 Let me write it down.

25 MR. SIESS: I had "to the extent" and "in the

1 manner specified."

2 MR. HINTZE: OK.

3 MR. SIESS: Because 0737 tells you how this
4 should be applied, with what flexibility and so forth.
5 And it tells you the extent to which it should be
6 applied to operating reactors, and not everything is
7 applicable.

8 The list is, the qualification - not
9 necessarily. There is a lot of leeway in there. Who
10 has that leeway, Denton or the project manager?

11 MR. HINTZE: It would be the project manager
12 that eventually is the one that decides on each
13 individual plant.

14 MR. SIESS: I mean, is the project manager
15 going to have the kind of responsibility and authority
16 that the SEP project managers have had about accepting
17 things?

18 MR. HINTZE: Jim, do you want to answer that?

19 MR. SIESS: That requires an uncommon amount
20 of common sense, and I just wonder how many project
21 managers have it.

22 MR. JOYCE: This is Joe Joice of NRC staff,
23 ICSB.

24 ICSB will be implementing Reg Guide 1.97. the
25 project manager will be setting up schedules,

1 negotiating schedules with the licensee. When there is
2 a problem in terms of implementing the Reg Guide itself
3 on individual parameters or variables, at that time it
4 will be worked out between the ICSB and the licensee.

5 MR. SIESS: Not the project manager.

6 MR. JOYCE: That's correct.

7 MR. SIESS: So, he will not have the kind of
8 authority as the SEP project manager had. The Technical
9 Branch will make the final decision.

10 MR. ROSSI: That's correct, the Technical
11 Branch will make the final decision, and ICSB will
12 consult with other branches that may be involved in a
13 particular parameter.

14 MR. WARD: Would you say the same approach is
15 being taken with SECY-82-111, emergency response
16 facilities? Project manager are going to be even busier
17 people.

18 MR. SIESS: They are going to negotiate
19 schedules but the technical implementation will be up to
20 the Technical Branch, which is quite different from the
21 SEP.

22 OK, I understand. Any other questions about
23 the implementation?

24 The formal reference now is 0737, or SECY --

25 MR. HINTZE: Supplement 1 to 0737.

1 MR. SIESS: And what is the force of that in
2 law? Does that have any more force than a Reg Guide?
3 Is that a rule or regulation, or policy statement?

4 MR. HINTZE: It is a letter that goes out to
5 all licensees saying, this is what we want you to do.

6 MR. SIESS: But it is not a backfit - is it
7 50.109 or whatever it is - backfit provision? I am just
8 interested in the mechanics of it right now.

9 MR. JOYCE: This is Joe Joice again, ICSB.
10 There was a 50.54 letter on December 17. That
11 letter went out to all operating plants, licensees and
12 holders of construction permits. The 50.54 is the "show
13 cause" why they should continue to operate without the
14 implementation of the supplement to Reg Guide, to
15 NUREG-0737.

16 MR. SIESS: And that is different than the
17 backfit, right?

18 MR. JOYCE: Correct.

19 MR. SIESS: And the Commission does not have
20 to -- let's see, the 50.54 puts it on the licensee to
21 show why he does not have to do it?

22 MR. JOYCE: Yes, sir.

23 MR. SIESS: And 51.09 would require the
24 Commission to show that it was a substantial improvement
25 to safety.

1 MR. JOYCE: I don't know the latter.

2 MR. SIESS: Most of the staff don't. That is
3 the backfit provision that has never been used by
4 anybody. That is the way the Commission gets around
5 having to make a finding that safety will be improved.

6 Any other questions about Reg Guide 1.97,
7 Revision 3? Bill, you want to ask something about what?

8 MR. KERR: I have a number of questions about
9 Table 1.

10 MR. SIESS: Yes.

11 MR. KERR: Is it time to ask those?

12 MR. SIESS: That is part of the Reg Guide.
13 Let me ask one, it may be one you were going to ask when
14 we started off.

15 The Type A variables is an open list, plant
16 specific.

17 MR. HINTZE: That's correct.

18 MR. SIESS: What experience has the staff had
19 in developing a list of Type A variables on plants? Has
20 anybody submitted a list yet? This Reg Guide has been
21 out.

22 MR. HINTZE: I don't know. It has not been
23 enforced yet.

24 MR. SIESS: It has not been enforced.

25 MR. HINTZE: I don't know whether they have

1 done it on a voluntary basis or not. Joe may know.

2 MR. JOYCE: That is correct, Al. There have
3 been, I guess, three or four documents that have come in
4 on a voluntary basis in response to Reg Guide 197,
5 Revision 2.

6 The staff has not looked at these documents.
7 We are waiting for correlation with the project manager
8 and licensees and the official submittals, so that we
9 can start implementing and reviewing.

10 MR. SIESS: There are 150 plants out there,
11 140 something, that this is going to apply to.

12 MR. JOYCE: Yes.

13 MR. SIESS: I am not talking about the future,
14 I worry about those. They may be standard plants.

15 Are you going to get separate submittals from
16 each one of those as to what they think the Type A
17 variables are?

18 MR. ROSSI: I think the answer to that is,
19 yes, we are. However, I would like to point out that
20 the Type A variables are the ones that are required in
21 order to cope with an accident. The staff reviews, in
22 my opinion, have always looked at those pretty carefully
23 because we have always looked at any manual actions that
24 are required following an accident carefully from the
25 standpoint of ensuring that it is OK to use manual

1 actions rather than to automate them.

2 That has been an issue that has been brought
3 up by essentially every review. So, I think those hve
4 been pretty well covered in most plants. What we are
5 talking about doing here is getting a more formal
6 listing in one place.

7 MR. SIESS: Yes, but you are going to get 140
8 formal listings. Who is going to coordinate this? It
9 seems to me that people that have been reviewing
10 emergency procedures have to be involved because that is
11 where it calls out what the manual actions are. And
12 emergency procedures are being revised like mad these
13 days and reviewed. Everybody is reviewing and revising
14 emergency procedures.

15 MR. ROSSI: You are correct, the emergency
16 procedures will be important and the Reator Systems
17 Branch will be deeply involved in that review.

18 MR. SIESS: What is the probability that two
19 or more or less identical plants are going to come in
20 with a different list of Tye A variables, will somebody
21 look at those?

22 MR. ROSSI: That could very well happen. But
23 keep in mind that the reviews we do on the staff are
24 basically audit reviews. The burden is on the licensee
25 to pick the correct Type A variables and we will audit

1 what he picks to assure ourselves that he has done a
2 good job in picking the correct ones. Comparisons will
3 be done, but we do not intend to do an exhaustive
4 comparison of everyone's list.

5 MR. KERR: Mr. Rossi, I have gotten the
6 impression that Regulatory Guides were supposed to give
7 guidance to the licensee as to what the staff would find
8 acceptable. That is the reason that they come into
9 existence as regulations, and the Reg Guide tells the
10 licensee he can go with that regulation.

11 Now, it does not seem to me that this gives
12 very much guidance to a licensee as to what a Type A
13 variable is unless you are willing to accept whatever a
14 licensee picks out.

15 If you are not going to accept just what a
16 licensee picks out, then it seems to me some guidance
17 might be appropriate. And to just say "plant specific,"
18 it seems to me, is not a lot of guidance.

19 MR. ROSSI: Well, I think there is in fact a
20 lot of guidance already available. I believe the
21 Standard Review Plan covers what is acceptable.

22 MR. KERR: Well, why is that not referred to
23 here, rather than the terse statement, "plant specific?"

24 I mean, if there is guidance somewhere else
25 that is more specific, it seems to me it might be well

1 to refer to it here.

2 MR. HINTZE: This guide is a list of variables
3 to be measured, OK? And unless there is one variable
4 that should fit every plant, we can't put it in.

5 MR. KERR: But how are you going to make a
6 judgment, then, when you get them as to whether they are
7 appropriate or not? Somebody is going to make a
8 judgment, I am told. Will that just be on an ad hoc
9 basis for each plant?

10 If so, what does the reviewer use as guidance?

11 MR. WATT: The reviewer would use the judgment
12 of whether that measurement gives the operator
13 sufficient information to take the action.

14 MR. KERR: But he is going to use some
15 criteria, I think -- maybe it is the Standard Review
16 Plan, maybe it is something else.

17 If he is going to use this, why not tell a
18 licensee the reviewer is going to make a judgment based
19 on whatever he is going to do, so that the licensee can
20 save himself some trouble?

21 I mean, he has some idea of what criteria are
22 going to be used. It seems to me he is in a better
23 position to give you the information you want the first
24 time around.

25 MR. WATT: The emergency core cooling systems

1 are plant specific. the long-term cooling
2 characteristics are plant specific.

3 MR. KERR: But everything in here is plant
4 specific, likely. And yet, we have lists of stuff and
5 for some reason for Category A, for Type A, we have a
6 the terse statement, "plant specific."

7 MR. WATT: I have been concerned about this,
8 too. But really, you have to anticipate an accident and
9 say, when would an operator have --

10 MR. KERR: You had to do this for neutron
11 plugs, for control rod position, for PCS soluable Boron
12 concentration. I mean, you don't use those unless you
13 speculate an accident and say, "I need this."

14 MR. ROSSI: Well, I think that these variables
15 are determined by what is in the Chapter 15 analysis of
16 the FSAR and what is in the emergency operating
17 procedures.

18 MR. SIESS: I think the latter is a lot more
19 important than the former.

20 MR. ROSSI: Well, it is the combination of the
21 two.

22 MR. SIESS: But the emergency operating
23 procedures tell me what is a manual action and what is
24 an automatic action, and the Chapter 15s will not.

25 MR. ROSSI: Well, Chapter 15 analyses, though,

1 tell generally what the bare minimum required safety
2 actions and equipment are in order to cope with an
3 accident.

4 (Simultaneous conversations.)

5 MR. ROSSI: They are the ones that are picked
6 in Chapter 15.

7 MR. KERR: We have already gone beyond the
8 design basis accidents in Reg Guide 1.97.

9 MR. SIESS: What is more, we have vendors
10 coming up with standard operating procedures. They are
11 developing operating procedures. So, there are not
12 going to be 140 different sets of operating procedures.

13 MR. ROSSI: But there are still going to be
14 plant-specific aspects.

15 MR. SIESS: There will be some plant specific
16 but every plant is not going to be unique. There are an
17 awful lot of things similar between Millstone 1 and
18 Dresden 2 and 3, for example, and Dresden 2 and 3 and
19 Quad Cities 1 and 3. They are the same vintage plants
20 and the same company, for example.

21 Now, I will guarantee that they will have the
22 same. And I am not even sure they have the same project
23 manager.

24 MR. ROSSI: I look at the Type A variables as
25 being more along the lines of the Chapter 15 analyses

1 than anything else because the Type A ones are those
2 where he has to have the information because in the
3 design and analysis of the plant you are dependent in
4 some way on a manual action to perform a safety
5 function, rather than automating it.

6 I think the part about going beyond design
7 basis accidents is basically covered by all the other
8 parameters that are in there.

9 Now, the emergency operating procedures are
10 going to include things like non-safety grade equipment
11 that the operator might use in certain situations, and
12 they go also beyond just the bare minimum things that
13 are required in Chapter 15.

14 But there is always a question when we write
15 one of these Reg Guides as to how much detail we provide
16 for the licensees.

17 In the case of Type A ones there is not very
18 much, but I would also like to offer that I think there
19 is a considerable amount of an overlap in the review of
20 those Type A variables with other things such as, again,
21 Chapter 15 analyses and emergency procedures.

22 MR. KERR: This is what would seem to me to be
23 a somewhat anomalous situation in the guide itself. It
24 says, "The factor that is a Type A variable does not
25 preclude its being a B, C, D or E."

1 Now, it seems to me in order of importance -
2 and maybe I misjudge - but I thought that probably Type
3 A variables are a bit more important than B, and B is
4 more important than C, and so on. Maybe that is not the
5 case.

6 MR. ROSSI: That is correct.

7 MR. KERR: If it is the case, it seems to me
8 if you define something as a Type A variable, then the
9 specifications on that instrument and that channel are
10 such that you do not have to worry about whether it is a
11 B, C, D, or E, you have already taken care of it.

12 So, I do not see why one worries about it.

13 MR. ROSSI: Well, we did not want to infer
14 that if something was listed as a Type A variable and a
15 Type B variable, that they had to have a separate
16 instrument for the two. I think that was the reason.

17 MR. HINTZE: If we start listing Type B
18 variables, we are dictating to them as to what they
19 should have manual and what they should have automatic.

20 MR. KERR: I am not saying that you list
21 them. I am saying give them some guidance.

22 MR. HINTZE: We do.

23 MR. KERR: All it says here that it is plant
24 specific. Indeed, I think maybe it gives too much
25 specificity in the B, C, D, and E. I was just struck by

1 what seemed to me to be an anomaly in terms of
2 importance. The important variables, you say, are plant
3 specific. Those are the less important.

4 MR. SIESS: Bill, the A, B, C, D, the order of
5 importance is on a time sequence. A are those things
6 you --

7 MR. KERR: I thought that I was just told that
8 that was true, that there was an order of importance.

9 MR. SIESS: I believe that is incorrect.

10 MR. HINTZE: The Categories 1, 2 and 3 are the
11 orders of importance.

12 MR. WARD: Yes.

13 MR. SIESS: Bill, if you look at them, A are
14 those things you have to know in order to do the proper
15 manual actions; B tells you whether the automatic
16 systems are working; C tells you you are likely to have
17 a failure somewhere in one of the boundaries - I forget
18 what D is; and E tells you when it is outside of
19 containment.

20 It gets progressively worse.

21 MR. WENZINGER: Mr. Chairman, may I have a
22 word, please?

23 MR. SIESS: Yes.

24 MR. WENZINGER: Thank you.

25 I think we have all forgotten, and I think the

1 ANS would probably accuse us of having deliberately
2 forgotten - that may be right or wrong but I won't argue
3 it - but this Reg Guide does in fact endorse an ANS
4 standard although the degree of endorsement is perhaps
5 not as much as the ANS would have liked.

6 Let me read to you from Section 4.2 of the
7 endorsed standard. It says, "Three classifications of
8 variables have been identified. Operator manual actions
9 during design-basis accident events are pre-planned.
10 Those variables that provide information needed by the
11 operator to perform these manual actions are designated
12 as Type A."

13 No identification of a specific Type A
14 monitored variables is provided in this standard because
15 they are plant unique. The process for selecting Type
16 A variables is given in Section 5.1.1. "Those variables
17 needed to assess critical plant safety functions," and it
18 goes on to B and C.

19 Let me go, then, to Section 5.1.1. It says,
20 for Type A under variable selection, "The process for
21 selection of accident monitoring variables shall include
22 identification of - for Type A - the design basis
23 accident events for which manual action is required,"
24 that is one.

25 Two, "Pre-planned operator actions to deal

1 with those events."

2 Three, "Monitored variables needed for
3 pre-planned operator actions."

4 Four, "That the monitored variables for which
5 current value, rate, trend or a combination of these are
6 required for pre-planned operator actions during an
7 accident."

8 Now, that is the guidance and criteria that is
9 given for Type A in the standard. We did not repeat it
10 in the guide because we agreed with it.

11 MR. SIESS: Thanks, Ed, we needed that.

12 MR. KERR: Now, is a reviewer going to have
13 available that ANS standard?

14 MR. SIESS: Oh, yes.

15 MR. WENZINGER: Yes, it is specifically
16 endorsed by the Reg Guide, believe it or not.

17 MR. KERR: That was not my question.

18 (Laughter.)

19 MR. SIESS: There will be one copy of it.

20 MR. WENZINGER: There is one copy here, and I
21 am sure the ANS would be glad to sell you additional
22 copies.

23 MR. SIESS: Incidentally, Type A specifically
24 says DEAs.

25 MR. KERR: And those instrumentation systems

1 are safety grade, are they not?

2 MR. WENZINGER: Yes, sir.

3 MR. HINTZE: That is correct, Category 1.

4 MR. KERR: And that is an indication of
5 importance there, they are therefore considered fairly
6 important.

7 MR. WENZINGER: Very important, yes.

8 MR. KERR: I have some other questions, Chet.

9 MR. SIESS: Yes, sir, go right ahead.

10 MR. KERR: Let me go to Table 1. I recognize
11 that BWR core temperature is still an open issue. But
12 is it really the core temperature that one wants to
13 measure, or is that still undecided?

14 I do not have any idea of how one measures
15 core temperature or even what it means.

16 MR. SIESS: It used to say core thermocouples,
17 and I guess we knew what that meant. Now it says core
18 temperature.

19 MR. HINTZE: That was changed because
20 thermocouple is not a variable, temperature is a
21 variable.

22 MR. KERR: That is true, but what would one
23 mean by the core temperature, and how in the devil would
24 one measure it?

25 MR. POSSI: I think that is why we are still

1 considering what is going to be required in this area.
2 I think it is premature to try to talk about it.

3 MR. WARD: Is it core coolant temperature?

4 MR. KERR: You really did not originally
5 intend to measure the core temperature, did you?

6 MR. ROSSI: Again, I think the reason that
7 this is not being implemented at this time is, we are
8 still discussing exactly what it is we want to know and
9 how we are going to find it out. I do not think we can
10 answer your question.

11 MR. KERR: Then why not leave that line
12 blank? That would indicate that you do not know what
13 you are doing at all.

14 (Laughter.)

15 MR. BERLINGER: I am Carl Berlinger, Core
16 Performance Branch.

17 The BWR core temperature variables you are
18 just discussing, it really is referring to temperature
19 measurement that was proposed to be implemented on BWRs
20 for core exit thermocouples.

21 Some time ago, core exit thermocouples and the
22 application in BWRs was questioned and there were
23 several meetings between the BWR owners group and the
24 staff.

25 As a result of the meeting, the BWR owners

1 group has developed a generic report which has recently
2 - around the middle of December - been submitted to the
3 staff, which proposes that core exit thermocouples are
4 not needed in order to track inventory or water level in
5 the core.

6 The staff will be reviewing this report, and
7 actually there are several reports there, quite
8 lengthy. We intend to complete these reviews in
9 mid-summer, around August.

10 MR. SIESS: I have a problem with this. It
11 seems to me what we are interested in --

12 MR. KERR: It was a very good answer to some
13 question.

14 (Laughter.)

15 MR. SIESS: It seems to me that what we are
16 interested in is the temperature of the plant, isn't
17 it? If it gets above a certain temperature it creeps,
18 it interacts with the water, hydrogen develops.

19 MR. KERR: He is right. Originally, what we
20 talked about was something, and indeed this says to
21 provide diverse indication of water levels.

22 MR. SIESS: Well, that is what bothers me
23 because what I am interested in is the temperature of
24 the stuff in the core. I guess if there is water in
25 there, that helps a lot.

1 But I am not really interested in where the
2 water is, I am interested in what the temperature is, am
3 I not? That was one of the problems in TMI.

4 MR. KERR: Chet, you are very interested in
5 what the cladding temperature is. The problem is,
6 nobody knows how to measure it.

7 MR. SIESS: I know. But the thing is, the
8 purpose is, at TMI they were so concerned about the
9 water level nobody paid any attention to the
10 thermocouples they had. They just assumed that they had
11 enough water in there and ignored the fact that the
12 temperature --

13 MR. KERR: Even those thermocouples were not
14 measuring core temperature, they were measuring the
15 outlet temperature of the steam or something close to it.

16 MR. SIESS: It seems to me that we are still
17 putting emphasis on the water level and not on the core
18 temperatures.

19 The object of the game is to keep the core
20 cool, isn't it? Obviously, if it is covered with water,
21 it is being kept cool.

22 MR. KERR: I guess the answer is that that is
23 still under discussion.

24 MR. WENZINGER: I think that is what we said
25 originally.

1 MR. KERR: I did not realize anybody ever
2 really was talking about trying to measure core
3 temperature. That is what this sort of implies. But,
4 so be it.

5 MR. SIESS: But if you have a way of measuring
6 the clad temperature, is that not what you would want to
7 know?

8 MR. WENZINGER: Sure.

9 MR. CARBON: We want to know both, I think.

10 MR. WARD: Yes, but that is hopeless to say
11 you are ever going to measure that. So, you try to
12 measure what you can, and that is the core exit coolant
13 temperature.

14 MR. SIESS: It would not have to be the exit
15 temperature.

16 MR. WARD: You want to measure something that
17 is representative of the condition of the core.

18 MR. SIESS: That's right. But this says you
19 want to measure something that is representative of
20 where the water level is, over in the last column.

21 MR. STODDARD: What you are really trying to
22 say here is that you want to make sure that the core is
23 being cooled.

24 MR. WARD: Right.

25 MR. STODDARD: And one way you do that is by

1 monitoring, say, a core exit temperature.

2 MR. WARD: Right.

3 MR. STODDARD: And if that temperature
4 indicates that you have water for cooling, then the core
5 is cool.

6 MR. WARD: Why don't you say PWR core exit
7 temperature there, then?

8 MR. SIESS: The argument got to be about where
9 you put those thermocouples, at what level in the core.
10 I guess that is why they took "exit" out or did not want
11 to put "exit" in. There were all sorts of proposals as
12 to what level you could put them and so forth.

13 MR. HINTZE: That's right.

14 MR. SIESS: I just object to the emphasis that
15 all you want to know is where the water is when what you
16 really want to know is whether the core is being cooled.

17 Mr. Kerr?

18 MR. KERR: Remind me, at the bottom of that
19 page, why the dry-well pressure range only goes to
20 design pressure?

21 MR. SIESS: It goes somewhere else. I mean,
22 it goes higher somewhere else, doesn't it?

23 MR. KERR: Yes, it does. There is probably a
24 very good reason, I have just forgotten what it was.
25 Well, it does not matter too much.

1 MR. WENZINGER: Yes, there is a reason.
2 Recall, there are two purposes that the variable is used
3 for. One to determine, like for Type B, whether the
4 safety function is being accomplished, and under that it
5 is listed.

6 The question of whether or not the boundary to
7 release the fission products is being detected, the Type
8 C purpose, is listed there as well.

9 MR. SIESS: But it only goes to 110 percent of
10 design pressure there. On a PWR, where do we go to on
11 pressure? The first thing when the ACRS brought this up
12 was, they wanted higher reactor coolant pressure
13 measurement, higher containment pressure measurement.

14 MR. KERR: On the PWR for what, Chet?

15 MR. SIESS: Containment pressure.

16 MR. KERR: Something like three times for
17 concrete, four times for steel, as I remember.

18 MR. SIESS: Well, Type B still goes to design
19 pressure.

20 MR. KERR: Does it? OK.

21 MR. SIESS: Type C still goes to design
22 pressure.

23 MR. KERR: Maybe it is just because for Type B
24 that is all you need, whereas for Type C --

25 MR. SIESS: Well, I am trying to find the

1 place where it goes up higher. Is that Type B?

2 MR. WENZINGER: Type C.

3 MR. SIESS: Type C, containment pressure goes
4 to three times design pressure for concrete, and so forth.

5 Now, what do we have for BWFs under Type C?

6 MR. KERR: Well, we have containment -- I
7 don't see it.

8 MR. ROSSI: Primary containment pressure on
9 the BWRs is on page 10.

10 MR. WARD: The same thing.

11 MR. SIESS: OK.

12 MR. ROSSI: That is primary containment
13 pressure.

14 MR. SIESS: But what do you call the primary
15 containment, the building? The dry-well is not the
16 primary? I am confused now. It seems to me the
17 dry-well and wet-well in a boiler serve the same
18 function as the containment does in a pressurized water
19 reactor.

20 MR. ROSSI: I think it depends on whether it
21 is a Mark I, II or III containment.

22 MR. SIESS: I don't see any distinction here.
23 The primary containment, what does primary containment
24 mean, the building?

25 MR. ROSSI: I am not sure.

1 MR. KERR: For maintaining containment
2 integrity one has primary containment pressure minus 5
3 PSI of design pressure.

4 MR. SIESS: But under Type C on page 10 it
5 goes to three to four times. The primary containment
6 has got to be the dry-well.

7 MR. HINTZE: It has to be the next barrier
8 following outside the --

9 MR. SIESS: The vessel.

10 MR. HINTZE: The vessel, right.

11 MR. SIESS: OK, it's all right.

12 MR. KERR: So, everybody will understand that
13 in one place primary containment means dry-well and in
14 the other case dry-well means dry-well.

15 MR. WARD: No, no.

16 MR. ROSSI: I thought - and I am not a
17 containment expert - but I thought that in the Mark IIIs
18 if you had a dry-well, then that was surrounded by what
19 was called a primary containment; is that correct?

20 MR. WARD: No, it is a secondary containment.
21 the primary containment is the wet-well.

22 (Simultaneous conversation.)

23 MR. SIESS: The secondary has the wet-well in
24 it in the Mark III; the primary is the dry-well. It is
25 just confusion because even in Type C you have two

1 different values.

2 MR. FOSSI: Well, I think we want to agree
3 with you that we should check to see that we are calling
4 the same thing by the same name throughout here.

5 MR. SIESS: Yes.

6 MR. BOSSI: If we are not, we will take a look
7 at that. I do not think we can answer your question
8 right now. But I think that has to be checked.

9 MR. SIESS: I think primary is the dry-well.
10 It is the dry-well-wet-well combination for a Mark I and
11 II, and it is the dry-well itself for a Mark III because
12 the wet-well is outside the boundary of the Mark III.

13 MR. KERR: On page 9 of the same document
14 under "Analysis of primary coolant" - I mean, it is
15 associated with analysis of primary coolant - what is
16 the meaning of 10 microcurie per milliliter to 10 curie
17 per milliliter or TID-14.844 source term in coolant
18 rod? I just don't understand what that means.

19 MR. SIESS: That is just another way of
20 getting curies.

21 MR. KERR: I understand the statement up to
22 the word "or," but I don't understand the implications
23 of the "or" statement.

24 MR. SIESS: Whichever is greater or whichever
25 is less, that is another way of asking it.

1 Does the "or" apply to the upper limit?

2 MR. STODDARD: Phil Stoddard, NRR, Division of
3 Systems Integration.

4 The "or" is simply a second method of
5 calculating the number. It might be useful for one of
6 the smaller reactors. The TID 14.844 is used to
7 calculate the ten microcuries per millimeter. The ten
8 curies per millimeter are based on a 3800 megawatt
9 thermal reactor.

10 MR. SIESS: So, the TID 14.844 is an
11 alternative upper level?

12 MR. STODDARD: That is correct. You might
13 wind up with a figure on the order, say, of two curies
14 per millimeter, five curies per millimeter.

15 MR. SIESS: So, it is whichever is less.

16 MR. STODDARD: It is optional.

17 MR. KERR: Well, if it is just the difference
18 between ten curies or two curies, why put in the TID
19 14.844?

20 MR. STODDARD: I don't recall the rationale
21 for putting that in. It was suggested at one point.

22 MR. KERR: And on page 10 under "associated
23 with," about the middle of the page, "containment and
24 dry-well hydrogen concentration," what is meant by zero
25 to 30 percent volume?

1 MR. STODDARD: Volume percent.

2 MR. SIESS: Volume percent.

3 MR. KERR: And how does an instrument measure
4 volume percent? I would think it would measure
5 concentration or something; correct?

6 MR. SIESS: I am interested in the change from
7 bottom to top, to top to bottom.

8 MR. KERR: Oh, I understood that immediately.
9 (Laughter.)

10 MR. SIESS: That is one that comes under the
11 heading of clarification.

12 (Laughter.)

13 MR. WENZINGER: That comes under the heading
14 of making them all the same.

15 MR. KERR: That just means the first guy who
16 wrote that did not know his top from his bottom.

17 (Laughter.)

18 MR. KERR: Is it really intended that the
19 instrument measure volume percent?

20 MR. WATT: Yes.

21 MR. KERR: How can you do that?

22 MR. WATT: You can set them up in weight
23 percent and volume percent. There are instruments that
24 measure on a volume percent basis.

25 MR. WAPD: I think that is right.

1 MR. KERR: I bet they calculate it, but I bet
2 they don't measure it.

3 MR. WENZINGER: That is correct.

4 MR. SIESS: The variable provides information
5 that says --

6 MR. KERR: Well, OK.

7 MR. WENZINGER: That is correct, definitely.
8 The level is calculated.

9 MR. KERR: So, the variable being measured is
10 not the volume percent, it is the concentration
11 calculated.

12 MR. WENZINGER: Yes, that is true.

13 MR. KERR: Now, on the next page, 197-11,
14 there is a key here - and maybe less here than other
15 places. The implication, I think, that by making
16 measurements of radioactivity one can somehow determine
17 how much has been released, which sort of puzzles me
18 because it appears to me that one needs information not
19 only on concentration but also on flow rate. If one has
20 a release point you found out how much is released.

21 But the emphasis seems to be, as far as I can
22 tell, in all the places just on measurement of activity,
23 and the reason for doing this was so that one could tell
24 how much activity has been released.

25 MR. SIESS: You are talking about the Type C

1 variable at the top of page 11?

2 MR. KERR: Yes, and then other places, too,
3 where one is measuring activity.

4 MR. SIESS: Well, it says the purpose is to
5 indicate a breach.

6 MR. KERR: Well, if you just want to get a
7 breach, I don't think you need that much of a range.

8 MR. HINTZE: You mean you would want it to go
9 off scale?

10 MR. KERR: Well, I don't know what, it is not
11 quite clear to me what it is. It says, "Areas where
12 penetrations or hatches are located." Now, if you put
13 it inside an area where a hatch is located and measure
14 its activity, that does not tell you that you have any
15 release, it just tells you that there is radioactivity
16 near the hatch.

17 I would assume that what one wants to find out
18 is whether something is getting out, not the fact that
19 there is radioactivity near where a release might occur.

20 Is it that you want to know?

21 MR. HINTZE: This is in the effluent path now,
22 outside. The building is where the hatches are, but the
23 effluent from those buildings.

24 MR. KERR: How do you tell that this is
25 outside?

1 MR. HINTZE: The variable is effluent
2 radioactivity, gaseous, from the buildings where the
3 hatches are.

4 MR. KERR: And you just want to know that
5 there is a breach, not how much. If you just want to
6 know that there is a breach I do not see that you need
7 the nine orders of magnitude range.

8 MR. HINTZE: Bill, could you comment on that?
9 I think what we wanted to do is make sure that it did
10 not go off scale, no matter what the use --

11 MR. SIESS: Ordinarily, if it goes off scale
12 that certainly tells you something; does it not? I mean
13 if ten to the minus six microcuries per cc indicates a
14 breach, then anything more than that certainly indicates
15 a breach.

16 MR. WENZINGER: There was a general philosophy
17 in the entire standard that we would attempt to provide
18 ranges so that the operator, or whoever might be
19 interested in the variable, would be informed of what
20 the value of that variable is, and that if corrective
21 action is being taken to fix whatever the problem is.
22 That by having the variable on scale he would be able to
23 tell whether his corrective action was having positive,
24 negative effects, or no effects. That is why we wanted
25 it on scale.

1 MR. SIESS: So, if we have ten to the three
2 and you closed a valve and it went down to ten to the
3 one, you figure you were doing some good?

4 MR. WENZINGER: That is the idea.

5 MR. SIESS: Is that a reasonable range, nine
6 orders of magnitude to this kind of instrumentation?

7 MR. STODDARD: Phil Stoddard again. It is
8 reasonable in that the instruments that have been
9 developed typically have three separate detector rate
10 measurement systems.

11 The single detector is good for no more than
12 four, from a maximum of five decades. But the systems
13 that are being used for this and other purposes are
14 capable and had a nine-decade range, again by using as
15 many as three detectors.

16 MR. KERR: What is an operator going to do to
17 a penetration in a hatch to see that something has
18 changed?

19 MR. SIESS: Close the valve.

20 MR. KERR: I am convinced.

21 On page 197-13, under "Area radiation" there
22 is a specification, radiation exposure rate inside
23 buildings or areas where access is required for service
24 according to safety."

25 Now, this presumably is a fixed measuring

1 point. I guess I almost think on the basis of previous
2 experience and previous NRC practice that this almost
3 may be counter-productive because it implies that one
4 would make a judgment about access to the area on the
5 basis of a fixed point monitor.

6 And yet, we have had a number of percent
7 incidences in which people not only did not use fixed
8 point monitors but used portable monitors in the wrong
9 place and were fined for poor practice.

10 I guess almost anybody who is going into a
11 region like this on the basis of that would take not
12 just one but several radiation monitors and carefully
13 survey the region.

14 So, I am not sure that I understand what this
15 thing is for.

16 MR. HINTZE: Well, it certainly does not
17 preclude the use of portable monitors. What it intends
18 is to give him an idea of what is there before he starts
19 to go into this, otherwise he does not know.

20 MR. KERR: I mean, that is precisely what the
21 monitors are for. You start out and you start
22 approaching the source, and if it goes on a scale you
23 back off or do something.

24 MR. ROSSI: I think your comment has to do
25 with what I consider to be kind of a general philosophy

1 assuming these variables here.

2 If we are trying to look in too much detail at
3 one particular variable all by itself, it might tell
4 somebody about what is going on after an accident. I
5 think really the attempt on these variables was that we
6 implied variables that as a whole can be used to tell
7 you the magnitude of the problem that you are trying to
8 deal with.

9 And you are absolutely right, we would not use
10 this as a single variable to make a decision. He would
11 use it in conjunction with other variables in here and
12 he probably would use portable equipment. This would be
13 of use, I think, in telling someone the magnitude,
14 general magnitude, of the problem that he is trying to
15 deal with.

16 MR. KERR: In terms of existing plants, are
17 these likely to be in place, or is this new equipment?

18 MR. ROSSI: I believe it is new. Yes, it is
19 new.

20 MR. KERR: I guess I can't see that, if it is
21 really new - I am not sure what it is good for, but you
22 thought about it.

23 MR. STODDARD: While this type of
24 instrumentation is not common to all plants, there was
25 instrumentation of this nature in place at Three Mile

1 Island. There is a record of one such instrument
2 reading, I believe, 600 Roentgens, in the immediate
3 vicinity of the sampling system shortly after the
4 accident.

5 MR. KERR: Well, it was not my contention that
6 the thing would not read or would even read incorrect.
7 It is just that I am not sure -- well, you guys have
8 given it a lot more thought than I have, I guess.

9 On page 14 I sort of wondered what the purpose
10 of the added statement was.

11 MR. HINTZE: Which one is that?

12 MR. KERR: "It is unlikely that few fixed
13 station area monitors could provide," and so on.
14 "However, there may be circumstances."

15 It seems to me that this is giving a licensee
16 rather confusing guidance.

17 MR. HINTZE: It was intended to give support
18 to those who have already installed these area monitors.

19 MR. KERR: What does "support" mean? You are
20 telling them that they have wasted their money? But how
21 about people who have not installed them?

22 MR. WARD: They don't want them to waste their
23 money.

24 (Laughter.)

25 MR. KERR: There may be circumstances where

1 such a system may be useful. To me this tells a
2 licensee, "We would certainly feel good if you had one
3 of these."

4 MR. HINTZE: I don't think I can respond to
5 that.

6 MR. KERR: And if the decision is left to the
7 licensee, it seems to me -- I just don't see what
8 guidance that gives anybody.

9 MR. SIESS: It says if you jump the gun and
10 put this stuff in because you thought we were going to
11 require it, we are sorry, but maybe it will be useful.

12 MR. KERR: OK.

13 MR. HINTZE: I understand some states require
14 it. Did not California require it, Frank?

15 MR. CONGEL: Yes. I am Frank Congel, NRR.

16 We have a little bit of circular reasoning
17 here because the State of California required it, as I
18 understand because we had originally required it in our
19 first version of the Reg Guide.

20 But frankly, I think it has already been
21 expressed why we put in this statement, and that is to
22 tell those people who did install what it for whatever
23 reasons they had that it may not be of great value.

24 But the analysis that we did shows that the
25 monitors would serve --

1 MR. KERR: I understand what the analysis
2 showed, I am trying to find out what guidance the
3 licensee is getting from that statement. I gather that
4 you are telling me he is not getting any, it was put in
5 for a different purpose.

6 If that is the case, then I understand that.
7 I just look for guidance in that Reg Guide.

8 Now, on the bottom of that page --

9 MR. SIESS: It is useful if you are in
10 California.

11 MR. KERR: I do not understand the inserted
12 statement. Can somebody tell me what that means?

13 MR. STODDARD: Phil Stoddard again.

14 That came about as the result of some
15 theoretical objections to sampling that was provided.

16 MR. KERR: I want to know what it means, not
17 how it came about. What is it supposed to tell me?

18 MR. STODDARD: Basically, you just go out and
19 take the best practical sample you can, regardless of
20 what the theory says about the sampling.

21 MR. KERR: Well, does not "representative
22 sample" say that?

23 MR. STODDARD: That is correct, but if you
24 look into sampling theory, well, just as an example,
25 there are some systems that have been put in place where

1 the sampling lines are approximately 150 feet long.

2 MR. KERB: I am trying to understand what this
3 statement tells a licensee. If I were a licensee, I
4 would not know what I was being told. What am I
5 supposed to gain from that statement?

6 MR. STODDARD: Well, first of all you are
7 obtaining the best practical sample. It means you
8 obtain the best sample you can.

9 And then you apply to that sample values that
10 you obtained by test as to what the sample line losses
11 are. So that you can by applying correction factors
12 come up with results which are conservative estimates,
13 approximations, whatever you want to call it, of actual
14 concentrations.

15 MR. SIESS: Does the ANS Standard offer any
16 better advice?

17 MR. STODDARD: The problem with the ANS
18 Standard 13.1, which is dated 1969, is that the advice
19 in there essentially tells you, you can't sample with a
20 line that is about 15 feet long.

21 However, that is not quite correct in that it
22 has been observed by some number of people that you can
23 in fact sample over lines as long as 150, 200 feet long.
24 You do not get a hundred-percent effectiveness, it may
25 be only 25, maybe only 40 percent. But you do get a

1 sample.

2 What we are saying is that where you do have
3 problems with high radiation levels and so forth, our
4 recommendation is that you get the best sample you can.
5 Make some calculations as to what that sample really
6 represents in terms of the concentrations at that point
7 of sampling, not relative to the end product, and just
8 come up with the best results you can, applying
9 conservative factors to assure that the results are not
10 going to be on the low side.

11 MR. KERR: At page 15, in the footnote 15,
12 what is meant by "which may be expanded and superseded
13 by Revision 1?" Is Revision 1 not yet out and so they
14 are saying -

15 MR. HINTZE: That is correct. Revision 1 is
16 in Harold Denton's office waiting for his final
17 concurrence.

18 MR. KERR: Why is that put in here, then, that
19 it may be expanded and superseded because almost any Reg
20 Guide may be expanded and superseded by revisions.

21 MR. HINTZE: Well, the Regulatory Guide 1.23
22 contains a lot more information than what we have got
23 here in terms of meteorological measurements. They
24 indicated we made this change to be consistent with it
25 and put them in here because we wanted to let this guide

1 to be complete as far as the variables go.

2 MR. SIESS: Let's see, 1.23 is the one that
3 requires the backup system on the ten-foot pole?

4 MR. HINTZE: I think that is what it is, yes.

5 MR. SIESS: And where is that now? We said we
6 did not like it, and lets CRGR look at it. Where is it
7 now?

8 MR. HINTZE: It is in Harold Denton's office
9 waiting for his concurrence as far as getting it issued.

10 MR. SIESS: It has not gone to CRGR?

11 MR. HINTZE: It went to CRGR and I think it
12 went back again the second time. The gentleman who was
13 to talk to that could not make it this morning.

14 MR. SIESS: I have a faint recollection that
15 CRGR sort of agreed with us.

16 MR. HINTZE: They had some problems with it,
17 yes. It got the impression from talking to Mr. Clint
18 Chevitz that if we can't solve that problem, CRGR can
19 solve it. But I can't be sure.

20 MR. SIESS: Now, this went beyond the existing
21 1.23; is that not right, what is in 1.97?

22 MR. HINTZE: It went beyond? No, it was just
23 different.

24 MR. SIESS: It was different?

25 MR. HINTZE: Yes. As far as the variables

1 went, there were different numbers in the range.

2 MR. SIESS: OK.

3 MR. KERR: On page 16, and also a number of
4 other places where it started with PCS pressure, why do
5 you require 4,000 for CE plants and only 3,000 for
6 non-CE plants? Does a CE plant burst at a higher
7 pressure?

8 MR. HINTZE: I have forgotten what the
9 rationale was.

10 MR. KERR: It probably has to do with ATWS,
11 but I don't understand why.

12 MR. SIESS: It says that in the footnote.

13 MR. KERR: That is quite a difference.

14 MR. ROSSI: There are some differences in the
15 plants in terms of the safety valve capacity that they
16 have.

17 MR. KERR: But have you concluded it is
18 impossible for the other plants to go above 3,000?

19 MR. ROSSI: I think the conclusion is that it
20 is much less likely.

21 MR. KERR: And at the bottom of page 17, what
22 is meant by trending the voids?

23 MR. HINTZE: You can't measure them exactly.
24 You can measure whether they are increasing or
25 decreasing.

1 MR. KERR: Why doesn't one say this?

2 MR. HINTZE: We thought we did by "trending."

3 Maybe we invented a new word. I don't think Mr.

4 Morrison likes that word either.

5 MR. MORRISON: That is right, it is not a word.

6 MR. KERR: I don't think it is a verb, at

7 least.

8 MR. MORRISON: That is my objection to it.

9 MR. KERR: Maybe it is becoming one.

10 On page 18 in the footnote, "Monitors should

11 be capable of measuring radioactive gaseous effluent

12 concentration."

13 Is it really the gaseous concentration that

14 one ought to measure, or the activity? I am not sure.

15 It seemed to me that you want the activity, but perhaps

16 you want the gaseous concentration.

17 MR. HINTZE: I'm sorry.

18 MR. SIESS: Footnote 8 on page 18.

19 MR. KERR: Footnote 8, measuring radioactive

20 gaseous effluent concentrations. I am not sure which

21 you want. I would have thought you wanted the

22 activities.

23 MR. HINTZE: Do you have a problem with that,

24 Joe?

25 MR. KERR: I do not suggest that you answer

1 it. Just look at it and make sure that it says what you
2 want to say.

3 MR. WARD: On page 21, the cooling water
4 system, the component cooling water temperature, you
5 raised the bottom of the range from 32 to 40. I was
6 just curious, 32 seemed like a nice number.

7 MR. KERR: Another place they raised it from
8 30 to 40, which I thought was nice.

9 MR. WARD: Yes.

10 MR. KERR: I decided that 30 must have been in
11 for ice condenser plants.

12 MR. SIESS: Do you have an answer, Al?

13 MR. HINTZE: I'm sorry, I was writing.

14 MR. SIESS: On page 21, the fourth item from
15 the bottom, the cooling water system changes from 32 to
16 40. That is the only change on that page.

17

18

19

20

21

22

23

24

25

1 MR. HINTZE: The only thing we can think of is
2 that we never did get that low.

3 MR. WARD: I'd be sure of 32, I guess.

4 MR. HINTZE: The Idaho people seem to think
5 that the ranges of instruments that were apparently
6 there might have to change their scales, if they went
7 down to 32. That's the only thing I can think of.

8 MR. SIESS: That came out of the Idaho report?

9 MR. HINTZE: Yes.

10 MR. SIESS: Bill, do you have some more?

11 MR. KERR: Well, there were a number of places
12 in the guide itself where I had questions, but I think
13 these are not changes, so maybe I should just desist at
14 this point.

15 MR. SIESS: It's up to you. Dave, do you have
16 anymore?

17 MR. WARD: No.

18 MR. SIESS: Jerry?

19 MR. KERR: One question. There was a
20 reference to measuring containment temperature, and that
21 that would require instruments in several different
22 locations. Did that have in mind the fact that maybe,
23 say, in something like an ice condenser you would want
24 to measure the temperature in the lower and upper
25 compartments, or did it mean, say, a big dry containment

1 where you needed to know the temperature in several
2 locations?

3 It seemed to me that one might have said a
4 little more about what one had in mind there because I
5 was not sure.

6 MR. HINTZE: I'm not quite sure I --

7 MR. SIESS: Do you remember where it was, Bill?

8 MR. HINTZE: I know when we were talking about
9 containment temperatures --

10 MR. KERR: It is referred to on page 3 of
11 1.97, and the paragraph uses an example. It says it's
12 important that the number of points measured be
13 sufficient to adequately indicate the variable value.
14 For example, containment temperature may require spatial
15 locations at several points of measurements.

16 Now, it seems to me that in a large dry
17 containment, I'm puzzled that that would be the case.
18 If you're talking about a compartmentalized containment,
19 I could see that it might be, and I wasn't sure which
20 one you had in mind. And indeed, it seems to me it's a
21 fairly important point. If you think in a large dry,
22 for example, that you need a large number of points for
23 measurements, I wondered why. And if you aren't, then --

24 MR. WENSINGER: This is general guidance. If
25 you expect there might be differences in temperatures,

1 whether it be a large dry or an ice condenser or
2 whatever, if you expect that there might be different
3 temperatures at various locations -- pockets, if you
4 will, where temperatures might get higher -- then you
5 ought to instrument those areas to know what those
6 temperatures are.

7 MR. SIESS: During normal operation of a PWR,
8 do you have any idea how much the temperature varies,
9 say, in the steam generator compartment at the top of
10 the dome, or outside the shield wall? Are there large
11 variations?

12 MR. HINTZE: Do you have any information on
13 that?

14 MR. SIESS: Do they keep the temperature
15 fairly constant?

16 MR. ROSSI: I don't think anyone here knows.

17 MR. KERR: On page 4 under 1.1, the type A
18 variable definition, it is specifically and deliberately
19 just for a design basis accident. Then on page 1.2, the
20 statement is made, "The sources of potential breach are
21 limited to the energy sources within the cladding..."
22 and so on. What is the significance of that? Does that
23 mean you're considering tornadoes as a source of
24 breach? I didn't understand what I was being told.

25 MR. HINTZE: Yes, there are probably lots of

1 energy sources that somebody could think of that could
2 breach a containment but it may not be within the
3 containment itself, as you indicated, a missile or
4 something like that. You can't measure for those but
5 you can measure within itself.

6 MR. KERR: In trying to predict the possible
7 onset of, say, breach of containment, have you given
8 specific thought to what sort of use would be made of
9 the information? For example, if you measured pressure,
10 are you doing that just as sort of a general thing
11 because you know the pressure measurement is an
12 indication of what is going on, or have you gone beyond
13 that and said if the design pressure -- if we think the
14 thing will burst at three times design pressure and one
15 will get within, say, 2.8 above design pressure, one
16 starts evacuating?

17 Has the thinking gone that far in implementing
18 this and in talking to people about its usefulness? How
19 far does one go in thinking about how the information is
20 to be used?

21 MR. HINTZE: Dr. Kerr, that particular one was
22 one of the variables that was in the very first 1.97 we
23 issued at the recommendations of this committee. I
24 think it was just an effort to not ever be blind as to
25 what was going on inside containment.

1 MR. KERR: Okay, I'm not sure that I know --

2 MR. HINTZE: We are still battling why you go
3 up that high anyway. What are you going to do if it
4 gets there? We're still battling those kinds of
5 questions.

6 MR. KERR: The other question --

7 MR. SIESS: Let me follow up on that. We have
8 been talking in connection with degraded core accidents
9 about containment integrity. Of course, a lot of effort
10 is being put now on when the containment will burst.
11 I've been trying to make the point that there are other
12 ways you can have a release of material from inside
13 containment. One of the obvious ones is failure to
14 isolate, a purged valve doesn't close or some other
15 valve doesn't close.

16 Everytime that's been addressed in some of the
17 research programs, there's been an indication that well,
18 this is something we can handle without -- just by
19 licensing or inspection or in procedural type things.
20 If a valve is open we close it; if a valve is leaking we
21 can close the other valve.

22 Now, we were just talking a little while ago
23 about monitoring potential leakage points. Is this
24 specifically addressed in connection with -- I forget
25 whether it would be type B or type E variables -- as to

1 what information you would need to know to determine
2 that you have not had containment isolation and some
3 valve is stuck open or some valve is leaking
4 excessively? You know, it doesn't take a very big hole
5 to have 100 percent leakage, and that's just about as
6 good as blowing the containment open.

7 Has this issue -- this issue has come up more
8 recently. This guide has been in preparation for some
9 time, but do you think that's been addressed in here in
10 the context that I mentioned of yes, we can find out if
11 something failed to isolate and we can fix it?

12 MR. HINTZE: Phil might want to talk to that.
13 The effluent monitors would certainly pick up any valve
14 that was left open if it were in the normal path.

15 MR. WENSINGER: And there is the
16 recommendation under type B for each of the primary
17 containment isolation valves as a position indication.

18 MR. SIESS: Let me postulate a couple of
19 things. A likely source of leakage is the personnel
20 hatch. They leak all the time. Either one or both
21 doors. Is this something that is monitored in any way?
22 Is this one of the effluent monitor locations?

23 MR. HINTZE: That was the purpose of the
24 original type C variables which were area monitors
25 inside the building. Is Mr. Conditte here?

1 MR. KERR: When I raised the question about
2 range a while ago, I was told that the monitors would be
3 outside a hatch location and would be expected to
4 monitor a leakage around the hatch. In an accident
5 situation, I'm not quite sure how the instrument would
6 distinguish between leakage --

7 MR. HINTZE: That was the problem with the
8 area monitors inside the building. You couldn't tell
9 whether it was inside or whether it was contained or not
10 contained.

11 MR. KERR: I doubt you could tell that when
12 it's outside, either.

13 MR. SIESS: What about the equipment hatch?

14 MR. HINTZE: The equipment hatch is in the
15 building and has an exhaust pump.

16 MR. SIESS: Most of them I've seen -- not most
17 of them, but some of them go right outside, don't they?
18 Am I wrong on that?

19 MR. STODDARD: That's correct.

20 MR. SIESS: That's got an opening that is
21 anywhere from 14 to 22 feet in diameter with a couple of
22 O rings. Now I've got a pressure inside containment
23 that's gotten up to twice the design pressure and moving
24 up towards three times. I don't know.

25 Suppose I start getting distortion of that

1 hatch and leakage around the O rings, you know, simply
2 because the thing has expanded 10 percent. Is there any
3 way of detecting that? I'm not sure it makes any
4 difference because there's nothing you can do about it.
5 You can't close the valve very easily and turn it off.

6 But my point is we've been told recently that
7 these things can be handled by procedures, monitoring
8 post-accident actions and so forth and I'm wondering if
9 we've got the instrumentation here to tell us when to do
10 it and what to do.

11 MR. HINTZE: You remember the ring around the
12 plant monitors, the 16 that we could not decide on,
13 initially 16, was for that purpose.

14 MR. SIESS: That wouldn't tell you where it
15 was leaking.

16 MR. HINTZE: No, but it would tell you that
17 you had a place where you weren't being monitored.

18 MR. KERR: Or it would tell you that you had
19 radiation penetrating the containment wall.

20 MR. HINTZE: But you can't tell what the
21 source of the radiation is.

22 MR. KERR: I still think they're useful.
23 Don't misunderstand me. I just think one should give as
24 much thought as one can ahead of time to what the
25 readings mean.

1 MR. SIESS: I suspect as people begin to look
2 at failure to isolate they will come up with likely
3 candidates and something will be done about it.

4 MR. WENSINGER: It seems to me we could go
5 around with a portable monitor and see if any of the
6 hatches are leaking.

7 MR. SIESS: Yes, except the shine through that
8 hatch might make it pretty difficult to get too close to
9 it. If I've got a concrete containment and if there's a
10 lot of stuff inside, that hatch is going to be pretty
11 hot.

12 MR. KERR: On page 19 -- Dave's got one.

13 MR. WARD: In the same type B where you have
14 the requirement for the valve position indication, the
15 guide doesn't take a closed or not closed -- the guide
16 doesn't take a position on whether this should be a
17 direct indication or an indirect indication. In other
18 words, an indication of whether there is a signal to
19 close or whether the valve is actually closed.

20 MR. HINTZE: There's a position in the guide
21 that says make the measurement wherever practicable, and
22 that should be the method of measurement.

23 MR. WARD: This is stated somewhere in the
24 text?

25 MR. HINTZE: Yes. In one of the positions.

1 I've forgotten which one.

2 MR. SIESS: Bill?

3 MR. KERR: On 1.97-T3, which is under the
4 criteria table, under category 2, "same as category 1
5 and the following." I guess I am not sure what guidance
6 that paragraph provides. It sort of says -- well, I'm
7 not sure what it does say.

8 MR. HINTZE: Which one?

9 MR. KERR: Category 2. It says "same as
10 category 1 and the following," then there's a following
11 paragraph. I'm not sure what a licensee is being told
12 by that paragraph.

13 MR. WENSINGER: What page, please?

14 MR. KERR: 1.97-T3.

15 MR. SIFSS: It's really suggesting a degraded
16 approach?

17 MR. HINTZE: Yes.

18 MR. SIESS: Which we don't have.

19 MR. KERR: If it's to provide guidance to a
20 licensee, what is he supposed to do after he reads that
21 paragraph?

22 MR. SIESS: Come in in the middle and send
23 back two rounds of questions.

24 MR. ROSSI: This is quite consistent, you
25 know, with what we are doing on equipment that is

1 important to safety, not safety grade in general. Ax
2 this time, we are not forcing people to apply Appendix B.

3 MR. KERR: I'm not trying to force them to do
4 that. I'm trying to read this as a licensee and saying
5 having read this, what does it tell me to do?

6 MR. ROSSI: Go look at your quality assurance
7 program and do what you think is appropriate for the
8 level of importance to safety for each of these pieces
9 of equipment, and we are not going to give you detailed
10 requirements for it.

11 MR. KERR: If this comes in as Chet says, will
12 he not now get a list of questions? And those questions
13 will be based on some staff criteria. Why not give --
14 if you have the criteria --

15 MR. ROSSI: I think there is work underway to
16 get more guidance on graded QAs, is there not?

17 MR. HINTZE: The criteria is listed in
18 category 1.

19 MR. SIESS: Actually, that's misleading
20 because it says "the same as category 1 and the
21 following." It seems to me that category 2 ought to be
22 category 1 plus, and it's not; it's category 1 minus.

23 MR. ROSSI: You could say "except the
24 following" instead of "and the following."

25 MR. KERR: If it's the same as category 1,

1 it's the same as category 1.

2 MR. SIESS: Yes. Now, I was going to ask does
3 the staff have some effort underway now on a graded QA
4 program for 2E?

5 MR. WENSINGER: Yes, we do.

6 MR. SIESS: If you got that settled, this
7 would be probably a 2E type thing?

8 MR. WENSINGER: That's correct, but that's not
9 settled.

10 MR. KERR: Why don't you say guidance to be
11 provided by Revision 4, or something?

12 MR. ROSSI: I think in the meantime, we want
13 them to give thought on their own as to what the
14 appropriate QA is that should be applied to this, and we
15 will not accept no QA on these things.

16 MR. KERR: It's one thing to give thought, but
17 it's another thing to submit something to the NRC staff
18 for approval or disapproval, and that is what the
19 licensee eventually has got to do. Now, do you expect
20 him to make a submittal before he has any general
21 guidance, or is this -- he's going to submit something,
22 it's going to be reviewed. Now, the reviewer certainly
23 must have some criteria at some point.

24 MR. WENSINGER: At this point for the middle
25 category, the reviewer does not have any criteria. If

1 the licensee --

2 MR. KERR: It's every man for himself?

3 MR. WENSINGER: If the licensee is able to
4 propose something which can be found acceptable, he is
5 being given the freedom to do that. And in fact, we
6 welcome the assistance.

7 MR. SIESS: Incidentally, you will end up --

8 MR. WENSINGER: It's a difficult job.

9 MR. SIESS: -- with a whole range of proposals
10 from the licensees, and each reviewer has got to make a
11 decision on his own. These were technical reviewers,
12 right?

13 MR. WENSINGER: Yes.

14 MR. SIESS: As I understand, under the
15 regionalization program, all the technical reviewers
16 will not be out in Bethesda. There are going to be
17 technical reviewers all over the country. Is anybody
18 going to coordinate this so that you can come up with
19 some kind of a reasonable basis, absent the 2E?

20 MR. WENSINGER: I would defer that to the NRC
21 management.

22 MR. ROSSI: I think at this point in time we
23 are not doing a detailed review of quality assurance
24 programs that are applied to none-Appendix B, but we are
25 asking the licensees to make a commitment that they do

1 have a quality assurance program for all equipment that
2 is not safety grade but is important to safety.

3 I believe that we have written letters to
4 licensees asking for that particular commitment. As a
5 matter of fact, I was involved in a hearing where the
6 outcome was that we asked for that. So we asked them to
7 say that they will have a QA program but the staff is
8 not, at this time, reviewing that program at all, so
9 this question of how much has not come up yet. But I
10 believe we have efforts underway to try to better define
11 that.

12 MR. SIESS: What does the I&E inspector do on
13 these things without guidance?

14 MR. ROSSI: I would imagine that if the I&E
15 inspector finds that only safety grade equipment has QA
16 and there is nothing at all in the way of any kind of
17 quality assurance program for non-safety grade
18 equipment, that there would then be considerable
19 discussion as to whether that licensee met our
20 requirements.

21 MR. SIESS: Suppose they had something for the
22 non-safety grade but it doesn't meet Appendix B? What
23 does he do?

24 MR. ROSSI: I believe we would accept that at
25 this time in the absence of any further guidance on how

1 much he has to have when it is not Appendix B.

2 MR. SIESS: I think at some point in time --
3 and I'll leave it up to the staff to suggest when that
4 time might be -- the ACRS would be interestd in getting
5 a report on what kind of implementations have come out
6 of Reg Guide 1.97 on a couple of plants. I think we
7 should keep that in mind and someday get some feedback
8 as to how this is working out.

9 This is an extremely complicated thing and the
10 words are one thing and what is going to come out of it
11 in terms of hardware and/or QA programs is not at all
12 clear to us. And I have a strong suspicion it is not
13 too clear to the staff either as to just what's going to
14 come out.

15 MR. ROSSI: Certainly, when we go to implement
16 the reg guides we find areas where there are problems
17 and when we find those areas, we would work to resolve
18 it and there would probably be a Revision 4 to the reg
19 guide one day that reflects what we've learned in
20 implementing this revision. As a matter of fact, I
21 think Revision 3 really is not a category. Revision 3 I
22 believe is the result of problems that we now find that
23 we had with Revision 2, and we found these problems by
24 discussions with utilities, discussions among the
25 various groups of the staff, and we are trying to get

1 them corrected now.

2 But I don't think that means that we have
3 found all the problems we are ever going to find. You
4 are absolutely right, when we go to implement this on a
5 large number of plants, we are going to find additional
6 areas that will require clarification and resolution and
7 relaxation perhaps, and we will probably have a revision
8 4.

9 MR. SIESS: What kind of a timetable do you
10 think is likely to come out of the implementation of
11 this? Each project manager works it out? Do you have
12 any idea whether it's going to be two years, three
13 years? I wouldn't even start with one year.

14 MR. WATT: I would speculate two years, but
15 that's more or less picking a number.

16 MR. HINTZE: What was this?

17 MR. SIESS: What kind of an implementation
18 schedule do you think is going to be worked out on some
19 of the backfit plants?

20 MR. HINTZE: Initially, the guide said it
21 should be implemented by June of 83.

22 MR. SIESS: But now it's flexible?

23 MR. HINTZE: Now it's more flexible. I don't
24 suspect that they're going to let them drag it out too
25 long. I think there are going to be some --

1 MR. SIESS: There are a lot of plants that
2 have everybody committed to doing 16 other things,
3 including SEPs and a Phase III SEP is being talked
4 about. Then we come along with this and there's a lot
5 of engineering that goes into that. Probably the
6 engineering is going to be ten times as much as the
7 hardware.

8 Most of the stuff is already there. Somebody's
9 got to find out is it in the right place and is it the
10 right qualification. There will be a couple of man
11 years just understanding this.

12 MR. HINTZE: I wish I could be more specific.

13 MR. SIESS: We haven't gotten anybody who's
14 proposed an implementation schedule yet, have we?

15 MR. HINTZE: The letter just went out in
16 December. I don't think we have.

17 MR. JOYCE: Joe Joyce. We received four
18 preliminary documents from utilities. The names I can't
19 remember but we have them in our office. We have talked
20 to other utilities in terms of how far along they are in
21 implementing - even though 1.97 is not a requirement
22 and, as Al said, it just went out in December, but
23 unofficially we've been talking to plants. Some plants
24 are 80 percent. They feel they are up to 80 percent in
25 terms of implementing all the parameters within the reg

1 guide.

2 There are other plants that have done
3 nothing. They've been doing surveys, looking at
4 instrument loops and lines and channelizations and
5 things within the control room. And what they're
6 calling Phase I of their program is just collecting
7 data, so there is a wide range, anywhere from zero to 90
8 percent that I'm aware of in which people have already
9 taken action. They're aware that it's coming out and
10 they've been dealing with the reg guide since December
11 of 1980.

12 So within the next three months I believe --
13 Al, correct me if I'm wrong -- April of 83 is when the
14 licensees or utilities must respond to the 50.54 letter
15 in which they will have a detailed program plan for
16 implementation of all the items within supplement 1 of
17 NUREG-0737.

18 So within the next few months we should have a
19 pretty good feel for, from talking with the project
20 managers, of what the timetable is. We might be able to
21 jump on a few cases that are already saying they they
22 are 95 percent there and start a review within a month
23 or so. Then aain, there might not be some coming in
24 until 84.

25 MR. SIESS: I think we need to follow this up,

1 and I would suggest to the members of the committee that
2 are here, we will probably see some of these submittals
3 as category E items, and if you spot something why don't
4 you send it to Sam or call his attention to it and we'll
5 follow it and sort of keep an eye on it. I think it
6 would be worthwhile, because somebody that's 80 percent,
7 that last 20 percent may be pretty tough.

8 MR. JOYCE: Yes. One other point that might
9 help to clarify this -- the staff is not doing all of
10 the reviews in total. We have contracted out INEL to do
11 these reviews. They are going to be looking at the
12 broad spectrum of all the parameters in all the plants
13 so that they should be pretty well correlated in terms
14 of what parameters and what is needed on certain plants
15 -- Westinghouse, CE and so on and so forth.

16 The staff is going to get intimately involved
17 with those parameters which they take exception to or
18 our contractor has problems with. So just crunching out
19 the numbers in terms of looking at every single variable
20 for every single plant, our contractor will be handling
21 the bulk of that work.

22 MR. SIESS: Let me ask you something else.
23 When this issue first came up and the ACRS brought it
24 up, we placed particular emphasis on what was called
25 wide range instrumentation two or three times.

1 Containment pressure twice, the reactor coolant
2 boundary, high level radiation monitor and I forget,
3 there was another one.

4 That went out in the first guide, right? How
5 many plants have complied with those particular
6 provisions?

7 MR. HINTZE: To my knowledge none, because you
8 remember they selected about four plants to implement
9 that on a trial basis, and they balked in being selected
10 because everybody else wasn't selected I don't think
11 anything every became of that.

12 MR. SIESS: The high level radiation monitor
13 was an 0737 item, as I recall, and I thought most of
14 them complied with that.

15 MR. HINTZE: That was after TMI, not when the
16 guide went out.

17 MR. SIESS: Do you mean that most of the
18 plants that are operating still can't measure
19 containment pressure much more than above 10 percent
20 design pressure or something like that?

21 MR. HINTZE: I can't answer that.

22 MR. ROSSI: I suspect that the ones that are
23 coming through today for operating licenses can do more
24 than that because they would have anticipated that they
25 would eventually have to do it. But I think the plants

1 that would have to go and buy new stuff that are already
2 had a license and were already operating, in fact they
3 probably have not bought new instruments yet because
4 they're probably waiting to see what the final outcome
5 is going to be.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. SIESS: Bill, did you have some more?

2 MR. KERR: Yes, sir. The same page, Category
3 3. That short statement seems to me to be more directed
4 toward quality than quality assurance. I'm in favor of
5 quality, but it does not seem to me that it has much to
6 do with quality assurance.

7 On page T-4, under "Display" --

8 MR. SIESS: We will accept that as an
9 editorial comment, Bill.

10 MR. KERR: Under "Display and Recording," on
11 the second paragraph, I guess, does that mean that all
12 channels of all instrumentation must be recorded?

13 MR. SIESS: Where are you looking at?

14 MR. KERR: Under "Display, Recording, Category
15 1" recording of all instrumentation channels. Does it
16 mean every channel must be recorded?

17 MR. HINTZE: Yes.

18 MR. KERR: I guess I do not understand why.
19 If you have three channels redundant, you record all
20 three?

21 MR. HINTZE: That is right.

22 MR. KERR: Why in the world do you do that?

23 MR. SIESS: They probably do it now.

24 MR. HINTZE: It does not have to be
25 displayed. It just has to be recorded.

1 MR. WENSINGER: It does not say analog strip
2 chart recorders, either.

3 MR. KERR: "The recording of instrumentation
4 readout information should be provided." That has been
5 changed, so it may not be done now, Chet. Is it done
6 now, do you think?

7 MR. SIESS: On the computer count?

8 MR. KERR: All channels?

9 MR. JOYCE: I would suspect not.

10 MR. KERR: What is the purpose of all three
11 channels?

12 MR. JOYCE: I do not recall why this was
13 changed to all. Always in the past, even with Revision
14 1 -- not Revision 1, the original Reg Guide 1.97,
15 post-accident monitoring, we always recorded as a
16 minimum one channel.

17 Al, why has this been changed to "all" now?

18 MR. HINTZE: What would you do if you lost
19 that channel? You are allowed one failure.

20 MR. JOYCE: We never applied single failure to
21 recording channels. All we said was you had to have two
22 redundant channels, one of which was recorded but had to
23 be operated before and not necessarily during the
24 earthquake.

25 MR. KERR: This is going to add -- could add a

1 good bit of additional hardware and storage capacity and
2 so on. If you are really convinced it is needed, okay,
3 but it seems to me it could be a significant added
4 burden.

5 MR. WENSINGER: There may not be any
6 additional hardware.

7 MR. KERR: Well, you've got to connect to the
8 other channels. You have got to put in isolators and
9 whatever, I would guess. I don't know. Somebody ought
10 to look and be sure that it is truly needed. If you
11 make a case that it is needed, okay.

12 MR. ROSSI: We are going to look at that
13 particular one to see if that might be an error in the
14 revision or whether that was really intended to be read
15 that way.

16 MR. KERR: Then, in Category 2 and 3, I do not
17 know much about the English language, but I have an idea
18 that it is not the "monitors" that you want recorded.

19 On the next page, T-5, under Category 1
20 equipment identification, what is meant -- is the intent
21 that on the control panel there be something that says
22 this is an A-type -- this is A-type information; this is
23 B-type; this is C-type? What is the intent of that?

24 MR. JOYCE: In the past, we have always
25 encouraged the utilities in the control room to identify

1 instrumentation and indicators which were designated
2 post-accident monitoring, that they either color code
3 them or have them all together in a group, et cetera, so
4 that the operator knew where his post-accident
5 monitoring instrumentation was located in the control
6 room.

7 For the Category 1 --

8 MR. KERR: Excuse me. I did not make my
9 question clear. Are they to be identified as these are
10 the instruments used during an accident? Or are they to
11 be identified by saying this is a type-A instrument,
12 this is a B instrument? From that sentence I cannot
13 tell.

14 MR. HINTZE: No. They are Category 1s. They
15 do not have to be identified A, B, or C.

16 MR. KERR: Well, it says that they should
17 specifically be identified on the control panel. It
18 does not say identified as what.

19 MR. ROSSI: I think that means, as Category
20 1. The intent there was to make sure --

21 MR. KERR: I think I understand the intent.
22 You are saying these are -- the paragraph, I think,
23 could lead one to believe that you had to identify them
24 as A, B, C, and D.

25 MR. WENSINGER: This is intended to mean that

1 for Category 1 and Category 2 instruments, those that
2 are A, B, and C types, should be identified so that the
3 operator can know that these instruments, that
4 collection of instruments, are intended for use under
5 accident conditions.

6 MR. KERR: You say you identify them by
7 painting them all red and you tell the operator all red
8 instruments are for accidents. You do not identify them
9 by saying this is an A instrument, this is a B
10 instrument?

11 MR. WENSINGER: That is correct.

12 MR. KERR: . It seems to me that sentence is a
13 bit unclear as it now reads because it does not say what
14 identification they are asking for. And since you have
15 just mentioned A, B, C, and D -- in fact, when I first
16 read it, I thought that is what you meant, that you put
17 all the A instruments in one spot, all the B and all the
18 C, and all the D.

19 MR. WENSINGER: Perhaps you can suggest a
20 better phrasing of that sentence. We did agonize over
21 that a little bit, but the last phrase is, and I think
22 that is the operative phrase, "so that the operator can
23 easily discern that they" -- "they" meaning types A, B,
24 and C in Categories 1 and 2 --

25 MR. KERR: One could say specifically the

1 instruments designated should be specifically identified
2 for use in accidents, or something. I would be a little
3 reluctant to try and compose it here, if you see my
4 point.

5 MR. MORRISON: Yes, we see your point.

6 MR. KERR: On page T-6 --

7 MR. HINTZE: We can say specifically
8 identified as Category 1 or 2.

9 MR. MORRISON: No, that's not what you want.

10 MR. WENSINGER: No.

11 MR. HINTZE: We will argue it out.

12 MR. KERR: Maybe you will decide it was not
13 confusing. It was confusing to me, but it may not be to
14 a licensee.

15 On page T-6, under Category 1 human factors,
16 it seems to me the first two paragraphs are pure
17 boilerplate and do not provide any guidance at all. The
18 third paragraph, I think, does, to say they should be
19 designed to facilitate the recognition, location,
20 replacement, repair, or adjustment of malfunctioning
21 components or modules. I just do not see what guidance
22 that gives anybody, or to say that they should minimize
23 the development of conditions and so on.

24 MR. ROSSI: I believe that those words are
25 basically out of other IEEE documents.

1 MR. KERR: I'll bet they are.

2 MR. ROSSI: They apply to safety grade
3 equipment.

4 MR. KERR: I bet they are, and I bet they mean
5 exactly the same thing in those locations, which is
6 nothing. If you want to add words to your guide, okay,
7 but, really, what is a person going to do after having
8 read that? Nothing.

9 MR. ROSSI: Well, I will assure you that the
10 reviewers from time to time have done something with
11 that second one on instruments that give anomalous
12 readings and so forth. But we may have --

13 MR. KERR: It is obvious that you do not want
14 instruments to give anomalous readings, whether they are
15 safety grade or anything.

16 MR. ROSSI: Well, that is true, but at least
17 it gives us a regulatory basis for arguing --

18 MR. KERR: This is not a regulation.

19 MR. WENSINGER: This is quoted from 2.79; that
20 is a regulation.

21 MR. KERR: It just seems to me it is so
22 obvious that you do not want instruments to give
23 anomalous readings that you would not have to argue that
24 with anybody.

25 MR. ROSSI: Well, I think from time to time we

1 argue about whether something is or is not anomalous,
2 and I am not sure we can cover all --

3 MR. SIESS: But this does not help you there.

4 MR. ROSSI: -- but this does not give enough
5 guidance to cover that.

6 MR. SIESS: This does not give you any
7 guidance in deciding whether this is anomalous or is
8 not. All it does is tell you how to spell it.

9 (Laughter.)

10 MR. KERR: If it makes you feel good to have
11 it there, I do not think it does any harm. I am just
12 trying to save the government money.

13 MR. SIESS: Listen, Bill, if it does not do
14 any harm, that in itself is an issue.

15 MR. KERR: Under "direct measurement," I guess
16 I am not quite certain why the instrumentation input
17 should be from sensors that directly measure the desired
18 variable. I am not sure what the significance of that
19 is.

20 MR. WENSINGER: One good example of this was
21 the point that Mr. Ward brought up with regard to the
22 position of the containment isolation valves, for
23 example, that the instruments that indicate the position
24 of those valves should be a direct measure of the valve
25 position, not, for example, an indication of some

1 control valve on that valve -- a pilot valve, if you
2 will.

3 MR. ROSSI: I was going to give the example of
4 the TMI relief valves.

5 MR. WENSINGER: That is another good example.

6 MR. SIESS: It says "to the extent
7 practicable" because even when you are trying to measure
8 directly a valve position, you usually measure the stem
9 position, not the disc, and we have had a few instances
10 where the disc and the stem were in different places.

11 MR. KERR: You certainly want an indicating
12 instrument to measure what you are trying to measure,
13 but it seems to me that -- well, and to say an indirect
14 measurement should be made only if shown by analysis to
15 provide unambiguous information is probably going to be
16 impossible, so I do not think that is an escape clause.

17 MR. SIESS: Nothing is unambiguous. The stem
18 disc is an example.

19 MR. KERR: I have no more.

20 MR. SIESS: And there was instance recently
21 where a valve was locked closed instead of open because
22 the valve stem was six inches longer than it was
23 supposed to be. It was sticking out six inches and they
24 assumed it was open.

25 That is all for you, Bill. Dave, do you have

1 any?

2 MR. WARD: No.

3 MR. SIESS: Jerry? Max? Gentlemen, what is
4 your pleasure? The Staff is proposing --

5 MR. KERR: May I ask just one more general
6 question? Has anybody had the time or inclination to
7 take this guide and look at one or two serious or
8 potentially serious accidents that have occurred in the
9 past and said, had this been in existence it would have
10 been quite helpful?

11 MR. ROSSI: I believe there was a Crystal
12 River event and the Rancho Seco events where significant
13 amounts of information to the operator were lost because
14 of a rather simple power supply failure and problems.
15 It is my opinion that had this guide been implemented on
16 those plants that that might have alleviated a large
17 number of those problems.

18 MR. KERR: I think you are going to find the
19 answer is yes. My point was it seems to me if you did
20 that as an exercise on several you might find some
21 things that perhaps should have been covered that were
22 not. It just seems to me that given that there have
23 been some that were serious, like TMI, or potentially
24 serious, maybe it is too time-consuming but it might be
25 a useful check to say, okay, here is this thing on which

1 we put a lot of effort.

2 Has it really covered the information that an
3 operator would have needed either in this accident or in
4 a potential accident that might have occurred from this
5 set of transients?

6 MR. ROSSI: I think that is getting done, but
7 I do not know that it has been done in exactly the
8 systematic way you just mentioned.

9 MR. SIESS: Did INEL actually look at actual
10 transients, or did they look at hypothetical DBEs and so
11 forth?

12 MR. HINTZE: The Idaho study was not intended
13 to tell us whether we had the variables listed or not,
14 all that we should have or should not have. His study
15 is to tell whether it can be implemented or not, can be
16 understood or not, are there measurement equipments
17 available to do what we have asked them to do.

18 MR. SIESS: I am going back to an original
19 report that came out back in the very beginning of this
20 thing where somebody went through and came up with lists
21 of variables.

22 MR. HINTZE: Maybe you are thinking about the
23 AFI report -- AIF, excuse me.

24 MR. SIESS: No, I thought it was something
25 that was done through the NRC.

1 MR. KERR: I have a vague recollection of
2 that.

3 MR. SIESS: And it listed a whole list of
4 variables. It was the basis for the first Reg Guide.
5 It was done under contract from you guys, I am sure. I
6 thought they went through the accident sequences.

7 MR. KERR: I thought they did too.

8 MR. HINTZE: It was not a standard sponsored
9 study.

10 MR. KERR: I have a vague recollection of
11 that.

12 MR. SIESS: Do we have a list of references in
13 here?

14 MR. KERR: So it is possible that
15 substantially the same thing has been done. It would be
16 worthwhile if you had the manpower and time to do it,
17 but it could be time-consuming.

18 MR. SIESS: The Staff is proposing to issue
19 this thing as an effective guide without again putting
20 it out for public comment. The changes they have made
21 have been basically changes in response to the public
22 comments and they do not see any real point in putting
23 it out again for public comment.

24 What they are asking us is to approve issuing
25 it as an effective guide and allowing them to delete the

1 sentence about ACRS concurs with the opinion. Does
2 anybody have an objection to that?

3 MR. KERP: I think it is an improvement,
4 considerably, over what we have seen earlier, and it
5 seems to me it is something that needs to be done. I
6 hope it is interpreted as a guide because it may have
7 flaws in it. It seems to me anything this extensive is
8 likely to have, so it ought to be used initially, it
9 seems to me, with a good bit of discretion, and I assume
10 it will be.

11 MR. ROSSI: I believe that to be correct. As
12 a matter of fact, I believe we generally use all guides
13 that way. Some utilities may not believe that, but we
14 do look at regulatory guides with discretion. This one
15 is going to have to be used with more because we have
16 less experience with it.

17 MR. KERP: Yes.

18 MR. SIESS: Okay. Hearing no objections, we
19 will recommend to the full ACRS that they approve this
20 for issuance as an effective guide at long last.

21 Let's take a short break, and then we will
22 come back and take up the next item of business, which
23 is the instrument-sensing lines.

24 (A brief recess was taken.)

25

1 MR. SIESS: The meeting will reconvene. Where
2 is Mr. Kerr? Well, we will start without him.

3 The next item of business is Draft 1 of Reg
4 Guide Task Number IC 126-5, Instrument Sensing Lines.
5 We looked at this a little over a year ago and I guess
6 we did not look at it real hard. We said it looks
7 reasonable to send it on out for public comments. It
8 has been out for public comments. It has received a
9 modest number of public comments. They have been
10 responded to by the Staff. I thought the Staff was
11 reasonably responsive to the public comments.

12 I guess I had a question or two and some of
13 you may have some. It has been to CRGR. CRGR looked at
14 it and said the implementation is strictly forward fit, no
15 backfit, and we do not see many reactors coming down the
16 line, so it does not look like it is a great big issue.

17 They made two formal recommendations to the
18 EDO regarding this guide. The first was whether it
19 should be only a forward fit, as to whether there
20 possibly should be a backfit for certain of the
21 revisions important to safety, or whether it might be
22 voluntarily backfit by licensees, and went on to say,
23 however, if you are going to backfit this, then your
24 value impact statement needs modifying, because the
25 sensing lines you are calling for are likely to be

1 fairly expensive, I think.

2 The other recommendation -- and I do not
3 really understand it; maybe the Staff can explain it --
4 this is CRGR's recommendation. It says "Research and
5 NRR should develop and forward to the EDO
6 recommendations concerning how regulatory requirements,
7 including regulatory guides -- regulatory guides are not
8 requirements -- are to be applied to future CP
9 applications."

10 Now that seems to be a sort of a strange
11 question to be asking at this point in time, about how
12 requirements are going to be applied to future CP
13 applications. But they went on to say the Committee
14 recommends that this reg guide be placed on hold pending
15 the EDO's decision on this matter. It obviously has not
16 been placed on hold since it is in here.

17 Has the EDO reached a decision on that matter,
18 or did you not accept CRGR's recommendation?

19 MR. MORRISON: Mr. Chairman, we do not know
20 what the EDO is going to do with this recommendation as
21 yet. But I think when you say it obviously has not been
22 placed on hold, that is not exactly correct. It has
23 been placed on hold, I think, just because of the CRGR
24 recommendation, pending decision on what the EDO will do
25 with the recommendations.

1 As far as issuing it as an effective guide,
2 however, since we had already sent this guide down for
3 consideration by the ACRS, we have no objection that we
4 go ahead and have the ACRS review it.

5 The specific paragraph here does not relate
6 specifically to this guide. This guide just happened to
7 get caught when the question arose involving the
8 question of well, what do we do about revisions to
9 regulatory guides, new regulatory guides with future CP
10 applications, and primarily, based on what I could
11 gather at the CRGR meeting, on the standardized plant
12 applications.

13 There is work going on now to resolve this
14 issue --

15 MR. SIESS: I do not see what the issue is.

16 MR. CARBON: I do not either. Would you
17 explain it a little more?

18 MR. MORRISON: I am not sure I can explain the
19 issue either. One of the issues is -- and maybe Ed
20 wants to add to this -- but one of the issues is, well,
21 if you have a standardized plant over five years, then
22 there are requirements coming out, for example, the
23 boiler and pressure vessel code, where you come out with
24 a new addenda in the fourth year of the five-year term,
25 by that time they cannot get the equipment in accordance

1 with the edition of the code that was approved for the
2 standardized plant.

3 It is that type of thing.

4 MR. SIESS: Ed, do you want to add something?

5 MR. WENSINGER: Yes, and I think Bill
6 explained the answer to your question. You did not ask
7 all the right questions, though. Let me ask the
8 question for you, or maybe I should just give the answer
9 and the question will be obvious.

10 During the discussion with the CRGR, they
11 noted our recommendation that it only would be forward
12 fit and there were some gentlemen sitting in the
13 audience who indicated that the guide, in part at least,
14 was already being implemented at the present time on
15 near-term operating licenses. And the question then was
16 well, all right, you recommend that this only be forward
17 fit --

18 MR. KERR: Does "implement" mean effectively
19 being required by the NRC or voluntarily on the part of
20 the licensee?

21 MR. WENSINGER: Well, that gets me into the
22 other point, which was the word that I think you found
23 strange, and that was the word "requirement" used in
24 connection with "guide". I cannot speak for the CRGR,
25 and do not claim to speak for them, but it is my view

1 that they consider regulatory guides to be
2 pseudo-requirements and, for all practical purposes, to
3 be requirements, and they refer to them as
4 requirements.

5 MR. SIESS: Now "implemented" meant by Staff
6 reviewers or licensees?

7 MR. WENSINGER: Well, either voluntarily
8 complied with by licensees or the Staff asking enough
9 questions until that volunteering comes about, or the
10 Staff perhaps being persuasive. I do not know what
11 other ways I can say it, but not all of the guide and
12 not all of the reference standard either, only portions
13 of it.

14 So that led to further confusion with regard
15 to what was the intent with regard to implementation since
16 the recommendation was for backfit, no backfit, forward
17 fit only, and yet some of it was already being done. In
18 fact, as far as we could tell, all of the provisions of
19 the guide, to the best of our knowledge, are in fact now
20 being implemented in one way or another.

21 There may be questions of matter of degree,
22 but at least most, if not all, of the points that are in
23 the guide and the standard are now being considered in
24 Staff reviews of existing operating license
25 applications.

1 MR. SIESS: But not backfits?

2 MR. WENSINGER: That depends on what you mean
3 by "backfit".

4 MR. SIESS: Not operating plants.

5 MR. WENSINGER: That is correct.

6 MR. SIESS: Now this question on reference leg
7 arrangement in BWR, was it level measurement? Is that
8 related to this, where failure of a common reference leg
9 you could lose instrumentation?

10 MR. WENSINGER: I will let Mr. Rossi answer
11 that.

12 MR. ROSSI: I believe there are requirements
13 in here that would address that particular problem.
14 Basically what it says, I believe -- and Al can correct
15 me if I am wrong -- but I think it says that if you have
16 a failure of a sensing line that affects the control
17 system in a way to cause a transient and it also defeats
18 a portion of the protection system, that the remaining
19 portion of the protection system has to be able to
20 sustain an additional single failure and still perform
21 its actions.

22 MR. SIESS: That has been a requirement on
23 instruments for a long time, right?

24 MR. WENSINGER: This is simply a logical
25 extension of what is in the IEEE standard.

1 MR. ROSSI: Let me answer your question. You
2 asked if that has been a requirement for a long time.

3 MR. SIESS: On instruments.

4 MR. ROSSI: Indeed it has been on
5 instruments.

6 MR. SIESS: There has been a question raised
7 about the reference leg that would violate these
8 requirements or these guides, right? Has the Staff been
9 doing anything about that, with 50.54 or anything else?

10 MR. ROSSI: No, we have not done a 50.54.
11 Well, we have done some looking at reference legs.

12 MR. SIESS: Was there an I&E bulletin on
13 that?

14 MR. ROSSI: Yes, I believe there was. I'm not
15 sure of exactly what was done on operating plants, but
16 on near-term operating license reviews we are looking at
17 the sensing lines and the reference legs and we are
18 starting by assuming that if they meet this criteria
19 they are all right. If they do not meet the criteria,
20 then we are looking at why they do not meet it and
21 whether there is a safety problem in not meeting it.

22 And the kind of thing that we are looking at
23 is if you get a sensing line failure that causes some
24 sort of a transient through the control system and
25 defeats a portion of the protection system, how long

1 would an operator have in order to take manual action to
2 prevent a safety problem from developing.

3 If that time is a long time, then we are
4 accepting those kinds of designs, with the further
5 assumption that he has appropriate information to tell
6 him that he has to take manual action.

7 MR. SIESS: Let me set the stage of what we
8 are supposed to be doing here.

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 The staff is asking us to concur in the
2 regulatory position, which means concurring in the
3 revisions they have made in response to the public
4 comments. We can if we wish recommend to the EDO that
5 this be published, or we can simply say we have no
6 objection to it, or we concur in the positions. The
7 question of what you are going to do with future CP's is
8 another problem. We don't really need to address that
9 here. As you point out, it is more generic.

10 So, all you are asking is, go through it the
11 second time to see whether it is okay, whether we agree
12 with it. Now, we can go, if you wish, a step farther
13 than that. We can address the question of whether this
14 guide or the positions in this guide should indeed be
15 backfit, whether there are significant safety
16 improvements to be obtained by applying these criteria
17 to sensing lines just as they have been applied to
18 instruments themselves in the past.

19 That is, if this is a good idea, why not
20 backfit? I bring that up because there is at least one
21 member of the committee who has been concerned about
22 some of these things, and one of our consultants has
23 addressed this. Walt Lipinski has addressed this
24 question that we do not apply the same criteria to the
25 lines that lead to the instruments as we do to the

1 instruments themselves. That is going beyond what the
2 staff is asking us to do in addressing whether this
3 should be backfit.

4 Personally, I would prefer not to do that,
5 because I feel like -- I feel the same way that the CRGP
6 does, that if you want to consider backfitting this,
7 then somebody had better sit down and make a value
8 impact analysis, a cost benefit analysis, a risk benefit
9 analysis on backfitting. I don't think there is any
10 question that it improves safety. But it may improve
11 safety at a cost that is unreasonable by any basis you
12 want to apply.

13 It is also not clear to me that you can go in
14 an operating plant and backfit these criteria without
15 lousing something up and maybe ending up with something
16 worse than you had. So, I think the question of whether
17 it should be backfit is a difficult one to address
18 without a value impact, cost benefit, risk benefit
19 analysis on the backfit problem.

20 MR. CARBON: I support what you are saying
21 there, but I would welcome hearing from the staff why
22 they left out backfitting or decided not to go that
23 direction.

24 MR. SIESS: Keep in mind that if they want to
25 backfit it, strictly speaking, they have got to invoke

1 50.109 and establish that it will be a significant
2 contribution to safety which has never been done, and
3 they would have to go back to the CRGR.

4 MR. CARBON: I am simply saying, what was
5 their thinking?

6 MR. SIESS: Yes, I think we would like to hear
7 that. Do you want to address that first? And then we
8 will get into the details?

9 MR. HINTZE: Did you want to speak to that?

10 MR. MORRISON: No, you can speak to it.

11 MR. HINTZE: In regards to the code
12 classifications of the sensing lines, the staff has been
13 requiring that code classification through Regulatory
14 Guide 1.23 all the time. That is not a new position.
15 Therefore, we didn't feel that that was a backfit --

16 MR. KERR: 1.23 is a Reg. Guide, and it is to
17 be treated as a requirement?

18 MR. HINTZE: I am sorry, 1.26. I said the
19 wrong number. It should be 1.26.

20 MR. KERR: So it is being treated as a
21 requirement?

22 MR. MORRISON: No, I don't think you really
23 meant that.

24 MR. HINTZE: It is an acceptable means of
25 meeting --

1 MR. MORRISON: It is a requirement when people
2 have committed to follow Reg. Guide 1.26.

3 MR. SIESS: Let's get this clear. Position
4 One is the one that has to do with -- where -- let me
5 put it this way. Position One is the one that
6 essentially extends the electrical requirement to the
7 sensing lines.

8 MR. HINTZE: Yes. Failures causing an
9 accident. You follow it by a single failure. Positions
10 Two and Three have to do with what happens when you
11 attach a line to a Class 1 component. What does it
12 become? Is it a Class 1 or Class 2? And down to some
13 isolation valve, et cetera. Two and Three are the ones
14 that Al just said in effect are required by the staff.
15 They are Reg. Guide 1.26 positions, and they are not
16 really new ones.

17 MR. HINTZE: Yes, that is correct.

18 MR. SIESS: Backfitting those would be one
19 ungodly mess. You couldn't backfit those without going
20 in and taking out a hell of a lot of pipe, or doing
21 something.

22 MR. HINTZE: Also, because of Reg. Guide 1.26,
23 that recommendation has been in for quite a while.

24 MR. SIESS: Yes, but I mean if that were to be
25 made a backfit for those that didn't have it, it would

1 be quite an operation.

2 MR. HINTZE: Yes.

3 MR. SIESS: And I think of questionable value
4 when it gets down to QA levels. It is really a QA level
5 type thing, isn't it?

6 MR. HINTZE: Yes.

7 MR. SIESS: The Class 1, 2, 3 determine, what,
8 QA levels and not stress levels, does it?

9 MR. MORRISON: Well, it gives the type of
10 systems that go into the various code classes.

11 MR. SIESS: Does it control stresses or simply
12 QA?

13 MR. HINTZE: It controls stresses, I think, on
14 the metal itself.

15 MR. SIESS: Four is a minor item. Four and
16 Five have to do with freezing.

17 MR. HINTZE: That is correct. Six by virtue
18 of the CRGR meeting has been deleted. We intended to
19 tell you that this morning.

20 MR. SIESS: Six has been deleted, so really
21 what I was addressing, and I think the question we
22 wanted answered has to do really with Position One.

23 MR. HINTZE: Yes.

24 MR. SIESS: Now, Position One as a backfit
25 would require --

1 MR. KEPR: I am sorry. Six here has been
2 deleted?

3 MR. SIESS: Yes. That is one thing to
4 consider. What is the reason for not backfitting
5 Position One? You said Two and Three it is really not
6 necessary for most plants.

7 MR. HINTZE: Ernie, I guess we are going to
8 have to defer to you on that one.

9 MR. ROSSI: Let me see if I can clarify a
10 little bit what we all think we mean by backfitting a
11 regulatory guide. As a start, let me tell you what I
12 think backfitting a regulatory guide would mean. I
13 think that that would mean that every licensee having an
14 operating plant would have to go through item by item
15 this regulatory guide and standard and identify all
16 places in his plant where he did not literally meet the
17 regulatory guide, and then either change his design to
18 meet it or alternatively to justify not having to change
19 his design to meet it.

20 As a justification for not having to change
21 his design to literally meet the regulatory guide, he
22 could provide a justification that said that it was more
23 expensive to change the design than the safety benefit
24 you would get from the change. Now, that is what I
25 think backfitting means.

1 MR. KERR: Well, how can one backfit a
2 regulatory guide? I just don't understand. Presumably
3 a regulatory guide tells how one satisfies a
4 regulation. The regulation has not changed.

5 MR. ROSSI: No, no, no. The regulatory guide
6 does not tell how one satisfies the regulation. What a
7 regulatory guide does is give one acceptable method of
8 satisfying the regulation, and says, if you use this
9 acceptable method, then the staff will agree with you
10 that you have satisfied the regulation, but you can
11 choose to do it some other way.

12 MR. KERR: No, but having the regulation not
13 changed in an operating plant, this is prima facie
14 evidence that the plant meets the regulation.

15 MR. ROSSI: If they meet the Reg. Guide.

16 MR. KERR: It doesn't have anything to do with
17 the Reg. Guide. The plant has got to have met the
18 regulation in order to be in operation.

19 MR. ROSSI: The plant has to meet the
20 regulation as --

21 MR. KERR: Any lawyer worth his salt will tell
22 you that if that plant is operating, it has got to be
23 meeting NRC regulations, or somebody is guilty of
24 malfeasance or something even worse. Now, with the
25 regulation not having changed, how can you go in and say

1 to a plant operator, we know what you've got, but we
2 have decided you don't meet the regulation?

3 MR. ROSSI: No, no. I don't think that's what
4 I'm saying.

5 MR. KERR: That's the only way you can make
6 them make a change.

7 MR. ROSSI: We are saying, we're not sure we
8 know what you've got, we're not sure that you looked at
9 this particular aspect of your plant to make sure that
10 you meet the regulation. I think that is what we are
11 saying, rather than, we think you don't meet the
12 regulation.

13 MR. KERR: You have got to have him over the
14 barrel on something else to have him accept that
15 argument. Unless you've got him over the barrel on
16 something else, you are not going to make him make a
17 change on that basis, because a lawyer wouldn't let
18 him. The Public Service Commission wouldn't let him
19 spend that money.

20 MR. ROSSI: I guess I started this discussion
21 by trying to define what I thought backfitting meant,
22 and again, what I thought backfitting meant was that he
23 tells us where he doesn't meet the Reg. Guide and why
24 his plant is okay in those areas where he does not meet
25 it. That is what I thought backfitting did, but that he

1 had to do that in a systematic way.

2 MR. WENSINGER: Having no CRGR member present,
3 let me not attempt to speak for them, but give you my
4 perception of their views. I believe they would feel
5 that if this Reg. Guide were issued, it would be likely
6 that an inspector at a near term operating license plant
7 or even perhaps in an operating plant would take this
8 regulatory guide and look at it, and look at provision
9 whatever, go look at that item in the plant, and perhaps
10 try to cite that licensee for non-compliance.

11 MR. KERR: Well, I must say I think this is
12 capricious, and maybe even -- I just don't understand
13 how the NRC can bring itself to operate this way.

14 MR. SIESS: You mean with the implementation
15 you have in there now, you think an inspector might do
16 that?

17 MR. WENSINGER: That has been the allegations
18 that have been made in the discussions I have had with
19 the CRGR.

20 MR. SIESS: That is ridiculous.

21 MR. WENSINGER: I am glad you said that.

22 MR. MORRISON: It wasn't the allegation of an
23 inspector. It was more an allegation of what the NRR
24 reviewer might do.

25 MR. SIESS: Can't he read?

1 MR. MORRISON: I hope so.

2 MR. SIESS: This is very specific. But my
3 question has nothing to do with the legalities. The
4 question was simply, if Position One represents a
5 criterion that would not improve safety, why is it not a
6 good idea to have it on all of the plants?

7 MR. ROSSI: It is a good idea to have it on
8 all the plants. I believe the issue is whether we want
9 to go back to every plant and ask them to verify in
10 writing that they have checked all the sensing lines and
11 the safety systems on their plant, and can confirm that
12 they meet Item 1, as opposed to what we are doing now,
13 which I believe is where we find a problem with a
14 sensing line in an operating plant by either an LER or
15 by finding something in a current review where we think
16 they do not meet Item 1. Then I believe what we are
17 doing now is, we are sending out bulletins and that kind
18 of thing to tell people that they ought to look at their
19 designs in those areas.

20 MR. SIESS: Okay. You are saying that a lot
21 of the plants probably were well designed, and somebody
22 probably thought of these things without having it as a
23 Reg. Guide or a standard.

24 MR. ROSSI: Yes, I think that is correct.
25 That is what we believe, or we wouldn't have licensed

1 the plants.

2 MR. SIESS: There were a couple of obvious
3 cases where that wasn't true, and those are being worked
4 on.

5 MR. ROSSI: I think that's correct, too.

6 MR. CARBON: I am not clear yet on the answer
7 to that question. I guess the answer to the question of
8 why this is not proposed for backfitting is that the
9 staff has one way or another come to the conclusion that
10 it is not needed or it is too costly. Is that so?

11 MR. ROSSI: I think that it is the latter.
12 Yes.

13 MR. CARBON: The latter? It is too costly?

14 MR. ROSSI: It is too costly to go back and
15 make the licensees systematically go through and review
16 their design to come back under oath and affirmation that
17 says that they meet --

18 MR. CARBON: Too costly for the increased
19 safety that would be achieved?

20 MR. ROSSI: Right.

21 MR. SIESS: I think that what he is saying was
22 that in a lot of cases they think this would be
23 satisfied as they are, and in a few cases where they
24 aren't, like a reference leg thing, it could lead to a
25 violation. It has been caught. People have been warned

1 about it and asked to do something about it, and the
2 staff has made, just as Mac said, an informal or
3 subjective cost benefit judgment that doing anything
4 more than that is not likely to be worth it.

5 MR. ROSSI: That is correct. Now, the thing
6 that you would get more than what we have done by going
7 back and "backfitting" Item 1 is, you would make all the
8 licensees go review their plant and make additionally
9 certain that they have no problems in the area of Item
10 Number 1. As we stand today, I do not think we know of
11 any plant that has a safety problem related to Item 1.
12 The question on Item 1 is that on some BWR's where you
13 break a level sensing line, you require, if you have
14 another single failure in the protection system, manual
15 action in approximately ten to twelve minutes, something
16 on that order, and people may argue about whether that
17 is enough time to allow manual action for that
18 situation, but in general the staff is taking the
19 position that we have made a judgment and are going to
20 permit that on the older plants.

21 Now, the newer plants are doing better in this
22 area. I don't know whether they have been browbeaten
23 into doing better, or if they have decided on their own
24 to do better, or they just concluded that when they
25 started the design, that it was cheap enough to do

1 better, that they might as well do it then, because some
2 day they might be forced to change it if they didn't. I
3 don't know which of those is the situation, but the
4 newer EWR's are better with respect to the independence
5 between control room protection in the sensing line area
6 than are some of the older ones, but the older ones we
7 believe from what I know to be acceptable on the basis
8 that they have enough time, enough information available
9 to use manual action.

10 MR. SIESS: What was the inspiration for the
11 ISA action on the standard?

12 MR. WENSINGER: Me.

13 MR. SIESS: When did that start, Ed?

14 MR. WENSINGER: About three years ago.

15 MR. SIESS: And had there been some problems
16 discovered, or was it just the idea of extending -- what
17 is it, IEEE --

18 MR. WENSINGER: 279. By the way, since that
19 time, IEEE has picked up on it, and IEEE 603, which
20 covers the entire safety system, not just the protection
21 system, now does include sensing lines as well as
22 actuation devices, actuation equipment, et al, and you
23 gentlemen, by the way, chose not to comment when we went
24 out for comment on that guide. We do have a guide that
25 endorses IEEE 603, which is now out for public comment.

1 MR. SIESS: Okay. Gentlemen, I would like to
2 suggest that we look at the changes they have made in
3 response to the public comments, et cetera, and see if
4 we have any questions about those. A major change they
5 made was to change the scope considerably by backing it
6 off to safety related rather than important to safety.

7 MR. KERR: What is the difference? Is
8 non-safety the antithesis of safety related? I notice
9 you use safety related, but then when you talk about the
10 instrument that is not safety related, it is apparently
11 called non-safety rather than non-safety related.

12 MR. WENSINGER: Is there a particular place in
13 the text?

14 MR. KERR: On Page 2 is the first place I
15 noticed it, just above C, Regulatory Position.
16 Instrumentation is referred to as non-safety
17 instrumentation. I don't know whether that is --

18 MR. HINTZE: That is an oversight.

19 MR. KERR: I wasn't sure whether there was a
20 further distinction or not.

21 MR. RAY: It is mentioned again, too, down
22 below under Two, to revise the One. You talk about
23 performing safety related function, and then non-safety
24 function.

25 MR. SIESS: It looks like you have been

1 consistent.

2 MR. HINTZE: We have been consistently wrong,
3 I guess.

4 MR. WENSINGER: That should be considered
5 editorial, and we will fix that.

6 MR. WARD: Can I ask a question?

7 MR. SIESS: Certainly.

8 MR. WARD: Could we go back to your comment,
9 Ed, on IEEE 603? You said there was a Reg. Guide which
10 is out for comment?

11 MR. WENSINGER: It was published a few weeks
12 ago.

13 MR. SIESS: We told them to send it out for
14 comment, and we will see it when it comes back.

15 MR. WARD: What is the relationship of that
16 Reg. Guide to this Reg. Guide?

17 MR. WENSINGER: That Reg. Guide encompasses a
18 system that is much broader than this. This covers
19 instrument sensing alone. The IEEE standard covers the
20 sensing lines, the instruments, the by stables, the
21 logic, the actuation devices, and the driven equipment.

22 MR. SIESS: Does it reference this one for
23 sensing lines?

24 MR. WARD: Why isn't this one a part of that?

25 MR. WENSINGER: This simply has a lot more

1 detail. This is much more component oriented, much more
2 detailed.

3 MR. ROSSI: You might correct me if I am
4 wrong, but IEEE 603 again is going to be an IEEE
5 standard, and I would think because it is an IEEE
6 standard that whatever is in there that we are still
7 likely to get into arguments about how far into the
8 mechanical area the scope of IEEE 603 can go, and this
9 document here, it would seem to me, would make it very
10 clear that this covers sensing lines and you don't have
11 that argument.

12 MR. WENSINGER: There is no dispute among ASME
13 or IEEE or ANS or whatever that the Instrument Society
14 of America does have cognizance over instrument sensing
15 lines, and that is one reason why they were persuaded to
16 work on this document.

17 MR. SIESS: Okay. The other change -- well,
18 you deleted Six, right?

19 MR. HINTZE: Yes, sir.

20 MR. SIESS: Because that is covered in other
21 guides?

22 MR. HINTZE: Partly. Also partly because it
23 didn't address all valves in the sensing lines. It just
24 addressed the one check valve, and to have an indication
25 on one valve and not the other valves would give kind of

1 ambiguous status indication of the system.

2 MR. SLESS: You didn't think it was practical
3 to have that on all of them.

4 MR. HINZTE: Right.

5 MR. WENSINGER: There is a multiplicity in
6 these lines that are used for multiple purposes, and it
7 would be an extensive deal to put indications on all of
8 those valves.

9 MR. SLESS: Now, in connection with Positions
10 Two and Three, there was some discussion in one of the
11 comments about their relation to 50.55A and the code.
12 You say it is not inconsistent with the proposed
13 50.55A. Does that mean that -- I am looking at Comment
14 4 of Mr. Saldorini. He said it should be modified to
15 conform to and agree with the proposed revision of
16 50.55A, and you say that it was written to agree with
17 Reg. Guide 1.26, and Reg. Guide 1.26 is the basis for
18 the proposed revision of 50.55A, and there is no
19 disagreement.

20 I guess I cannot tell from this -- Why was he
21 wrong? He says there is a disagreement. You say there
22 is not one. Is this just a matter of an opinion, or is
23 there a factual basis for him thinking one way and you
24 thinking another?

25 MR. HINTZE: I guess I didn't really call him

1 back to find out why he felt the way he did. We
2 compared the two. And the people who are working on
3 50.55A --

4 MR. SIESS: That is the update?

5 MR. HINTZE: Yes, sir, which will make it a
6 rule rather than a Regulatory Guide.

7 MR. SIESS: 50.55A simply references an
8 updated code version, right?

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 Doesn't 50.55(a) just update it, or am I
2 wrong?

3 MR. HINTZE: No. It spells it out
4 specifically, if I can find it.

5 (Pause.)

6 MR. SIESS: Is that a new part of the
7 regulation?

8 MR. HINTZE: It is part of the revision to the
9 regulations, yes.

10 MR. SIESS: What does 50.55 cover? What is in
11 50.55? What is the heading?

12 MR. MORRISON: 50.55(a) is entitled "Codes and
13 Standards".

14 MR. SIESS: That is what I thought, but I did
15 not think 50.55 included actual requirements. I thought
16 it simply referenced the appropriate code.

17 MR. MORRISON: Well, it in fact makes those
18 codes and standards in 50.55(a) requirements, minimum
19 requirements.

20 MR. SIESS: That suggests to me that the code
21 or standard which is being made a part of the
22 requirements actually includes these provisions.
23 Doesn't it meet the ASME Code in this case?

24 MR. MORRISON: Right.

25 MR. SIESS: So we are talking about whether

1 this guide is different than the ASME Code, and you are
2 saying it is not.

3 MR. HINTZE: That is correct.

4 MR. SIESS: And what Mr. Saldorini was
5 apparently saying is the Code is different and if
6 50.55(a) recognizes the Code, then it is going to be
7 different from the standard, and you said you compared
8 the appropriate part of the ASME Code and it would agree
9 with this standard.

10 MR. HINTZE: The 50.55(a) and not the Code.

11 MR. SIESS: All 50.55(a) does is reference the
12 Code, doesn't it? Does it include requirements over and
13 beyond the Code?

14 MR. HINTZE: It tells exactly the same thing
15 that is in the proposed revision 1.26.

16 MR. SIESS: I'll buy that, but I am still
17 trying to find out what is in 50.55(a). I thought
18 50.55(a) simply said ASME Section 3, Winter 1982,
19 applies.

20 MR. MORRISON: That is right.

21 MR. SIESS: And if I look at the proposed
22 revision?

23 MR. MORRISON: It also tells you what part of
24 the plant should fall under the various classes of the
25 Code.

1 MR. HINTZE: Right.

2 MR. MORRISON: That is not in the Code.

3 MR. SIESS: Okay, that is where the difference
4 is. Well, since it is not being backfit, I do not see
5 that it makes any difference.

6 (Pause.)

7 MR. SIESS: Dave, do you have any questions?

8 MR. WARD: No.

9 MR. SIESS: Bill?

10 MR. KERR: Was safety-related and its
11 definition invented in connection with this guide?

12 MR. WENSINGER: No. It was a memo written by
13 Mr. Denton some months ago.

14 MR. KERR: Safety-related means it will
15 withstand a safe shutdown earthquake?

16 MR. WENSINGER: Among other things.

17 MR. SIESS: There were three categories:
18 important to safety, safety-related -- what was the
19 third one?

20 MR. WARD: Non-safety.

21 MR. WENSINGER: The term "safety grade" is
22 often used.

23 MR. MORRISON: Safety grade Category 1 is
24 synonymous with that.

25 MR. SIESS: You used the words important to

1 safety, right?

2 MR. MORRISON: And safety-related and Appendix
3 B.

4 MR. SIESS: Safety-related is in the
5 regulations?

6 MR. WENSINGER: That is correct.

7 MR. KERR: It seems to me important to safety
8 ought to be more important than safety-related, but it
9 is the other way around, isn't it?

10 MR. MORRISON: It is the other way around.

11 MR. WARD: That is because some non-safety
12 systems are important to safety. Get it?

13 MR. KERR: Well, if it is something that is
14 just related to safety, important to safety is
15 important.

16 MR. WENSINGER: It is a broader category.

17 MR. KERR: And it is more important. It is
18 not just related; it is important.

19 MR. WENSINGER: We have traditions to contend
20 with.

21 MR. SIESS: But as we looked at the SEP
22 plants, they were allowed under their mandate to look at
23 non-safety systems that could be used to shut down the
24 plant. Now in that context they become important to
25 safety but not safety-related within the definitions of

1 the regulations.

2 MR. WENSINGER: That is right.

3 MR. SIESS: That again gets us to these two
4 levels of importance that we were talking about before.

5 MR. KERR: Churchill said it very well a long
6 time ago. This is the kind of nonsense up with which I
7 will not put.

8 (Laughter.)

9 MR. WENSINGER: I am underwhelmed.

10 MR. SIESS: Anything else, Bill?

11 MR. KERR: On page two I point out
12 non-safety-related. There is another one in Number 1
13 which we may have caught -- the single instrument line.
14 You got that?

15 MR. SIESS: Yes.

16 MR. KERR: Then, on page 2-A, under 2, the
17 second-from-the-last sentence -- penultimate I guess it
18 has been called -- there is a statement about when
19 degraded by a second random failure. This implies that
20 the first failure has to be random, I think.

21 It seems to me we do not need to imply that.
22 I think you do not want this random failure to foul you
23 up, whether the first one is random or not.

24 MR. WENSINGER: The purpose of using this
25 language was to be consistent with the language in IEEE

1 2.79 so as not to imply that we were suggesting some
2 different requirements than 2.79 required.

3 MR. SIESS: I think it reads, Bill, with a
4 comma between second and random -- a second failure and
5 a random failure.

6 MR. KERR: Well, you could say "by random
7 failure not associated with the initiating event", which
8 it seems to me would be clearer, but if it is tradition,
9 I cannot argue with that.

10 MR. WENSINGER: That is what it is.

11 MR. SIESS: It is not just tradition. It is
12 being consistent with 2.79.

13 MR. ROSSI: Well, 2.79, you recognize,
14 represents a compromise in wording that has been the
15 subject of long hours discussing wording, so I think we
16 have no choice but to accept it.

17 MR. SIESS: Can I read that as second, comma,
18 random failure?

19 MR. WENSINGER: That is correct.

20 MR. KERR: I am interested that when the Staff
21 likes wording they go along with the standards with no
22 questions asked, but when they do not like them, they
23 feel free to amend, add to --

24 MR. WENSINGER: Sir, in this case the wording
25 is in the regulations. We do not have any choice.

1 MR. KERR: Protective action, even when
2 degraded by a second random failure.

3 MR. HINTZE: We will put a comma after that.

4 MR. SIESS: I doubt it.

5 MR. WENSINGER: I do not think it is.

6 MR. KERR: On page three, under 4, why should
7 freezing temperature be added to the environmental
8 conditions? That assumes that all sensing lines are
9 going to be subjected to freezing temperature, which
10 strikes me as being odd.

11 MR. HINTZE: No, just that it has to be
12 considered.

13 MR. WENSINGER: You have to look at the
14 section in the standard that says the conditions that
15 have to be considered. All this means is you better
16 consider freezing also.

17 MR. KERR: I thought it might be something
18 like that.

19 MR. SIESS: But only if you have got something
20 in it that can freeze.

21 MR. KERR: That is all I have.

22 MR. SIESS: Max, do you have any questions?

23 MR. CARBON: I have two questions.

24 Bill George indicated in a statement we
25 estimate that the 1.26 requirements in positions 2 and 3

1 will add about \$200,000 to the cost in operation of a
2 nuclear station. Do you know, is he talking there about
3 backfitting, or does he mean that when you impose these
4 on a new station it will add that cost?

5 I am also confused because they are already
6 following 1.26. I do not see what he is getting at.

7 MR. HINTZE: I do not either, and I should
8 have called him, but I did not.

9 MR. CARBON: My other question, the first CRGR
10 recommendation, judgment should be made by Research and
11 so on, whether or not ISA and so on, will be adopted.
12 The wording they use there really does not make sense to
13 me, and I guess I am asking, is it correct that they are
14 saying there that you should decide whether to require
15 backfitting or not?

16 MR. WENSINGER: They are saying more than
17 that. They are saying you ought to decide consciously
18 whether you are going to impose these requirements on
19 even near-term operating licensees or just new CPs, or
20 are you going to take care of existing operating plants
21 and demand that they take a look at it -- or all three.

22 MR. CARBON: Then I guess that goes to Dr.
23 Siess' statement. Has the Staff made this decision?

24 MR. SIESS: That is what we are being told.

25 MR. HINTZE: That we are not going to

1 systematically backfit.

2 MR. CARBON: And you are not going to impose
3 the conditions and so on?

4 MR. KERR: Well, if you put it in that tone of
5 voice --

6 MR. HINTZE: I think the guide is not going to
7 be --

8 MR. CARBON: It was not intended to be a
9 tone.

10 MR. HINTZE: The guide will not be ignored
11 when we put it out. We will hope the people who could
12 still use it would use it, but we will not insist that
13 they use it.

14 MR. ROSSI: Let me make a comment on that. By
15 putting the guide out, I think what you do is you give
16 engineers who are designing nuclear power plants a kind
17 of a checklist that they ought to think about when they
18 are designing sensing lines. What this thing really
19 represents is a collection in a formal writing-down of
20 all of the experience that has been obtained over many
21 years on nuclear power plants of things that people
22 ought to think about when they design sensing lines.

23 Now one of these things which I am surprised
24 he did not talk more about was the one on freezing
25 lines. We have seen a lot of instances on operating

1 nuclear power plants where they have had freezing lines
2 in the protection system that have defeated various
3 portions of the protection system.

4 After we had seen these in LERs, we sent out
5 either an I&E notice or bulletin. But people were told
6 to go back and look at all their lines to be sure that
7 they were adequately protected from freezing and that
8 they took adequate precautions before winter was upon
9 them to make sure that any equipment that was used was
10 going to be working to keep these lines from freezing.

11 A lot of these things, when we do a review and
12 we find some place where it is likely that a line is
13 going to freeze, when we find that, no one ever argues
14 with the fact that something has got to be done about it
15 because it is obvious to everyone that it has to be
16 fixed. So it is not a question of us imposing a new
17 requirement, that you are not allowed to have your
18 protection system lines freeze in the winter. It is
19 really more a matter of having a nice checklist of
20 things that you ought to worry about when you design
21 sensing lines.

22 Item Number 1, I think, is in the same
23 category. If somebody were to find a plant where the
24 breaking of a sensing line would cause the shutoff of
25 feedwater to the core and 30 seconds later the core was

1 going to be uncovered because no automatic systems were
2 initiated, I do not think we would have to impose a
3 requirement to get that fixed. I believe that there
4 just would not be any question that they will fix it.

5 MR. WENSINGER: Strange as it may seem, this
6 happens to be a standard, this ISA standard, in the real
7 sense of the word. This is in fact a collection of
8 actual practices that are going on in the industry as
9 opposed to some of the earlier standards.

10 MR. SIESS: Position Number 1 seems to me to
11 be very important.

12 MR. WENSINGER: I was referring to the ISA
13 standard, not the reg guide.

14 MR. SIESS: Position Number 1 in the reg guide
15 seems to be quite important. It echoes the position
16 that we have had for a long time and the standard IEEE
17 2.79. Was it considered by the --

18 MR. WENSINGER: Yes, it was, and it was
19 rejected.

20 MR. SIESS: Why? Because not one of the
21 public comments complained about it. There was not a
22 single comment against Position 1 in your comments.

23 MR. WENSINGER: That is correct.

24 MR. POSSI: That comes back to what I just
25 said. If you found a place where they did not meet

1 Position 1 and they had a true safety problem at the end
2 of ten seconds, they are going to fix it.

3 MR. SIESS: But why not include that in the
4 standard?

5 MR. WENSINGER: I will tell you the argument I
6 got. I will not defend it, but I will tell you the
7 argument I got. They said that was covered by IEEE
8 2.79.

9 MR. SIESS: But it is not, obviously.

10 MR. WENSINGER: That was my response.

11 MR. SIESS: Some people may have interpreted
12 it that way, and that is why the plants are built
13 right.

14 MR. WENSINGER: And, in fact, that it was in
15 another response.

16 MR. SIESS: It is interesting that here the
17 Standards Committee would not put it in, but nobody
18 objected to your putting it into the reg guide.

19 MR. WENSINGER: No, and I have run into that
20 situation on several occasions when I have been told
21 directly, well, we do not want to put it in our
22 standard. You put it in the reg guide and we will not
23 object.

24 MR. MORRISON: Chet, that situation you have
25 described is not unique. I have run into the same

1 thing. Maybe it is a question of they can object to it
2 in the Standards Committee meeting, but they do not want
3 to go on record to write a letter that ends up in the
4 public document room saying that this should be done.

5 MR. SIESS: Good point.

6 Anything else, Max? Does anybody else have
7 anything else?

8 (No response.)

9 I looked at Moeller's stuff. You got a copy
10 of Dr. Moeller's letter?

11 MR. HINTZE: Yes, sir.

12 MR. SIESS: He was worrying about sensing
13 lines for air monitors and that is covered in 0737, and
14 he wanted to know why you did it that way rather than
15 putting it in here. Are air monitors safety-related?

16 MR. HINTZE: That is sampling lines, not
17 sensing lines. It was a little out of the scope of what
18 the ISA standard was written for. There is a lot more
19 consideration going into a sampling line than sensing
20 lines as far as plate-out and so forth. It was just a
21 little bit out of the scope for us to consider.

22 MR. SIESS: I think that is a suitable
23 answer.

24 The concern that Mr. Ebersole had had is one I
25 have already mentioned, I think. That was the common

1 reference line.

2 MR. HINTZE: I think Ernie addressed that.

3 MR. SIESS: That has been taken care of by the
4 I&E bulletins or something else, right?

5 MR. ROSSI: In the cases we know about, that
6 is correct.

7 MR. SIESS: Are there any objections to
8 recommending to the full Committee a concurrence with
9 the positions in this guide?

10 MR. KERR: I have none.

11 MR. SIESS: We will so recommend them.

12 What do you have coming up in the near
13 future?

14 MR. MORRISON: I cannot speak for the near
15 future, but I can speak for next month, and we have
16 nothing for next month.

17 MR. SIESS: We have sort of gotten away from
18 our monthly meeting schedule. After seeing the proposed
19 budget, I think we may be on an annual meeting basis.

20 MR. WENSINGER: I might mention there are a
21 couple of guides in my branch that this Committee may be
22 interested in. I mentioned one of them, endorsing IEEE
23 6.03, which is just now out for public comment.

24 There is one other that is taking considerable
25 time to resolve public comments on, and we have had

1 considerable difficulty in getting the Instrument
2 Society of America to complete its job -- not that they
3 are being lax or anything of that nature. They simply
4 got a lot of comments on their standard by our putting
5 out a reg guide endorsing it.

6 In fact, about 80 percent of the comments we
7 have received were on the standard and not the reg
8 guide. This was on the subject of response time testing
9 of instrument channels and protection systems, and we
10 hope to have that to you before the summer gets here.

11 MR. SIESS: Okay. This implementation section
12 on sensing guides --

13 MR. HINTZE: That says forward fit only, and
14 that is still the intent. Now we may add a statement,
15 but I do not know that we will.

16 MR. MORRISON: I think the intent, what we
17 told the CRGR was our intent was to apply the guide to
18 only forward fit, but also to announce the Staff
19 position on the standard so that if people voluntarily
20 wanted to follow it they would know the position. I
21 think we may add some words to make that explicitly
22 clear in the implementation section.

23 MR. SIESS: But if an operating plant or a
24 near-term OL put in their FSAR that they were complying
25 with the standard, that is still acceptable. If they

1 want to say they are complying with this reg guide, that
2 is acceptable. They could say the standard without the
3 reg guide.

4 MR. ROSSI: Yes, that is all correct. And
5 keep in mind the fact that we still intend to review
6 sensing lines to be sure that they meet the regulations,
7 whether we make them do everything in the reg guide or
8 not. We will ask questions about sensing lines to make
9 sure that the plants are safe.

10 MR. SIESS: But you will mainly concentrate on
11 those things that have come up in the past.

12 MR. ROSSI: On known problems, yes.

13 MR. SIESS: Anything else, gentlemen?

14 (No response.)

15 (Whereupon, at 12:30 o'clock p.m., the meeting
16 was adjourned.)

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS SUBCOMMITTEE ON REGULATORY
ACTIVITIES

in the matter of:

Date of Proceeding: January 4, 1983

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Jane N. Beach

Official Reporter (Typed)

Jane N. Beach

Official Reporter (Signature)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
SUBCOMMITTEE ON REGULATORY ACTIVITIES

in the matter of:

Date of Proceeding: January 4, 1983

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

M. E. Hansen

Official Reporter (Typed)

M. E. Hansen

Official Reporter (Signature)

SUBSTANTIVE CHANGES

1. Delete Radiation Exposure Meters (continuous indication in fixed locations).
2. Delete energy response accuracy of $\pm 20\%$ for the Primary Containment Area Radiation monitors.
3. Delete Radiation Exposure Rate monitors inside buildings adjacent to containment which were intended to detect containment breach.
4. Change the range of the meteorology measurements to agree with proposed Revision 1 to Regulatory Guide 1.23.
5. Change variable "Coolant Level in Reactor" to "Coolant Inventory" and modify the range consistent with SECY-82-407.
6. The variable BWR Core Temperature was changed to reflect the current staff position that the measurement be put on hold pending further development.
7. The upper range of 1650°F for operating plants for the PWR variable Core Exit Temperature was deleted and all plants should provide for 2300°F to be consistent with NUREG-0737.
8. The IMPLEMENTATION section was modified to agree with Supplement 1 to NUREG-0737 (SECY-82-111B).
9. Numerous changes to improve clarity of the guide.

b. For type E

- (1) The planned paths for effluent release;
- (2) Plant areas and inside buildings where access is required to service equipment necessary to mitigate the consequences of an accident;
- (3) Onsite locations where unplanned releases of radioactive materials should be detected; and
- (4) The variables that should be monitored in each location identified in (1), (2), and (3) above.

2.4 The determination of performance requirements for system operation monitoring and effluent release monitoring information display channels should include, as a minimum, identification of:

- a. The range of the process variable.
- b. The required accuracy of measurement.
- c. The required response characteristics.
- d. The time interval during which the measurement is needed.
- e. The local environment(s) in which the information display channel components must operate.
- f. Any requirement for rate or trend information.
- g. Any requirements to group displays of related information.
- h. Any required spatial distribution of sensors.

2.5 The design and qualification criteria for system operation monitoring and effluent release monitoring

instrumentation should be taken from the criteria provided in regulatory positions 1.3 and 1.4 of this guide. Tables 1 and 2 of this regulatory guide should be considered as the minimum number of instruments and their respective ranges for systems operation monitoring (Type D) and effluent release monitoring (Type E) instrumentation for each nuclear power plant.

D. IMPLEMENTATION

~~All plants going into operation after June 1983 should meet the provisions of this guide.~~

~~Plants currently operating should meet the provisions of this guide, except as modified by NUREG-0737 and the Commission Memorandum and Order (CMI 80-31), by June 1983.~~

~~Plants scheduled to be licensed to operate before June 1, 1983, should meet the requirements of NUREG-0737 and the Commission Memorandum and Order (CMI 80-31) and the schedules of these documents or prior to the issuance of license to operate, whichever date is later. The balance of the provisions of this guide should be completed by June 1983.~~

~~The difficulties of procuring and installing additional modifications to in-place instrumentation have been considered in establishing these schedules.~~

~~Exceptions to provisions and schedules will be considered for extraordinary circumstances.~~

This guide is applicable to all plants for which the construction permit is issued on or after June 1, 1983.

Holders of construction permits or operating licenses issued before June 1, 1983 should meet the provisions of this guide as specified in Supplement 1 to NUREG-0737. The permittee or licensee should develop a plan for implementing this guide and negotiate a schedule with the NRC Project Manager on a plant-specific basis.