

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES NUCLEAR REGULATORY COMMISSION

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS
269TH GENERAL MEETING

Room 1046
1717 H Street, N.W.
Washington, D.C.

Thursday, September 9, 1982

The Committee met, pursuant to notice, at 8:30
a.m.

ACRS MEMBERS PRESENT:

- P. SHEWMON, Chairman
- J. RAY, Vice Chairman
- J. MARK
- C. SIESS
- R. AYMAN
- D. MOELLER
- M. BENDER
- M. CARBON
- H. ETHERINGTON
- F. REMICK
- D. WAPD
- J. EBERSOLE
- D. OKRENT

1 DESIGNATED FEDERAL EMPLOYEE:

2 RAYMOND FRALEY

3 ALSO PRESENT:

4 M. SCHWARTZ

5 G. QUITTSCHREIBER

6 M. GRIESMEYER

7 D. RATHBUN

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

P R O C E E D I N G S

MR. SHEWMON: Good morning, gentlemen.

This is the 269th Meeting of the Advisory Committee on Reactor Safeguards. During our meeting today we will hear reports and discuss the following:

Safety goals for nuclear power plants;

Implementation of safety goals for nuclear power plants;

Backfitting of nuclear power plants;

Consideration of severe accidents in the regulatory process.

The items scheduled for discussion on tomorrow and Saturday are listed in the schedule of the meeting which is posted at the bulletin board outside of the meeting room.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act and the Government in Sunshine Act. Mr. Ray Fraley on my right is the Designated Federal Employee for this portion of the meeting. Portions of today's meeting will be closed to discuss information the premature release of which would be likely to seriously inhibit the performance of the committee's statutory function.

A transcript of portions of the meeting is being kept and it is requested that you speak up enough

1 so that your words can be recorded. We have received no
2 written statements or requests to make oral statements
3 from members of the public.

4 The first item on today's schedule is a report
5 by the chairman.

6 I guess amongst the "news items" today is that
7 Joe Palladino is in the hospital with pneumonia. He
8 will hopefully get home today.

9 I would like to welcome Forrest Remick who, I
10 am told, is not a member yet but when he becomes a
11 member by the end of the day, he will have been a member
12 since yesterday.

13 (Laughter.)

14 MR. SHEWMON: We are pleased to have you here.

15 Finally, Milt Pisset is not with us today.
16 Milt apparently broke his arm when his steering wheel on
17 his Corvette spun around. In good tradition, he came on
18 to Washington to chair his meeting and then that night
19 went in to see why his arm kept aching. He came back
20 the next day with his arm in a cast.

21 I think that is all the items I have, then.
22 Are there any other general announcements before we get
23 on to safety goals?

24 MR. SIESS: The meeting with the Commission is
25 still on?

1 MR. SHEWMON: Yes.

2 MR. SIESS: That is upstairs?

3 MR. SHEWMON: Yes. Dave?

4 MR. OKRENT: I am at a small disadvantage, I
5 left my glasses.

6 (Laughter.)

7 MR. OKRENT: Let me first call your attention
8 to a yellow piece of paper. Does everybody have that?

9 MR. SHEWMON: What does it say on it, just
10 "Response to Questions?"

11 MR. OKRENT: Response to Questions.

12 MR. SHEWMON: Thank you.

13 MR. MOELLER: Is it in the notebook?

14 MR. OKRENT: I don't know. We had them at the
15 subcommittee meeting yesterday and I do not know what
16 was done. Are there copies of this yellow thing, Mike?

17 MR. GRIESMEYER: I thought there were.

18 MR. SHEWMON: It may be coming out with
19 yesterday's meeting.

20 MR. OKRENT: The first agenda item for today
21 is safety goals. The second is on the staff draft
22 action plan to implement the safety goals, which will
23 take us to lunch.

24 Then, the first thing in the afternoon, there
25 is a SECY paper on the proposed change in the rule on

1 backfitting; and then, the fourth item is a discussion
2 of what is called SECY-82-1A which is the staff's
3 approach, technically, to look at core damage and
4 things. So, these are somewhat tightly interconnected.

5 It is going to be a busy day and what I hope
6 we can do is within the time allotted for each of these
7 spend roughly half talking to the members of the staff
8 who are going to be here - but I would hope not more
9 than half - and the other half looking at draft,
10 possible ACRS positions or letters, or so forth, with
11 the idea that at least we have a first go-around on
12 possible committee positions on each of these today.

13 Tomorrow, in the morning, there are other
14 things on the agenda. There is a brief session tomorrow
15 for the meeting with Commissioners. Many, if not most
16 of these items, are supposed to be on the agenda for
17 discussion with the Commission - not necessarily to give
18 positions. But I think on many, if not most of the
19 agenda items, we should if we can give an ACRS report at
20 this meeting which would be completed on Saturday.

21 I think at the first go-around we will be
22 looking at the main aspects of what is proposed here
23 today - there is not going to be a good chance of
24 finishing on Saturday. So, this is the crude way I
25 would like to propose we handle these four items.

1 Dr. Mark?

2 MR. MARK: You mentioned, and certainly
3 properly, that implementation, backfitting, sphere
4 accidents, safety goals, are indeed tightly
5 interconnected.

6 I have not seen any reference to emergency
7 planning which, I believe, is also potentially very
8 tightly connected because now that the safety goals
9 apply to within a mile of the plant you can get all the
10 people out and guarantee zero probability - with a bunch
11 of school buses.

12 It is not mentioned what credit for that might
13 be thought of in connection with the safety goals.

14 MR. OKRENT: Well, I think it is the kind of
15 question you can pose to OPE, how they envision this
16 might enter into a calculation of meeting the safety
17 goals.

18 MR. MARK: It should either be said you may
19 not take credit or whatever. They are going to be in
20 today?

21 MR. OKRENT: They are supposed to be here for
22 the first topic.

23 MR. MARK: I will raise the question then.

24 MR. OKRENT: Let me note that there will be
25 handed out - although they currently are not ready -

1 five or six documents not all of which are necessarily
2 possible letters. There will be, as I said, one called
3 Draft ACRS Response to NRC staff questions of the
4 Commission regarding safety goals.

5 To refresh your memory and for those who were
6 not at the subcommittee meeting yesterday, in July there
7 was a new draft version of a possible safety goal
8 statement prepared by the Office of Policy Evaluation.
9 There were questions posed by the Office of Policy
10 Evaluation and also by the NRC staff to the
11 Commissioners concerning specific important questions as
12 to what the Commissioners thought should be in the next
13 version of the safety quality statement.

14 At the back of this yellow thing, when you get
15 it, you will find a list of those questions. The
16 Commission has not yet given its answer to the staff on
17 these questions and it is my understanding that if the
18 committee could provide input, the Commission would be
19 interested in receiving such input.

20 But this is the meeting, though, to get that
21 input if you are going to do it. But I expect the
22 Commission is going to try to answer the staff before
23 the October meeting so that the Office of Policy
24 Evaluation can prepare a next draft version and the
25 staff can provide the current draft implementation plan,

1 et cetera.

2 So, I would propose myself that in dealing
3 with the first subject, "Safety Goals," we focus on
4 these questions and if you have time take on other
5 things. I would recommend that you do this.

6 Now, at the subcommittee meeting yesterday we
7 did not discuss these questions specifically. The way
8 we handled the subcommittee meeting was as follows:

9 In order to try to help provide a kind of
10 focus for the meeting which was going to be very busy
11 since there were actually five subjects - one subject
12 dealing with a report by the staff and the committee on
13 safety - we have prepared a set of questions on each of
14 the several documents that we are sort of referring to
15 today. You all should have a set of those questions.

16 I do not have my glasses, I assume they are in
17 the notebook but I can't guarantee that.

18 Basically, at the meeting yesterday we largely
19 went through these questions as a way of focusing the
20 discussion. Those were the questions for the staff on
21 each of the different documents. As I say, we did not
22 specifically, as a subcommittee, try to look at the
23 proposed answers.

24 So, what I would suggest as a possible way to
25 proceeding today is that when Dennis Rathbun comes in -

1 he is here, I think he will be the spokesman today for
2 OPE - maybe he will give a five or ten-minute summary of
3 where he thinks things stand. Then I would suggest that
4 the members pose questions to him that they find of
5 interest - Dr. Mark indicated one kind; if there are
6 other kinds that you think would be particularly
7 relevant to the committee developing a position on the
8 staff questions for the Commission on safety goals,
9 which are at the back of this yellow thing.

10 Then, as I say, I hope that at the end of the
11 first hour we can start talking about a possible
12 committee response in a general way to these, whether we
13 have opinions on the committee. There may be some we
14 choose not to respond to, I don't know. I think there
15 was one item I did not prepare any answer on, I do not
16 know what the committee might want to say.

17 Are there any questions?

18 What I would like to do is sort of before each
19 topic give you a proposed mode of operation and tell you
20 what the reading, specific reading material, for this is.

21 So, again to repeat, you have this draft
22 yellow thing. There also should be the set of questions
23 that we prepared to OPE on their second draft safety
24 goals. You will find there were various questions
25 raised to them. In fact, there are a few questions on

1 their list that belong on somebody else's list but don't
2 let that bother you. We had a little quality control
3 problem on typing - it is not very important.

4 Now, let's see, there were several committee
5 members present yesterday, Mark, Shewmon, Siess, Bender,
6 Ward; so, we had a pretty good attendance.

7 Kerr will not be here. I should note that he
8 has provided specific comments on a couple of the draft
9 letter, if you want to call it that. So, you are going
10 to see later on some version called Draft Two. He
11 promised to telephone in today comments on the others.
12 He had to be back at Michigan today, the first day of
13 classes.

14 If there are no comments, I would propose we
15 ask Dennis Rathbun to give some introductory comments
16 and then have the committee members raise the questions
17 they are interested in, and proceed for an hour that way.

18 MR. RATHBUN: Thank you, Dr. Okrent.

19 What I would propose to do is present to the
20 full committee a brief status report which I presented
21 yesterday to the subcommittee on where we are on the
22 safety goals project and where we plan to go from here.

23 OPE sent the Commission a summary of the
24 public comments last July 7, organized by overall
25 reaction from the commenters; comments on the

1 implementation plan; comments on the qualitative goals,
2 and comments on the numerical guidelines.

3 We also sent an abstract of public comments to
4 the Commission on July 8.

5 The Executive Director for Operations
6 transmitted the staff implementation plan to the
7 Commission on July 6.

8 In light of the public comments and the staff
9 implementation plan, OPE sent for Commission
10 consideration on July 12 its recommendation for proposed
11 revisions to the Commission Policy Statement.

12 There were three key features which we believe
13 were central to the further development of a Commission
14 policy, Commission Safety Goals Policy Statement.

15 First, as the July 12 paper stressed, we
16 recommended that the Commission endorse the key
17 principle of application, namely that the Commission
18 intends the goals, the benefit cost guideline, and the
19 design objectives would be used in conjunction with
20 probabilistic risk assessment and would not substitute
21 for NRC's reactor regulations contained in 10 CFR Part
22 1. Rather, individual licensing decisions would
23 continue to be based at present principally on
24 compliance with the Commission's regulations.

25 Secondly, a key principle of application which

1 we recommended that the Commission specifically endorse
2 was, the regulatory decisions to use probabilistic risk
3 assessment should be made on the basis of an appraisal
4 of its value in the specific application. Thus, the
5 implementation of an NRC statement of safety policy
6 should not of itself mandate the use of probabilistic
7 risk assessment.

8 Thirdly, recognizing that we simply cannot
9 proceed on every potential problem which could result
10 from the NRC use of a Commission-approved policy
11 statement, safety policy statement, we recommended that
12 the Commission establish a two-year trial period to
13 permit an evaluation of the benefits of its safety
14 policy.

15 At the conclusion of our briefing of the
16 Commissioners on July 14 we were asked by the Commission
17 to provide it with the set of questions, the answers
18 to which would form the basis for Commission guidance to
19 the Office of Policy Evaluation and the staff in
20 revising the Safety Policy Statement and associated
21 implementation of the plan, next steps.

22 We sent the Commission on July 20 the set of
23 questions which I believe the members of the ACRS have
24 before them now, and after discussion with the
25 Chairman's Office we believe that it would be very

1 useful to all of us if we could obtain ACRS views on
2 these questions.

3 I know that tomorrow you will be briefing the
4 Commissioners, tomorrow afternoon, and perhaps in that
5 session you may be able to relate your answers to some
6 of those questions, the briefing on September 10.

7 We have not obtained Commissioners' answers to
8 those questions yet and thus ACRS input really would be
9 very timely. What we plan to do after we do obtain
10 Commissioners' answers to those questions is draft for
11 Commission review guidance to ourselves and the NRC
12 staff which the Commission would then review and decide
13 that this was in fact the way they wanted the
14 Commission's policy statement, the staff implementation
15 plan, revised.

16 Based upon the Commission-approved guidance,
17 OPE would revise the Safety Policy Statement and the
18 staff revise its implementation plan. Our target would
19 be to present the Commission with a revised Policy
20 Statement, revised implementation plan for their
21 approval, and to have that ready to go out for public
22 comment by the end of this year.

23 Yesterday, in the subcommittee meeting, I went
24 over the answers to these questions and I do not think
25 that is what you want to do today.

1 That concludes the status report of where we
2 are and where we would go from here. Yes, sir?

3 MR. SHEWMON: Several of us are concerned
4 about the possibility of going from a statement that
5 says we do not want to increase the probability of Mrs.
6 Jones getting cancer by more than one in a thousand or
7 something, to what you do for the modification of an off
8 steamwater system. In that the path is tenuous, honest
9 people could differ on it and it may well be a morass
10 with employees, a lot of people, doing probabilistic
11 assessments but does not help you decide about the off
12 steamwater system.

13 Therefore, if I have concerns about how that
14 will be handled, do I wait until this afternoon when we
15 talk about implementation or are you likely to say
16 anything in your proposed policy statement, the next
17 draft, that would comfort me on that problem?

18 MR. RATHBUN: Well, as I said yesterday in the
19 subcommittee meeting, I recognize, we have recognized
20 throughout the development of the Commission Policy
21 Statement that there are different approaches.

22 My interpretation of the Commission's effort
23 in the past year and before that has been that the
24 Commissioners themselves wanted to produce a policy
25 statement which provided the public, the Congress, the

1 industry, the NRC staff, its perspective on how safe was
2 safe enough.

3 In accordance with its statutory
4 responsibilities - that is to protect public health and
5 safety - that it would be most easily understood by a
6 wide spectrum of groups if it was stated in terms of
7 individual risk and societal risk.

8 As I think we recognize, one could as an
9 alternative take an engineering approach, if you will,
10 which focused on internal, plant-specific probabilities
11 - the probability of the auxiliary feedwater system
12 operating; the probability of large-scale core melt; the
13 probability of containment failure, so forth and so on.

14 But that, as I am sure you recognize, has not
15 been the tack that we figure. We do with our eyes wide
16 open, I believe, I think we do appreciate, understand,
17 that there are uncertainties in models.

18 I personally am not an expert on that. We
19 rely heavily on NRC staff, Bernaro's people and those
20 who work for Ernst in that regard.

21 MR. SHEWMON: Let me state that nobody is an
22 expert if you define an expert on something, a
23 question. You cannot get different groups to get the
24 same answers because the data is not there in many
25 cases, and if each one assumes what they think is the

1 best set of data, then you can end up with very
2 different answers.

3 The ATWS case is the one I have lived through
4 and in that case you had the industry coming in with
5 their statistics and the staff coming in with their
6 statistics, and each one proved that you had to go in a
7 different direction. Everybody can say they fit the
8 rule if the rule is vague enough.

9 Now, if we want to stay with "how safe is safe
10 enough," we make a policy statement. But then you ought
11 to say, but we are going to regulate by different rules
12 and we will not get hung up by somebody coming in taking
13 us to court and saying, "Can you prove that if you do
14 not require this off feedwater system changed, that you
15 will still meet your ten to the minus three?"

16 MR. RATHBUN: Of course, the way you described
17 the problem there it sounds as though what you envision
18 is a rule, a requirement that must be met.

19 I think that one principal reason that we have
20 adopted the approach is that this should be a policy
21 statement, that it is not a binding requirement which
22 must be met. That it would be a factor considered in
23 decision making but would not be determinative in some
24 sense, I would say is a recognition of the fact that
25 there are substantial uncertainties in modeling and we

1 are really not ready at this point to have it firm.

2 That is why I said what I said.

3 MR. SHEWMON: That is a subtlety that had
4 passed me by. I thank you for restating it.

5 MR. RATHBUN: That is very important. Yes,
6 sir?

7 MR. MARK: How does that argument you just
8 went through operate if you go the other way? The chap
9 says, "I have met your policy." Are you then in a
10 position to say, "Yes, that is all well and good but you
11 have to do something additional."

12 MR. RATHBUN: Well, again I think the primary
13 basis for regulatory decision making would continue to
14 be that the regulatory requirements, rules, must be
15 met. Yes, you would have to meet the rules.

16 MR. MARK: Except if it were shown that the
17 rules require something else. What you are saying, you
18 could relax the thing at your own option. It does not
19 quite prove that you have met the ten to minus three,
20 but you have given it a good picture that we will accept.

21 I think you are in more trouble if you say,
22 "You have got to put this extra pump on," it is not in
23 the present requirements. You are going to say, "We are
24 not sure about the ten to the minus three."

25 MR. RATHBUN: The problem of the risk

1 assessment in conjunction with the safety goals, I
2 think, is just another perspective on the problem,
3 another factor that one would think about in deciding
4 whether or not, let's say, to impose a new regulatory
5 requirement or not to. But it does not determine, nor
6 was it intended to determine.

7 MR. MOELLER: One sort of fundamental problem
8 that I find I have - and perhaps that was answered
9 yesterday at the subcommittee meeting - but you have
10 told us that PRA is not an exact science and there are
11 many possibilities for differences of opinion, and so
12 forth.

13 Therefore, you are going to stop with the
14 estimate of the frequency of core melt - at least that
15 is what I read. You were not going to try to go beyond
16 that because of the room for error.

17 And yet, in your policy statement, in your
18 goals, you tell me about immediate fatalities and latent
19 cancers. Well, if you stop with core melt, what is the
20 meaning, then, of the fatalities and latent cancers?

21 MR. RATHBUN: I guess we approached the
22 problem the way the Commission has approached the
23 problem, to go the other way.

24 That is, how safe is safe enough; what are the
25 risks, to answer the question that many outside of the

1 NRC have asked. What are the risks that I run if I live
2 near a plant; what are the risks that we run as a
3 society if we live near the plant.

4 That is the problem we were trying to work in
5 the original. I suppose if we were to stop, we were to
6 stop there and not even have gone into the question of
7 large-scale core melt probabilities.

8 However, recognizing again that there are
9 uncertainties in these kinds of calculations, we felt
10 that it would be prudent if we included the probability
11 of large-scale core melt. That was added after a number
12 of discussions with the staff. We stopped there rather
13 than the traditional internal plant-specific
14 probabilities.

15 MR. BENDER: If I follow the discussion which
16 you just had with Dr. Moeller I would come to the
17 conclusion that you have decided on what the limiting
18 health effects would be first, and then you are going to
19 start from the outside in.

20 What do I have to do to assure that those
21 limiting health effects are not exceeded? If I work it
22 that way, then the first place I would look at is the
23 containment, can the containment withstand everything?
24 If not, what can it withstand and what constraints do I
25 have to put on the reactor system?

1 Now, that is kind of reversed logic to me. I
2 don't really see how you can start from the outside in
3 and come up with something that makes any sense to the
4 people that are designing the plant.

5 In general, I think, you have to start with
6 the plant design that exists and say, "What is it
7 capable of doing?" And that goes successively through
8 the various barriers or whatever you want to call them.
9 Then, as a consequence of malfunctions in that
10 particular system -- basically, that is what the PAR was
11 supposed to do. I happened to be a skeptic of that PAR,
12 I don't believe it will do much of anything.

13 But I don't see without that there is any way
14 to take the position that you are taking regarding
15 health effects. You say that you will use them when you
16 want to and if you feel like you do not want to, you use
17 some other basis. That leaves me with the feeling that
18 it is still going to be sort of a mystical kind of basis
19 for deciding on what is acceptable.

20 Now, mysticism is OK, but if that is what it
21 is I think you ought to say so.

22 MR. RATHBUN: Of course, I would hate to cast
23 this on the conduct of mysticism, I hope it is better
24 than that.

25 To put it, perhaps, in an economic context and

1 think of it, are we are going to work it from the demand
2 side or the supply side. The supply side is the
3 engineering side, that is the probability of pumps and
4 valves functioning and so forth and so on. That is what
5 the technology will produce. That is "a" way to work a
6 problem.

7 But there is the other side, too, and the
8 other side is, what is society looking for? Congress
9 and the people want to know, "What are my risks? And do
10 not confuse me with what the probabilities are, I do not
11 understand that. But if you tell me my risk of an
12 accidental death is one in a million, I can relate to
13 that, that means something to me. I have had so many
14 friends in my experience over so many years that have
15 met unfortunate calamities and died in car crashes or
16 some such thing as that. I can understand that in some
17 sense."

18 That is the difference of how we have been
19 working the problem. I suppose if it were really a case
20 of just coming up with plant-specific probabilities, the
21 Commission would not have done it. They would have
22 assigned this as a task to Bernaro's people or Denton's
23 people and said, "Go out and come up with a rack-up of
24 acceptable probabilities for a whole series of systems,
25 individual systems," and so forth and so on.

1 But in my judgment, anyway, that would
2 probably not be a statement that the Commission would be
3 in the driver's seat and writing and adopting as their
4 own.

5 MR. BENDER: Well, this may sound like a
6 broken record, but I think you are mixing up apples and
7 oranges. I think when people tell me that the
8 likelihood of dying of cancer from things other than
9 radioactivity is some number, it is based on actuarial
10 experience. They have looked at how many deaths there
11 are from various causes and they have laid them out and
12 the statistics are there.

13 The only qualification that they put on it is,
14 "Well, am I exposed to those particular circumstances?"
15 We do not have any actuarial experiences to work with,
16 they are all speculation. We do not even know the
17 constraints that are laid on them and the basis for
18 setting the risks.

19 Consequently, when you lay that number out on
20 the table you do not have any basis for depending on
21 it. I think that is a confused concept that the
22 Commissioners have developed and it will be destroyed
23 the first time somebody besides me, who does not have
24 any nuclear experience, tries to ask, "How do you know
25 that you are meeting a criterion?"

1 I think that is the dilemma we are in.

2 MR. WARD: Dennis, I think your explanation of
3 the situation in terms of supply side and demand side is
4 interesting. It seems to me that the key question is,
5 who is going to be responsible for translating the
6 demands into supply side requirements?

7 It seems that the present implementation of
8 the plan would have something vaguely -- I guess
9 industry as a whole would be making that translation.
10 But since the translation is made by this, as Mike
11 referred to it as kind of a mystical art or at least a
12 very difficult and inexact art, that seems to me that it
13 is going to be inevitably very troublesome and maybe
14 impossible.

15 An alternative would be to have the NRC for
16 the present time, for the foreseeable future, keep to
17 itself and take responsibility for making this
18 translation so that the safety goals in terms of
19 ultimate health effects would be an expression of the
20 NRC to the public of what its purpose, what its goals
21 are in regulating the industry. Then the NRC will take
22 the responsibility for translating those into fairly
23 specific and unambiguous requirements which will be
24 placed on the licensees.

25 It seems to me that if that is not the plan at

1 the present, my bet would be, after a two-year trial
2 period that something more like that is going to be seen
3 as the most workable way to go about that.

4 So, I just hope that that sort of option is
5 held open and kept visible, and discussed during the
6 two-year trial period.

7 MR. MARK: David, it is worth noting that that
8 is exactly the approach that the staff has decided they
9 are going to follow. The only thing they are going to
10 attempt is the ten to the minus four on core melt, and
11 they will leave it up to reasonable arguments.

12 MR. WARD: I think they are going to need more
13 than that, though.

14 MR. MARK: They will need more than that.

15 MR. MOELLER: You mentioned something in the
16 course of the ten to the minus four, and that was, if I
17 remember correctly, the desired objective; and then, ten
18 to the minus three was the number being quoted for
19 operating, completed plants.

20 Now, am I correct, then, when the plant is
21 under construction and planned in the U.S. or completed
22 and we have, say, 200 operating facilities, then we will
23 have a core melt every five years on the average; is
24 that what we are considering as acceptable? I mean, I
25 need help.

1 MR. SHEWMON: That is the way you will decide
2 that indeed we are doing better than that.

3 MR. MOELLER: Well, that ten to the minus
4 three number surprised me personally. I was expecting a
5 lower number. But am I correct, ten to the minus three
6 with 200 reactors is once every five years? Is that
7 what your objective is?

8 MR. RATHBUN: I do not think it was that
9 frequent. The objective is ten to the minus four.

10 MR. MOELLER: That is the design objective, is
11 it not, if you look at an operating plant?

12 MR. RATHBUN: The ten to the minus three, I
13 think, is in the implementation plan, it is not in
14 NUREG-0880.

15 MR. MOELLER: Oh, all right then, the
16 implementation plan. But as I read it, if you look at
17 an operating plant and it meets a frequency estimate of
18 ten to the minus three, then it is an acceptable plant,
19 it can continue to operate.

20 MR. SHEWMON: That might tell you as much
21 about PRA as it is now practice, as it tells you about
22 operating plants. So, I don't know which way you want
23 to work that conclusion.

24 MR. MOELLER: Well, how am I, as a committee
25 member, supposed to look at the ten to the minus three

1 number?

2 MR. RATHBUN: I am not sure exactly how to
3 answer that. Let me just say that the ten to the minus
4 four and the implications of the ten to the minus four
5 -- I don't recall the passage we had in NUREG-0880 was
6 in the document, NUREG-0880 which the Commission
7 reviewed along with the rest of the documents sent out
8 for public comment.

9 What you are referring to, the operating
10 limits and the like, were in the staff's draft
11 implementation plan which is still under development and
12 has some miles to go, along with revisions to NUREG-0880
13 before the Commission sends it out for public comment.

14 If in fact that is an implication of the ten
15 to the minus three, you may want to call that to the
16 Commission's attention to discuss it with the staff.
17 But we have not specifically run calculations on that
18 and examined the implications of it.

19 MR. MARK: I would like to introduce a
20 different question, if I might.

21 It is quite apparent to everyone, I think,
22 that the severe accident rule indicates --

23 MR. SHEWMON: Carson, do you have a
24 microphone? It would help all of us if you would use it.

25 MR. MARK: Yes, I realize that.

1 I have not seen any mention of the fact that
2 the emergency preparedness plans are also somewhere in
3 this picture, particularly if the goal, as it is now
4 written for individual risk, discusses only people
5 within a mile of the plant. Then an operator, a
6 licensee, could perfectly well be in the position of
7 saying, "The risk to those people is exceedingly small
8 because I can get them all out of there - there are only
9 15 of them anyway - get them all out of there with a
10 very high likelihood. So, I meet the goal." That is
11 all I may do to meet the goal.

12 Now, you are going to object or someone will
13 object and say, "Well, but we do not give any credit for
14 evacuation plans," or "we do give credit. So, we will
15 allow you a ten to the minus one factor for a value for
16 evacuation but not more," or something like that.

17 It is not mentioned, it has to be at least
18 decided somewhere.

19 MR. RATHBUN: NUREG-0880 and the individual
20 risk in the revision does not really make clear what our
21 position is with respect to the question of emergency
22 planning. We have discussed this with Bernard's people,
23 specifically Roger Blond and, quite frankly, I think we
24 are going to have to look at it.

25 MR. MARK: Well, you included the individual

1 risk to people within a 50-mile radius, and there the
2 idea of evacuation was certainly not defensible. So,
3 you had a control.

4 But now the thing is written so that it is
5 only the ones in the vicinity and the "vicinity" is
6 defined as a mile and evacuation becomes absolutely
7 straight forward.

8 MR. RATHBUN: That is true. Also, the revised
9 statement, as I explained yesterday, the July 12 paper
10 did not contain a societal risk design objective, and
11 that is one of the questions before the Commission. I
12 think based upon the meeting that we had with the
13 Commission on July 14, we will be back at the drawing
14 board trying to come up with a societal risk and we will
15 probably have to say something about the relationship to
16 emergency planning.

17 MR. MARK: The July 12 revision does include
18 societal risk.

19 MR. RATHBUN: Through a benefit-cost guideline
20 limitation.

21 MR. MOELLER: No, through the delayed cancer
22 risk to the people in the vicinity, and society got it,
23 got all the benefits that it was in 880; in fact, it got
24 more. All you would have to do would be to say that
25 people outside the mile are less than ten to the minus

1 three.

2 MR. MOELLER: Carson, on your point, though, I
3 understand what you are saying, but my understanding was
4 that the calculation for the people within one mile was,
5 you assumed they were not evacuated. You assumed they
6 stayed there.

7 Are not the calculations for the persons who
8 stay there?

9 MR. OKRENT: No, I think anyone doing a PRC
10 would put in an evacuation model and they do put in
11 evacuation.

12 MR. MOELLER: All right, I misunderstood.

13 MR. OKRENT: They calculate risk to the
14 individual and to society, allowing for evacuation,
15 allowing for interdiction of land and contamination, and
16 so forth, which is what 1.1400 also did.

17 So, I myself would assume that the
18 interpretation would have been and will be, unless for
19 some reason a change is made, that evacuation is
20 included in the model.

21 I would like to make one or two comments that
22 come out of this. I think Carson is quite correct that
23 one could envisage calculations that you could employ
24 very effective evacuation and in particular since at
25 least at present the trends of much of the thinking -

1 and I will say "much" and not "all" because there are
2 some skeptics - is that, "Well, if you have a core melt
3 in the containment they are thinking again of large dry
4 containers" - we have not looked at the other
5 containment - "will have a large inherent capacity well
6 beyond the design pressure. So, should failure occur it
7 will be much delayed, eight hours or 18 hours, or
8 something of the sort."

9 In principle, a time in which you could
10 accomplish very effective evacuation if you were sure
11 which way the wind was going to blow for an extended
12 period of time. So, one could calculate, therefore,
13 very modest early effects and in principle control the
14 delayed effect to some extent that you calculate by what
15 you assume on interdiction and decontamination of the
16 land, and so forth.

17 I think this points to, among other things,
18 two problems in the current version. One is that it
19 does not include economic effects in the ALARA criterion
20 and in fact there is a trade-off between health effects
21 and economic effects, of course depending on how long
22 you allow land to be interdicted and how much land is
23 interdicted you reduce the health effects accordingly
24 for such land.

25 Also, depending on what you claim you can

1 decontaminate, again you can reduce the health effects.
2 But as to the costs, that does not show in the current
3 ALARA calculation. That is one kind of thing.

4 The other thing which I think myself is more
5 important - I am increasingly convinced it is more
6 important - is that nowhere in the Safety Goal
7 Statement, 0880, and I must confess only in a paragraph
8 in NUREG-0739 but not as one of the criteria, is there a
9 consideration specifically of what one could call a loss
10 of access to an important region of land - which is in
11 fact what would most likely occur if you had this delay
12 for these.

13 In fact, in many countries in Europe this is
14 looked upon perhaps as a dominant concern. Some of them
15 have implemented design measures to reduce this
16 likelihood for some, many of the accidents that can
17 occur. In fact, they have raised questions in
18 discussions with NRC staff people about the absence of
19 any such criterion in NUREG-0880.

20 I guess, actually based on the thinking that
21 we are doing about threshold action criteria, in the end
22 when we tried to put it in numbers this one seemed to
23 come out to be maybe the controlling factor in our
24 preliminary numbers, rather than individual risk. In
25 other words, you make a guess how willing people in the

1 counties surrounding a reactor might be, willing to
2 accept the loss of access to a substantial part of it.

3 I think you end up with a larger number than
4 on the individual risk part. In the end, I guess I am
5 beginning to think, that is where what I would call risk
6 aversion from society appears at least in a strong way
7 if not the most dominant way. That is, as I say, not in
8 NUREG-0880. Again, we only mentioned this, zeroed in on
9 it but did not propose anything in a guiding letter.

10 MR. BENDER: Dave, you know, this point has
11 been hanging around since the WASH 1400 Report was put
12 out. The Department of Interior has frequently made the
13 point with respect to water resources not land, but
14 generally water resources.

15 It seems to me, though, in order to be able to
16 address it you have to know a lot more about the
17 mechanisms associated with accidents that penetrate
18 containment than we presently know. If you are going to
19 take a position on its importance, then the corrective
20 action would have to be defined pretty well.

21 I think it is a very useful concept,
22 particularly for new sites because it would steer you
23 away from places where the resources are of great
24 value. But to start out from existing sites and decide
25 how the resources might be jeopardized as a function of

1 where the site is, would require you to go through the
2 entire accident sequence, assign some probability to
3 certain circumstances, address the interdictive actions
4 that are associated with it before you can come to any
5 conclusion.

6 It is an awfully complicated thing to deal
7 with. If it were in the Safety Goal Policy, I think the
8 Safety Goal Policy would have to work on that side of it
9 very much, at least as much as human health effects, to
10 come to a position.

11 MR. OKRENT: Can I offer one comment? I am
12 not pretending it is an easy thing to develop criteria.
13 If it had been easy it would have been in 739. Mr.
14 Griesmeyer and I talked about it for more than a small
15 time.

16 I don't think in the end it applies only to
17 what you would call "major resources." I must confess,
18 that was the way my original thinking was going and, you
19 know, it might be that there were truly major areas that
20 were affected which the Department of Interior was
21 concerned about.

22 That certainly is one that we would think
23 about. But I think after reflecting on it, I suppose,
24 let's say, how citizens living around a plant would
25 think, I suspect that the loss of access to a

1 substantial area that was not just scrub out in the
2 desert but farmland or an urban area or so forth, even
3 though it was not such a big national resource that it
4 had a big effect on the national economy, that this sort
5 of thing from a regional point of view is a way of
6 reflecting risk aversion.

7 And in the end, I think, this is what the
8 concern is that has been explicitly expressed in places
9 like Sweden and France where in fact they are taking
10 measures to the effect that they are cost effective in
11 some crude measure. In Sweden they are doing a very
12 sophisticated thing and in France they are doing
13 something more modern.

14 MR. BENDER: Also, the other potentials for
15 limiting access to that resource become more
16 significant, as well. If you are living in a town that
17 has a big chemical plant associated with it, the risks
18 from that chemical plant are usually quite large. They
19 are not usually measured but a lot depends on how you
20 postulate the risks.

21 It seems to me we are going to have be pretty
22 careful if we try to go very much below major resources
23 in trying to make judgments.

24 MR. SHEWMON: Let me only comment, Dave - I am
25 not quite sure how it fits in - but the arguments you

1 are using, I think, are some of the main arguments for
2 not putting a reactor in my neighborhood, at least out
3 in the farmland of Illinois where I know some of the
4 people who were not against nuclear power but did not
5 want to have their farms preempted by it and their
6 neighbors'.

7 In effect, you already take away the resources
8 of those people, change the nature of the neighborhood,
9 and you do it under the banner, I guess, of "The
10 government has decided it is for the public good."

11 It seems to me that I do not quite know how to
12 make the next step in the logic. What you are saying
13 is, "Well, I guess we should spend more money to try to
14 make sure you do not preempt some more land with more
15 safety functions."

16 I think what happens is that those people who
17 are up-tight about building nuclear plants, feel the
18 neighborhood is going to hell, move out and those that
19 move in are the ones that feel they have some benefit
20 from the plant being there and they are going to live
21 with it.

22 MR. OKRENT: I was not trying to look at all
23 at the questions of preempting land, I must confess.

24 MR. SHEWMON: But we are preempting it
25 already, or the government is, I guess is my meaning.

1 You take it out of service, you are going to put a
2 cooling pond on it.

3 MR. OKRENT: Well, I think in Europe it is a
4 little bit more of an acute question because in some
5 cases the reactors is in one country but near a big city
6 in another country, and the region might require some
7 decontamination in the future. If you think of it that
8 way, you really have incentive to avoid or reduce the
9 probability of this need, even though they could say
10 there is plenty of time for evacuation.

11 MR. BENDER: If you remember Hiroshima and
12 Nagasaki, the circumstances are not irreparable and you
13 have to be careful not to overstate the risk.

14 MR. OKRENT: The reason I raise the point is
15 two-fold. First because I think it is, in fact, a real
16 concern in at least some countries in Europe and they
17 are taking specific steps.

18 The second thing is, if you look at only
19 health effects and in no way include economic effects,
20 even in the ALARA, then you completely miss the question.

21 MR. SHEWMON: Would this be a good time for a
22 five-minute break?

23 MR. MARK: Why not?

24 (Whereupon, at 9:35 a short recess was taken.)

25 MR. SHEWMON: Could I have your attention,

1 please? Let's get back to this.

2 MR. OKRENT: We have roughly an hour. What I
3 would like to do is go through the questions that staff
4 poses to the Commission and look at the rough draft,
5 possible responses, and get sort of just major comments
6 - no editorial-type comments at the first stage.

7 There is an associated question, are there
8 some points that one wants to make concerning the safety
9 goals that are not included in the questions or in
10 response to the question.

11 In some cases the response to the question
12 includes a specific response and then some added related
13 things we note as we read them. There is a variety of
14 reasons for this. I think in fact one can anticipate
15 when the Commission responds to these questions in some
16 cases they will also add additional guidance and not
17 just give a narrow "yes" or "no" sort of thing.

18 MR. SHEWMON: But by leading us in this
19 direction, do you feel that the staff does have a
20 reasonably complete set of questions and therefore we
21 should couch our response, comments, in that mode?

22 MR. OKRENT: Well, the committee did write a
23 set of comments in July, I can't remember which any
24 more, on NUREG-0880, and there are some points there we
25 might want to add on. There may be some other things

1 that are not there that we may want to add on.

2 I do not intend that this preclude the
3 possibility of having a paragraph or several paragraphs
4 at the end, that was not my intent. The thought was,
5 though, that we should try to get a letter out at this
6 meeting.

7 MR. SHEWMON: This would be part of it, plus
8 whatever else we wanted to add.

9 MR. OKRENT: That was my intention.

10 So, what I propose, if it is agreeable -- I do
11 not know whether you want this in the transcript or
12 not. As you wish.

13 MR. SHEWMON: I do not see any point in it.

14 (Discussion off the record.)

15 MR. SHEWMON: Dave, you want to bring up
16 implementation now?

17 MR. OKRENT: Mike, do you have the handout?

18 All right, Mike will hand out a draft, a very
19 rough draft. This one, though, has the benefit of
20 comments by Bill Kirk so it is a little less rough than
21 all the others, and some comments that Mike Bender had.

22 Then he is going to hand out something else
23 which I put down in a hurry, which I called "Possible
24 General Statement of Position."

25 A lot of these issues end up being

1 interrelated among the topics that we are going to talk
2 about today. This partly is the way we were trying to
3 see whether there are some general ideas that we might
4 want to keep in mind, whether or not anything is
5 actually forwarded to the Commission; even if we agree
6 on these general statements is a separate question.

7 But anyway, Mike, you have Draft 1. You also
8 have the draft staff implementation plan and the
9 questions that we gave to Mr. Ernst in connection with
10 yesterday's subcommittee meeting.

11 The implementation plan is a rather long
12 document. In trying to decide how the committee might
13 approach preparing a letter on this, assuming we would
14 have to prepare a letter at some point, we will maybe
15 try to do it this month, or by next month.

16 My own guess was, it would be the preferable
17 approach for the committee to pick out what it
18 considered were the general issues or the main issues or
19 so forth, and have a committee comment there. Then, at
20 the end say, "We have some further questions or comments
21 from the subcommittee which the full committee has not
22 had time to consider in the time available."

23 MR. SHEWMON: The issue of transmitting
24 subcommittee reports to the Commission without the
25 committee going over them is going to come up again

1 tomorrow, and I want to tread lightly on that.

2 MR. OKRENT: I was trying to think of how we
3 could manage dealing with this long document with so
4 many specific points. This was a trial balloon
5 approach, if you will. I chatted with Kerr on it. In a
6 difficult world that might be one of the easier things
7 to do, but this is a question that we have to decide. I
8 doubt that we can address in the committee all of the
9 specific points in view of all the topics we have.

10 MR. SHEWMON: They are on the record in the
11 form of the subcommittee report.

12 MR. OKRENT: Well, right now there is no
13 subcommittee report, there is only a set of subcommittee
14 questions or discussions.

15 MR. SHEWMON: Fine.

16 MR. OKRENT: Anyway, so what you have then,
17 you have three - I do not know why yellow is the color,
18 unless they ran out of all other colors - but you then
19 have, as I say, what I would call a draft letter which
20 includes only general comments with the idea that there
21 might be other points, possibly, identified here; and
22 then these other two documents.

23 Now, I would suggest that the way of beginning
24 the discussion again, we ask Mr. Ernst to give us a
25 summary of how he views things today. Then have the

1 committee members raise whatever questions or comments
2 they think they wish for, in the order of 45 minutes;
3 and then try reading these things at least once through
4 and see what the thinking is.

5 That is going to be quite a large mouthful to
6 swallow, actually, in two hours.

7 MR. BENDER: Could I ask for a little
8 clarification of the intent about the letter? We are
9 going to wind up having three or four letters on this
10 subject. I have trouble just keeping straight the
11 record. Can they be combined in such a way that it
12 would cover the whole subject matter?

13 MR. OKRENT: I think that is a possibility.
14 If we can decide what we want to say, which to me is the
15 more important thing, then if the committee decides on a
16 format, overnight, Friday night, somebody can put it
17 into that format. I am not too worried about it.

18 I have chosen for now because of the fact that
19 we have separate documents, to try it this way.

20 MR. BENDER: I have no problem with it.

21
22
23
24
25

1 MR. OKRENT: I would just ask Mr. Ernst if he
2 would start.

3 MR. SHEWMON: Fine. Please begin.

4 MR. ERNST: I had not prepared, other than
5 lightning conversation, so I will make a few
6 observations anyway. Just as a reminder, the action
7 plan was developed with the intent to be consistent with
8 the proposed safety goal. In this regard, the proposed
9 safety goal talked in terms of accident sequences as far
10 as quantification is concerned, talked in terms of
11 accident sequences, not just core melt but also the old
12 nomenclature of the more expected kind of things, but
13 did not address quantitatively routine missions.

14 The EDO in its transmittal letter expressed
15 some concern about routinely calculating the more
16 expected transients and accidents, and I guess since the
17 revised safety goal submitted by OPE to the Commission
18 which also included the quantification of routine
19 emissions, we think the EDO has been even more concerned
20 principally from the fact, as I mentioned earlier this
21 morning, that there has not been a great attempt to try
22 and document what these releases might be, and fear not
23 so much that the releases might be exceeding the safety
24 goal, but fear that there would be undue analysis in
25 this area.

1 The action plan also proposed, as you are well
2 aware, the operating limits and the design objectives as
3 being within the intent of the safety goal, and as was
4 expressed yesterday, the EDO has some concerns over the
5 operating levels, particularly when applied to the
6 licensing arena, and it is my understanding of the EDO's
7 position that he would prefer not having these explicit
8 operating limits. I don't think he objects to the
9 philosophy of the design objectives, but I think he was
10 a little leery about specifying operating levels and
11 even perhaps more worried really about having the
12 operating levels and design objectives applied to
13 operating reactors.

14 I think his recommendation to the Commission
15 is that when applying safety goals to an operating
16 reactor, the Commission should retain the decision
17 powers or the guidance powers or whatever they are
18 during this stage of the game, during the interim
19 period. For example, if one makes a decision to do an
20 INREP of some scope in the next few years, one might
21 make this decision whether one has a safety goal or
22 not. I think the perception of the safety goal would
23 help to make decisions on INREP, but it is not
24 necessarily necessary to have a safety goal before an
25 INREP could proceed. You could still get some very

1 useful insights from the PRA's.

2 However, if a decision is made, and one has
3 not been made at the present time, and the action plan
4 is not the vehicle for making that decision, if the
5 Commission at some later time decides to do some number
6 of INREP kind of reviews, I would assume that it would
7 retain jurisdiction over decisions made after the INREP
8 is completed, decisions that might hinge somewhat on the
9 risk assessments to come forth. So that is my
10 perception of the EDO's recommendation at this time.

11 As of yesterday, there is no NRR or EDO
12 position on the revised safety goal that went to the
13 Commission from OPE. I don't think we have really
14 looked at it in that sense to have any kind of a comment
15 except perhaps in the areas of routine releases, and we
16 might call it the efficacy of applying the safety goal
17 to operating reactors which has been expressed by the
18 EDO.

19 MR. SHEWMON: If I have --

20 MR. ERNST: You might guide me in what else I
21 might say.

22 MR. SHEWMON: I would like to ask you a
23 question. If I understand the implementation goal, you
24 see a great flurry of activity of doing PRA's to
25 calculate frequency of core melt, and then in the

1 fullness of time, this will get transformed and
2 translated into something which will allow people to
3 decide how reliable aux feedwater should be or
4 containments or other things which may look as if they
5 could play a part in the dominant scenarios. Is that
6 what you meant? Am I misquoting you?

7 MR. ERNST: I guess two comments. One is the
8 hope, anyway, that the mere existence of the safety goal
9 would not result in a flurry of new PRA's that had not
10 been anticipated as useful or needed at this time.

11 MR. SHEWMON: Well, I suggest that you look
12 through the first six or eight pages of the action plan,
13 and safety goal PRA's sort of occurs on every fifth line.

14 MR. ERNST: In most cases, I think it says it
15 would not be required. For example, would not be
16 required for OL's -- I think the only time it says that
17 the staff would start recommending, I think there is an
18 unfortunate use of the word "would" or "must" or
19 something like that instead of maybe "should", because a
20 decision has not been made. I think the staff is
21 recommending in 82-1A that a PRA be conducted and
22 measured against whatever safety goal exists at that
23 time for standard plant review.

24 MR. SHEWMON: You may remember more not's. As
25 I look through the first couple of pages, I see one

1 "not" and then the next ten or fifteen, the PRA's will
2 be required, is the first line. That is on Pages 3 or
3 4.

4 MR. ERNST: Would it be helpful to go through
5 these item by item briefly?

6 MR. SHEWMON: Well, that's the basis for why
7 -- then when I get back to Page 12 it says, "Regarding
8 the development of second level engineering guidance,
9 the staff will further disaggregate the first level core
10 melt engineering guidance in such a way as to allocate
11 reasonable reliability requirements for those systems
12 and components most important to safety."

13 MR. ERNST: I would like to do two things, I
14 guess. Let me comment on this disaggregation first.
15 There has been a lot of discussion about different
16 levels of safety goals, and I guess it is fine to have
17 an umbrella kind of a safety goal expressed in terms of
18 public risk.

19 I think when you start talking about
20 regulation, though, particularly if you are talking
21 about getting into the licensing process, it probably
22 comes since reviewers and engineers, things of this sort
23 have their own areas of responsibility and interest and
24 expertise. It quickly gets disaggregated as far as the
25 last stage of the review is concerned. I guess the

1 thought was that it might be useful to do things slowly,
2 methodically, and usefully, hopefully, like we have done
3 in the aux feedwater and diesel generator area, where we
4 start trying to identify if not the required reliability
5 level, at least a range of reliability levels that we
6 find to be useful from a public risk standpoint as well
7 as from a technology standpoint.

8 So, that was the idea, to try to get useful
9 insights that you might get from PRA's and safety goals
10 down into the bowels of the licensing process through
11 the mechanism of trying to specify where reasonable
12 ranges of reliability that seem to be appropriate.

13 MR. SHEWMON: Okay. Thank you.

14 MR. ERNST: I can spend a couple of minutes on
15 the first couple of pages.

16 MR. SHEWMON: Let's see what other questions
17 there are.

18 MR. BENDER: Let me try a different tack from
19 Dr. Shewmon. If the Commissioners put in their annual
20 report next year that we announced our safety goal
21 policy and the staff has to say what it did in order to
22 conform to it, what might we envision the staff doing
23 for the next year?

24 MR. ERNST: Well, one area clearly is 82-1A.
25 I think once you get a safety goal and knock that out on

1 a siting policy or whatever, I understand there are some
2 other things that are awaiting the safety goals.

3 MR. BENDER: 82-1A is not without its
4 controversial aspects.

5 MR. ERNST: Certainly.

6 MR. BENDER: And it seems to me, at first it
7 doesn't represent something to be done in a discrete
8 time period. I am really thinking in terms of what can
9 be accomplished once the safety goal policy has been
10 established over the first incremental time period which
11 the Commission might have in order to implement
12 something?

13 Having a broad, sweeping plan is not as
14 meaningful to me as what you can do to report to
15 Congress next year how well you have met the goal.

16 MR. ERNST: I think from the standpoint of, if
17 the question from Congress is: Do plants out there meet
18 the safety goal? We will give you a year to come back
19 and tell us. And I would share exactly the same kinds
20 of concerns, because there is no way we can really know
21 a lot more about that extant situation than we do now.

22 MR. BENDER: I kind of think that message
23 needs to be conveyed to the Commissioners, because if
24 the staff doesn't see that it has a way of presenting
25 the picture in a discrete time period, even

1 incrementally, then I think it is just something hung
2 out in the air without any supporting mechanism.

3 MR. ERNST: I think there will be some useful
4 additional insights when we complete the reviews of
5 Zion, Indian Point, and Big Rock and a few others. If
6 we get a go-ahead on an interim basis anyway for some
7 kind of an INREP review, that will help, but not next
8 year. That is like a two-year time frame. We do have
9 plans to review some of the other existing PRA's that we
10 really haven't looked closely at, so that would help a
11 little bit I guess. In the two-year time frame, the
12 82-1A comes into play a little bit more.

13 We do have some, as was mentioned yesterday,
14 and I wholeheartedly support, and in fact I went back
15 and talked to my people a little bit more this morning
16 about a good, solid plan for this. That is, to find out
17 where we have been in PRA in the past seven or eight
18 years, what we have really learned generically and
19 plant-specific, and then try and do a good job of trying
20 to quantify where possible, certainly qualitatively, do
21 a better job of seeing where we have been in the past.

22 MR. BENDER: That is a very constructive
23 action. I agree with you. That might be the most
24 useful thing that could be done for a while.

25 MR. ERNST: We had that under way already, and

1 I would intend to augment that and to sharpen it up a
2 little bit.

3 MR. BENDER: That is all.

4 MR. SHEWMON: Other questions?

5 (No response.)

6 MR. SHEWMON: What goes next? Dave?

7 MR. OKRENT: Well, if you like, we can read
8 through this draft letter and read through Mike's
9 comments and just go through this once and then see
10 where we are. When we read what is in the draft action
11 plan, I didn't know whether the committee members,
12 particularly those who are in the subcommittee meeting,
13 would want to have a chance to have discussion on the
14 specific aspects or not. So that is why I deliberately
15 came in with a rather loose reading, but if we think we
16 are ready, we will try reading these.

17 MR. SHEWMON: One of your concerns has been in
18 the inspection and enforcement goal. If somebody comes
19 up with a new scenario, will there be action thresholds
20 about how fast one has to respond to something? If I am
21 patient and get to your comments, or what you propose as
22 our comments, will I learn something more about that, or
23 did you learn something more about it in the
24 subcommittee meeting yesterday?

25 MR. OKRENT: Well, there is a comment, a short

1 comment on that part in the draft letter. Let me raise
2 one point of discussion before we go into reading the
3 draft letter. There is a question that you need to
4 think about, I guess, which goes like this. What is an
5 action plan for implementation? Is what you have seen
6 an action plan, or only part of an action plan? If it
7 is only part, what are the parts that are not there?

8 I guess my own answer to that set of questions
9 is that it is only part of an action plan, and an
10 important part that is not there is what you might call
11 the nuts and bolts of how in fact you would go ahead and
12 try to use it on a trial basis. There is about a
13 paragraph order of magnitude in it saying that the staff
14 thinks it is important to have some kind of prescriptive
15 guidance on how to do PRA's and so forth, but the
16 question of just how one should approach doing PRA's or
17 reliability analyses on this trial basis when there are
18 the large uncertainties, even controversies concerning
19 certain portions of the overall subject concerning how
20 you interpret data, et cetera, is not discussed in here.

21 The question of how one decides whose numbers
22 to use, or how one arrives at a decision in the face of
23 large uncertainties, even if people agree on the
24 numbers, is not addressed in here, and we also do not
25 have sort of a spelling out of the specific things that

1 should be done in order to test the ethics, the
2 applicability, the practicality of this process that we
3 are in.

4 To me, those should also be in an action plan,
5 and they are not there. Now, some of those are hard
6 questions to answer. Nevertheless, we really should
7 start to try, or say, look, I will set up some problems
8 and see where I end up on them. Sometimes that is the
9 only way you learn. You don't have a golden rule at the
10 beginning. I don't find those in this action plan. I
11 think they should be in the next version. And I just
12 wanted to note that for the Committee's thinking.

13 Now, in my opinion, that thought does not come
14 through very strongly in this letter. It is alluded to,
15 but I think the committee should be making a fairly
16 strong point in what we say here. I just wanted to
17 mention that. I don't know. If the members don't want
18 to raise specific questions concerning the draft action
19 plan, I propose we next go into just reading the draft
20 material and see what the reactions are. Again, I will
21 ask whether you want to do this with the transcript on
22 or off.

23 (Whereupon, the committee went into Executive
24 Session.)

25

1 (Whereupon, at 4:00p.m., the Subcommittee was
2 reconvened in open session.)

3 MR. SHEWMON: The next item is severe
4 accidents.

5 Do you want to start that one, too, Dave?

6 MR. OKRENT: Bill Kerr is not here, or he
7 would be leading this particular item. I assume all of
8 the members have a copy of SECY 82-1A. I do not know if
9 it was in the --

10 MR. SHEWMON: It came out this morning, as I
11 recall.

12 MR. OKRENT: Everyone has it. Right?

13 MR. SHEWMON: No cover letter on it. It is
14 just a copy of the policy.

15 MR. OKRENT: I will call to your attention
16 enclosure B towards the back. Around 80 percent towards
17 the back is a letter dated February 8 by the ACRS on
18 SECY 82-1. So if you want to go back and see what we
19 said on the first version, there is a short letter there.

20 MR. WARD: We got 82-1A today?

21 MR. OKRENT: You should have received this
22 before.

23 MR. SHEWMON: Forrest has got yours. Why do
24 you not have yours, Dave?

25 MR. OKRENT: In my Tab 5 --

1 MR. SHEWMON: It is not in Tab 5. If you do
2 not have it, let us have our staff get it for you.

3 MR. AXTMANN: Before we start, can I have a
4 clarification? When I read about core damage accidents,
5 severe core damage accidents, severe coremelt accidents,
6 Class 9 accidents, are these all the same thing, or are
7 we distinguishing? Are there real distinctions between
8 these, better, worst?

9 MR. OKRENT: What is your question?

10 (Laughter.)

11 MR. OKRENT: Let me offer a nonfacetious
12 comment. Sometimes people try to make a distinction
13 between what is called an interrupted accident involving
14 damage to the core where you manage to get things back
15 together again, and you keep it from going to
16 large-scale coremelt or full-scale coremelt, a la TMI.
17 Okay. So you could call that, if you want, severe core
18 damage but not a large-scale coremelt possibly.

19 And then a second category is where you have
20 either large-scale or full-scale coremelt plus whatever
21 may follow there, and actually NUREG-0739 on the safety
22 goals, we in fact indicated sort of two hazard states
23 which resembled those two. But the Class 9 accidents
24 has a different --

25 MR. AXTMANN: Meaning the two being TMI and

1 TMI-plus?

2 MR. OKRENT: The interrupted accident where
3 you recover, and the one where you don't manage to
4 recover before it goes large-scale core melt. Class 9
5 has a different meaning. The Staff, you know, had a
6 paper back roughly 10 years ago where it could find
7 classes 1 through 8, class 8 being the design basis
8 accidents like a pipe break or so forth and an accident
9 that did not fall in 1 through 8 or 2 through 8,
10 whatever it was, was let's say in the Class 9. The
11 definition of what constitutes a Class 9 became an
12 active subject after TMI, and then people, if you
13 recall, said, well, certainly, the damage to the core
14 was far beyond what one would calculate in any of the
15 design-basis accidents if you went through them
16 mechanistically and things worked.

17 So in that sense, it exceeded Class 8.
18 However, the radioactivity that was released from the
19 containment was no larger than we calculate in some of
20 our Class 8 accidents using the big source term. So in
21 that sense, it was not larger than a Class 8, and so
22 some people called it a Class 8.5.

23 Does that help you at all?

24 MR. AXTMANN: After Fellini.

25 MR. OKRENT: Yes, it was after Fellini

1 finished his movie, if that is what you mean.

2 (Laughter.)

3 MR. OKRENT: Okay. Let us have a short
4 summary of what has happened. As you can tell, back in
5 January there was a paper, SECY 82-1A, which ACRS wrote
6 a letter on in February which I would say was not quite
7 enthusiastic about SECY 82-1.

8 And the Commissioners met with the Staff and
9 at that time indicated that if this were to be followed
10 -- and I cannot tell whether they were noncommittal or
11 what -- but there would need to be somehow signals given
12 to the industry at least with regard to new reactors and
13 so forth. And at that point there was some discussion
14 about strong containment by the Commissioners and so
15 forth.

16 In July, after the July ACRS meeting, the SECY
17 paper 82-1A went up in which the Staff proposed that the
18 Commission approve and issue this revised statement on
19 severe accidents. In fact, they suggested that the ACRS
20 comment after it was published for comment, which some
21 of wondered about.

22 In any event, the Commission has not acted on
23 this, and I do not know whether they will before the October
24 meeting or not. But it may be relevant for us to get
25 what comments we can on SECY 82-1A after this meeting.

1 I think it is fairly important that we try to do it if
2 we can.

3 We generated a set of questions on this paper
4 as well as others. And in fact, some of them even got
5 scrambled by the Vydec into the memo we went to Mel
6 Ernst. But that is not crucial.

7 We had a draft letter which I think has been
8 handed out, blue --

9 MR. GREISMEYER: The blue one, no, she is
10 typing it.

11 MR. OKRENT: So there is no version?

12 MR. GREISMEYER: I never saw the blue, at
13 least not today.

14 MR. OKRENT: The people on the subcommittee
15 saw it. There will be something called Draft 2, which
16 Bill Kerr has suggested changes in Draft 1, which will
17 be circulated to you. I asked them to work hard on the
18 flight. And anyway, it provides something for you to
19 think on while you are reviewing the matter.

20 Now, the way we propose to start is to ask
21 Roger Mattson to provide a summary of what it is he
22 thinks either SECY 82-1A is or should be, and I will let
23 him choose those and tell you which it is he is saying.
24 He was asked for about a 10-minute summary or so. And
25 then again the view was that we have in the order of a

1 total of an hour discussion and questions and so forth,
2 after which we take a look at the draft letter and see
3 where we are.

4 So I would propose, unless the subcommittee
5 members want to add to this, to let Roger open it up.

6 (Slide.)

7 MR. OKRENT: By the way, since I do not know
8 how long it will take to get the Draft 2 out, I have
9 asked Mike Griesmeyer for copies of Draft 1 for the
10 benefit of those at the subcommittee meeting. So you
11 should get the Draft 1.

12 MR. SHEWMON: Go ahead when you are ready,
13 Roger.

14 MR. MATTSON: I will try to do two things in
15 this brief presentation. I will summarize the paper and
16 highlight its contents. Second, I will highlight the
17 points that I think there is some sensitivity from the
18 subcommittee and the committee on, and try to interject
19 current thinking or other words that are already used in
20 82-1A.

21 These five bullets on this first slide are the
22 outline, if you will, of what we attempt to touch on in
23 this policy statement. First, summarizing the post-TMI
24 developments in the rule and the licensing practices,
25 starting with the operating plants, and among those the

1 B&W plants, and progressing to the operating licenses
2 and hence to the CP rule for those pending CP
3 applications.

4 And then finally, in this attempt that has
5 been going on now for 9 or 10 months to articulate a
6 policy, to state two things: first, where the
7 Commission would go with future plants -- that is, the
8 requirements for licensing plants for which a CP
9 application has not yet been received; and where the
10 Commission would go in coming to grips with the severe
11 accidents question.

12 The Commission can put out a notice to intent
13 rulemaking on severe accidents. There was a feeling on
14 the part of a number of us that that rulemaking was very
15 difficult to focus on maybe too abstract. And we looked
16 for ways to provide an incentive for industry to
17 participate actively in trying to close the severe
18 accident issues and at the same time to provide a way of
19 thinking where we could make the next generation of
20 plants safer than the first generation of plants.

21 What we came up with is summarized in the
22 words of the second bullet on the slide; that is, to
23 replace the long-term generic rulemaking with
24 severe-accident rulemaking with several discrete
25 rulemakings on plant applications to be referenced in

1 future CP applications.

2 That created the incentive for at least three
3 of the manufacturers to make their proposals for how
4 their designs could close not only the severe-accident
5 issues but some of the longstanding unresolved safety
6 issues. I will turn more to the specifics of that
7 proposal in a moment after I finish the summary.

8 The other thing that you all had a lot of
9 interest in back in February, and we generated some more
10 interest in subsequent to your comments, was what do you
11 do about operating reactors and plants in the pipeline
12 insofar as the severe-accident question is concerned?

13 People were not content with coming to
14 conclusions on only standard plant applications and then
15 try to see how those conclusions might apply back in
16 time to plants under construction. You and others said,
17 tell us what you are going to do in the near term about
18 operating reactors, plants in the pipeline. So the
19 policy statement speaks to that question.

20 I guess it is a point that was of some
21 controversy as to exactly what it was. Let me read
22 briefly what it says. In the section on severe-accident
23 research, which is the cornerstone, if you will, of our
24 proposal on how to treat severe accidents for the next
25 couple of years, there is a paragraph that summarizes

1 the situation as we propose it with operating reactors:

2 "The Commission will conduct an annual review
3 of severe-accident research to determine progress and to
4 ascertain whether any substantial and significant new
5 information has been developed that would require
6 additional rules for severe-accident protection
7 procedures at operating reactors and plants under
8 construction. The Commission expects to conduct this
9 annual review twice: the first time in the spring of
10 1983, and the second 1 year later; finally resolving
11 this matter for operating plants and plants under
12 construction by mid-1984."

13 In order to get more specifics about how that
14 decision process for operating reactors and OLS might
15 work, one needs to turn to NUREG-0900, the
16 severe-accident research plan. And in that document
17 there is described a process by which the Office of
18 Research will be measuring the existing risk with a
19 number of surrogate plants typical of operating reactor
20 designs over the next couple of years and will be
21 evaluating design changes that could be made to those
22 plants, evaluating them in two senses: first, how would
23 they reduce risk; second, what would they cost?

24

25

1 Then they will attempt to make a judgment
2 whether those reductions in risks can be made cost
3 effectively. Obviously, today you have heard a lot
4 about backfit rules and safety goals. Those things
5 dovetail. If there is a safety goal, if there is a new
6 backfit rule, then these decisions on futures to reduce
7 risk from core melt accidents in operating licenses
8 would be judged against those new rules or new
9 criteria. If there are not those new backfit rules,
10 then that safety goal, the judgments flowing from that
11 research program would have to be made the way judgments
12 are made today, with discussion and consideration and no
13 unified single aiming point of the sort that the safety
14 goal represents.

15 Now, one thing about this decision in '84 that
16 you will notice in reading in 82-1A, it doesn't say
17 whether it would be a rulemaking or a policy statement.
18 There are many in industry who I think would prefer a
19 rule that it puts the issue to rest whatever the
20 outcome, once and for all, and tends to be more binding
21 on licensing proceedings and hearing boards and
22 regulators, and you have heard today about how we are
23 all out of control out there in Bethesda, ratcheting
24 away, keeping us from abusing children and small dogs.
25 That is that kind of thinking.

1 On the other hand, there are people that think
2 it ought to be a policy statement and leave some
3 flexibility for further learning. If in early '84, for
4 example, the research program has not delivered what we
5 optimistically hope today, then another policy statement
6 might be more in order than a rule. So, this policy
7 statement would hold judgment on that issue and wait to
8 see what the facts are at the time.

9 Another thing that is contained in 82-1A's
10 policy statement is words we would like to put in the
11 Commission's official mouth about the treatment of
12 severe accidents in ongoing licensing proceedings. I
13 will turn in a subsequent slide here to that in a little
14 more detail, but the idea is to hold the status quo with
15 some existing rules and not explore these issues case by
16 case in proceedings before licensing boards.

17 Another thing that paper attempts to do, and
18 here we run the risk of saying things differently than
19 they are being said somewhere else, but we attempt to
20 tie this policy statement on severe accidents to a
21 number of other things going on, the Commission's desire
22 to promote standardization in future designs, the
23 Commission's work on safety goals.

24 Obviously, as the safety goal thought process
25 and decision process goes on, 82-1A would have to

1 continue to be revised and stay alive relative to that
2 process. We don't mean to control the safety goal
3 through 82-1A, just reflect the safety goal. The use of
4 the PRA, that is the subject that seems to be getting
5 more thorough and deep treatment in the context of
6 safety goal discussions than it does in the context of
7 82-1A, and again, we are trying to follow whatever the
8 consensus of conventional wisdom is on the use of PRA
9 and not dictate that wisdom.

10 I guess another point to make in discussing
11 this relation to these other things, we are trying to
12 make the severe accident policy a sort of stand alone
13 policy. The safety goal stands on its face and we still
14 have a way of dealing with severe accidents, and we
15 shouldn't have it with the other.

16 Similarly, despite the uncertainties in PRA's,
17 whether your view is that they will be closed rapidly or
18 never, there clearly is that spectrum of views. You are
19 still going to have to come to grips with what we all
20 believe to be the dominant contributor to public risk at
21 nuclear power plants. Core melt accidents. What are we
22 going to do about them?

23 Now, this approach has been accused of lacking
24 substance and not reaching decisions and putting off
25 until tomorrow what might be better decided today, that

1 is, why rely on PRA to give us an answer? There are
2 such uncertainties in some areas those answers will
3 never come. Instead, we just ought to be identifying
4 those policy issues, the gut decisions, so to speak,
5 that need to be made, and get on with making the
6 decisions.

7 That alternative was brought up in the
8 subcommittee again yesterday. If I can state it in the
9 way I heard it stated in a more gentlemanly way
10 yesterday was to begin now to draft alternative proposed
11 rules, and begin discussions of those alternative
12 proposed rules. Obviously, there are costs and
13 benefits, the research needed to fill in gaps in
14 knowledge and where the gaps in knowledge couldn't be
15 filled in, the policy framework for making the tough
16 choices in a policy sense.

17 I tried to think last night after they finally
18 let us go in that subcommittee meeting what was the real
19 difference between that alternative and what we are
20 doing today. I have kind of come to the conclusion that
21 if we are doing well what we advertise we are doing
22 today, that is, the thing we are trying to reflect in
23 82-1A, then we must fairly soon get on to this process
24 that is proposed in the alternative as I heard it
25 suggested.

1 In fact, I think Bob Bernero, if I can recall
2 this subcommittee's memory, and tell you other people
3 something he said yesterday, he came close to saying we
4 are already doing it, it is something I should find out
5 more about, and maybe we should do it together. He
6 said, in order for the research program to have
7 confidence that in early '84 it would have the
8 information necessary to answer the questions, they are
9 trying to phrase an answer to the questions today, and
10 where it is impossible to phrase the answer today, they
11 make sure that is covered in the research program, and
12 he talked about a meeting that was conducted at Sandia
13 along these lines.

14 Well, if the decision in '84 is a rule, and if
15 Bernero phrase his questions in a sort of rulemaking
16 context, then he described what he is in the process of
17 doing is not much different than the suggestion I heard
18 yesterday about beginning to draft now a proposed rule.
19 I offer that for your consideration and comment later.

20 The purpose in having an 82-1A is not
21 necessarily to reach a conclusion here as it is to
22 discuss what the conclusion ought to be and how we ought
23 to go about reaching the conclusion. So, none of us are
24 trying to adopt a process or a procedure and then defend
25 it to the death. At least on the staff's part there is

1 no siege mentality on 82-1A. We are using it to promote
2 your discussion. You offered an alternative yesterday.
3 It may be that it is not all that much different from
4 what we are doing, and that there is ground that we
5 could commonly agree on.

6 So, let me try to get into some more detail on
7 that.

8 (Slide.)

9 There are some specific standard plants that
10 folks have said they would like us to review in this
11 context. We have offered them, if they participate in
12 this, and we can come to an agreement on their being
13 adequate for addressing certain specified issues,
14 including core melt, we would certify these designs for
15 future use for a period of ten years, which is not a
16 small offering on our part.

17 The basic conclusion, the planning assumption,
18 as we came to call it yesterday, that underlies a
19 decision to move in that direction is the conclusion
20 that plants can be built safely in view of our
21 understanding of core melt, a statement that is not
22 often made by regulators in the United States
23 government. We say it another way. Although we have a
24 lot of items we would like to haggle about in the review
25 process, as Dr. Okrent pointed out yesterday, just

1 haggling about the review process may not be enough.

2 That is, we want to consider them in the
3 design process. Although those issues remain, we are
4 confident they can be closed, and that plants can be
5 built safely in the future. So, what we have tried to
6 do is articulate a policy for future designs that would
7 require people to would look well beyond the current
8 design basis and to come to grips in a way satisfactory
9 to them and to us through rulemaking with, as we call
10 them, the live issues on severe accidents. We do that
11 in two ways, kind of a cross-cut on those issues.

12 One is to specify the events and issues of
13 interest. The other is to specify the design features
14 that have been traditionally talked about for coping
15 with those events and issues of interest. First, we
16 will require, and these are listed, 82-1A, that people
17 design modifications if these features aren't already
18 included in the design, design modifications of the
19 following sort, filtered containment vents, dedicate
20 heat removal systems, hydrogen control systems, and base
21 mat design changes to decrease the potential for
22 challenges to containment integrity from interactions
23 between a molten core and the floor.

24 In addition to these design features that we
25 will require of these three standard design approval

1 applications, we will require them to look at a number
2 of events, address them, show us how they are addressed,
3 and to some extent optimize in their design. External
4 events, principally seismic events, sabotage, multiple
5 human errors, systems interaction, that list goes on,
6 insofar as included in it are all of the unresolved
7 safety issues that apply to these particular designs.

8 So, the idea would be to examine how design
9 tradeoffs have or could continue to be made to optimize
10 protection for these areas. We spend a minute saying
11 what the subcommittee, and I think what we mean by
12 optimization. The subcommittee has pointed out the work
13 by Gerrick recently to show the separation of systems is
14 not necessarily good, and our more recent designs in
15 this country, given the regulations on separation, are
16 evidently not as forgiving in some people's view as
17 other designs that had interconnections. They don't
18 have the flexibility to find another source of power to
19 deliver water. That shows up in the reliability
20 sections of the PRA. They are not as capable of coping
21 with the broad spectrum of accidents. There is a school
22 of thought like that going on today.

23 There is another school of thought having to
24 do with sabotage that says sabotage protection has
25 improved, the harder you make it for the saboteur. So

1 having many trains vitally separated in your safety
2 systems is inherently better for sabotage protection
3 than having a few trains close together. How do you
4 consider both of those things in looking at a new
5 design? That is a place where it is in a cooperative
6 spirit to look at it when it is all on paper. We mean
7 to try to treat those things in the design review for
8 all three of these applications.

9 Obviously, you can do it in some better than
10 others. The Westinghouse design, the effort with
11 Mitsubishi that has just been announced, that is on
12 paper. From the beginning it is conceptual design
13 stuff. We are going to meet with them for a full year
14 on the principal issues that they have identified before
15 they freeze their design.

16

17

18

19

20

21

22

23

24

25

1 They are going to get us to make some
2 commitments before they sit down and try to write the
3 safety analysis report information they would file in
4 '84. Obviously this process of considering the
5 tradeoffs can be more interesting there for give and
6 take than it could be, for example, for a plant like
7 CESSAR that already has an FDA under the rules.

8 It may be a credibility question, but we will
9 examine how far we can go in our design reviews. GESSAR
10 seems to be sort of in between. They are not quite as
11 finalized as CESSAR. Their FDA review under the old
12 rules has just gotten started within the last few
13 months, and it has not been completed yet, so they are
14 not as far along as CESSAR, but they are much further
15 along than Westinghouse.

16 Those are some of the practical questions that
17 are coming to bear with what do you do with future
18 standardized plants.

19 (Slide.)

20 MR. MATTSON: Just to summarize, then, the way
21 we get them to consider all of these interesting things
22 is by a series of requirements listed on this third page
23 of your handout, compliance with the current
24 regulations, including all the TMI requirements,
25 completion of the PRA before we give the standardized

1 design approval. That in itself is a bit of a departure
2 from past practice and a bit of breaking new ground
3 because with a preliminary design like the Westinghouse,
4 how do you do anything but a conceptual PRA, and what is
5 a conceptual PRA, and how do you do one with a partial
6 plant like CE, where there are a lot of design
7 interfaces with the balance of plant? Can you specify
8 reliability on the interface? There are a lot of
9 questions before granting a new design approval.

10 The third thing is the use of the updated
11 version of the standard review plan; fourth,
12 consideration of all applicable unresolved safety
13 issues. I don't mean to be hiding anything under
14 consideration, but we don't want to use the word
15 "resolved," all unresolved safety issues because that
16 has connotations in some circles we don't mean either.

17 92-1A says that you take the unresolved safety
18 issues applicable to that design, you take the dominant
19 contributors to risk for that design as disclosed in the
20 PRA you have done. You take some other design features
21 that we articulate in the paper, and you examine what
22 they do for risk, changing the design to accommodate
23 those unresolved safety issues, or ignoring those
24 unresolved safety issues.

25 How does risk change given those approaches?

1 Then you make decisions, if you have a safety goal, in
2 the context of the safety goal on what to do about all
3 of those issues. If you don't have the safety goal, you
4 still make decisions more judgmentally.

5 Last is compliance with the CP rule
6 requirements. There seems to be some misunderstanding
7 in some industry requests for specification by the
8 Commission, how they might replicate or continue to use
9 current FDAs in future CP applications. I want to make
10 it clear that the CP rule, if it applies to pending CP,
11 must also apply to a new CP application. Then, as I
12 said -- it is not on the slide -- a consideration of a
13 number of specified design alternatives in 82-1A also
14 are required of future CPs or future standardized
15 plants.

16 (Slide.)

17 MR. MATTSON: The last page in your handout
18 says that the treatment of severe accidents in ongoing
19 licensing proceedings, which it is, but it gives me a
20 chance to say more about operating reactors.

21 The first bullet is really a policy judgment.
22 It is one that we are having trouble saying in ways that
23 the five Commissioners, the 15 or 16 ACRS members, the
24 700 NRR Staff members, the CRGR, the Executive Director
25 for Operations, all those people can agree with. We are

1 trying to say in simple terms the plants today are safe
2 for the period it takes to continue to examine severe
3 accident issues. We are not delaying that examination.
4 It has been going on for several years now. It is
5 spending millions of dollars a year. It has caused us
6 to make changes in severe accident requirements beyond
7 the previous design basis, but as far as we know today,
8 there are not any other changes that we are ready to
9 decide to make today, we collegially, all these people
10 that these words must satisfy, no significant new
11 insights into the consequent mitigation features
12 sufficient to support further regulatory changes, nor
13 indication of clear need to add such features.

14 What we do have, says the second bullet, is a
15 final rule on hydrogen, a proposed additional interim
16 rule on hydrogen, and one final rule for pending CPs.
17 That much treatment of severe accidents, plus a few
18 other indirect things you can list like Regulatory Guide
19 1.97 that goes beyond the design basis.

20 Those things we are trying to say for now are
21 all we know to do to the operating reactors and to
22 plants in the licensing process, and they are safe
23 enough, despite the fact that we want to look for a
24 couple more years, and we are trying to schedule that
25 decision. We won't look any longer before we come up

1 with more definitive statements about what, if anything,
2 additional to do in 1984. That is, we are scheduling
3 our programs to obtain sufficient information in about
4 two years to complete the policy development and the
5 decision making for severe accidents for all classes of
6 plants.

7 Now, the cornerstone of that process for the
8 next two years is the research program, our research
9 program and the IDCOR program. Both of these
10 programs -- these programs are similar. They both
11 examine prototypical light water reactors, measuring
12 their risk and measuring how that risk or estimating how
13 that risk could be changed through design modifications,
14 and what those design modifications would cost.

15 The idea in both of them is that once that
16 information is available, late '83-'84, to compare them
17 with the safety goals of both programs we are promoting,
18 to make the decision on what is required for severe
19 accidents in light of what is needed for safe enough.

20 The other things that are going on that will
21 be factored into our learning in that two year period
22 are like things that are going on, design in Zion,
23 Limerick, GESSAR, in their PRA reviews.

24 The third bullet is hard to understand. In
25 what the research program is doing, with the four plants

1 and studying phenomenology to support the risk
2 assessments of the surrogate plants.

3 The regulatory program NRR is also looking at
4 the containment response characteristic for core melts,
5 development of methods for handling external events and
6 PRAs that we have to have in order to deal with pending
7 licensing matters like the Indian Point 2 and 3
8 hearings, like Limerick, other places for licensing
9 decisions, the SEP program, depend upon our current
10 knowledge of how plants respond to core melt accidents.
11 So there is more in that third bullet than just research
12 up in the first bullet.

13 Then finally, close interaction with the ACRS
14 as technical information becomes available. I don't
15 mean that to be a motherhood statement. We have
16 suggested to IDCOR, and IDCOR has agreed that a good
17 forum for testing the progress against defined technical
18 questions in both their program and ours is this
19 committee or a subcommittee of this committee. We are
20 not getting any reception to that suggestion from this
21 committee at all. I have been saying it now for four or
22 five months. I haven't seen you at all ask for the
23 research program or IDCOR to come in and go through it
24 by the numbers, not that we have come to. Maybe you are
25 attending meetings I am not aware of.

1 MR. SHEWMON: We have heard the research
2 program every other month. I don't know where you have
3 been.

4 Now, it changes every month from what you have
5 told us yesterday. Several of us have also been to
6 IDCOR meetings where you weren't.

7 MR. MATTSON: I am suggesting something
8 different that the ACRS review of the research program
9 and all of its broad manifestations. I am suggesting
10 you get down to what are the questions that have to be
11 answered in '84, what are the possible statements that
12 should be made in '84, and what information is needed to
13 make those statements, and how is progress being made
14 toward answering those statements?

15 MR. BENDER: Roger, I wanted to try to get a
16 better understanding of what we ought to get out of this
17 meeting. I would presume that what you are suggesting
18 is that both the Staff and IDCOR should come in and make
19 an integrated presentation so that we could see how they
20 fit together, and then as a parallel kind of effort to
21 that, or in conjunction with it, someone described the
22 experimental program that would be associated with the
23 work that is being done by IDCOR and the NRC collective
24 staff.

25 MR. MATTSON: Well, I wouldn't do anything

1 quite so stilted. I wouldn't suggest that you sit here
2 and make them have a presentation and then on the other
3 hand make a presentation. I suggest you take 0900, as
4 we talked yesterday, it has a recent set of
5 modifications. It is this thick thing (Indicating). It
6 has in each element of the research program, to the best
7 of the research program manager's ability, the questions
8 he thinks he is being asked, the things he thinks he has
9 to answer from either Bernero's concept of how we make
10 these decisions, or Jim Meyer-who-works-for-me's concept
11 of what he needs to answer, or Walt Passadaq on the
12 source term, what he thinks he needs to answer as he
13 goes around talking to people like the ASNS Committee on
14 Source Terms, what have you, concentrate on those
15 questions, and at the table ask what is your program for
16 doing this, how far along are you with this, what are
17 your problems, how does it relate to the IDCOR program,
18 is it getting into this at all, what is IDCOR relying on
19 NRC to come up with in the area to complete its
20 program? Is that the right question? Maybe the
21 question should have been different.

22 Unless we deal with these specifics, we could
23 argue about how we are going to do it forever.

24 MR. OKRENT: Well, I don't think we should
25 spend too much time on 0900, Roger. One of the comments

1 that we made last month was we failed to find in the
2 document we were looking at that month something that
3 could tell us if you needed information to develop a
4 containment performance criterion, what was this
5 information, how was the program oriented to supply that
6 information?

7 Now, maybe it is going to be in the next
8 version. I don't know. But I am not sure that you are
9 asking the Committee to just listen to research programs
10 in the absence of the focus that you yourself said,
11 well, maybe Bernero is asking. I am disappointed that
12 you do not have that focus to give to Bernero, or if NRR
13 doesn't.

14 MR. MATTSON: We do. There are memos that
15 have our questions in them. You have those memos. You
16 can use those at the table when you go through it. They
17 have been asked. We said yesterday at the subcommittee
18 meeting that we have gotten an agreement now to name a
19 few people to try to state what a containment
20 performance goal would look like if you could write one,
21 and try to fill in what would be the elements of the
22 containment performance goal.

23 We are making progress on those things, but
24 only when you deal with them in specifics, not when you
25 make broad charges and countercharges and information is

1 hard to get.

2 MR. MOELLER: Roger, in the letter to the
3 Chairman from the committee of February 8 on severe
4 accidents, was this not adequate in our Item 6 where we
5 said the ACRS is willing to work with the NRC in
6 developing approaches to resolving issues?

7 MR. MATTSON: I will be completely candid with
8 you. I am in an awkward position on that. I support
9 that recommendation, but there is not an agreement among
10 the leaders of the agency to do that. The place you
11 need to take that recommendation is not to me. You need
12 to take it to the Commission tomorrow, if you still feel
13 strongly about it and you want it, bring it to them. I
14 am suggesting working in the system we have, which is
15 form a subcommittee, have us down here. We will deal
16 with it that way on the record. If you are suggesting
17 something different than that, then I can't agree with
18 that.

19 MR. BENDER: Not being the Chairman of the
20 Subcommittee, I can't volunteer to do this, but it seems
21 to me when we have tried to do these things before, the
22 answers have turned out to be very, very mushy, and
23 because they have been, you can't really tell whether
24 you are getting an answer to a question or people who
25 are talking are being evasive, and that is troublesome.

1 It really is the reason why we have started --

2 MR. MATTSON: I have never seen an issue like
3 the safety goal and the implementation plan and the
4 accident policy make people so suspicious. I think it
5 is happening down here, it is happening within the
6 Staff.

7 MR. SHEWMON: It sounds like maybe all of our
8 letters have not been thrown down a well, and it is time
9 perhaps to hold a meeting.

10 MR. MATTSON: You are scaring the hell out of
11 us. We are jumping through hoops.

12 MR. OKRENT: Well, we have procedural types of
13 meetings, and then the Staff feels it can put out some
14 speculative ideas, but the Staff has been unwilling to
15 do that up until now. Let's put it that way.

16 MR. BENDER: I think the Staff has an
17 obligation, if you want to have such a meeting, to help
18 develop some structure for it. I think just having it
19 helter skelter the way we have in the past has not been
20 too effective, but it doesn't have to be structured to
21 the extent that you can't have some interchange with the
22 committee.

23 MR. MATTSON: Well, you guys made great
24 progress in that direction this month. You made a lot
25 of fun of this list of questions yesterday, but they

1 were very useful in the focus of the discussion and let
2 each of the various parties know how the pieces fit
3 together in your view, and how they fit together. I
4 thought that was very useful.

5 MR. BENDER: It was a useful piece of work.

6 MR. MATTSON: Well, this is office motherhood
7 here. We haven't found a way to do this yet
8 institutionally, how we work together and how we narrow
9 these widely swinging views.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 We should not forget the industry views on
2 these matters. Westinghouse sent you a letter on
3 82-1A. Insofar as it affects what they are trying to do
4 on standard plants, they like it. I haven't heard much
5 criticism of what it tries to do with standard plants,
6 at least as early in the process as what Westinghouse
7 did. Do we agree on that? Somebody down here needs to
8 say so, or is the thing all wet on standard plants? We
9 haven't the foggiest.

10 MR. OKRENT: Let's look at Westinghouse for a
11 moment, since they are the most flexible of the three
12 that you identified. Maybe there is the best chance of,
13 let's say, a design that meets both what they would like
14 to accomplish and what ultimately the NRC will want to
15 have accomplished. If there is no what I will call
16 policy guidance from the Commission in some way -- I
17 won't say a rule, but it could be a rule on things like
18 reliability of containment, heat removal systems, on
19 reliability and or diversity of core heat removal
20 systems -- let me use that term, because you might want
21 to think of some very small LOCA's in addition to
22 shutdown heat removal. If there is no guidance on,
23 should there be or not on future plants a bunkered
24 system, or should certain things be bunkered, or
25 whatever it is, if there is no guidance that you should

1 consciously try to do certain things with regard to
2 sabotage, and if there is no guidance at all on severe
3 accidents, the question is even at the stage where
4 Westinghouse is, and suppose you have a year to talk
5 back and forth, are you going to be able to have gotten
6 all of the things I have mentioned?

7 Jesse I am sure has ten more that are going to
8 warrant some thought. Are you going to be able to get
9 these handled via the mechanism you are proposing
10 adequately? Not perfectly, but adequately? At some
11 point you said they in fact want to get commitments from
12 the staff. That means sometimes by the end of the first
13 year, roughly, as I listen to what you are saying. It
14 is not inconceivable that this could be done if the
15 staff dedicated some of its best people and gave them
16 sort of the power to act with the staff and to have a
17 back and forth on it, but that is not usually the way
18 these things do proceed.

19 If you did decide that way, in fact, for
20 Westinghouse, then the other question that we pose to
21 you is, would you have accomplished the same level of
22 whatever it is you are seeking on reviews that were more
23 fixed, and even if they were not more fixed, if someone
24 came in with a plant that was not a large dry PWR, some
25 other thing, how would you achieve what I will call some

1 level of consistency?

2 Can you rely on PRA's to do that, in view of,
3 you know, all of the questions about uncertainties and
4 so forth? That, I think, is one of the major questions
5 that the subcommittee, the committee, I think, did in
6 February, and I know I in particular have. If I could
7 see a way whereby the subcommittee that reviews plants
8 could meet the overall desires and get some kind of
9 necessary consistency in the major things, I would
10 really be an enthusiast for it, but up until now I don't
11 quite see how it gets there.

12 MR. MATISON: The Commission had exactly the
13 same difficulty with 82-1. There weren't any signals on
14 82-1 on those kinds of things you list, filtered vent,
15 dedicated heat removal, base mats, and they said, take
16 the list in 2BA to the task action plan, which is the
17 severe accident rulemaking of the task action plan, send
18 signals on all those things. We came down to you in
19 February and said, here are the best signals we know how
20 to send. Tell us how you would change them. We didn't
21 get anything from you. We sent those signals in 82-1A
22 the best we could.

23 We talked yesterday about how we may have
24 screwed one up on the filtered containment vents, and
25 will make some modifications in that before we go out

1 with it. If you have a signal you want to send that you
2 think you are able -- that we should be making a
3 judgment that we are too light on in 82-1A, which ones?
4 The Commission wants those signals, too. Which ones are
5 you capable of drawing a consensus of opinion today
6 sufficient to support a policy judgment to send a
7 signal? Our contention is that we have done the best we
8 can in 82-1A. It is not very good, and it is left with
9 a decision process that has got all these uncertainties
10 in it. It is a lot less uncertain than the one we set
11 the general design criteria with, but we've still got
12 uncertainties in it.

13 MR. OKRENT: There is an alternative which
14 might be picking up that last paragraph that Dr. Moeller
15 said to see whether working cooperatively one can
16 develop, let's say, an improved set of signals over what
17 you have in 82-1A. In other words, we are not forced
18 into a now or nothing. There are other alternatives.

19 MR. EBERSOLE: Roger, may I get a point of
20 clarification? I was trying to read and understand your
21 first bullet there. It only mentions consequence
22 mitigation. I was trying to say to myself, what is the
23 severe accident? Is it the integral accident beginning
24 at the point of initiation and terminating in the severe
25 accident, or is it the culmination of whatever sequence

1 was generated to produce the severe accident?

2 From the context up there, it is only the
3 terminal events, if you are talking about mitigating
4 something that has happened some way, and that is all it
5 is. Dave just got through talking about the prevent
6 aspect of severe accidents. If we are talking about
7 both aspects, both prevent as well as mitigate, isn't
8 that first statement up there sort of fundamental?

9 MR. MATTSON: It is caused by my being too
10 close to the forest to see the trees. In addition to
11 that bullet having to do with core melted, core melt
12 consequence mitigation features, which is about all that
13 treats, the unresolved safety issues and the other
14 issues are predominantly prevention issues.

15 MR. EBERSOLE: They are. That is what he was
16 talking about. Heat removal, et cetera.

17 MR. MATTSON: There should be a bullet for
18 completeness that says, if we knew how to close those,
19 we could close them today, too.

20 MR. EBERSOLE: And maybe additional
21 regulations are appropriate now for the new designs,
22 because most of those are preventive in character, the
23 features of them.

24 MR. MATTSON: We do not intend to license a new
25 standard design without an answer for every unresolved

1 safety issue applicable to that design. It will say,
2 this unresolved safety issue no longer applies because
3 it was shown to the risk assessment to be of miniscule
4 importance or a design change was made to bring it into
5 conformance with the requirement.

6 MR. EBERSOLE: If you made another bullet,
7 that might be best.

8 MR. MATTSON: That was another place where I
9 used a different term. I accept the criticism. Well,
10 that's my summary.

11 MR. AXTMANN: I have a question about the
12 words in SECY 82-1A on the source term. On Page 13 --
13 this is a paraphrase -- it says recent research
14 NUREG-0772 indicates that radioactive releases and major
15 accident sequences are likely to be substantially lower
16 than predictions based on current assumptions, current
17 licensing requirements. Recent research, our
18 subcommittee on radiological effects probed this a
19 little bit with the staff some months back, and I think
20 we got an admission that recent research meant
21 observations at TMI.

22 Now, the staff has programs at Sandia and I
23 guess at Oak Ridge looking for physical evidence of the
24 mechanisms that people can imagine having observed
25 little releases at TMI, but that is rather speculative,

1 I think. Page 29 of SECY 82-1A says, new source term
2 information will be available in the spring of '83.

3 As I recall the programs at Sandia and Oak
4 Ridge extend to '85, and the first experiment, data from
5 the first experiment will be available late this year or
6 maybe early next year, but I am not sure that this may
7 all work out precisely as one's instincts would like it
8 to, but I ion't think the optimism is really justified
9 by hard data nor facts, and some of your earlier
10 remarks, satisfaction with new standardized designs,
11 indicate that maybe they aren't finished once and for
12 all. That is, if the research programs do not exactly
13 turn out the way everyone hopes they will.

14 MR. MATTSON: Well, the statement on Page 13
15 has the deficiency that is like what you are getting
16 at. The statement of recent research is not the way to
17 say it. We should be saying the current understanding
18 is that source terms are likely to come down. Another
19 thing that is wrong with this statement is, they do not
20 come down as much for all sequences. So some
21 qualification that for the ones that are of at least
22 current interest to PRA today, the slow overpressure of
23 containment, that is the place where they look like they
24 are coming down, and that is the one where they can
25 significantly reduce risk, according to today's

1 understanding.

2 We need to hone that statement a little bit.
3 We would use today's transcripts to get your thoughts
4 into it today, too. The comment on the research program
5 is a good comment on whether or not there is close
6 coupling between what is in 0900 and what is in here. I
7 have a couple of signatures from research that tell me
8 it is, but I will go back and look at it.

9 Let me try to summarize. The staff is of the
10 view that source terms are overestimated today,
11 significantly overestimated for accident sequences that
12 are very important in determining total risk.

13 MR. AXTMANN: That may well be.

14 MR. MATTSON: We are doing our darnedest in the
15 research program to do that.

16 MR. AXTMANN: But as I understand the research
17 program, it is not something that is going to be settled
18 very promptly.

19 MR. MATTSON: Well, I think --

20 MR. AXTMANN: And will be done in a
21 laboratory, not in a reactor where the best experiments
22 would be done.

23 MR. MATTSON: Well, there is information
24 necessary for decision-making, and there is
25 confirmation, and one may not be the same to you as it

1 is to me, but a lot of that stuff longer term in source
2 terms is confirmation.

3 MR. OKRENT: One of the comments that one of
4 the Sandia experts made in connection with source term
5 was that the process by which one accomplishes dispersal
6 of a core melt below the vessel in a reactor like Zion,
7 assuming that the dispersal occurs in a manner roughly
8 that is predicted in the PRA, that is an if in his mind,
9 if this occurs, that same process tends to put quite a
10 bit of radioactivity into the containment atmosphere,
11 sort of like a modest steam explosion kind of thing,
12 more than you would have from, let's say, TMLB'.

13 Now, if that should have the misfortune to be
14 associated for some reason with an absence of
15 containment integrity then, that you stop and think,
16 there are sources not just a single one, you, I think,
17 quickly find that you need to achieve some rather low
18 probability of this early absence of containment
19 integrity in a sizable amount at that point, or you have
20 not really reduced the total risk even though there may
21 be factors of 100 or more in some sequences.

22 MR. MATTSON: I agree. If that sequence has
23 low enough probability, as you said, not to be the
24 dominant one, then the statement that the important ones
25 are still coming down is valid.

1 MR. OKRENT: You will have to watch what
2 becomes dominant. Some of these sequences that were not
3 looked at hard, or hardly at all in prior PRA's may
4 really have to be looked at now, and when you look, they
5 may in fact be somewhat more frequent than you might
6 have guessed, and while in terms of the previous PRA was
7 not too important because you already had some things
8 contributing to significant releases, they now may be
9 quite important. So, I just want to urge caution by the
10 staff in jumping not only onto the plank, but almost off
11 the plank before there has been sufficient study.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 I think it is not improbable that when people
2 start looking for ways in which early losses to
3 containment may occur, they may be able to add up
4 several ways that end up being not trivial in their
5 quantification.

6 MR. MATTSON: I do not know how to counter the
7 continuing written and verbal charges that we are
8 jumping off the cliff and we have no basis. But I
9 encourage you to look at the Indian Point testimony when
10 DSI files their testimony on the matter of source term.
11 I think we are looking. There are technical studies
12 that underlie these judgments. We are not making them
13 off the top of our heads.

14 MR. EBERSOLE: Dave, what I heard you say is
15 the thing that disperses the core may also be the thing
16 that opens the containment.

17 MR. OKRENT: It will put a lot of fission
18 products in the containment at that time. And if for
19 some reason you have at that time -- and it is not
20 necessarily the -- in fact, it is probably not -- the
21 small coolant interaction. When I say "small," I mean
22 small enough not to go run into the containment. It is
23 not that big. But if you start thinking about ways in
24 which you could lose containment and leak tightness to a
25 large degree, there are many things that at least you

1 have to think about. And up until now they have not
2 been given very sophisticated or detailed scrutiny.

3 MR. SHEWMON: Are we through with Roger's
4 presentations and our questions for him?

5 MR. OKRENT: Well, I do not know whether there
6 are other questions from the committee members.

7 (No response.)

8 MR. OKRENT: Let me maybe see if a few points
9 that came up in the subcommittee exist that are
10 particularly relevant or wheher other committee members
11 may want to talk to Roger. We did talk at some length
12 about whether there was in this new version of SECY
13 82-1A an approach to operating reactors and reactors
14 seeking operating licenses that was, whatever the word
15 is, sufficient or sufficiently well defined. I think
16 Roger thinks he has something in there that addresses
17 that, but I just wanted to note that this was a matter
18 of some discussion.

19 MR. MOELLER: A question, Dave. Enclosure D
20 to this SECY 82-1A applies to the issues in
21 backfitting. Is this enclosure -- maybe Roger could
22 help me. Is this enclosure -- how does it relate to
23 what we heard on backfitting earlier today?

24 MR. MATTISON: It does not at all. The thing
25 you heard earlier today generates from a task force at

1 the Commission level done outside of our cognizance.
2 This was a statement by us on backfitting that they did
3 not review, and we had no knowledge of what they were
4 about to say when we wrote this.

5 The Staff offices reviewed it and concurred in
6 it, and it went up to the EDO. But from the EDO on
7 down, at least as they were able to factor it into this
8 paper when it was signed, if anything, it is an
9 interesting -- might be an interesting -- exercise in
10 the context of the Staff's view and Mr. Tourtellotte's
11 view being quite different.

12 MR. MOELLER: Dave, did your subcommittee's
13 group have any time to look at that?

14 MR. OKRENT: We did not talk about it at the
15 subcommittee meeting. I read it, and it seemed to me,
16 in a sense, when the Staff said that in the safety goal
17 approach one should consider economic costs, off-site
18 and on-site, as well as health costs, they were saying a
19 similar thing to what is here. It is -- what they have
20 written here is well said, and I support their
21 proposal. But we did not talk about it at the
22 subcommittee meeting.

23 I do not know whether you have any comments on
24 it.

25 MR. MOELLER: Well, I note one thing

1 immediately. It says the numerical guidelines make no
2 explicit distinction between new plants, operating
3 plants, and plants under construction. Well, that is
4 not compatible, is it, with what we have been talking
5 about?

6 MR. OKRENT: No, but the implementation plan
7 does make a distinction as drafted in June.

8 MR. MOELLER: Also, like on page D2 it talks
9 about including the cost, if any, of occupational
10 exposures. Well, in the implementation or action plan
11 where the policy statement is, it indicates that by 1983
12 or 1984 or something they hope to have worked out a plan
13 for the assessment of occupational exposures.

14 MR. MATSON: Dade, let me remind you of
15 something I said this afternoon. This paper is not
16 attempting to set the policy on backfit; it is
17 attempting to narrow whatever the current policy is on
18 backfit.

19 We thought that the major initiative coming
20 through the safety goal tries to have more strong
21 language about the Staff views, and we obviously stayed
22 a little bit out of step with our own development and
23 implementation plan, as Dave points out. But we would
24 mean to keep it consistent. I know the occupational
25 exposures are important to you. And we try to keep that

1 thing coming to the fore in all matters involving
2 backfit.

3 MR. OKRENT: The cost estimates I have seen, I
4 must say, indicate that when you look over the spectrum
5 of accidents or even if you look only at what I will
6 call TMI-2-like accidents, you would include on-site
7 economic effects. The occupational health effects, even
8 with the big dollar value of man-rem, are not a big
9 factor. That is according to some Sandia studies.

10 MR. MATTSON: It is interesting, you know, we
11 keep saying that the safety goal is not the only factor
12 in a decision and what have you. In some circles the
13 simple statement that there are large occupational
14 exposures associated with the backfit will sway a large
15 number of people whether or not you can monetize it, put
16 it in the equation, and have it swamp the equation or
17 not. It has significant weight. Maybe people are
18 jumping at straws not to backfit something. I do not
19 know.

20 MR. MOELLER: Well, what value do you use for
21 an occupational person-rem? To me, the \$1,000 should
22 certainly not apply here. It should be much higher.

23 MR. MATTSON: I remember being on a podium
24 with somebody from the utilities that said it would be
25 \$35,000 per man-rem.

1 MR. MOELLER: Yes, it should be several
2 thousand per man-rem, and it could be \$35 million or
3 \$100 million.

4 MR. MATISON: I do not think we are putting
5 any particular number on it.

6 MR. OKRENT: I guess if I can cull out one
7 other aspect of this, I think it is fair to say that
8 there would be a pretty heavy reliance on PRA in
9 decision making if we follow the approach of SECY 82-1A
10 for new plants. Is that fair, Roger?

11 MR. MATISON: Well, being one of those who
12 likes to talk about PRA but distrusts it, I have
13 difficulty finding a way to defend myself against that.
14 I tried this afternoon to slip in some words on the
15 presentation. Let me emphasize them.

16 There is going to be a place where the PRA
17 will fail you; you are not going to be comfortable
18 making judgments on the basis of PRA. You will then
19 fall back to some kind of traditional engineering
20 analysis, some kind of comparison to what we have in the
21 current regulations. Is this something that you want to
22 do that is markedly different than that or not? Or is
23 it somehow consistent with it? Or, if all of that
24 fails, you will do what we like to use euphemistically
25 as, well, make a policy decision, we will do the right

1 thing, whatever the right thing is.

2 There are going to be places where this PRA
3 framework will fail. As you try to make the decision
4 today, there are more places it would fail than if you
5 made it 2 years from now because there is a lot of money
6 being spent to remove some of those uncertainties. In
7 some of those uncertainties, there is no prayer of
8 removing them, they are always going to be there.

9 MR. OKRENT: Okay. Well, I think that is a
10 fair statement of your position. Again, it gets to the
11 question of is there some intermediate position between
12 making policy decisions today which I am not sure who is
13 advocating -- I do not think anyone at the ACRS is
14 advocating making up today -- or whether you make the
15 policy decisions in connection with the individual
16 reviews when you feel that PRA is inadequate, which may
17 be in many important issues, or whether you try to make
18 some of them some time between now and then as you are
19 able to.

20 I think those are sort of the three
21 alternatives. It may be possible, at least in my mind,
22 that the third one of those is the one we should explore
23 before we take the one proposed in SECY 82-1A.

24 MR. MATTSON: It is interesting when you think
25 about it. I just said there are some policy judgments

1 that have to be made in '84. There are probably more
2 that have to be made today. You just talked about
3 making some policy decisions on some of those things.
4 We will try to find a middle ground.

5 Are there any policy makers in the room? I am
6 in the line organization, implementing the Standard
7 Review Plan. I certainly am not the policy maker.

8 Whatever group, whatever institutional
9 arrangement we come up with for removing it from here,
10 has got to be different from the one here today because
11 you wrote a letter on this in February and you will
12 write another one on it in September, and that is a long
13 lead time for policy makers.

14 Not to condemn anything, but all of us have
15 not yet come up with the right combination of factors to
16 be satisfying on making these decisions.

17 MR. SHEWMON: Roger, would it be unfair to say
18 that your position or the positions you have presented
19 for 82-1A here is that with the aid of current
20 regulatory rules as perhaps embodied in the Standard
21 Review Plan, what we have put together through TMI-2
22 Action Plan and what we would get out of the PRA on a
23 new standard design, we would have the basis for coping
24 with saying whether they are safe enough with regard to
25 Class 9 accidents as well as the other 8 or severe

1 accidents? I think that is what I see on what you have
2 got on that vuegraph.

3 MR. MATTSON: If you understand that in
4 deciding what to do with those USIs and those design
5 features that have to be considered in the framework of
6 that PRA, that those are really tough decisions and not
7 everyone is going to agree on. So there is some
8 uncertainty in exactly what we are going to do with
9 these designs. Then I think I agree with what you are
10 saying.

11 MR. SHEWMON: Those are the tools you will use.

12 MR. MATTSON: Yes. Sometimes the PRA fails,
13 which is what I said a minute ago.

14 MR. SHEWMON: Okay.

15 MR. OKRENT: I do not know. Are there other
16 questions?

17 (No response.)

18 MR. SHEWMON: Fine. I would suggest that
19 while we are ahead of schedule on this -- but that is no
20 sin -- could we go to the future ACRS activities and
21 then worry about writing letters for a while before we
22 break for the evening, or reading letters?

23 MR. OKRENT: Right. As long as we have one
24 reading of the draft on SECY 82-1A in order to get some
25 response today. It does not matter when you do it as

1 long as it is tonight.

2 MR. SIESS: We have another draft on
3 backfitting ready.

4 MR. SHEWMON: Well, it is somewhat arbitrary
5 which we do first. I assume there are more people here
6 who can go home after we get done with the advanced, the
7 future agenda. But I am open to suggestions or comments
8 either way on that. Let us take up future agenda items.
9 (Thereupon, at 5:10 p.m., the Subcommittee was
10 reconvened in executive session.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS/269th General Meeting

Date of Proceeding: September 9, 1982

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

M. E. Hansen

Official Reporter (Typed)

M. E. Hansen

Official Reporter (Signature)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS/269th General Meeting

Date of Proceeding: September 9, 1982

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcription thereof for the file of the Commission.

Jane N. Beach

Official Reporter (Typed)

Jane N. Beach

Official Reporter (Signature)

PROPOSED POLICY STATEMENT ON SEVERE ACCIDENTS AND RELATED VIEWS
ON NUCLEAR REACTOR REGULATION (SECY 82-1A)

- SUMMARIZES THE POST-TMI DEVELOPMENTS IN RULES AND LICENSING PRACTICES RELATED TO SEVERE ACCIDENTS
- REPLACES THE LONG-TERM GENERIC RULEMAKING WITH SEVERE ACCIDENT RULEMAKINGS DESIGNED TO CERTIFY SPECIFIC STANDARD PLANT DESIGNS FOR REFERENCE IN FUTURE CP APPLICATIONS
- SCHEDULES A SEVERE ACCIDENT DECISION FOR ORs IN EARLY 1984
- SPECIFIES TREATMENT OF SEVERE ACCIDENTS ON ONGOING LICENSING PROCEEDINGS
- PROVIDES COUPLING AMONG RELATED POLICIES, E.G., STANDARDIZATION, SAFETY GOALS AND USE OF PRA

T7

SPECIFIC STANDARD
PLANT RULEMAKINGS

- GESSAR II - FDA REVIEW UNDERWAY
- WESTINGHOUSE - PDA APPLICATION 1984
- CESSAR - FDA APPLICATION 1983

IMPLEMENTATION GUIDELINES FOR SEVERE ACCIDENT POLICY

(CONDITIONS FOR STANDARD DESIGNS FOR REFERENCE IN FUTURE CP APPLICATIONS)

- COMPLIANCE WITH CURRENT COMMISSION REGULATIONS, INCLUDING TMI REQUIREMENTS IN 10 CFR 50.34
- COMPLETION OF A PRA BEFORE SD APPROVAL THROUGH RULEMAKING AND COMMITMENT TO MEET THE REQUIREMENTS FOR DESIGN FEATURES FOR PREVENTION, MANAGEMENT, OR MITIGATION OF SEVERE ACCIDENTS SHOWN TO BE COST-EFFECTIVE IN THE COURSE OF THAT RULEMAKING
- USE OF UPDATED VERSION OF SRP (NUREG-0800)
- CONSIDERATION OF ALL APPLICABLE USIs
- COMPLIANCE WITH CP RULE REQUIREMENTS

TREATMENT OF SEVERE ACCIDENTS IN ONGOING LICENSING PROCEEDINGS

- NO ADDITIONAL REGULATIONS ON SEVERE ACCIDENTS REQUIRED NOW, BECAUSE NO SIGNIFICANT NEW INSIGHTS INTO CONSEQUENCE MITIGATION FEATURES SUFFICIENT TO SUPPORT FURTHER REGULATORY CHANGES, NOR INDICATION FOR CLEAR NEED TO ADD SUCH FEATURES
- WE NOW HAVE:
 - ONE FINAL AND ONE PROPOSED RULE ON HYDROGEN CONTROL (DEGRADED CORE ACCIDENTS) AND RELATED MATTERS (46 FR 58484, 12/2/1981 & 46 FR 62281, 12/23/1981)
 - ONE FINAL RULE FOR PENDING CPs, I.E., THE CP/ML RULE (47 FR 2286, 1/15/1982)
- PROGRAM(S) TO OBTAIN SUFFICIENT INFORMATION IN ~ 2 YRS. TO COMPLETE POLICY DEVELOPMENT AND DECISION MAKING ON SEVERE ACCIDENTS FOR ALL CLASSES OF PLANTS
 - RESEARCH ON SEVERE ACCIDENTS (NRC/IDCOR)
 - REVIEWS OF PRAs ON I.P., ZION, LIMERICK, GESSAR-II, ETC.
 - STAFF STUDIES OF CONTAINMENT FAILURE MODES FOR A REPRESENTATIVE SAMPLE OF OPERATING PLANTS AND PLANTS UNDER CONSTRUCTION AND FOR ALL FUTURE DESIGNS
 - CLOSE INTERACTION WITH ACRS AS TECHNICAL INFORMATION BECOMES AVAILABLE
- INDIVIDUAL LICENSING PROCEEDINGS NOT APPROPRIATE FORUMS FOR BROAD EXAMINATION OF SEVERE ACCIDENT REQUIREMENTS



Westinghouse
Electric Corporation

Water Reactor
Divisions

Form 350
Printburg, Pennsylvania 15230

September 3, 1982

MS-EPR-2654

Dr. Paul Shewson
Chairman
Advisory Committee on Reactor Safeguards
Nuclear Regulatory Commission
1717 H Street, N. W.
Washington, D. C. 20555

Dear Dr. Shewson:

Westinghouse notes that the Committee, in considering the NRC's recent severe accident policy development as promulgated by SECY-82-1A, may have some concern with the general direction of the Staff's approach. It is our understanding that the full Committee will further consider this matter in session in the very near future. Westinghouse has a major interest in this policy matter insofar as to its particular relevance to future standard plant design applications. In that regard, we think it appropriate to share certain of our views on SECY-82-1A for the Committee's consideration prior to its adoption of a final Committee recommendation.

As the Committee may recall from an earlier Westinghouse presentation this past December, we are currently engaged in a major new zero-based plant design development program and associated licensing application leading to a self-standing final plant design certification for one-step licensing by 1987. This effort is expected to result in important and fundamental improvements in certain major systems and plant configurations as compared to current generation design. Our intent is to directly involve both the Staff and the Utility industry in the evaluations of alternate design approaches currently under consideration.

We view the Staff's proposed policy stated in SECY-82-1A as consistent and supportive of our development program and intended licensing approach. In that regard, Westinghouse is in general agreement with and supports the directions of that policy. In particular, our interpretation of SECY-82-1A indicates a close correspondence with our program objectives in that,


1. the policy encourages the use of self-standing final standard plant designs,
2. the policy suggests a comprehensive addressment of current regulatory issues as a condition for standard design approval, and

- 3. the policy recognizes that specific regulatory guidance in certain areas is premature due to either ongoing R&D efforts or lack of practical experience needed for effective definition and implementation. Examples are severe accident design considerations and the use of probabilistic risk assessment vis-a-vis safety goal objectives. Westinghouse agrees that such issues require a studied approach and are best considered in the context of a review of specific design features as opposed to premature guidance based on abstract considerations.

Westinghouse would welcome an early opportunity to discuss this matter directly with the Committee should the Committee feel that our views may be pertinent to a formulation of it's position.

Very truly yours,

WESTINGHOUSE ELECTRIC CORPORATION


 E. P. Rabe, Jr., Manager
 Nuclear Safety Department

/hs

cc: Mr. J. J. Ray
 Vice Chairman
 Advisory Committee on Reactor Safeguards

Dr. W. Kerr
 Chairman
 ACRS Class 9 Accident Subcommittee

Dr. D. Okrent
 Chairman
 ACRS Safety Philosophy, Technology, &
 Criteria Subcommittee