

NUCLEAR REGULATORY COMMISSION

T-1132

ORIGINAL

---

---

In the Matter of: ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

JOINT MEETING OF THE  
SUBCOMMITTEE ON SAFETY PHILOSOPHY, TECHNOLOGY  
AND CRITERIA  
AND THE SUBCOMMITTEE ON CLASS 9 ACCIDENTS

---

---

DATE: September 8, 1982 PAGES: 1 - 267

AT: Washington, D. C.

*TRC 4*  
*delete B. White*

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

- - -

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

JOINT MEETING OF THE  
SUBCOMMITTEE ON SAFETY PHILOSOPHY, TECHNOLOGY  
AND CRITERIA  
AND THE SUBCOMMITTEE ON CLASS 9 ACCIDENTS

- - -

Nuclear Regulatory Commission  
1717 H Street, N.W.  
Washington, D.C.

Wednesday, September 8, 1982

The Subcommittees met at 10:30 a.m.

PRESENT FOR THE ACRS:

- DAVID OKRENT, Subcommittee Chairman
- WILLIAM KERR, Subcommittee Chairman
- MYER BENDER
- DAVID WARD
- CHESTER SIESS
- J. CARSON MARK
- PAUL SHEWMON
- DAVID WARD

DESIGNATED FEDERAL EMPLOYEE:

GARY QUITTSCHREIBER

NRC STAFF:

MICHAEL GRIESMEYER

1 P R O C E E D I N G S

2 MR. OKRENT: This meeting will now come to  
3 orier.

4 This is a joint meeting of the Advisory  
5 Committee on Reactor Safeguards, Subcommittees on Safety  
6 Philosophy, Technology and Criteria, and Class 9  
7 Accidents.

8 I am David Okrent. Next to me is William  
9 Kerr. We are the subcommittee chairmen. Other ACRS  
10 members who are here or are expected to be here during  
11 this session include Mr. Bender, Mr. Moeller, Mr. Ward,  
12 Mr. Siess, Mr. Mark and Mr. Shewmon.

13 The purpose of the meeting today is to review  
14 issues regarding severe accident policy, backfitting  
15 policy, safety goals and their implementation.

16 The meeting is being conducted in accordance  
17 with provisions of the Federal Advisory Committee Act  
18 and the Government in the Sunshine Act. It will be  
19 necessary to close portions of the meeting to discuss  
20 material of a pre-decisional nature and material  
21 provided in confidence from a foreign source. Mr. Gary  
22 Quittschreiber is the designated Federal employee for  
23 the meeting.

24 The rules of participation have been announced  
25 as part of the notice of this meeting previously

1 published in the Federal Register August 18, 1982. A  
2 transcript of the open portions of the meeting is being  
3 kept and will be made available as stated in the Federal  
4 Register notice. It is requested that each speaker  
5 first identify him or herself and speak with sufficient  
6 clarity and volume so that he or she can be readily  
7 heard.

8           We have received a written statement from  
9 Westinghouse regarding severe accident rulemaking. We  
10 have received a request for time to make a statement  
11 from the Atomic Industrial Corps regarding the proposed  
12 NRC safety goals draft implementation plan.

13           I believe that the first portion of the agenda  
14 will be closed. The agenda calls for this topic to  
15 begin in a minute or two and to end no later than  
16 11:45. So at 11:45, we will go into open session. Can  
17 we go into open session earlier if we finish the first  
18 one sooner?

19           MR. GRIESMEYER: I think we can.

20           MR. QUITTSCHREIBER: Yes, you can.

21           MR. GRIESMEYER: We will announce.

22           MR. OKRENT: No later than 11:45 we will go  
23 into open session on the next part of the agenda. So I  
24 will have to at this time ask that those attendees who  
25 cannot be participants in the closed meeting leave the

1 room and we will go into closed session.

2 [Whereupon, at 10:35 a.m. the open session of  
3 the meeting was recessed and a closed session was  
4 commenced, at the conclusion of which the subcommittees  
5 reconvened in open session at 12:15 p.m.)

6 MR. OKRENT: The meeting will reconvene.

7 My apologies for running beyond the stated  
8 time of 11:45. I guess that is in the best ACRS  
9 tradition of not managing to meet the schedule. In any  
10 event, Mr. Stello is next, I believe, to discuss the EDO  
11 point of view on the implementation plan for the safety  
12 development.

13 MR. STELLO: I too, I guess, have a list of  
14 questions.

15 MR. OKRENT: We try to be fair to everyone.

16 MR. STELLO: You have been prolific in writing  
17 questions in August. There are several lists that came  
18 out in one day. Perhaps the best way to proceed is to  
19 make sure that the questions you have raised for the EDO  
20 to respond to in your memo of August 26 to Mr. Dircks --  
21 you raise a number of questions, and maybe what I could  
22 try to do is make some general comments and then try to  
23 get to answering the questions.

24 As the committee is aware, the safety goal has  
25 had quite a bit of work and is still having an awful lot

1 of work done to it. It has had a variety of comments  
2 from the public, from industry, from the ACRS itself.  
3 The Staff has interacted with the drafters of the policy  
4 statement. The Staff has prepared an implementation  
5 plan trying to follow the policy statement itself, and  
6 yet I think there still remains a great deal to do.

7           So that what we talk about here today will be  
8 helpfull, perhaps, in having the committee form more  
9 judgments that it may wish to offer to the Commission as  
10 it considers redrafting and recasting where it ought to  
11 go with the safety goal. And in that context and in  
12 that spirit, we have a variety of us here from the Staff  
13 who will give you our views

14           I will try to identify the response as you  
15 request from the EDO's point of view, but we haven't  
16 constrained ourself in that regard. As you ask each of  
17 us for questions, we will not hesitate to suggest that  
18 there are some of us who will not agree with what others  
19 have said, and we will feel quite free to bring that to  
20 your attention.

21           So in that spirit, I will try to give you what  
22 I believe are, to the best of my ability to do that, the  
23 EDO's current thinking about the questions you have  
24 raised.

25           You asked the first question: What specific

1 ways does the EDO believe the draft action plan is not  
2 yet suitable for use? I wonder if I might be permitted  
3 to ask the question, does the committee have the  
4 questions that arose as a result of the last briefing of  
5 the Staff with the Commission on this subject and the  
6 questions that followed from OP's staff?

7 MR. OKRENT: The Subcommittee now has them. I  
8 don't know whether they did have them because I am not  
9 sure when that reached the ACRS, but they are at the  
10 back of the yellow thing you were just handed. On page  
11 10 there is something called "Staff Questions to  
12 Commission on Safety Goals."

13 MR. SIESS: Where did those come from? The  
14 Staff questions to the Commission. What was that in?

15 MR. STELLO: It was in a memorandum from  
16 Remnick to the Commission.

17 MR. OKRENT: You may not have noticed it in  
18 your mail, but you do have them there now.

19 MR. SIESS: All right.

20 MR. STELLO: Rather than trying to read  
21 through that list, I think the list generally gives you  
22 the flavor of what it is that remains outstanding before  
23 the EDO is prepared to say that he is ready to go  
24 forward with the implementation plan. There are clearly  
25 some fundamental issues raised in these questions.

1           The Commission is being asked to give the OP  
2 staff, both for the purpose of rerafting safety  
3 policies itself and for the Staff to have the benefit of  
4 that Commission guidance, to revise the implementation  
5 plan consistent with the policy that the Commission  
6 wishes to move forward with.

7           I think those questions generally give you the  
8 reasons why there is reluctance. I think it is a rather  
9 complete list and they are very appropriate. That is  
10 the reason, and the memorandum that transmitted that,  
11 the implementation plan, gave some other observations  
12 also useful for that purpose.

13           Your second question is: Does the EDO support  
14 Mr. Denton's proposal that all significant benefits be  
15 included in the cost-benefit analysis? I think that is  
16 a very difficult question to deal with as you are  
17 unfolding a policy, but I think there are some general  
18 principles that the EDO holds, and one is that the Staff  
19 ought not get itself in the business of economic  
20 regulation.

21           There are certain things that utilities ought  
22 to be worried about and ought to have the responsibility  
23 in terms of economic costs that they suffer if the do  
24 things improperly with a plant. Something as simple as  
25 bad maintenance that can yield a trip with a plant that



1 gets a plant down for a few days, one can ask whether  
2 there are analyses one should do and get into in terms  
3 of down-time. Taking it further, if there is an event  
4 in a plant which causes a substantial release of fission  
5 products within the primary system, the containment, a  
6 substantial cleanup, even closing the plant, should that  
7 be included? I think that is a consideration of  
8 economic regulation. EDO believes it would be better to  
9 leave that to the industry rather than the safety  
10 regulators at the NRC.

11           If I were to try to describe, then, that  
12 principle in its most general terms, it would be a  
13 principle of saying those things that can happen offsite  
14 to the public health and safety that are a result of the  
15 release of fission products beyond the site boundary,  
16 those are the kinds of issues that ought to be in our  
17 equation of cost benefit; and to that extent I think  
18 that there is a disagreement between Mr. Denton's views  
19 and the EDO's views.

20           I stated EDO's views, and I think Mr. Denton's  
21 views, as best I can recall -- he has some  
22 representatives -- is those kinds of costs should be  
23 included in the cost-benefit.

24           MR. OKRENT: The offsite?

25           MR. STELLO: The plant, yes.

1 MR. OKRENT: Offsite but not onsite?

2 MR. STELLO: Yes.

3 MR. OKRENT: Mr. Kerr?

4 MR. KERR: Vic, in trying to think about the  
5 implications of what you have said, it seems to be  
6 almost inevitably when you make a decision, for example,  
7 as drastic as shall we shut down a plant, you take into  
8 account the economic implications and not just the  
9 safety implications alone, unless part of the safety  
10 implications are what does this do to the economic  
11 status of the system.

12 I am not disagreeing with what you said  
13 earlier; I am just trying to understand. When you say  
14 you don't think you ought to get into economic  
15 regulation, that is one thing; but it seems to me one  
16 cannot ignore, and I don't think one should ignore, the  
17 economics of the situation in making safety decisions.

18 MR. STELLO: I don't understand your  
19 question. Let me ask a question to make sure I do. Are  
20 you talking about regulations in terms of making backfit  
21 decisions on plants or are you talking about the  
22 implementation of the safety code and how the safety  
23 code should be as a matter of policy? If you are making  
24 a backfit, a backfit decision is you have to shut down a  
25 plant to put in a particular fix that will have the

1 plant down for three months. That is a cost and would  
2 be included in the cost-benefit balance in deciding to  
3 add the requirements.

4 I think that is another issue that is  
5 different from the issue of what happens if you have an  
6 accident in a plant, which is what the safety goal is  
7 addressing, and the plant is lost because of the  
8 accident.

9 MR. KERR: I guess I am really trying to  
10 decide -- I am saying there are certain economic issues  
11 that come into the decision-making process; is there a  
12 clear-cut way of deciding which one to do and which ones  
13 not to do, in your view?

14 MR. STELLO: No.

15 MR. KERR: Okay.

16 MR. STELLO: I think it is part of a process  
17 that will have to be developed. I have tried to give  
18 you what I think the EDO's view is on it. There are  
19 very strong arguments which could be made on the other  
20 side, which is put all cost and all benefit into the  
21 equation, put everything there and then see how it all  
22 balances out.

23 MR. KERR: What you are telling me, I think,  
24 is at this point the EDO office says here is about the  
25 point at which we think the line should be drawn but

1 other people might reach different conclusions.

2 MR. STELLO: Yes, and how the Commission will  
3 come down on this issue has yet to be decided. I don't  
4 think that the Commission has decided. Clearly there is  
5 a consistency in the logical approach going either way.  
6 It is clearly a policy matter which the Commission  
7 itself must decide.

8 MR. MATSON: Could I try to compare NRR's  
9 thinking on the subject I think with what the EDO's  
10 thinking which has just been described is? They are not  
11 that far apart, and I think the way Vic said them, they  
12 sound farther apart than they are. I think we all agree  
13 we are not in the business of economic regulation, but  
14 if a maintenance change or a design change only has  
15 implications for the equipment of the utility and has no  
16 safety implications, we don't have any business  
17 factoring in the benefit of the change to forcing them  
18 to make that change. We shouldn't even be considering  
19 those things.

20 But for those things which have significant --  
21 and I want to emphasize the word "significant," although  
22 I don't know how to define it -- significant public  
23 health and safety implications in deciding whether to  
24 make a change or testing whether it meets a cost-benefit  
25 guideline of the safety goal, NRR would take into

1 account all costs insofar as you are able to estimate,  
2 both the cost of saving the equipment that the utility  
3 owns as well as the cost of offsite cleanup, onsite and  
4 offsite, the implication for both the utility and the  
5 public in making a decision about a change.

6 MR. OKRENT: Who would pay ultimately if the  
7 utility has to put a plant down for three months to fix  
8 something? It is not the stockholders. It ends up  
9 going to the rate payers.

10 MR. STELLO: I don't believe there is anyone  
11 in this room that could give you an answer that would be  
12 universally acceptable. I don't believe there is one.

13 MR. KERR: No, I don't think so. The  
14 individual state commission --

15 MR. STELLO: Each public utility commission  
16 has certain policies which could cause the answer to be  
17 rate payers or stockholders or some combination.

18 MR. OKRENT: Suppose they are running a coal  
19 plant and the turbine fails and the plant is not  
20 available for three months and they have to buy power  
21 from Utility X. I think in the end they have an existing  
22 rate, but if they did not make a profit over the period,  
23 then factoring in that kind of cost the next time they  
24 would come to the PUC and say we only made 2 percent  
25 instead of the percentage we should have made.

1           MR. STELLO: So instead of making 3 percent  
2 this year, they have made 1 percent, so the stockholders  
3 lose the 2 percent profit they would have made. Let me  
4 finish, Roger, in that context, then. The stockholders  
5 have picked up the 2 percent burden because the PUC  
6 didn't let them put it in the rate base for that year.

7           MR. OKRENT: Unless the same thing had  
8 happened the previous year and the year before that so  
9 that it is factored into their expected.

10          MR. STELLO: That's right.

11          MR. OKRENT: So my point is over the years,  
12 then, except for some unusual event, this is factored  
13 into the rate base, I believe.

14          MR. STELLO: But you are making it sound as if  
15 it comes out on balance, and I am saying you cannot make  
16 any such conclusion because if over the years there has  
17 been bad performance with this utility historically ten  
18 years ago making a 10 percent profit and now they are  
19 only showing 3 percent, and maybe it is more. I don't  
20 know, I don't think there is any sharp way to answer it  
21 because it is controlled by the Public Utility  
22 Commission.

23                 Now, they have to allow them to make enough  
24 money to survive or they can't generate electricity, but  
25 whether that "enough money" is less or more than they

1 would have made had you not had this problem, I don't  
2 know how you would answer.

3 MR. OKRENT: My impression is that over the  
4 years, down time ends up being a cost that the rate  
5 payers have to pay for just as insurance on the plant is  
6 a cost that the rate payers have to pay for.

7 MR. STELLO: If that is your belief, I won't  
8 debate it, but we are often called to go to public  
9 utility commission hearings and they ask us was that  
10 downtime the result of an NRC requirement or something  
11 the utility fouled up with. And if they conclude it is  
12 something the utility fouled up, they don't let them put  
13 it in the rate base.

14 MR. OKRENT: I have to agree there will be  
15 differences among the states and things are fluctuating  
16 recently.

17 MR. STELLO: So that no overall, universally  
18 acceptable conclusion is possible, I don't think.

19 MR. MATTSO: But I think in the case where  
20 NRC does require some things or where you are  
21 considering a change in requirements, it would be fair  
22 to assume it is passed on to the consumer, because it is  
23 usually stated that if NRC requires it, it is a  
24 legitimate cost of doing business in the eyes of the  
25 public utility commissions.

1           MR. STELLO: Not necessarily. Most of the  
2 time I agree with you, but I think at Nine Mile Point,  
3 even some of that was being debated.

4           MR. OKRENT: This has nothing to do with the  
5 point except indirectly. I was wondering whether the  
6 NRC even considered developing a class of safety  
7 improvements which it identified and said these are  
8 potentially desirable and we will let the PUC decide  
9 whether they want to provide the rate increase to pay  
10 for that.

11           MR. STELLO: Up until you made that comment, I  
12 hadn't heard any prior consideration, but now that you  
13 have brought it up, I guess it is considered, at least  
14 for this moment. I don't know of any serious work in  
15 generating such a list, however, going on in the Staff.

16           MR. OKRENT: All right. There remains a  
17 difference, then. How would EDO treat the following?

18           MR. STELLO: I am not finished with your  
19 list.

20           MR. OKRENT: No, on the same question. If you  
21 have an accident like TMI and you damage the plant and  
22 you have offsite psychological effects, are they costs  
23 offsite or what?

24           MR. STELLO: That is such a complicated  
25 question at the moment that I don't know what one could



1 say. You know the facts as well as I do on where we  
2 stand with that issue with respect to TMI up through and  
3 including the courts, and I guess it is pending before  
4 the Supreme Court as to what the law does or does not  
5 require, and I think it will depend upon the outcome of  
6 the Supreme Court decision as to what the answer to your  
7 question is.

8           If the law says it is something that must be  
9 considered and included, then I suspect that we will  
10 abide by the law. If the law is such that it does not  
11 indicate that we are required to do it, then it is a  
12 matter of policy and it will be up to the Commission to  
13 decide that policy. In either case, I can't give you  
14 any more than I just did.

15           MR. OKRENT: Okay.

16           MR. STELLO: Now number 3. Does the EDO  
17 support the use of design objectives and operating  
18 levels, and if so, are they in agreement with the  
19 numbers proposed for use by the Staff and does the EDO  
20 have any specific comments or suggestions in this regard?

21           I think you need to start by answering this  
22 question from a very philosophical point of view, and  
23 that is: where will we go with the safety goal, at least  
24 for the near term? Will the safety goal be one that one  
25 envisions as a way in which to cause us to study and to

1 analyze the whole fabric of regulation to determine  
2 whether or not there indeed may be some holes in that  
3 fabric as we try to understand safety from the new-found  
4 tool of PRA, which needs quite a bit of comment on  
5 issues which has been made before and I won't bother to  
6 repeat?

7           If that is the way we finally go with safety  
8 goals for the near term, then it would appear that the  
9 issue of operating levels which are more closely aligned  
10 to actions that one would or would not take in an  
11 operating plant would be less needed and therefore you  
12 wouldn't have to include them in implementation plans.

13           On the other hand, if it is decided that  
14 indeed one had to develop a safety goal which was going  
15 to be thrust immediately into the licensing and decision  
16 process of the day-to-day business of the agency, I  
17 guess then the question would arise as to how to develop  
18 operating levels and decide on appropriate causes of  
19 action, and it would seem then to be more appropriate.

20           It is the EDO's view that it would lean toward  
21 a use of the safety goal for some trial period which  
22 would align itself more toward this generic, sweeping  
23 review of where we are going, looking at how to  
24 prioritize research programs and what we ought to do,  
25 the development of new regulations, so that then you

1 would not need to include them.

2           Again, I hasten to add that is clearly a  
3 decision that the Commission will have to make, and it  
4 is, in fact, one of the questions that has gone forward  
5 to the Commission itself to address. I don't really  
6 think we can discuss in a great deal of detail how we  
7 ought to move forward with them today until we really  
8 get more guidance from the Commission.

9           I can see the whole structure of a safety goal  
10 into the routine day-to-day decision process as being  
11 one that needs to be put in very carefully and very  
12 slowly. I think it has high promise, especially the  
13 concept of starting to look at what we have already have  
14 and can learned from PRA analysis, but it clearly can  
15 make the licensing process very cumbersome, trying to  
16 change from a decision process which would have a go or  
17 no-go gauge built into the policy. I don't believe that  
18 is the Commission's intent. I don't believe that is  
19 what they want to do, but they will need to speak to it  
20 as they answer these questions.

21           MR. KERR: Vic, I would assume the Commission  
22 would also look to people who are going to have to use  
23 this for a good bit of guidance on what they think is  
24 practical and usable and makes sense. I recognize that  
25 you have to look to the Commission for policy guidance

1 on how to put this into effect, but don't they also look  
2 to the Staff for a great deal of guidance on what the  
3 Staff's experience would indicate is practical at this  
4 stage?

5 MR. STELLO: I think the Staff has made it  
6 reasonably clear that thrusting the whole safety goal  
7 approach in a licensing process would be a mistake, and  
8 we do not recommend it. We recommend a go-slow approach.

9 MR. KERR: Can you respond to question 3 in  
10 that context then? If you were using it on a trial  
11 basis, does it make sense to talk about design  
12 objectives and operating levels or is that too specific  
13 at this point?

14 MR. STELLO: If the trial use is to use it on  
15 individual cases and hearing processes, it makes more  
16 sense if that is what you are going to do, but that is  
17 not what is recommended. So if you use it the way it  
18 has been recommended, that we forward this, there is  
19 clearly less need. Now, if the Commission decides they  
20 want to use it --

21 MR. KERR: Wait. Do you have a view on the  
22 most useful way which one could try it out to see if it  
23 will work? I certainly don't know at this point. I  
24 don't have an opinion that yes, this will work.

25 MR. STELLO: I tried to describe that. Maybe

1 I haven't done it well. Let me try it again. If you  
2 look at the collection of PRAs we now have and you  
3 assign them to a group, perhaps Research or somewhere,  
4 and you give that group this collection of PRAs and the  
5 policy guidance now contained in the safety goal, <sup>-4</sup> 10  
6 core melt, the link to cancers, the early fatalities,  
7 and even the ALARA concept, and you ask this group to  
8 take these collections of PRAs, use them, examine the  
9 PRAs, examine the regulatory approach, what has been  
10 called the deterministic way in which we have regulated,  
11 and look, are there inherent weaknesses or gaps in this  
12 regulatory approach that ought to be fixed up? Are we  
13 going too far such that we ought to back up and  
14 reexamine the regulatory process and use the safety goal  
15 on a trial basis?

16 In that way I think it could teach us a great  
17 deal and allow us to become more proficient at the uses  
18 as we move forward into clearly the more complex issue  
19 of trying to make individual decisions on individual  
20 cases with the safety goals. That is the way in which I  
21 believe there is a general belief on the Staff's part as  
22 to moving forward.

23 MR. KERR: Thank you.

24

25

1           MR. OKRENT: I think the committee indicated  
2 in its comments of June that it thought that one had to  
3 move cautiously into the application of this  
4 methodology, and I suspect you will find agreement with  
5 looking at the existing regulations as to where they are  
6 asking for things that are superfluous and where there  
7 may be gaps.

8           But it is a fact of life that things arise  
9 with some frequency that resemble the decision making  
10 involving operating levels. In other words, you  
11 identify something and you make some estimate crudely of  
12 the magnitude of the situation, and you decide some way  
13 I will fix it right away, they cannot start up until  
14 they fix it; we have a couple of years to think about  
15 this or whatever; we will try to study it quickly in the  
16 next 6 months and then decide.

17           Those are decisions which at least resemble  
18 this idea of design objectives from an operational  
19 level. So I think if you just say, well, we are going  
20 to apply safety goals only to looking at the fabric of  
21 regulations, I think it is a little bit of a fiction.  
22 This other part is part of the regulatory life.

23           MR. STELLO: It is today.

24           MR. OKRENT: Yes.

25           MR. STELLO: If someone did an analysis and

1 you knew what the likelihood or probability whether it  
2 was a PRA or something someone did simply and crudely,  
3 you would take that into account in the decision-making  
4 process, just as everything else. You say that like it  
5 is new.

6 MR. OKRENT: No, it is not new.

7 MR. STELLO: It has been going on ever since I  
8 have been in this business. What else is new? Why are  
9 you making the point? We have always done that. To the  
10 extent you have the information, you use it, clearly.

11 MR. OKRENT: The point is that there is not,  
12 so far as I know, Commission guidance on how these  
13 decisions should be made on these individual things  
14 which are not usually ASLB things, they are things  
15 beyond the Staff, NRR has to arrive at some decision on.

16 MR. STELLO: Are you saying you think the  
17 Commission ought to issue a speed limit like we have in  
18 the safety goal at the moment that says, if it is  
19 <sup>-2</sup> 10 , do this; <sup>-3</sup> 10 , do that; <sup>4</sup> 10 , do something  
20 else? Do you advocate that that would be a good thing  
21 to have at the moment? I guess I at best have a  
22 lukewarm feeling toward doing that. I think it would  
23 distract us from the real purpose of how to move forward.

24 MR. KERR: In making the aux feed case, did  
25 you not almost do that?

1 MR. STELLO: I said I have no problem in a  
2 limited sense if I do a probability analysis to take it  
3 into account. If I have the information, I will  
4 surely. And, in fact -- Roger, help me -- I think in  
5 San Onofre we came close to giving them a number saying,  
6 with respect to the PORV. Did we not have a standard we  
7 were looking at in the aux feed?

8 MR. MATTSON: In the Standard Review Plan.

9 MR. STELLO: 10<sup>-4</sup>. And I am not surprised.

10 We had other numbers for external events and hazards of  
11 10<sup>-6</sup>. I have forgotten the standard of review. 2.0,  
12 2.23? That has been there for, what, 10-12 years?

13 MR. BERNERO: Ever since the Standard Review  
14 Plan started.

15 MR. STELLO: I am all for whatever we can  
16 develop to use as tools in the decision process. But I  
17 do not know that we are ready to codify it in the way of  
18 a standard as Commission policy.

19 MR. MATTSON: Maybe it is useful to try to  
20 compare the formal on-the-record decision process that  
21 has to occur in a legal hearing process. The weight of  
22 evidence and proving one is in conformance with a  
23 deterministically stated regulation, and the less  
24 formal, less judgmental process that one goes through as  
25 one sorts out new information and decides what action to



1 take in the context of those regulations.

2           Now, the implementation plan, the way it is  
3 written today, attempts to say, keep PRA and the safety  
4 goal out of the licensing process, but still have  
5 operating levels that can be used in making those less  
6 formal decisions about what is important and what is  
7 unimportant.

8           The EDO proposal, the decision Vic has  
9 described, says, it is probably difficult -- I am  
10 reading into it -- it is probably difficult to keep out  
11 of the formal process those rules-of-thumb, those  
12 operating levels. And in the spirit of go slow, do it  
13 right, do not rush into this and mess it up, the removal  
14 of the operating level keeps the use of the PRA and  
15 safety goals in the informal process less formal, less  
16 susceptible to manipulation by the optimist and the  
17 pessimist, each of whom has a sharp pencil in the  
18 licensing process. It will interfere with everyone in  
19 rushing too quickly with the safety goal of the PRA.

20           MR. STELLO: Moving right along, question  
21 number 4. On page 3 of your memo the phrase is used,  
22 "Where the average individual received low doses, a few  
23 millirem per incident," how were you defining average  
24 individual? Help me to make sure this is right. Is an  
25 average individual average biologically and locationally

1 within 1 mile of the plant?

2 MR. OKRENT: Within 1 mile?

3 MR. STELLO: On page 3 it is the 1-mile  
4 annulus, I think.

5 MR. OKRENT: Gee. It says, "A large number of  
6 incidents where the average individual would receive  
7 relatively low doses." I was under the impression that  
8 those were not the kinds of things you would be doing  
9 very much with. If the average individual within 1 mile  
10 only receives a few millirem, not that I want to give  
11 anybody a millirem, but I get a few millirem just flying  
12 to Washington and back. I did not think that this was  
13 what the safety goals were addressing.

14 MR. STELLO: Wait a minute. What do you think  
15 it means to say a .1 percent increase in cancer? That  
16 means 20 millirem.

17 MR. OKRENT: Yes. But accidents are an  
18 infrequent event.

19 MR. STELLO: But the revised safety goals also  
20 had routine releases.

21 MR. OKRENT: Is this comment in terms of  
22 routine releases?

23 MR. STELLO: I would have to go back to read  
24 the comment. The present version of the safety goal, as  
25 presented, now includes both accidents and routine

1 releases. The .1 percent cancer increase turns out to  
2 be 20 millirem. 20-millirem incidence. 20-millirem  
3 incidence are now to be evaluated according to the  
4 current draft of the safety goal in terms of routine  
5 operation and accidents and transients.

6           The accident releases are one issue, and  
7 routine releases are another issue. Whenever you get  
8 down to trying to evaluate into the few millirems, you  
9 now clearly raise the question of is that even required  
10 for routine events, routine operation? I do not  
11 remember the regulation with a great deal of precision,  
12 but in Appendix I it says if you have a real individual  
13 and he can get a dose in excess of 5 millirem, then you  
14 have to do ALARA to the tune of \$1,000.

15           MR. KERR: But that is within a 50-mile  
16 radius, too.

17           MR. STELLO: Yes. This is an issue that I  
18 think needs very careful consideration, because it could  
19 go beyond what we do for routine releases. And my  
20 recollection is that was the thrust of the comment.

21           MR. MARK: Vic, the comment referred to  
22 "latent cancer fatalities."

23           MR. STELLO: Yes.

24           MR. MARK: And that is not the 1-mile zone,  
25 that is the 50-mile zone.

1 MR. STELLO: No.

2 MR. MARK: There is nothing about latent  
3 cancers in the 1-mile zone in the proposed goals.

4 MR. STELLO: In the present version, latent  
5 cancers are calculated out in a 1-mile annulus with the  
6 belief that if that is okay, it is okay all the way out.

7 MR. MARK: Do you mean it has a 1-mile radius?

8 MR. STELLO: 1-mile annulus from the site  
9 boundary, out 1 mile. If you had a circular site  
10 boundary, it would be everyone from within the site  
11 boundary out to 1 mile further, from that point out.

12 MR. SIESS: The exclusion boundary plus a mile.

13 MR. MARK: That is for the prompt fatalities.

14 MR. STELLO: That is for both now.

15 MR. MARK: It is for both?

16 MR. ERNST: There is a proposed numerical  
17 guideline for latent cancers to the average individual  
18 and for prompt death to the average individual. Both of  
19 these average individuals are out to 1 mile. There is  
20 also a societal limit proposed which goes to 50 miles.

21 MR. MARK: And that only considers delayed  
22 cancer?

23 MR. ERNST: Yes.

24 MR. STELLO: I have had a chance to read  
25 this. If you read on page 4, it says, "The

1 implementacion plan had a proposal in it to use an ALARA  
2 down to 1/10th of design objectives." And as I told  
3 you, a tenth of a percent increase in cancer risk is 20  
4 millirem. 1/10th of that is 2 millirems. So you would  
5 be doing ALARA down to 2 millirem. That at least  
6 conceptually could be contrasted to be inconsistent as  
7 to what we do for normal operations.

8 Dave, you look puzzled. Have I gotten through  
9 to you yet or not? Hello?

10 MR. OKRENT: I think I have the drift of what  
11 you are saying. I would not want to try to explain it.

12 MR. STELLO: Have I failed to explain it with  
13 sufficient clarity so that you can understand it?

14 MR. KERR: I can understand the 2-millirem  
15 limit for normal operation when in Appendix I you go  
16 down literally to microrems for the individual at the  
17 radius of a 50-mile zone, and that is for normal  
18 operations.

19 MR. STELLO: Right.

20 MR. KERR: I must admit I think this is a lot  
21 of nonsense, but it is done.

22 MR. STELLO: The analogy is if you take 1/10th  
23 the design objective and suggest doing an ALARA, you  
24 will be doing ALARA down to those levels of 2 millirem.  
25 If a real individual is getting 2 millirem a year for

1 normal operation, do you need to do an ALARA? I think  
2 the answer is: no.

3 MR. OKRENT: I do, too, but I wish someone  
4 would go back and change Appendix I correspondingly.

5 MR. STELLO: No, I think Appendix I said the  
6 maximally exposed individual, not more than 5 MR.

7 MR. KREE: That is the maximum that could be  
8 released, but now, having the release, you have to do  
9 ALARA by calculating the man-rems within a 50-mile  
10 radius, and you do not cut off at any 2 millirems.

11 MR. STELLO: That is right. It goes beyond  
12 that.

13 MR. MATTSON: But the ALARA prescription in  
14 Appendix I has never been used, because in getting down  
15 to the 5 --

16 MR. KERR: I do not care whether it is being  
17 used or not; it is there.

18 MR. STELLO: I am trying to draw that analogy  
19 because of the fact that if you take 1/10th of the  
20 design objective, you are doing ALARA down to 2  
21 millirem, which clearly seems to be beyond what was  
22 intended.

23 MR. BERNERO: Excuse me. One thing you should  
24 point out when you are doing routine-release ALARA  
25 calculations, you are dealing with a spectrum of

1 population, the worst of which people receive a  
2 few-millirem dose and the rest are receiving down to the  
3 micro-rem.

4           When you do the same sort of calculation of  
5 the same range of an accident calculation, you deal with  
6 people at the front end of it who might have received  
7 fatal doses -- many, many rem -- and then grading  
8 downward to the micro-rem. So you really do not have  
9 the same sort of calculational problem in the accident  
10 ALARA as you have in the routine-release ALARA.

11           MR. KERR: I do not see what the calculation  
12 technique has to do with it. We are talking about the  
13 people in both cases and the exposure.

14           MR. BERNERO: Except if you went in and took  
15 the accident calculation of integrated man-rem and said,  
16 what I am going to do now is stop the computer when it  
17 gets down to, say, 1 millirem, I will not count anything  
18 below 1 millirem, you will not make a big difference to  
19 that calculation, the result will not change very much.  
20 In the Appendix I it would. If you stopped the computer  
21 at 1 millirem, you will stop with the first few people  
22 at the site boundary.

23           MR. KERR: I did not realize we were  
24 protecting computers. I was talking about people.

25           MR. BERNERO: I am talking about the result,

1 the integrated man-rem to a population group from  
2 routine release as against the integrated man-rem from  
3 accident release.

4 MR. OKRENT: Okay. Why do we not go on, Vic?

5 MR. STELLO: I will take that to mean that I  
6 have now persuaded you that what I say is true.

7 (Laughter.)

8 Could you elaborate on your final comment that  
9 the Commission may wish to consider the effect that its  
10 discussion of PRAs and the safety goals might have on  
11 this hearing? And I assume that that must refer to the  
12 Indian Point hearing. The Indian Point hearing clearly  
13 deals with an issue that is a PRA issue. How it is  
14 dealt with and to the extent that we forge ahead, I  
15 think we will be generating some sort of precedents, not  
16 being in a position to have allowed whatever goes on in  
17 that hearing, define and set forth the precedents of  
18 what to do for all time. It is a recognition in calling  
19 to the Commission's attention that that is the reality  
20 of what is going on.

21 MR. OKRENT: I could not tell whether the  
22 Commission had to watch what it said when we talked  
23 about PRAs and safety goals because this might affect  
24 the hearing, the term used is "the effect its  
25 discussions of PRAs and the safety goals might have."



1 Or is it just any decision they ultimately take might  
2 have on the hearing?

3 MR. STELLO: All of those.

4 MR. OKRENT: Okay, I will let it go at that.

5 MR. STELLO: Whatever conclusion they reach  
6 can have an effect on the hearing.

7 MR. OKRENT: Oh, conclusions.

8 MR. STELLO: Whatever they say on this issue.  
9 And they need to take that into account.

10 MR. SIESS: And by "say," you mean formally,  
11 not in discussion?

12 MR. STELLO: Yes. I think they would need to  
13 speak, to the extent that they come forward with it, if  
14 it is to be used and then how.

15 MR. KERR: This is a good question to invoke  
16 the principle of res ipsa loquitur.

17 MR. OKRENT: Does that mean we go to lunch?

18 MR. SHEWMO: I will second that motion.

19 MR. STELLO: Call for a question, Robert's  
20 Rules of Order.

21 MR. OKRENT: It looks to me like we are a  
22 little behind the agenda. Can we eat in 37 minutes?

23 (Chorus of nos.)

24 MR. OKRENT: 45 minutes. All right, we will  
25 be back at 1:40.

1                   (Whereupon, at 12:55 p.m., the meeting was  
2 recessed, to reconvene at 1:40 p.m., this same day.)

- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

AFTERNOON SESSION

(1:45 p.m.)

1  
2  
3 MR. OKRENT: The next speaker is Dr.  
4 O'Donnell, who has asked for time to comment.

5 Please come to the podium.

6 MR. O'DONNELL: Good afternoon. My name is Ed  
7 O'Donnell. I am a division vice president with Atomic  
8 Industrial Forum, and I am also chairman of the AIF  
9 subcommittee on PRA.

10 As you know, the AIF has been very closely  
11 following the development of the NRC safety goal policy,  
12 and we have had several meetings with the subcommittee.  
13 We have reviewed the February draft policy statement  
14 issued for public comment and filed our detailed  
15 comments on it with the Commission on May 18.

16 In addition, we have reviewed the more recent  
17 documents that were presented to the Commission in July,  
18 including the draft Staff implementation plan for the  
19 safety goals and the proposed revisions to the policy  
20 statement. We are in the process of developing detailed  
21 comments on those documents, which will be submitted to  
22 the Commission shortly.

23 We welcome the opportunity to share our  
24 thinking with the subcommittee this afternoon on this  
25 matter. We basically have a concern that the documents

1 as presented in July are losing sight of the original  
2 reasons for developing a safety goal policy, which, in  
3 our view, are to provide a statement of the Commission's  
4 views on what is an acceptable level of risk and to  
5 serve as a means for improving current deterministic  
6 requirements by using PRA to identify, where necessary,  
7 if cost-beneficial changes are warranted in existing  
8 regulations.

9           The safety goal policy, as we understand it,  
10 was never intended to provide an additional layer of  
11 licensing review or to act as a substitute for  
12 deterministic regulations. Unfortunately, we believe the  
13 documents as presented, if they were adopted, would do  
14 pretty much that. And I will summarize for you our  
15 major concerns on these documents.

16           I hope you can read that. If not, I will  
17 discuss them in great detail in the 15 minutes allotted  
18 me.

19           As it is my only slide, you will have a great  
20 deal of time to study it.

21           MR. SIESS: Gary, make some copies of it.

22           MR. GRIESMEYER: Shall I just make copies of  
23 it, Ed?

24           MR. O'DONNELL: There is just one slide, and I  
25 will cover it all in detail. We are limited in time

1 anyway.

2           Our first and major concern with the documents  
3 is with regard to the use of safety goals and the PRA in  
4 individual plant licensing reviews and hearings. As we  
5 read -- and this concern deals with the implementation  
6 plan -- as we read that document, it very clearly  
7 indicates that the Staff intends to require safety goal  
8 PRAs as part of licensing applications for future plants  
9 and for selected operating license plants, for plants in  
10 the pipeline and will, in fact, require those plants to  
11 meet various safety goals.

12           It indicates that for an operating license  
13 application and for operating reactors, certain fixes  
14 will have to be made if the plant exceeds operating  
15 limits. And for high-population density sites, it  
16 indicates the safety goal PRAs will be required. And  
17 for INREP, whatever that is, that the PRAs will have to  
18 be submitted for Staff review.

19           All of this very clearly is moving in the  
20 direction of requiring PRAs to be part of license  
21 applications and part of the licensing process. The  
22 document pretty much accepts the fact that the Staff  
23 believes that hearing boards will have to get into these  
24 issues and have to rule on acceptability of PRAs and  
25 whether or not plant applications meet or do not meet

1 the safety goals.

2 All of this, we feel, is counter to the  
3 initial objective, which was to introduce PRA and safety  
4 goals as a means of generically improving the existing  
5 licensing and regulatory process. We feel it is very  
6 important that the implementation plan steer away from  
7 enumbering the existing licensing process -- that is,  
8 the process of review and hearings on a specific  
9 application -- from introducing these new elements.

10 The second item deals with what we feel is a  
11 clear lack of assignment of burden of proof for  
12 justifying changes to existing requirements.

13 Again, getting back to the framework we  
14 believe should be in place in using PRA and safety goals  
15 to justify changes, the implementation plan does not  
16 really address the issue of the burden of proof, and we  
17 can only assume that in the absence of the acceptance of  
18 that burden by the Staff, that will be assigned to the  
19 applicant or the licensee.

20 That is, it will be up to the individual  
21 applicant or licensee or the industry in general to bear  
22 the burden of disproving that some new proposed  
23 requirement is, in effect, not needed, rather than  
24 placing the burden on the Staff or the proponent of a  
25 change to demonstrate that it is, in fact, needed. So

1 we feel that the implementation plan should much more  
2 clearly assign the burden of proof for justifying  
3 changes.

4           As we have stated in our position papers on  
5 this matter, we feel that safety goals and PRAs have a  
6 very important role to play in controlling change.  
7 Change basically occurs in three areas: through generic  
8 rulemakings, through exemptions to regulations, and  
9 through backfitting.

10           And once a plant has demonstrated compliance  
11 with existing regulations, changes to those existing  
12 requirements should be justified by the body or  
13 proponent of the change with respect to the cost-benefit  
14 role, and the party proposing the change should bring  
15 forth the evidence that a demonstration that this change  
16 is, in fact, necessary and cost-beneficial.

17           MR. OKRENT: Before we leave that point, I  
18 guess if I tried to remove myself from the arena and ask  
19 myself what I would like to have happen, not only in  
20 nuclear reactor safety but elsewhere, I guess I would  
21 like a licensee who is responsible for the safe  
22 operation of a plant to accept that responsibility, and  
23 where a question arises, provide the reasons why it is  
24 acceptable to continue running, just as much as I would  
25 like the regulatory agency to examine what is going on

1 and where they find something questionable, state why  
2 they think it is questionable and what change should  
3 occur and why.

4           You seem to be suggesting they should all be  
5 in one court: the NRC. Am I misreading you?

6           MR. O'DONNELL: Yes, I think you are  
7 misreading that, Dr. Okrent. What we are really saying  
8 is, we need to somehow get control of the process of  
9 regulation. And the most burdensome thing to the  
10 industry, and I think the Staff, has been the lack of a  
11 feeling that we are already at some acceptable level of  
12 safety, and from here on after, changes will be  
13 basically in the area of fine-tuning and improving the  
14 process.

15           MR. OKRENT: Are you saying we are at this  
16 level? I am not quite clear that we know we are at this  
17 level.

18           MR. O'DONNELL: I am not sure that we know,  
19 but I think that should be the first question answered:  
20 where are we?

21           MR. OKRENT: Ah, I agree with that. And who  
22 should try to develop those answers, in your opinion?

23           MR. O'DONNELL: I think the main job, the main  
24 responsibility for answering that question, rests with  
25 the Regulatory Commission. Having issued 70 or 100 or



1 more licenses which basically purport to indicate that  
2 these designs are acceptable, I think the basic  
3 responsibility for reevaluating that decision-making  
4 process rests with the Regulatory Commission.

5           MR. OKRENT: It seems to me again that that is  
6 only half of what I as a citizen would be looking for.  
7 I do not see why the licensee, who is responsible for  
8 safe operation, does not have an equal burden of  
9 examining the safety of his plant if new techniques are  
10 developed by which he can examine it and sort of share  
11 the burden. And I have not seen the AIF come in with  
12 what I would call a shared approach.

13           MR. O'DONNELL: I think what we are proposing  
14 is a shared approach. In fact, we are proposing that if  
15 the industry or an applicant is proposing to do  
16 something less than currently required in terms of  
17 seeking an exemption or a reduction in requirements,  
18 that burden rests with the industry if it is proposing  
19 that change.

20

21

22

23

24

25

1           A minute ago you were asking if we knew what  
2 the safety level was, and you agreed to some point this  
3 remained to be ascertained.

4           MR. O'DONNELL: That is true. I think I have  
5 my own notions about where the level is, but I think the  
6 Regulatory Commission bears the obligation to make that  
7 determination and not the industry. If you are asking  
8 the industry to say whether the ground rules that are  
9 already in place are adequate, I think that places an  
10 unfair burden on the applicant who is going to be  
11 proposing a design that ostensibly meets what at any  
12 point in time are the acceptable requirements for  
13 getting a license.

14           If you are saying, okay, you meet those  
15 requirements but still we want you to come in even after  
16 you have your operating license and show us that yes,  
17 you have a continued level of safety, that is somehow  
18 acceptable with respect to a different set of rules.

19           MR. OKRENT: I believe in the United Kingdom  
20 there are some requirements, but there is a general law  
21 which is that a licensee or the operator of a factory or  
22 so forth is supposed to keep the risk as low as  
23 practicable or practical. In other words, the person  
24 running the thing has some responsibility, and it is not  
25 just to meet the minimum requirements. The British from

1 time to time have criticized the U.S. approach, saying  
2 the licensees only meet what the NRC says, and you sort  
3 of fall into the pattern of those who criticize, as I  
4 listen.

5 MR. O'DONNELL: I would be surprised if the  
6 British put into practice exactly what you say.  
7 Basically the use of the ALARA principle in that sense,  
8 that is, it is always up to the licensee to prove that  
9 he has done everything that is cost beneficial, is in  
10 effect institutionalizing instability and leaving always  
11 open to question the issue of whether or not your plant  
12 is safe enough, and I don't think a stable regulatory  
13 process can operate very long and have many applicants  
14 continuing come forth with applications unless they know  
15 what the groundrules are and they have some idea that  
16 meeting these requirements will at least get them a  
17 license and give them a good level of confidence that  
18 they will be able to operate the plant.

19 The issue of whether you need to do better, I  
20 think, is an issue that should be shared between the  
21 industry and the Regulatory Commission; but again,  
22 somewhere someone has to bear the burden of proof for  
23 saying this change is required, and I think the process  
24 we propose is one which imposes discipline on both the  
25 NRC and the industry in that if the NRC wants to do

1 something that will drive risks further down, they bear  
2 the burden of proof. If the industry wants to back off  
3 from a requirement or seek an exemption, they bear the  
4 burden of proof.

5 MR. KERR: May I get into this dialogue?

6 MR. OKRENT: Please.

7 MR. KERR: The implication I get is that  
8 changes occur only through some system that may be  
9 slightly artificial, called a regulatory process. As I  
10 have observed changes in this business over the years,  
11 some changes have occurred simply because people were  
12 ignorant of the physical processes and the complexity of  
13 the systems with which we were dealing. It didn't have  
14 anything to do with the regulatory process. It had in  
15 some cases to do with ignorance. It had in some cases  
16 to do with mistakes, and once incidents occurred, I  
17 think everyone involved agreed changes were needed.

18 Now, it seems to me when those situations  
19 arise or when one finds them by looking, that the  
20 responsibility for corrections ought to be shared, for a  
21 number of reasons. In the first place, the people who  
22 own these plants have a tremendous investment. If they  
23 don't operate them, they lose a lot of money. In the  
24 second place, I think the technical capability for  
25 suggesting the changes that need to be made lies perhaps

1 more in the industry than it does in the regulatory  
2 process and hence is likely to give better cures or  
3 fixes or better risk reduction processes if the industry  
4 is involved.

5           And it concerns me to hear you say, and I  
6 can't really believe that you mean this, that you think  
7 the responsibility for risk reduction lies in the  
8 regulatory system. I don't understand this attitude at  
9 all. It seems to me that the responsibility must be  
10 shared if it is ever to work because I think the people  
11 who are going to make the system safe are not those who  
12 sit in the regulatory system but those who operate the  
13 plant and those who design it and those who make changes  
14 when they seem to be needed to reduce risk.

15           MR. O'DONNELL: I think the key point in your  
16 statement, Dr. Kerr, is that we have found changes which  
17 everyone agreed were justified. I think that is the key  
18 issue. If everyone can agree they are justified, I  
19 assume they would be made. What we are talking about  
20 here is putting in place a mechanism for demonstrating  
21 that justification. If that comes from the NRC Staff in  
22 terms of a risk-benefit or cost-benefit analysis --

23           MR. KERR: But Dr. Okrent raised the question  
24 of who was responsible to see that the risk was  
25 acceptably low. The impression I got from your response

1 was you felt the industry had no responsibility for that  
2 at all.

3 MR. O'DONNELL: Oh, no. Let me clarify that.  
4 I think the industry has done a great deal. In fact,  
5 the industry is doing all of these PRAs the Staff is  
6 currently reviewing as part of its determination, so  
7 there is definitely a shared responsibility there. My  
8 point is the ultimate decision on this has to rest with  
9 the Commission as in any decision on acceptable risk.

10 I think the industry has gone a long way  
11 towards doing the risk assessments and looking at plant  
12 designs with respect to PRA, but if you are saying that  
13 we are going to have a regulatory structure that  
14 constantly calls into question the acceptability of any  
15 plant that is licensed, that in effect is  
16 institutionalizing the problem we have had all along,  
17 that is, having some means of controlling changes.

18 MR. BENDER: Ed, I had a couple of different  
19 aspects of the problem I wanted to explore with you.  
20 One is you made the point, I thought, earlier that one  
21 of the reasons why the industry as individuals couldn't  
22 do it was there were 70-odd and there will be 100-some  
23 odd licenses around, and one organization by itself  
24 couldn't do more than measure the adequacy of the plant  
25 against the existing regulation. Was that the point you

1 intended to make?

2 MR. O'DONNELL: I am --

3 MR. BENDER: Shall I try it again?

4 MR. O'DONNELL: Yes.

5 MR. BENDER: If there are 70-odd licenses out  
6 there somewhere and each one is based upon some set of  
7 regulations that were used in the licensing process  
8 initially, then it would probably be difficult for one  
9 licensee to decide to do better than the other 70 by  
10 himself. Is that the argument you are making?

11 MR. O'DONNELL: No, I don't think that it is.

12 MR. BENDER: Well, I would have thought that  
13 would have been a tenable argument, but perhaps it is  
14 not. Let me ask you the other half of the question,  
15 then. When one looks at the requirements for safety in  
16 these plants, the Regulatory Commission has a viewpoint  
17 that has to do with its obligation to the health and  
18 safety of the public, and it doesn't really try to make  
19 judgments about how much it costs to do things or  
20 whether the utility can afford to do them or not,  
21 because it doesn't set the rates.

22 Is there an obligation on the part of the  
23 utility to come in and make a case to the Commissioners  
24 about how much it should be willing to pay for certain  
25 kinds of safety improvements?

1           MR. O'DONNELL: I don't know. Certainly the  
2 utility would have an obligation, I guess, in the  
3 economic sense to its shareholders and rate payers that  
4 it was doing everything reasonable to protect its  
5 economic investment. Whether that is an argument that  
6 needs to be made to the Nuclear Regulatory Commission  
7 is, I think, a different matter. The Nuclear Regulatory  
8 Commission's charter, I think, is focused on safety and  
9 not on economic issues, so I think, yes, they do have an  
10 obligation to protect their investment, but no, they do  
11 not have that obligation to the NRC.

12           MR. BENDER: Can they argue, for example, that  
13 no, we cannot make this improvement because our rate  
14 base won't permit it unless you put into the regulations  
15 that it is a requirement? Can they make that type of  
16 argument?

17           MR. O'DONNELL: Perhaps. I think the way we  
18 envision the cost-benefit process working would not  
19 encompass that question. The way we see this thing  
20 working is that if the NRC determined that some change  
21 was in fact cost-beneficial with respect to allowable  
22 direct costs as offsetting against radiological risks,  
23 then that change ought to be made whether or not the  
24 utility could recover the cost of that through some  
25 mechanism or another.



1           MR. BENDER: That is only one basis for  
2 judgment. I guess a lot of us are not too happy with the  
3 man-rem basis for judging improvements, but there are  
4 other things you can deal with. There are reliability  
5 questions having to do with how reliable a piece of  
6 hardware ought to be and whether the basis for assuring  
7 its reliability is well-founded or not. Who should take  
8 such initiatives to determine whether the facts in the  
9 case justify a claim of reliability on a piece of  
10 hardware? And if it turns out the claim can't be  
11 substantiated, whose obligation is it to take action to  
12 do something different?

13           MR. O'DONNELL: I guess you would have to look  
14 at the issue. If the regulatory staff was proposing  
15 something indicated to be a cost-beneficial change and  
16 you could justify that on a generic basis, I think the  
17 burden would shift to the individual applicant to  
18 somehow demonstrate that for his specific case, that  
19 judgment was not applicable.

20           MR. BENDER: I am dealing with it in a  
21 slightly different form. I think the contention which  
22 has been made properly is the Regulatory Commission is  
23 not in the business of redesigning or even designing the  
24 plants initially. It is up to the applicants and  
25 licensee to do the design, so they cannot offer you a

1 design and say this is what should be done. Instead,  
2 the Regulatory Commission's practice might be to say the  
3 level of reliability for this piece of hardware can't be  
4 justified by the experience up to now: what should the  
5 utility do to correct the situation?

6           Would the industry be responsive to that kind  
7 of question?

8           MR. O'DONNELL: I think this gets into the  
9 need to reexamine existing requirements. If the NRC has  
10 done a study or commissioned a study or utilities have  
11 done a study that calls into question the reliability of  
12 some piece of equipment, I would think it would be  
13 appropriate to reevaluate the existing deterministic  
14 requirements that apply to that piece of equipment in  
15 the context of overall risk, and if those existing  
16 deterministic requirements do not deliver what is felt  
17 to be an adequate level of reliability or protection  
18 against risk, then a change would be made in the  
19 deterministic requirement.

20           The station blackout issue, I think, is a good  
21 one. Currently there is no hard and fast criteria that  
22 deal with that issue, and it is something the Staff is  
23 evaluating on a probabilistic basis. I would hope the  
24 end point of that analysis would not be design all of  
25 your electric power systems to 10<sup>-5</sup> reliability. But

1 if there is a need to change existing requirements, that  
2 would be done deterministically. That is, there would  
3 be some requirement that you have to maintain the plant  
4 in a safe condition in the absence of AC power for some  
5 reasonable period of time.

6 MR. BENDER: If I accepted the deterministic  
7 position that said I will get the answer by  
8 deterministic methods, whose job is it to do the  
9 determination?

10 MR. O'DONNELL: The problem we have with the  
11 existing implementation statement is I think it places  
12 the burden on the industry for justifying the existing  
13 design, with the penalty being that you shut the plant  
14 down or you don't get your license. That is a pretty  
15 stiff penalty and will, I think, discourage in essence,  
16 as I said, again, the institutionalization of  
17 instability. If you make that the penalty for not  
18 justifying why you are okay, then no one will take a  
19 chance on submitting a design they are completely unsure  
20 of in terms of getting a license or continuing  
21 operation. If you set the penalty level that high, then  
22 you basically have a completely unstable regulatory  
23 system.

24 If you want the industry to accept some  
25 responsibility, I think it has to be in a less

1 threatening situation; we want you to seek out changes,  
2 we want you to look for ones that are cost beneficial,  
3 but not in the sense that if you don't do what we  
4 propose, you are out of business.

5 MR. OKRENT: Mr. Ward.

6 MR. WARD: What would you think, following up  
7 on what you have said, of an approach that went  
8 something like this. The NRC would enunciate a safety  
9 goal, perhaps something like the existing one, and this  
10 would be a goal, a statement to the public or to  
11 whomever it is that cares, but then the NRC would take  
12 upon itself the responsibility and hold the bag for  
13 translating that sort of goal into some rather few and  
14 rather unambiguous -- as unambiguous as possible --  
15 criteria for plant operation and design. Perhaps these  
16 would be largely deterministic. Perhaps some of them  
17 would be probabilistic and be reliability numbers for  
18 large systems or something like that. Maybe some of  
19 those would be new if this is really a whole new  
20 process; maybe some of those would be different from  
21 existing deterministic requirements.

22 But if we believe the PRA process and if we  
23 believe the validity of the safety goal and the NRC does  
24 its best job, these perhaps are important, new, specific  
25 criteria. Would the industry then be willing to examine

1 the existing plants and new plants against those  
2 criteria and accept that as part of its task and then  
3 the whole process would, the NRC would say to the public  
4 this is the risk that the industry is giving to the  
5 public; we have translated that into some specific  
6 criteria for which we hold responsibility; the industry  
7 has told us they will now meet those specific criteria?  
8 Is that a process that could work and that the industry  
9 would be willing to do its half of?

10 MR. O'DONNELL: I think the industry has  
11 already done a good part of that process in doing a lot  
12 of the risk studies that you were describing. To date  
13 we have about, I guess, a dozen or more PRA studies of  
14 specific plants, some done in more degree than others,  
15 and about half of them, I would say, have been done by  
16 the NRC Staff and its contractors, the other half by the  
17 industry. We think it is time for the Staff to step  
18 back and see where we stand with respect to all of the  
19 studies that have been done; what do they mean in terms  
20 of "overall levels of risk," and what areas do they  
21 identify as candidates for future change? But I don't  
22 think we are at the point where we can say yes, the  
23 industry is willing or the NRC should even endorse the  
24 idea that we are going to set these numerical goals for  
25 each and every plant that has to be met as a condition

1 for licensing or a condition for continued operation.

2 MR. WARD: What sort of numerical goals? I  
3 guess that is the question. Are the numerical goals in  
4 terms of latent cancer deaths?

5 MR. O'DONNELL: Yes.

6 MR. WARD: Or in terms of the reliability of a  
7 system in the plant? Which do you mean?

8 MR. O'DONNELL: The goals should relate  
9 directly to the thing the Commission is trying to get  
10 at, that is, public risk, and that is basically risk to  
11 individuals and the public of fatalities posed by  
12 radiological releases. Other goals that are related to  
13 core melt incidents or internal plant system failures  
14 are really things that are intermediary and in and of  
15 themselves of far less importance than the basic issue  
16 of whether or not you are exposing individuals and the  
17 public to unacceptable levels of risk. And one or two  
18 of the bullets on the slide really deal with this issue.  
19 What we feel in the Staff's implementation plan is an  
20 undue emphasis on these internal plant occurrences that  
21 may or may not pose undue levels of risk to the public.  
22 Now, our statements of policy goals, we very  
23 clearly indicated that although we endorsed a goal for  
24 core melt probability, that this was secondary in  
25 importance to the primary goals on individual and

1 population risk and that the failure to meet that goal  
2 in itself did not indicate a condition of undue risk or  
3 need for any protection action. That issue needs to be  
4 resolved in the context of the cost-benefit balance.

5           We are very much concerned with statements in  
6 the Staff's implementation plan that they intend to even  
7 go further in terms of disaggregating this internal  
8 plant performance goal into, first of all, individual  
9 goals for containment failure for partitioning the  
10 causes of a potential core melt into internal and  
11 external failures, having subgoals for individual  
12 accident sequences that are well below even the proposed  
13 core melt goal.

14           And lastly, I think what represents  
15 potentially the greatest misuse of PRA in assigning  
16 reliability goals for plant systems that may be involved  
17 in some sequence that leads maybe to a core melt: that  
18 is, in essence, turning the whole PRA thing upside down  
19 and introducing PRA and reliability goals as though they  
20 were deterministic criteria without determining, number  
21 one, whether the existing deterministic criteria are  
22 adequate or not.

23           We have a number now, as we discussed this  
24 morning, on aux feedwater system reliability. That is  
25 embodied now in the standard review plan and it is

1 something that people are living with. Whether or not  
2 that was necessary as a means of improving the  
3 reliability of aux feedater systems, I don't know.  
4 But if we get to that level of detail and specify for  
5 each and every system in the plant a number, that is in  
6 essence adopting PRA in a deterministic sense, and I  
7 think that is counter to the overall objectives of  
8 introducing these things as a means of improving  
9 existing regulation. That would be in effect putting  
10 another layer on top of what we have.

11 MR. OKRENT: Time to finish up. I was the  
12 first to interrupt you.

13 MR. O'DONNELL: Feel free.

14 MR. OKRENT: I will try not to do it any more.

15 MR. O'DONNELL: I think I am getting close to  
16 the end. The Staff's intent to introduce economic  
17 factors into the cost-benefit balancing process is  
18 another area of great concern. We feel that these  
19 issues, both with respect to plant onsite and offsite  
20 property damage, are not directly related to safety. I  
21 think they would have the effect of having Staff and  
22 applicants arguing about issues that may or may not be  
23 of economic benefit to the utility without in the first  
24 instance deciding whether they are even of any safety  
25 importance.



1 I think there is a problem in the mechanics of  
2 how you would do that in terms of the advisability of  
3 equating present day direct costs with potential future  
4 probabilistic costs. By that I mean if some requirement  
5 is imposed now that may impose a direct capital cost and  
6 downtime cost on a utility and it is justified by a  
7 presentation of analysis that these will be offset in  
8 the future by averting some accident of extremely low  
9 probability, that is a very tenuous exercise.

10 Economic factors if introduced into the  
11 process would be in effect the most uncertain element of  
12 the whole process. They would include not only  
13 uncertainties involving the prediction of accident and  
14 offsite effects but things even more nebulous in terms  
15 of economic impact: what is the future cost of  
16 replacement power, what is the future value of real  
17 estate? These things are not static in time as even  
18 some of the more nebulous radiological parameters are at  
19 this time. They don't change with time at least.

20 Economic factors are extremely difficult to  
21 predict into the future. I have seen estimates for core  
22 melt, the cost of an individual core melt, that range  
23 from \$1 billion to \$100 billion per core melt. These  
24 types of estimates can very easily swamp out any  
25 consideration of the direct costs and can lead to

1 decisions which essentially are not in the best  
2 interests of the public in that they would commit very  
3 scarce present day funds to solving what may potentially  
4 be a future accident and thereby save some future cost.

5           The last two comments on the slide deal not  
6 really with the implementation plan but with the policy  
7 plan, and again, we have stated in our May 18th letter  
8 our great concerns about setting individual risk levels  
9 at .1 percent of background risk. We feel this is  
10 inconsistent with the stated qualitative goals of  
11 ensuring that no individual bears undue risk and that  
12 the societal risks of nuclear power are comparable to  
13 competing energy sources. I think at this level it  
14 would be orders of magnitude less than the corresponding  
15 risks of competing energy sources.

16           In addition, I would just like to mention the  
17 recent change in the policy statement that would include  
18 normal operation as a risk to be considered under the  
19 safety goals, will have the effect of eating further  
20 into the accident risk goal for latent fatalities. This  
21 was discussed this morning. I didn't quite follow all  
22 of the discussion, but I think there is a real danger  
23 here in that if we establish a goal of .1 percent of  
24 latent cancer fatalities to an individual, which works  
25 out to be about  $2 \times 10^{-6}$ , if a plant has an incident

1 where a spill or a gas leak develops that exposes  
2 calculationaly some individual to 20 millirem, that  
3 plant could be held to be in excess of its safety goal  
4 for that year. And if one believes the implementation  
5 plan, therefore there could be reason or the position  
6 could be held that that plant should be shut down for  
7 the remainder of that year.

8 I think all of this -- I don't think that we  
9 argue with the concept of including normal operation per  
10 se, but it just provides additional reason to make the  
11 goal itself a more reasonable value.

12 Finally, the change in the safety goal policy  
13 that has changed the wording on core melt probability to  
14 "loss of protective features" leading to core melt we  
15 think is an area that leads to potential problems in  
16 terms of implementation. It in effect would shift the  
17 goal of 10<sup>-4</sup> encompassing additional states of plant  
18 operation which are not in and of themselves core melt  
19 but could be considered to be precursors or leading to  
20 core melt.

21 I think it allows room for a great deal of  
22 mischief in terms of not allowing credit for  
23 intervention by operators or corrective action which  
24 would in effect change those sequences from a loss of  
25 protective features leading to core melt to ones which

1 do not lead to core melt and in effect could be  
2 interpreted as not providing any credit for non-safety  
3 systems.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 I would recommend the Commission go back to  
2 the original wording on this, with the probability being  
3 discussed as core melt, not some state leading to that.

4 That is basically the conclusion of my  
5 presentation. I will hope the ACRS will find these  
6 comments useful in making its own evaluation of what the  
7 Staff is proposing, and I would be glad to answer any  
8 questions the Staff might have.

9 MR. OKRENT: Thank you, Dr. O'Donnell. I  
10 will, if I can, ask the Subcommittee members not to ask  
11 any more questions at this time unless they are vital,  
12 because we are running almost 40 minutes behind the  
13 agenda.

14 So thank you again, and we had better go on to  
15 the next item, which is Mr. Rathbun, I believe. There  
16 he is. Do you prefer sitting there or coming up to the  
17 podium, whichever you prefer.

18 MR. RATHBUN: Dr. Okrent, I think we will stay  
19 here.

20 MR. OKRENT: Okay.

21 MR. RATHBUN: Thank you, Dr. Okrent. Let me  
22 at the beginning introduce a new director of the Office  
23 of Policy Evaluation, Mr. Jack Zerbe, to the right of  
24 Jerry Wilson here. He is the new director and taking the  
25 place of Dr. Forrest Remick.

1           The ACRS provided us with a set of questions  
2 dated August 30. We have prepared some very brief oral  
3 responses to those questions which I will get to in just  
4 a moment.

5           First off, let me just say where we are and  
6 the plans for where we go from here with respect to the  
7 policy statement, NUREG-0880 and revisions to it. I  
8 believe you have all received a copy of a July 14  
9 memorandum -- July 12, I am sorry -- a memorandum from  
10 Policy Evaluation to the Commission, which proposed a  
11 set of revisions to the Commission's policy statement in  
12 the light of public comments which had been received and  
13 was discussed at a briefing with the Commission on July  
14 14.

15           OPE also sent to the Commission on July 8 an  
16 abstract of the public comments which had been received  
17 on NUREG-0880. After discussing with the Commission the  
18 changes which we had proposed and recommended, the  
19 Commission decided to ask us to provide them with a set  
20 of questions, the answers to which would become guidance  
21 to us in revising NUREG-0880, as well as the Staff's  
22 implementation plan. I think the Committee members have  
23 copies of those questions.

24           Do you all have copies of those?

25           MR. CKRENT: Yes.

1           MR. RATHBUN: All right. The Commissioners  
2 have not responded as yet to those questions, and in  
3 consultation with the Chairman's office they believe  
4 that this would be an excellent opportunity for the ACRS  
5 to prepare answers to those questions and, if feasible,  
6 to discuss your perspectives on those questions with the  
7 Commission in your briefing this Friday.

8           What we will do when we receive the answers to  
9 the questions from the Commissioners is, since they  
10 quite likely will not all agree on their perspectives --  
11 yes, yes, it is true, I am sorry to say -- in their  
12 perspectives on what should be revised, we will draft a  
13 guidance memorandum for the Commission to review and  
14 submit it to them around early October, hopefully  
15 reflecting your input through the meeting on Friday, and  
16 then reflected in their answers to these questions.

17           After the Commission has approved that  
18 guidance to us, to the NRC Staff, in revising the  
19 implementation plan and to policy evaluation in revising  
20 the Commission's policy statement, we will overhaul and  
21 revise these documents in accordance with their wishes,  
22 with the objective of having the package back to the  
23 Commission approved and ready to go out for public  
24 comment again at the end of this year.

25           The public comment period may be thirty to

1 sixty days and, of course, we would have to do another  
2 analysis of public comments and submit it back to the  
3 Commission again for another round. But, anyway, I  
4 think that we could work together on this and it could  
5 be helpful to us to get your comments back on those  
6 questions.

7           Now in our perspectives in our July 12 paper  
8 there are three particular points that I would really  
9 like to emphasize that we put up front in that  
10 memorandum, and they have to do with the trial period  
11 use, which was one of your questions in the August 30  
12 memorandum, and also the role of safety goals in the  
13 NRC's regulatory practice.

14           The three key figures, we believe, central to  
15 further development are as follows. First, as the July  
16 12 memorandum stresses, we recommend the Commission  
17 endorse the key principle of application, namely that  
18 the Commission intends that the goals, the benefit-cost  
19 guideline and design objective would be used in  
20 conjunction with probabilistic risk assessment and would  
21 not substitute for NRC's reactor regulations in 10 CFR  
22 Part 1. Rather, individual licensing decisions would  
23 continue to be based at present principally on  
24 compliance with the Commission's regulations.

25           Secondly, a key principle of application which



1 we recommend to the Commission specifically to  
2 endorse -- and this was put in in response to some  
3 conversations we had had with NRC Staff -- concern that  
4 the policy statement itself might extend the use of  
5 PRA. We asked the Commission to endorse a principle  
6 that the regulatory decisions to use probabilistic risk  
7 assessment should be made on the basis of an appraisal  
8 of its value in the specific application.

9           Thus, the implementation of an NRC statement  
10 of safety policy should not of itself mandate the use of  
11 probabilistic risk assessment.

12           Thirdly, recognizing that we simply could not  
13 foresee every potential problem which might result from  
14 NRC's use of its safety policy statement, we recommended  
15 that the Commission establish a two-year trial period to  
16 permit an evaluation of the benefits of its safety  
17 policy. In that period of time we would hope that we  
18 would all learn and we would be in a better position to  
19 make further refinements and adjustments to the goals  
20 and guidelines at the end of that time.

21           With respect to the August 31 ACRS question, I  
22 apologize. We really have not had a lot of time to sort  
23 these things out. But, nonetheless, here goes.

24           You asked with respect to initiators and  
25 allocation of risk. We said our intent -- this is from

1 your August 31 list of questions.

2 MR. OKRENT: There is a memo --

3 MR. SIESS: I had them all at once.

4 MR. OKRENT: They were stapled together with a  
5 forwarded memo from Fraley to ACRS members, schedule and  
6 outline of discussion. Do you have that?

7 MR. SIESS: No, I took them apart. I had more  
8 than one set.

9 MR. OKRENT: Maybe Gary can give you his  
10 copy.

11 MR. SIESS: I lose something in the transfer.

12 MR. RATHBUN: Let me go on. You had asked our  
13 reaction to the Staff's implementation plan, which  
14 proposed not to include several initiating mechanisms or  
15 failure mechanisms which were essentially, as I recall,  
16 external events.

17 On that particular matter, since we are not  
18 practitioners of probabilistic risk assessment and do  
19 not have our own expertise in that area, we took the  
20 position that we would defer to the Staff in that regard  
21 and follow their lead. And they had said, as I am sure  
22 you know, that they proposed not to include, at this  
23 time anyway, risks of flood, I think, seismic, sabotage  
24 and the like.

25 On the second question, you referred to a

1 paragraph you had written on sabotage and why we had not  
2 included it. I think that, as I recall, we did not have  
3 a particular problem with that paragraph, but in order  
4 to facilitate an already very complicated process we  
5 wanted to keep the OPE recommendations and the  
6 Commission's discussion focused on what we believe to be  
7 a key issue. I do not think we differed, though,  
8 between what we had said and the thrust of the ACRS  
9 paragraph on sabotage.

10           You have a set of questions on societal  
11 risks -- three, to be exact -- and the first one of  
12 those let me see if I can paraphrase it. ACRS suggested  
13 that societal resource considerations enter into siting  
14 policy, and you made reference to European regulatory  
15 groups, indicating the absence of such a consideration  
16 in NUREG-0880 as a deficiency and an important, if not a  
17 dominant, factor in the decisionmaking process.

18           Of course, we recognize that a major reactor  
19 accident could represent a loss of a valuable societal  
20 resource. I suppose the question that we would have is  
21 in what form would we put in such a goal. I think on  
22 this and also the desirability of including economic  
23 damage we have taken the position that the regulatory  
24 charter is one focused on the protection of public  
25 health and safety.

1           And although we recognize that there are  
2 important economic consequences, our recommendation to  
3 the Commission was to keep the focus on that. I know  
4 that is not what the Staff has recommended or, for that  
5 matter, what the ACRS has recommended.

6           MR. OKRENT: Could I explore that a bit?

7           MR. RATHBUN: Sure.

8           MR. OKRENT: I would be the first to admit  
9 difficulty in trying to quantify a criterion related to  
10 "societal resource." But I think in fact more than one  
11 country in Europe -- and I think Sweden and France are a  
12 minimum of two examples -- have the point of view that  
13 the loss of access to a large land area is a very  
14 important concern.

15           And, in fact, it may be, in the end, a driving  
16 concern because as people tend to think more and more  
17 delayed release is a likely mode, if it is a likely mode  
18 among unlikely modes, that gives time to talk about  
19 evacuation and to calculate lower and lower manrem kinds  
20 of things, except as they relate to one's ability to  
21 clean up an area or a loss of an area.

22           Of course, you end up with a tradeoff there  
23 and in fact in those countries, and perhaps in others,  
24 they have taken steps to try to cut down that kind of  
25 effect, in other words, to reduce, if you will, what I

1 call the resource effects of the delayed release  
2 accident. It is currently not mentioned in NUREG-0880  
3 and it is conceivable that one might have qualitative  
4 words. It is also, in a sense, one way in which what  
5 you might call risk aversion is reflected in people's  
6 actions.

7           ell, I just want to give some individual  
8 thoughts. As I noticed, there was no spelled out,  
9 crystal clear recommendation in those thoughts.

10           MR. SIESS: Two points. One follows what Dave  
11 was saying, although maybe not exactly. I think people  
12 would find a significant difference between being  
13 evacuated and not being allowed to return, leaving aside  
14 farm land, et cetera. And you said the law is directed  
15 toward public health and safety.

16           Does the Atomic Energy Act only refer to the  
17 public health and safety of the common defense and  
18 security and not mention the general welfare?

19           MR. RATHBUN: I think it does mention the  
20 general welfare. Of course, I am not an attorney, but  
21 this issue of whether or not the general welfare  
22 stretches to include considerations of economic factors  
23 has at least come across my desk and, I think, come to  
24 the Commission's attention before.

25           And, as I recall, when we did discuss it with

1 attorneys the reaction was that, quite frankly, the  
2 reference to the promotion of the general welfare was  
3 more or less a platitudinous statement that practically  
4 all laws had.

5 MR. SIESS: But the fact that it is there  
6 would not exclude considering societal resources. If it  
7 were not there, you might have a problem including them,  
8 although it certainly does not exclude them.

9 MR. OKRENT: I think the public health is  
10 directly related to this, because the reason -- let us  
11 say you have trouble getting back to where you left is a  
12 health consideration. You can go back and get some  
13 radiation rather than later. These are not separate  
14 things, really.

15 It is not that economic resources are  
16 completely separate from health at all.

17 MR. RATHBUN: I think the point is certainly  
18 valid. As seen from society, it would certainly make a  
19 difference whether people living near a plant had to  
20 leave an area and then were not able to return,  
21 vis-a-vis being able to return.

22 With respect to a goal, qualitative or  
23 guideline, on this matter, as well as a number of other  
24 matters, let me say that one of the philosophical  
25 inclinations we have had throughout this is to try to

1 establish something of a minimum set of both qualitative  
2 goals and numerical guidelines and design objectives,  
3 for no more than the practical or pragmatic reason that  
4 every one that we get into becomes a point of, I must  
5 say, major controversy and intensive discussion.

6           It is increases the difficulty of getting a  
7 policy statement in place. It is not to say that some  
8 of these suggestions for additional goals and guidelines  
9 are not useful. We have had to establish a fairly high  
10 threshold for inclusion.

11           MR. SIESS: Look, leaving them out does not  
12 necessarily make them go away.

13           MR. RATHBUN: That is true.

14           MR. SIESS: Once you have formal safety goals  
15 and guidelines, that does not mean everything will be  
16 restricted to just what you have tried to restrict it to.

17           MR. RATHBUN: Yes, that is true, too.

18           Your second question is to the effect or  
19 states that a draft policy statement of July 12 has  
20 neither a qualitative criterion or a quantitative design  
21 objective relating to societal risk and goes on to  
22 discuss that. It is true that the July 12 paper had  
23 deleted a numerical guideline now called "Design  
24 Objectives on Societal Risk." But it did contain the  
25 qualitative goal on societal risk.

1 I must say, though, that the desirability of  
2 inclusion of a design objective for societal risk was a  
3 major topic of discussion with the Commission and that  
4 is one of the questions which was before them and in the  
5 package of questions dated July 20 I think you all have  
6 on your desk. It quite likely will be the Commission  
7 guidance that we put back in a guideline on societal  
8 risks.

9 Our thinking in terms of deleting it from the  
10 July 12 recommendation to the Commission was that we  
11 could carry the control on societal risk by the  
12 guideline design objective on individual risk, coupled  
13 with the benefit-cost criterion. But, as I say, I think  
14 the Commission will ask us to come up with a societal  
15 risk guideline and, as I mentioned before, we would  
16 appreciate on that particular topic your suggestions.

17 Number three --

18 MR. OKRENT: Excuse me. You are correct in  
19 your answer. You had interpreted the ALARA criterion as  
20 a societal risk one. I guess in framing the question I  
21 had not put it into the next category, and that is why I  
22 phrased it the way I did. But you do call that your  
23 qualitative societal risk, and I stand corrected.

24 MR. RATHBUN: Yes, although there was an issue  
25 associated with that second qualitative goal, and that



1 has to do with our proposed deletion of the comparison  
2 of equal to or less than risks of alternative means of  
3 generating electricity. That also was a question before  
4 the Commission.

5           Your third question has to do with the \$1,000  
6 per manrem and whether or not we believe that is an  
7 acceptable surrogate for all costs. I do not think that  
8 we have argued that precisely, but, as we said in our  
9 July 12 memorandum and as I said just a moment ago, the  
10 focus that we have taken in NUREG-0880 and the July 12  
11 paper is that we believe we should restrict ourselves to  
12 health effects -- protection of public health and  
13 safety. But we recognize that others may differ.

14           At the bottom of page 2 on your August 31  
15 memorandum, you have introduced a set of questions under  
16 the heading "Decisions Under Uncertainty." And your  
17 first question says a reference is made to operating  
18 limits of the actual plan. Does OPE support the  
19 specific operating limits proposed? If not, what  
20 changes are recommended?

21           We have not proposed revising the operating  
22 limits. I think that we understand the practical needs  
23 for some sort of a concept, an action threshold of some  
24 sort. Whether or not these are the precisely right ones  
25 is a question for which I do not have an answer.

1           MR. OKRENT: Is that not sort of a policy kind  
2 of question? In other words, what are the right levels  
3 for different kinds of action?

4           MR. RATHBUN: Yes, it is, and I was just about  
5 to say I think some of the language in the Staff's  
6 action plan which suggest that these would be  
7 requirements if the Commission enforced the principles  
8 that I laid out at the beginning of the presentation  
9 here would have to be modified in one form or another.

10           I think that as far as the approach of using  
11 design objectives, specific operating limits, however it  
12 is termed, has some sense to it in that that is one  
13 mechanism that we might have for differentiating in  
14 practice an application between new plants, new CPs, and  
15 plants at the operating license stage or operating  
16 reactors.

17           But you are right. There is a policy aspect  
18 to it and precisely how the Commission will come out I  
19 think will be in significant measure determined by their  
20 response to the first three issues, at least the first  
21 two issues, that I have laid out.

22           At the top of page 3, question number 2, the  
23 Commission believes -- you are asking the Commission  
24 believes that by meeting the design objectives  
25 established to implement these qualitative goals the

1 risks from operation are equal to or less than the total  
2 risks of operation of repeating technology. What does  
3 OPE believe the term "meeting" means?

4 Well, I must say I think our response to that  
5 must be that "meeting" should not be read in the  
6 requirements context, in the de facto rule, or something  
7 of that nature.

8 MR. OKRENT: You see, the sense of the  
9 question and actually the one before is how does one  
10 deal with the decisions under uncertainty, whether you  
11 have a policy suggestion in that regard, really. If we  
12 knew all of these things precisely, then it would just  
13 be a question of do you like the number.

14 MR. RATHBUN: Yes, I understand, Dr. Okrent.  
15 Where you are going here is how do you treat this when  
16 you have a variance about your best estimates and, as  
17 far as those kinds of questions go, if we interpret them  
18 in a technical sense of how do you handle it under  
19 conditions of uncertainty, I think we would go with the  
20 Staff's proposal on the treatment of uncertainty.

21 There are a host of questions which were in  
22 NUREG-0880. I think in their question number 3, and you  
23 referred to those later, but our recommendation to the  
24 Commission in the July 12 paper, page 9, as I recall,  
25 suggested that we should follow the Staff's suggested

1 recommendations.

2 All right. Number 3, page 8. It states that  
3 the design objective should be viewed as aiming points  
4 rather than numerical benchmarks, subject to revision as  
5 further improvements are made in probabilistic risk  
6 assessment. You raise the question why should the  
7 design objectives depend upon the methodology used in  
8 the PRA.

9 The point is well taken. It is not at all  
10 clear that they should. However, I think that while we  
11 may change the language in that regard I think that we  
12 should build in flexibility in accordance with this  
13 two-year period of trial use, which would permit us to  
14 revise the policy statement for whatever reason, not  
15 just tied to improvements in PRA. So we may have tied  
16 it to the wrong thing.

17

18

19

20

21

22

23

24

25

1           MR. RATHBUN: Numbers 4, 5, and 6 really all  
2 have to do, I guess I would argue, with implementation.  
3 You said in number 4, the ACRS recommended the use of  
4 mean rather than median values; why do we favor the use  
5 of median rather than mean, and so forth and so on.  
6 Again, we are not practitioners of PRA, and I think our  
7 judgment is we would be best advised to leave that to  
8 the people who would use that.

9           But if I know the ACRS has strong views on  
10 that particular issue, and when you brief the  
11 Commission, I would bring up the point and argue for  
12 means.

13           MR. OKRENT: I thought, in fact, I could  
14 recall a document from the Staff prior to the  
15 implementation plan in which they also recommended  
16 mean. But they were constrained to the use of median in  
17 the implementation plan because they had to write  
18 something compatible to somebody else. Maybe I am  
19 wrong, but that is my recollection.

20           MR. RATHBUN: I will defer to Mel Ernst and  
21 Bob Bernero on that one.

22           MR. ERNST: It is not clear what the time  
23 frame is. I think at one time we had contemplated mean,  
24 and I think the rationale for going to median is that at  
25 least whatever number you calculate will be less subject

1 to radical changes due to the changes in the  
2 distribution of the tails, and you would still have the  
3 opportunity to compare the mean to the median to see  
4 what the uncertainties might be.

5           And if you got large changes in mean compared  
6 to median, you would know then to try to hunt out the  
7 origin of these uncertainties and address them as a  
8 separate matter. But at least you would not have to  
9 redo 50 PRAs every time the data base changed to see  
10 what change it might make in the bottom-line number.

11           MR. OKRENT: I understand the point. But I  
12 find it really, I will say, unsatisfactory from a  
13 definition of risk or for the reasons given. If, in  
14 fact, tails are very uncertain, to ignore their effects  
15 by treating the median seems to me is the wrong way to  
16 do it. I would have to say I am unable to say what the  
17 mean is or something different. Anyway, maybe we just  
18 disagree.

19           MR. ERNST: I would heartily agree we should  
20 not ignore the implications of the tails. It is just  
21 another way of looking at it.

22           MR. RATHBUN: Question number 5 referred to  
23 Dr. Budnitz, and Dr. Budnitz noted the possible  
24 desirability of reducing uncertainty. The uncertainty  
25 of the risks development even if the median or the mean

1 was unaffected in a significant fashion.

2 I guess I am going to argue that we do not  
3 have a specific reaction or comment to that, for reasons  
4 I have already cited. And in addition, that and 6, as I  
5 indicated on our July 12th recommendation, it was at  
6 least as far as technical questions such as this was to  
7 follow that.

8 At the top of page 4 there were questions on  
9 severe accidents. Our reading of that was we were not  
10 sure they were intended for us.

11 (Pause.)

12 MR. OKRENT: It is possible they were put in  
13 the wrong list of questions. There were many papers  
14 floating around. Maybe we will save them.

15 MR. MATTSON: I would be glad to have him  
16 answer them.

17 (Laughter.)

18 MR. RATHBUN: I could not improve on what  
19 Roger Mattson has to say on that.

20 MR. OKRENT: We will see if there is another  
21 page 8 then.

22 MR. RATHBUN: I would say the same thing of  
23 the questions on page 5. There are three of them  
24 there. At the bottom of page 4 there are five questions  
25 under the heading "Specific Issues." The first of these

1 refers to some of the improvements under consideration  
2 for light-water reactors in several European countries  
3 and suggests that these might pose significantly lower  
4 risks than the corresponding reactors in the United  
5 States which met safety policies defined by OPE in the  
6 Staff Action Plan; if this were the case, what would be  
7 our reaction?

8           We have a couple of comments from foreign, not  
9 governments but entities. And I must say that there has  
10 been quite a bit of interest in this regard. We have  
11 met with people from Israel and Japan. But in drafting  
12 NUREG-0880 we were really thinking about problems in the  
13 United States. We figured we would have quite enough of  
14 a job in front of us to focus on that. And I guess we  
15 just do not have a particular reaction.

16           I appreciate we have been informed,  
17 obviously. As you all know, the problems of siting  
18 reactors in Japan and in Europe have significant  
19 differences than this country. And precisely how it is  
20 that our numerical guideline objectives would fit or not  
21 the foreign reactors, I just do not know or what we  
22 would do in response.

23           If you have a view on that, let us know.

24           MR. OKRENT: I think it is more than a  
25 hypothetical question.



1 MR. RATHBUN: I realize it is.

2 MR. OKRENT: And the countries you mentioned  
3 were not the ones one might pose as the particular  
4 example.

5 MR. RATHBUN: Let me ask you this. Let me  
6 turn it around and ask you a question. In what way do  
7 you think experience in foreign countries should, as a  
8 policy matter, influence the development of a Commission  
9 statement on acceptable risks for reactors in the United  
10 States? Obviously, they are concerned about it. They,  
11 as we all know, look to what we do in developing their  
12 own regulatory approach.

13 MR. OKRENT: I will give you a partial and  
14 individual opinion. It seems to me you want to know  
15 what these countries are doing and why in some detail so  
16 that you can decide whether or not you agree with them  
17 on their bases and also whether their bases apply in  
18 your case. That is one kind of a thing. That might be  
19 the technical question. The Staff may maintain that it  
20 all in their pocket.

21 I saw a recent response to the safety research  
22 report that the ACRS wrote in July that suggests that  
23 the Staff is completely up to date on what is going on.  
24 If so, I would love to have the documents that do all of  
25 these examinations of what are the differences,

1 evaluations of them, and come up with a conclusion as to  
2 why it is applicable or not.

3 I would suggest if the documents do not exist,  
4 the information does not generally exist in the NRC  
5 except piece by piece in people's minds. The other part  
6 of the thing is, I suppose, quasi-political. The NRC  
7 has to be prepared to defend why it is either being more  
8 or less stringent than other sophisticated countries in  
9 the business if they have the same kinds of reactors, I  
10 would say, and, in some cases, at similar sites. So it  
11 is a question, I think, that has two parts, and they  
12 both have to be thought out.

13 MR. RATHBUN: I understand. Thank you.

14 The second question under "Specific Issues,"  
15 it says, the ACRS recommended in its report of June 9  
16 that a containment performance criterion be developed  
17 for plants to be constructed. For plants already in  
18 operation, the ACRS recommends that a plant-specific  
19 evaluation be performed. That was a specific issue  
20 which we addressed in our July 12 memorandum to the  
21 Commission.

22 And we came down on the side of not  
23 recommending that the Commission include such a  
24 performance objective for containment. The reasons are  
25 stated in the July 12th memorandum. Here are my notes.

1 Let me see if I can summarize them.

2           Among other things, a number of commenters  
3 expressed opposition to such a guideline. We stated in  
4 that memorandum that we believe to perform a valid, not  
5 arbitrary, design objective would require more  
6 information on severe core damage and core melt scenario  
7 than we believe is now available; and furthermore, that  
8 the individual prompt mortality risk design objective  
9 would act to a significant degree as a containment, de  
10 facto containment performance objective.

11           MR. OKRENT: Can I offer a little question on  
12 this? If I take the Staff's operational level of  
13 core melt frequency,  $10^{-3}$  per reactor-year median, and  
14 now let me assume just for purposes of discussion that  
15 the mean may be a factor of 2 or 3 larger, which is not  
16 an uncommon calculation.

17           If I have no basis for judging containment  
18 performance, given the average core melt, which I assume  
19 has gone into the  $10^{-3}$  figure, I am not sure how I can  
20 reach a conclusion that a reactor having  $10^{-3}$  is close  
21 to the safety goals.

22           I do not know how I could arrive at the  
23 general feeling of confidence that seems to pervade the  
24 Staff in writing SECY 82-1A and so forth. Do you see my  
25 problem? It seems to me there is a little

1 incompatibility. Either you have a feeling that there  
2 is something about containment that will work and you  
3 can put something down that is not going to just fall  
4 down on its face, as it were, given the average core melt  
5 or something.

6           MR. RATHBUN: I see what you mean. I must say  
7 I do not recall whether it was in the July 12th paper or  
8 not, but there was something of a philosophical  
9 inclination against specification of containment  
10 availability performance design objective with us. And  
11 it goes something as follows: that the purpose of the  
12 policy statement in the original is to establish  
13 Commission perspectives on acceptable risks. We put  
14 forward for public comment numerical guidelines, not  
15 design objectives, for individual and societal risks,  
16 the overlay of acceptable risks.

17           Now, one could equally as well, I suppose,  
18 work the problem from plant-specific things, things  
19 within the plant. And our feeling was that having  
20 specified the externals -- that is, the limits on  
21 individual and societal risks -- that it was redundant  
22 to go around specifying things inside.

23           And while we adopted the 10<sup>-4</sup> core melt  
24 probability, we were not willing to include a  
25 containment availability guideline since, in effect,

1 that would be 100 percent redundancy.

2 Let us see now, question number 3 under  
3 "Specific Issues," does OPE support the ACRS response to  
4 question 4, which was the Commission's question 4 in  
5 NUREG-0880? And that was on risk aversion, as I  
6 recall. And what we said in our recommendation to the  
7 Commission was that the Commission not include a  
8 specific risk aversion factor because such a factor  
9 would be arbitrary and based upon subjective  
10 presumptions of public perceptions of risk.

11 In addition, we went on to state that we  
12 believe it would overemphasize the importance of  
13 preventing very rare severe accidents which contribute  
14 less to the overall risk than that contributed to the  
15 more frequent, less severe accidents. Now, again, I am,  
16 of course, familiar with the alpha model.

17 MR. OKRENT: I am sorry, but the ACRS did not  
18 use an alpha model.

19 MR. RATHBUN: No, I understand. But I think,  
20 as a point of philosophy once more, as I mentioned  
21 earlier, being somewhat stingy and adding additional  
22 criteria or additional design objectives or what and  
23 sticking to a pretty much minimum set, but once more we  
24 recognize people may differ on this particular matter.

25 Your statement, as I recall, was something to

1 the effect that the Commission's policy statement should  
2 explicitly include measures intended to reduce the  
3 likelihood of large accidents, but did not, as you  
4 correctly pointed out, refer to the alpha model which  
5 was in, I think, NUREG-0739.

6           On the fourth question, does OPE disagree with  
7 the second general comment in the ACRS letter of June 9,  
8 1982, which recommends distinguishing between plants yet  
9 to be designed and plants in operation or under  
10 construction, both in the policy statement and the  
11 implementation plan? If so, why? If not, how is this  
12 addressed?

13           In the policy statement it was not addressed.  
14 It was not addressed in the July 12th revision. Only in  
15 the most inferential way was it addressed in  
16 NUREG-0880. I think our thinking was that that would be  
17 an aspect of implementation rather than logically a part  
18 of the Commission's statement on acceptable risks, more  
19 an aspect of application.

20           Number 5, OPE suggests a trial period of 2  
21 years should be adequate to have an evaluation of safety  
22 policy. What does OPE expect to be evaluated in 2  
23 years? And what is meant by the terms "benefits of the  
24 safety policy"?

25           Well, "benefit," I suppose, is general in this

1 sense, in this sense a general word. But what we are  
2 really pointing toward is explicit recognition of the  
3 fact that a policy statement used in conjunction with  
4 PRA is really experimental, it is really trial. We will  
5 see how it works and keep our options open for revising  
6 it in the light of what the experience teaches us.

7 That concludes what I have to say.

8 MR. SIESS: Question: could you run back  
9 through that containment integrity answer where you said  
10 that specifying containment integrity as well as  
11 core melt probability would be 100 percent redundant?

12 MR. RATHBUN: Sure.

13 MR. SIESS: Will you take me through that  
14 logic again?

15 MR. RATHBUN: Yes. What our thinking was is  
16 that you could, I suppose, come up with a policy  
17 statement which said, we will focus exclusively on  
18 plant-specific parameters, core melt probability,  
19 availability of auxiliary feedwater systems, containment  
20 performance, so forth and so on, and simply take the  
21 position that consequence modeling is so iffy and so  
22 subject to assumptions and so loaded with variance that  
23 we will not move with it at all.

24 MR. WARD: That sounds like a good idea.

25 MR. RATHBUN: Yes, that is a possibility. And

1 I think one of the Commissioners in his reaction to  
2 NUREG-0880 took that very position. Alternatively, one  
3 could say that what would we really want here is the  
4 Commission perspective on what constitutes acceptable  
5 risks as seen by the public, something that would  
6 communicate to the public the Commission's perspective  
7 how safe is safe enough.

8           The policy thrust that we followed, and have  
9 followed in the past year, in the development of  
10 NUREG-0880 was the latter: that what we wanted to do  
11 was come up with a Commission-sponsored specification of  
12 how safe was safe enough as seen by the public.

13           But in discussions with the Staff, we have  
14 become persuaded that we would need something additional  
15 and that something additional in terms of plant  
16 performance was core melt probability. Where we fell off  
17 the train was when it went into a specification of a  
18 containment performance.

19           MR. SIESS: Getting away from the qualitative  
20 goals into the quantitative guidelines, were your  
21 quantitative risks expressed in terms of doses to the  
22 public?

23           MR. RATHBUN: Yes, I think that is right.

24           MR. SIESS: And from getting inside the  
25 reactor outside to the public the containment is one of



1 the barriers; is that right?

2 MR. RATHBUN: That is right.

3 MR. SIESS: So if you stop with challenges --  
4 that is, coremelt -- and put your emphasis on preventing  
5 coremelt at some level, which would be about the  
6 historical rate from what Dr. Okrent said, 10<sup>-3</sup>  
7 multiplied by 3, would about give you the reactor-years  
8 for TMI, would it not?

9 MR. RATHBUN: If I follow correctly, I think  
10 that is right.

11 MR. SIESS: It is somewhere in the  
12 neighborhood, but TMI would not be an acceptable risk,  
13 if there had not been a containment, would it?

14 MR. MATTSON: The answer is: no.

15 MR. RATHBUN: No.

16 MR. SIESS: So, in setting that, you must have  
17 some idea in the back of your mind that containments  
18 will work reasonably well most of the time.

19 MR. KERR: Is this the case? Because I have  
20 heard comments that containment has little to do with  
21 the risks at TMI.

22 MR. SIESS: There were an awful lot of curies  
23 inside TMI.

24 MR. KERR: Yes, but a lot of them got out, too.

25 MR. SIESS: Not much.

1           MR. KERR: There was very little iodine that  
2 the containment contained. Most of the iodine was in  
3 the water.

4           MR. SIESS: Well, there were some filters it  
5 went through, Bill, and I think without the filters in  
6 the aux feedwater --

7           MR. KERR: I do not know. I have just heard  
8 statements that would contradict this. Is the Staff's  
9 consensus that the containment was quite --

10          MR. BERNERO: I will speak from having been a  
11 member of one of the inquiries into Three Mile Island.  
12 There was a reluctance to calculate on some speculative  
13 basis what if the containment failed, because that meant  
14 postulating a failure mode, did someone open a door, a  
15 vent valve, or what? But there was a depreciable curie  
16 inventory in the air in the building and off-site  
17 doses. So they would not be of the very, very severe  
18 category. I doubt very much you would have gotten early  
19 fatalities, but you could have gotten pretty substantial  
20 doses from the noble gases.

21          MR. KERR: But very little from iodine.

22          MR. BERNERO: Yes. Presuming all of that  
23 water was there and sucked it up like it did, yes.

24          MR. KERR: What this appeared was xenon.  
25 Krypton was all that was eventually, anyway, was it not?

1 MR. BERNERO: It is short-lived noble gases.

2 MR. WARD: It got right out after it decayed.

3 MR. KERR: Krypton does not decay that much.

4 MR. SEISS: There was something up in the top  
5 of that thing that grabbed a lot of rads that was not in  
6 water.

7 MR. KERR: Agreed.

8 MR. SEISS: If that stuff had gone out in a  
9 few minutes with no containment, I think you would have  
10 had.

11 MR. BERNERO: In principle, if there were no  
12 containment and all, you would have to ask yourself  
13 could the water have been around to collect all of the  
14 iodine, with the cesium, the solid activity that got  
15 out, would it have been scattered around in the  
16 landscape?

17 MR. SEISS: And I am not sure if that was  
18 Dave's average core melt either.

19 MR. OKRENT: Oh, no. By the way, I took the  
20 Staff's operational figure of 1 in 1,000 per year as the  
21 point below which it must be fixed according to the  
22 implementation plan, above which they would use ALARA.  
23 I say that was the median, so the mean might be a factor  
24 of 2 larger, which is the way you usually calculate it.  
25 And then I say, if you start with that figure, you

1 really need some kind of containment effectiveness to  
2 meet the safety goals. That is all.

3 MR. MATTSON: Could I interject something  
4 here, because I am afraid we might get lost in the  
5 squabble over TMI. I think you are on a good path. Let  
6 me try a substitute question. If I got two events with  
7 the same probability of giving a core melt, one is a vent  
8 V and the other is S2D, are I not interested in the  
9 containment performance? Let us say they are both  $5 \times 10^{-4}$   
10  $10^{-4}$ . So I am in some range of wondering whether I  
11 meet the safety goal. Forget an operational limit for a  
12 moment. Is that not where you were headed?

13 MR. SIESS: More or less.

14 MR. MATTSON: That there are questions, even  
15 though you are close to the core melt probability, where  
16 you still need to answer the question.

17 MR. RATHBUN: That is certainly true, and I do  
18 not think there is anything that we have said anywhere  
19 that would suggest that a containment performance is  
20 unimportant. The only thing that we have stood back  
21 from is putting in an explicit statement, that is all.  
22 It is not to say explicitly or even inferentially that  
23 it is not important.

24 MR. SIESS: One point, let me try. I think  
25 one of the reasons for the core melt is if you have only

1 the dose limit, the dose guideline, then at least  
2 theoretically it is possible for someone to meet that  
3 entirely with mitigation.

4 MR. WARD: Right.

5 MR. SIESS: 100 percent tight containment.  
6 And you do not believe zero probability of containment  
7 failure; therefore, you want to look at the challenges  
8 to containment.

9 You could argue the other way: If you never  
10 had the accident, you would not need the containment.  
11 But I doubt if anyone would try to go that path. Is it  
12 that reasonable to assume that if you do not put in  
13 separate guidelines, they could go all mitigation rather  
14 than a combination of prevention and mitigation anymore  
15 than they would go all prevention and make it just one?

16 MR. BENDER: You have to think about the  
17 coremelt accident in combination with containment unless  
18 you are going to limit which kind of coremelt accidents  
19 you talk about.

20 If it is a coremelt like TMI, which some  
21 people would say is not a coremelt but only a massive  
22 release of radionuclides and had no pressure buildup  
23 associated with it and took a long time to get the  
24 iodine out and the iodine came out along with a lot of  
25 water, then the importance of the containment device was

1 not great.

2           The way it worked, it could not have stood any  
3 significant pressure because there were openings that  
4 would have let it out, would have let the stuff out to  
5 the environment.

6           So that particular accident did not need much  
7 of a containment to work. But if you wanted to make the  
8 postulate that the need for containment was associated  
9 with a large radionuclide release followed by a very  
10 large high-pressure steam release, then a different kind  
11 of containment function has to be considered and the  
12 containment reliability under high pressure might have  
13 been the crucial issue. Now, there is no way to have --

14           MR. SIESS: I am not sure you need high  
15 pressure. They were pumping it out at TMI.

16           MR. WARD: I am not talking about TMI. I said  
17 it depends a lot on which combination of accidents you  
18 are talking about. You cannot just talk about one  
19 core melt, you have to talk about a sequence of events.

20           MR. RATHBUN: Again, I think there is an  
21 implication here to the effect that by virtue of the  
22 fact that we only had core melt as a plant internal  
23 probability, that somehow we were not thinking about  
24 containment performance.

25           Rather, I would say our position would be that

1 we are thinking about it and containment performance is  
2 important, and what we are gauging it against rather  
3 than containment performance per se is the individual  
4 and societal risks design objectives.

5           MR. SIESS: I you have a containment  
6 performance criteria and a core melt criterion, then  
7 presumably you would not need the societal dose  
8 calculation except to explain to society what you were  
9 defining the risks in terms of. Is that right?

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1           That is right.

2           MR. SIESS: That is one reason you think it is  
3 redundant to have both. It is actually redundant to  
4 have one unless you want a direct split between  
5 prevention and mitigation. I will think about that.

6           MR. RATHBUN: Let me say with respect to the  
7 point on containment and also the propriety of including  
8 economic damage, those are, in my judgment, at least,  
9 the two central, the two key points that the Commission  
10 will simply have to decide. The staff and yourselves in  
11 the ACRS have made recommendations on both of these  
12 points and we have had recommendations, and you will  
13 probably bring it up again on Friday, I suppose. But I  
14 attempted to explain the position we took and why we  
15 took it.

16           MR. OKRENT: I will ask one question and then  
17 take the chairman's prerogative of going to Mr. Ernst  
18 because I want to cover a bit on Mr. Ernst and a bit on  
19 Mr. Mattson before 5:15 or we will lose Dr. Kerr. I  
20 want him to have a chance to ask any questions he has.  
21 But just one question.

22           Is your view of the term "implementation plan"  
23 pretty much consistent with the material that is in the  
24 draft action plan to implement policy? Is that what you  
25 envision as the meaning of the term?



1           MR. RATHBUN: Dr. Okrent, I think basically  
2 so, but again, subject to the caveats that I laid out in  
3 the beginning.

4           MR. OKRENT: Okay. We will come back to the  
5 question.

6           MR. RATHBUN: We reviewed it in the office and  
7 we certainly concurred in the presentation of it in  
8 discussion with the Commission, recognizing that both  
9 that and the policy statement would probably have to be  
10 revised.

11          MR. OKRENT: All right. I will propose we  
12 take a five or six-minute break and reconvene at 3:30.

13          [Recess.]

14          MR. OKRENT: Mr. Ernst is up next. I think  
15 what I will try to do is end this discussion  
16 temporarily, that is, on implementation plans, no later  
17 than 4:30 so we can spend 45 minutes on the severe  
18 accident rulemaking. Then we will come back to the  
19 implementation plan. All right?

20          MR. ERNST: Before I get started, I did want  
21 to say there are a couple of comments I would like to  
22 make. One was that during the past six months or so and  
23 a couple of times today, there has been a discussion  
24 about the 20 mr and its relationship to the safety goal,  
25 and I think it is probably not too unclear about the

1 relationship; but I just wanted for the record to say  
2 that 20 mr is equivalent to the safety goal only if one  
3 assumes that every individual within one mile of the  
4 reactor gets 20 mr every year, which is quite different  
5 from the most exposed individual concept that we have in  
6 our regulation. I think if you had a plant at 20 mr for  
7 every individual within a mile every year, everyone in  
8 this room would be quite concerned about the operation  
9 of that plant.

10           The second comment is I had lunch with Vic  
11 Stello and we chatted a bit about the morning's  
12 proceedings, and I think there was an area that may not  
13 have been well explored. He indicated he would want to  
14 clarify it but he had to leave, so I will take the  
15 liberty of saying what I think he was saying in this  
16 area.

17           I don't want to say that I am exactly  
18 representing him or the EDO, but I think the EDO's  
19 posture on the operating limit question and the use of  
20 the safety goal in the licensing is that there would be  
21 not a need for the operating limit and that use of the  
22 safety goal in a licensing case, a case-specific  
23 application would be essentially at the direction or  
24 guidance or approval of the Commission on a case-by-case  
25 basis.

1           He was not saying it would never happen. He  
2 was just saying as a matter of policy it would be  
3 precluded to be required by the Staff to be applied in a  
4 licensing case, and if it ever came to be on some other  
5 motion like a licensee came with a risk-based argument  
6 on some basis or if for some reason the Staff had a new  
7 requirement, that would have to come to the Commission  
8 for its guidance on the application at that time during  
9 the trial use period. I think that is a fair statement.

10           I have before me, so we are all talking from  
11 the same list, a seven-page document of discussions  
12 dated August 27 from Mr. Fraley to Mr. Dircks.

13           MR. OKRENT: Excuse me. We wanted the Staff  
14 to know how the applicants feel.

15           [Laughter.]

16           MR. ERNST: I didn't bring my written filing  
17 with me, but if you wish to swear me in --

18           [Laughter.]

19           The first question deals with containments in  
20 general and their ability to deal -- well, containments  
21 vary as well as their ability to deal with so-called  
22 "similar core melt accidents," and since various  
23 accident scenarios can lead to widely differing risks,  
24 does Staff feel core melt frequency alone is a  
25 sufficient trigger point?

1 I think the answer is -- "alone" may be a poor  
2 word. I think the action plan said --

3 MR. KERR: How about "by itself"?

4 MR. ERNST: Well, "by itself" in the context  
5 of the action plan, I think we particularly say that the  
6 safety goal would not be used alone in the  
7 decision-making process. On a perhaps more substantive  
8 point, I guess the Staff believes that the core melt  
9 trigger is still a pretty good trigger. One really, I  
10 think, has to believe that core melts are not good for  
11 you and that it is a good trigger point when you start  
12 getting core melt frequencies of higher than what one  
13 might consider normal to take a look at that and  
14 regulate that area, and you can get some perspectives  
15 even though you don't do a specific containment  
16 analysis. You can still have some perspectives of the  
17 type of accident sequence and its importance to get some  
18 judgment as to the importance.

19 So I think the Staff position was that you do  
20 want to develop this containment perspective and develop  
21 containment performance guidelines in the future, but  
22 right now it is maybe not the best of all worlds but it  
23 is adequate to use core melt as a trigger.

24 The second question, I think, is mostly akin  
25 to the first, and I am not sure I would have much of a

1 different answer. The third question, I guess, has to  
2 do with the fact that there will be substantial  
3 variances in the number of close-in and far-out people,  
4 and therefore, in implementing the safety goal, how  
5 would the Staff take this into consideration?

6 I think in the implementation of the safety  
7 goal, you do have individual risk numbers that should be  
8 met which should take care of the close-in population.  
9 The close-in population is usually relatively small  
10 anyway. And then this individual guideline clearly has  
11 an impact on the safety of the further-out people  
12 because if you regulate by the individual and have  
13 dispersion, clearly the further out people will be more  
14 protected. And in addition to that, there is an ALARA  
15 concept, so in sites with much higher than usual  
16 population, there would be an additional consideration.

17 I don't know whether that is a sufficient  
18 answer, but that would be my general interpretation of  
19 the action plan.

20 MR. MARK: The action plan refers to normal  
21 sites, sites of high population. Without telling you  
22 how to decide whether your site is one or the other,  
23 what is the thought on that? Is everything above the  
24 average a high population by definition so that that  
25 number will keep sliding as the years go on?

1           MR. ERNST: I can't say whether the number  
2 would slide as the years go on. I don't have my crystal  
3 ball with me. I will say the origin of high population  
4 and average, I think, has its basis in a SECY document  
5 of, I think, a couple of years ago, and I forget the  
6 number, but it talked about what to do about high  
7 population sites and it categorized all sites in, I  
8 think, five categories, and I think that was in general  
9 the context under which we talk about high population  
10 density sites.

11           MR. MARK: So it is the upper quintile, if  
12 that is the word, of sites are high population. That is  
13 the definition?

14           MR. ERNST: I think the topmost had three or  
15 four sites in it, the next group had six to ten or  
16 thereabouts, and so on down. I have forgotten the exact  
17 numbers. It is about a two-year-old document.

18           The fourth question has to do with  
19 interdiction of land, its impact on property and things  
20 of that sort. I guess the opinion of the Staff as  
21 transmitted in Mr. Dircks memo, I think he stated that  
22 Staff believes that offsite property damage should be  
23 considered, and I believe Vic Stello indicated this  
24 morning that the EDO believed that these offsite impacts  
25 should be considered.

1           Now, how it might affect the implementation  
2 plan, again, as was pointed out, I think it is somewhat  
3 of a challenging matter to figure out how one would  
4 calculate this in a monetized fashion, but I don't think  
5 it is insurmountable. I guess, as a matter of fact,  
6 even if it doesn't make the safety goal, one must  
7 consider under NEPA or one could be constrained under  
8 NEPA, I think, to consider such impacts in citing policy.

9           I think there is an important point there and  
10 that is that safety goals and risk calculations are not  
11 the sole determination of how people should regulate,  
12 and in citing policy one should well consider a number  
13 of factors that wouldn't necessarily be included in the  
14 safety goal ALARA calculation. We still have that kind  
15 of flexibility. I would trust that that flexibility  
16 would be exercised.

17           The fifth question, I think, deals with the  
18 same subject, and I don't think the answer would be much  
19 different.

20           MR. OKRENT: By the way, it is not clear to me  
21 that that is only a siting question, I would say.

22           MR. ERNST: That is correct, it is not. If  
23 you have an existing site, the question is what kind of  
24 modifications would you make, that is true. So my  
25 comment on siting would have to do only with new plants.

1 MR. OKRENT: Okay.

2 MR. ERNST: The sixth question has to do with  
3 small doses to a number of people and whether or not  
4 health effects calculations were the best way to  
5 describe the safety goal. To some extent I guess this  
6 is a matter we did not address in the implementation  
7 plan because the implementation plan is clearly  
8 addressed to implementing the safety goal. If the  
9 safety goal were changed, the implementation plan would  
10 be changed.

11 As a comment, though, on prioritization of  
12 generic safety issues, which we have discussed with the  
13 ACRS several times, initially our prioritization scheme  
14 was to look at curies released, and this has since been  
15 modified to look at man rem and whether man rem per  
16 curie is a function of the category of release. So  
17 clearly there are different ways to look at the  
18 problem. One could look at curies if one wanted to.

19 It is not really a question of whether one is  
20 so much better than the other; I think it is a question  
21 of if you go to curies, should you be interested in the  
22 toxicity of the various isotopes or not. If you go to  
23 man rem, I guess that would be another way to go rather  
24 than to look at cancers, but there certainly is a  
25 relationship between cancers and man rem, and I don't



1 think the basic argument would be resolved by just  
2 choosing a different parameter.

3 Bob, were you going to say something?

4 MR. BERNERO: Yes. I was just going to add  
5 that interpreting that question as I did, if one  
6 accepted the WASH-1400 list of release categories, this  
7 question implies the possibility of assigning a release  
8 category probability limit for each one. It would be a  
9 very cumbersome method in that regard to do that.

10 MR. ERNST: Moving on, question 7 says if NRR  
11 were asked to provide its recommended safety policy, how  
12 would it differ from the July 1982 draft safety policy  
13 prepared by EDO? I guess the answer to that is NRR has  
14 not focused on this to a large extent. We are basically  
15 awaiting Commission guidance to redraft the safety  
16 goal. There have been a few issues discussed, I think.  
17 The EDO, I think, is clearly concerned about addressing  
18 routine releases in a quantitative way, in a routine,  
19 quantitative way for PRAs. There are some --

20 MR. KERR: What does "concerned about" mean:  
21 he would like to see it done, or he would like to see it  
22 ignored?

23 MR. ERNST: I believe that they feel it would  
24 not be worth the trip to the store, that it should not  
25 be calculated on a routine basis. But there may be some

1 other observations on that. There seems to be some  
2 concern about degraded core versus core melt, and I  
3 believe the Staff would prefer the core melt definition  
4 instead of the degraded core which came out in the July  
5 issue. And I guess those are probably the two issues I  
6 can think of. There may be some others, although I  
7 don't think there are. There is not an NRR position on  
8 this, I guess, except for -- I mean an EDO position,  
9 except for the routine release and "containment  
10 performance and uncertainties."

11           Let me turn the mike over to Roger. I am not  
12 sure he will say it, but containment performance is not  
13 just strength, it is a number of other things. It is a  
14 pretty complex subject, and I guess in generating the  
15 Staff position on containment performance, we feel that  
16 the performance guidelines would be useful to have.  
17 However, in setting performance guidelines, you really  
18 ought to know before setting standards how containment  
19 is performed, the verification process you go through in  
20 determining whether they are met; and I think this is  
21 the one or two-year period.

22           Roger?

23           MR. KERR: Excuse me. It seems to me that as  
24 an alternative to saying you ought to know how they  
25 perform, one could say one needs coupling between the

1 core melt goal and the safety goals, guidelines or  
2 whatever they are called, and coupling has to be  
3 provided by something. Containment doesn't do it all,  
4 clearly, but I don't see why initially one can't say we  
5 are going to allocate some fraction of this to  
6 containment and some fraction to something else,  
7 recognizing that it can be achieved. I don't see why  
8 one has to know at this point how containment is  
9 performed in order to set up a possible allocation.

10 MR. MARK: I would like to add to that you  
11 can't possibly begin to compute health effects until you  
12 have decided how containment performs.

13 MR. ERNST: That is true. I think that is  
14 exactly true where there is probably a little less  
15 visible containment performance guideline and a little  
16 more flexibility if one doesn't establish it right now.

17 MR. MATTSON: Rather than deal with that hard  
18 to answer question, let me tell you what we know about  
19 containment. First of all, we know it is not possible  
20 to make a simple statement about the goodness of

21 containment. You wouldn't want to say something simple  
22 like I want a 10<sup>-1</sup> containment. What does that mean?  
23 10<sup>-1</sup> for what?

24 We have come to appreciate that it is the  
25 integral performance of containment that is important,

1 it is not just strength or its ability to deal with  
2 localized loading and penetration design, basemat  
3 design. There are a lot of things that can affect its  
4 performance. To state one simple number about it  
5 doesn't help. So far about all we have is an agreement  
6 that there is an integral performance and what I think  
7 are two conflicting marching orders from the Commission.  
8 One the one hand they say in their safety goal they  
9 don't want to speak to containment performance, despite  
10 our recommendation to the contrary. On the other hand  
11 they say to us in SECY-81.2A we want you to send a  
12 signal for strong containments. Well, how strong, and  
13 in what way strong?

14           That gets us back to the reasoning I mentioned  
15 a moment ago to integral performance, and that is a  
16 containment performance standard. What is it we are  
17 looking for? Maybe the difference can be explained by  
18 saying they want a qualitative goal for containment, not  
19 a quantitative goal. We are wrestling with that.

20           About all the agreement we can reach to  
21 present to you today is we are willing to try to put  
22 down some performance criterion for containment. We  
23 don't know yet how to write it. We would like to sit  
24 down with a small group of you who have an interest and  
25 a small group of us who have an interest over the next

1 several months and see if there is some meeting of the  
2 technical minds that can occur on how one would go about  
3 phrasing such a thing, let alone what the numbers are,  
4 and hopefully if there is progress made on the safety  
5 goal, we could see how this coupling you speak about  
6 might occur in the form of this containment performance  
7 objective.

8           At this point we don't know how to put the  
9 thing down. We need some suggestions. Integral  
10 performance is important to us. We would like to assign  
11 the project to some people.

12           MR. KERR: Recognizing if Part 100 were redone  
13 today it probably wouldn't be done in the way it has  
14 been done, nevertheless one has containment performance  
15 specifications there which say leakage of a certain  
16 fraction of iodine, leakage of a certain fraction of  
17 noble gases over a period. That is not necessarily the  
18 way to do it, but we don't really have a containment  
19 performance specification. Whether we will get it or  
20 not is another question. No one really knows whether we  
21 can get it, whether it will exist in an accident  
22 situation. But it is there and it is part of the  
23 regulations.

24           MR. MATISON: That is true, and you can  
25 measure how good such a containment is in severe

1 accidents with PRA.

2 MR. KERR: I'm sorry, you can't. You can't  
3 measure how good it is. I don't know of any way to  
4 measure how good it is in a severe accident.

5 MR. MATTSON: I didn't mean to provoke you  
6 with the word "measure."

7 MR. OKRENT: Is there a reluctance to do it in  
8 this case in your experience with Part 100 which says it  
9 is meaningless?

10 MR. MATTSON: No, no. Is there a reluctance  
11 to what?

12 MR. OKRENT: Specify containment performance.

13 MR. MATTSON: We don't have a reluctance; it  
14 is the Commission that does. I am indicating to you a  
15 willingness to sit down and try to do it.

16 MR. OKRENT: I thought from previous comments  
17 by the Staff -- not you, but other members of the Staff  
18 -- that there was a reluctance on the part of the Staff  
19 at this point to do it. It is really simply reflecting  
20 the Commission's view and not the Staff's view, this  
21 reluctance.

22 MR. MATTSON: That is true.

23 MR. OKRENT: Okay.

24 MR. ERNST: Does that get us on page 3?  
25 Question 4 asks if there is a technical basis.

1           MR. KERR: I'm sorry. Was the answer to  
2 question 2 on page 2 that no, the staff does not now  
3 feel it can specify containment performance, or was the  
4 answer that we reflect the Commission's reluctance?

5           MR. MATTSON: That is what we were discussing,  
6 whether we should make that clear. We don't know how to  
7 write it today. We are willing to sit down and begin to  
8 write it. It may take some time to write, but we are  
9 willing to sit down and try to think through what such a  
10 performance objective would contain and what the  
11 specifications should be.

12           MR. ERNST: I think there was a reluctance to  
13 say this is it, not a reluctance to sit down to figure  
14 out what it should be.

15           MR. MATTSON: On August 6 you got into a long  
16 dialogue about the inability to do some of these things  
17 because of the incompleteness of our ability to measure  
18 containments against a performance objective, statements  
19 to the effect that we could measure better with a large  
20 drive than we could with other kinds of containment. It  
21 would be several years before we knew what to do with  
22 other kinds of containment, so we are still in the  
23 position that it may be a couple of years before you  
24 know how to use this thing. And there is also a  
25 coupling between the performance standard and the

1 measurement of the containment if you believe in  
2 integral performance, because the progress of the event  
3 sequences affect how you state an integral performance  
4 objective. But given all of those things we have said  
5 before, we are clearly indicating a lack of reluctance  
6 to sit down and see what such a thing could contain.

7 MR. KERR: Number 3 on page 2 is really not a  
8 question, is it; it is an exhortation, I presume?

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25



1 MR. MATTSON: Question 3, how we set the date.

2 MR. KERR: I think that is an exhortation and  
3 not a question.

4 MR. MATTSON: Yes. We are going to work hard.

5 MR. ERNST: Page 3, item 4, there is a  
6 question relating to, I guess, our judgment that the  
7 largest range of uncertainties are presently found in  
8 the area of containment performance as opposed to  
9 coremelt estimates. And maybe Roger has some reports or  
10 something. I think this is just a best judgment of the  
11 Staff.

12 Inherently, I guess, a large number of the  
13 possible uncertainties that would occur in coremelt  
14 estimations likewise could occur in containment  
15 performance estimations. On top of that, you have your  
16 phenomenology uncertainties about how coremelt  
17 progresses and the transport of fission products. So  
18 that was the general basis for the judgment that you  
19 have larger uncertainties.

20 MR. MATTSON: Just to follow up on that, some  
21 of the tone in these questions and the tone of the  
22 subcommittee meeting on August 6 was that the technical  
23 basis for some of the judgments was not always clear.  
24 We are trying to be responsive to that tone. We could,  
25 for example, the next time we get an opportunity to

1 rewrite this, try to state the range of uncertainties  
2 for some of the things discussed at that juncture in the  
3 implementation plan to show right in the place where the  
4 judgment is made why the judgment was made the way it  
5 was.

6           Is that really the interest of the ACRS? Is  
7 that what you are trying to tell us? Are we hearing you  
8 correctly? Or is there another bone you are trying to  
9 pick? Do you disagree with the judgment, for example?

10           MR. KERR: I can only speak to me, but it is  
11 an interesting point and, I think, an important one.  
12 There was curiosity as to whether someone had really  
13 studied this, and there exist numbers that indicate  
14 estimates or whether it was somebody's best judgment.  
15 And we are not trying to be against good engineering  
16 judgment, but is it really based upon someone's estimate  
17 of the contribution of human errors?

18           MR. MATTSO: We will attempt to say in that  
19 location the next time we rewrite it what the basis is,  
20 although it is not easy and there is a lot of judgment.

21           MR. WARD: Let me ask a question now. When  
22 you say the uncertainties of containment performance are  
23 very large, do you mean containment leakage, containment  
24 failure modes? Or do you mean the behavior of the  
25 atmosphere of the containment and the dispersion of that

1 atmosphere?

2 MR. ERNST: Yes.

3 MR. WARD: Which? I mean which is  
4 predominant, the behavior of the air cells in the  
5 atmosphere and the dispersion or the failure or the  
6 containment structure?

7 MR. BERNERC: If I could volunteer, you really  
8 have to start at the onset of the core melt and take it  
9 through the whole estimate there. You are starting from  
10 there, what happens within the reactor coolant system;  
11 what containment is provided by the reactor coolant  
12 system itself; the progression of core melt out of there;  
13 the behavior of the core melt with the reactor vessel  
14 with the basement of the containment; the transport  
15 across or through the containment atmosphere; various  
16 plateout mechanisms; and a whole host of questions about  
17 failure modes and failure pressures and temperatures of  
18 the containment itself.

19 MR. OKRENT: You realize that if I were a  
20 biologist, I could make a list of things ten times as  
21 long trying to get from 1 MR to cancer. But the point --

22 MR. OKRENT: I am not sure the uncertainties  
23 the biologists face are smaller.

24 VOICE: They are larger.

25 MR. OKRENT: In other words, this question

1 asks, how do you know it is really this containment that  
2 would have a larger uncertainty than some other  
3 containment.

4 MR. BERNERO: I would interpret the  
5 uncertainty as the effect of low-level radiation as  
6 being generally confined in this context to the low end  
7 of the scale where we depict the linear model, the  
8 linear quadratic, and so forth.

9 And if you use alternative models for doses in  
10 that range, how much do you change the overall effects  
11 of reactor accidents as against when you go through the  
12 whole containment performance and count the different  
13 estimates over ranges sometimes of a factor of 100 of  
14 what is retained in the reactor cooling system, what  
15 plates out before it even gets to the wall.

16 MR. OKRENT: Let me just leave it. But I  
17 think if you take zero as the lower limit, which some  
18 people suggest are low doses, then you have a big range  
19 from 1 MR, you know.

20 MR. BERNERO: You have a big variation only  
21 for those who receive doses in the range of 1 MR and  
22 less.

23 MR. OKRENT: No, I can go up. At 10 MR you do  
24 not know much better. At 100 MR --

25 MR. BERNERO: The uncertainty decreases

1 rapidly as you get up into the range of interest of R  
2 doses.

3 MR. OKRENT: I am not sure. I will let Dr.  
4 Mark comment.

5 MR. MARK: I do not think you are on a very  
6 solid surface even at 100 MR. That is just natural  
7 background and you do not even know what that does.  
8 Where I live, 200 MR does not seem to decimate the  
9 population either.

10 MR. SIESS: And that is on top of the other  
11 junk.

12 MR. BERNERO: Let me fall back on Roger's  
13 proposal where the comment is made we should attempt to  
14 qualify or state the uncertainty.

15 MR. MATTSON: I think we are up to question 5  
16 on page 3. I will try to answer it. It is clear that  
17 the quantitative assessment performance criteria are not  
18 independent of the rest of the design. Let me give an  
19 example in the auxiliary feedwater system.

20 The 10<sup>-4</sup>, 10<sup>-5</sup> criterion in the Standard  
21 Review Plan was developed as a result of work done after  
22 TMI, building on WASH-1400 and reviewing auxiliary  
23 feedwater systems for the operating plants. It did not  
24 evolve from this proposed safety goal or even in  
25 anticipation of the safety goal.



1 overnight. He seems to read that into the  
2 implementation plan. That is an incorrect reading. You  
3 have to look at what the deterministic criteria buys  
4 you, and you have to rationalize a new criteria  
5 vis-a-vis the safety goal; then you have to make a  
6 decision as to which is the way you want to regulate.

7 MR. OKRENT: I wonder if I could interrupt  
8 this going down the questions and ask sort of a general  
9 question. I have been trying to decide in my own mind  
10 what does one mean by the term "implementation plan" or  
11 what should one mean?

12 I guess it seemed to me that what I read was  
13 an outline of what the Staff hoped to do and an outline  
14 on how they would apply it on a trial basis. But there  
15 was sort of a paragraph on what I would call process,  
16 the nitty-gritty of how one would get numbers and  
17 evaluate them and arrive at judgments.

18 Do you feel that this thing that I call  
19 process is part of the implementation plan or a part of  
20 something else? Am I wrong in reading the thing, or  
21 what?

22 MR. ERNST: No, I do not think you are wrong  
23 at all, Dave. I think we had some of the same questions  
24 when we started writing the thing, and we have in the  
25 pack, by fiscal year anyway, some nice things that one

1 should do to improve one's knowledge of the plan. We  
2 have up front some indications of this kind of  
3 application for a plant you would or would not use a  
4 safety goal or would or would not require a PRA; those  
5 kinds of things. And those are certainly elements of an  
6 implementation plan.

7           Fundamentally, though, the document tries to  
8 describe a philosophy of implementation, realizing you  
9 cannot answer all of the details in a 20-page document  
10 or so, which is what we are striving for to have people  
11 read it and try to understand it. I felt that maybe the  
12 philosophy of implementation may be more important than  
13 some of the details.

14           As far as your paragraph on how you evaluate  
15 PRAs or what is required to be in PRAs or how you handle  
16 data bases, I guess we are looking more to the  
17 development of what one might call an INREP manual, and  
18 perhaps an internal audit manual for PRAs, that kind of  
19 thing, to provide that level of detail of prescription  
20 about how one does things.

21           MR. OKRENT: There were several questions that  
22 Mr. Rathbun said really goes over to the Staff. They  
23 relate to how do you deal with uncertainty and, I guess,  
24 how do you make decisions when different people give  
25 different answers, like on ATWS and so forth. To me,



1 that is perhaps not only equally part of the process  
2 but, to some extent, the harder part. And I did not see  
3 really anything in the implementation plan in that area.

4 MR. ERNST: Yes. That is very difficult. Let  
5 me diverge a little bit. We might be asking more of the  
6 safety goal and the implementation plan than these  
7 documents can reasonably deliver. I think we are trying  
8 to somehow find our way around the fact that there are  
9 substantial uncertainties in PRAs, and clearly there  
10 will be substantial questions about whether or not a  
11 certain safety goal is or is not met.

12 I submit that most any, if not all, safety  
13 goals proposals and implementation plans would be  
14 subject to probably about the same set of questions that  
15 were developed for this one. I think how you deal with  
16 uncertainty and how you deal with PRAs and safety goals,  
17 in my personal opinion -- I do not think it is too  
18 personal; I think I would probably get some votes right  
19 here -- is that if you had no safety goal and no PRA,  
20 you would still have the same kinds of decisions to  
21 make. They would still inherently have the same  
22 uncertainties except you might or might not address the  
23 uncertainties as quantitatively as you would with the  
24 safety goals.

25 And it seems to me that one ought to strive to

1 get the useful parts of the safety goal and PRA, make  
2 use of the useful parts, recognize the infirmities, and  
3 at least you have a process that requires some  
4 discipline to go through and try to estimate risks. And  
5 at least it documents it so people can argue about it.  
6 And sometimes some people will win the argument,  
7 sometimes other people will win the arguments. But at  
8 least the arguments, I think, are a little more  
9 quantitative, maybe a little more on target as to what  
10 is useful and not useful from a public risk standpoint.  
11 Those, I think, are my perceptions of the merits of the  
12 process.

13           MR. KERR: I could interpret that to mean we  
14 cannot really use quantitative safety goals at this  
15 point to make decisions. It is fun to play with them  
16 and we can get some additional insight, but they are not  
17 good for making decisions. That may be the case. Maybe  
18 no one is willing to admit it at this point. I do not  
19 know.

20           But to talk about philosophy being more  
21 important in practice gives me some pause, because I do  
22 not think we have a philosophy yet, or even a practice,  
23 with using safety goals. We have -- and when I say  
24 "we," I include both the NRC Staff and the industry --  
25 we have spent literally hundreds of millions of dollars

1 now on PRA, I am sure, and I include the original study  
2 in that amount. But there is some uncertainty in that  
3 statement.

4 (Laughter.)

5 MR. BERNERO: It is almost like low-level  
6 health effects.

7 MR. KERR: I do not think anyone has a good  
8 idea yet about what one does with them. At present, we  
9 have a number kicking around, and it corresponds.  
10 People review them, and they ask questions about them,  
11 and they review the answers to these questions, and they  
12 ask more questions. But I have not seen any evidence  
13 that anyone says, when we get to this point we will take  
14 these numbers and do something with them.

15 I do not mean the task of making that decision  
16 is easy, but at some point it seems to me we have to say  
17 there is so much uncertainty in this process that we  
18 cannot use it for decision making; we can use it as  
19 additional information, or we can say, here is the way  
20 we are going to handle these uncertainties in the  
21 decision making process.

22 It is that sort of thing it seems to me  
23 somebody has to develop at some point. And it is easy  
24 for us to say, why do you guys not do it? That is sort  
25 of what we are saying. How are you going to make a

1 decision if you do not have at least some methodology in  
2 mind?

3 MR. MATTSON: I do not know if the "father of  
4 PRA" wants to speak, but I think you are looking for  
5 something too dramatic to be concluded from PRA. If you  
6 are looking for the fine-tuning in the small system  
7 design changes that have occurred as a result of PRA,  
8 there is a long list.

9 MR. KERR: I am just looking for what somebody  
10 is going to do with one in deciding that either a plant  
11 should or should not be operated.

12 MR. MATTSON: Those kinds of decisions have  
13 been made with every one that has been done. The  
14 decision has been to keep operating but to make some  
15 design changes, all the way from the event B design  
16 changes that came from WASH-1400 to the Indian Point  
17 emphasis on fire protection as being something we should  
18 get straight fast and get them in conformance with  
19 Appendix I.

20 I think for almost every PRA you can point to  
21 those kind of decisions that have been made. That is  
22 why in SECY 82-1A we said there are no big-ticket items  
23 on the horizon, because the PRAs do not disclose the  
24 need for them.

25 MR. KERR: It is true the decisions have been

1 made, but they have not been made on the basis of  
2 numerical PRAs, because one has not demonstrated a given  
3 proven safety. One has said, these look like weak  
4 points. You would have seen those weak points  
5 independently of numerical numbers. You could look at  
6 event B and see it was a weak point. You did not have  
7 to put any numbers in it at all, and you could say, if I  
8 eliminate that, I will have eliminated that weak point.

9 I am talking about numerical safety goals, not  
10 qualitative systems analyses, which I think, by the way,  
11 are very valuable. It is the numerical part I am  
12 looking for.

13 MR. ERNST: Let me --

14 MR. KERR: It may be it is impossible to do at  
15 this point. I am not at all convinced that it is  
16 possible.

17 MR. BERNERO: Let me suggest, we have two  
18 major PRAs that were filed by owners recently. One was  
19 the Zion PRA and the other, the two Indian Point PRAs.  
20 The seismic risk was dominant in both PRAs, but quite  
21 different in the level of threat it seemed to pose. I  
22 think indeed even the postulated existence of a  
23 Commission-sponsored safety goal gave much more  
24 regulatory attention to the seismic risk in Indian Point  
25 than it did to the seismic risk in Zion. For that very

1 reason, it was level.

2 MR. KERR: Run through that again slowly. I  
3 did not understand what you were saying.

4 MR. SIESS: Put some numbers on it, Bob.

5 MR. BERNERO: The core melt probability from  
6 seismic contributors at Indian Point is something times  
7  $10^{-4}$ , roughly  $1 \times 10^{-4}$ . If you use the owners'  
8 analysis and if you use Sandia, you come up with a  
9 higher number. If you go to Zion, it is substantially  
10 lower. It is an order of magnitude lower, and,  
11 therefore, the Staff, for example -- and I think this is  
12 true of the Commission as well -- is far less  
13 apprehensive about seismic risk at Zion than it is about  
14 seismic risk at Indian Point.

15 MR. KERR: Let me ask this: before this was  
16 done, was the Staff equally apprehensive about seismic  
17 risks at the two sites?

18 MR. BERNERO: They did not know. The Staff  
19 just did not know. I think it would be fair to say that  
20 the Staff was.

21 MR. KERR: Bob, come on, do you mean to tell  
22 me you think an earthquake in central Illinois is about  
23 equally probable to an earthquake --

24 MR. BERNERO: I was going to say the debate  
25 about the Ramapole fault system around the Hudson River

1 area, it is probably fair to say there was greater  
2 apprehension about Indian Point.

3 MR. KERR: I would certainly think there would  
4 be.

5 MR. SIESS: How much difference was there?

6 MR. BERNERO: I thin it is roughly an order of  
7 magnitude if you use the owners' analysis.

8 MR. SIESS: And what do you think the  
9 uncertainty range is for each of them? Four orders of  
10 magnitude? Three?

11 MR. BERNERO: Yes, three, something like that.

12 MR. SIESS: So how can you get that much  
13 comfort from one order of magnitude difference if you  
14 have three orders of magnitude uncertainty?

15 MR. WARD: Or that much apprehension.

16 (Laughter.)

17 MR. SIESS: This is what bothers me. One  
18 order of magnitude of difference in the sense of  
19 earthquake risks is nothing in view of the uncertainty.  
20 It is lost in the noise.

21 MR. BERNERO: If you look at the spectrum of  
22 contributors to risk, say, at Indian Point, you have the  
23 internal elements, you know, the blackout and things  
24 like that. You have three different external, so-called  
25 external, elements of note: fire, seismic, and wind.

1 And there is a different and substantial uncertainty on  
2 all of those three external ones, called external ones.  
3 And I think most people would agree that that  
4 uncertainty is greater than the uncertainty on the  
5 internal events contribution. I think we do not know  
6 enough to say there is exactly this order of uncertainty  
7 and I will measure exactly this difference and I will or  
8 will not act on the number.

9 No one in the Staff or in the industry, for  
10 that matter, suggests rigorous use of the seismic risk  
11 number. It is an indicator. And I think what both  
12 sides are doing, what both parties are doing, is sensing  
13 the higher estimate and looking at using it as a  
14 screening tool, looking at those things that it points  
15 to and looking at them using all wisdom available. I do  
16 not think anyone is intending to make it is  $1.1 \times 10^{-4}$   
17 it is unacceptable, it is  $.9 \times 10^{-4}$  it would be  
18 acceptable. No one wants to use it numerically that way.

19 By the order of magnitude, the sense of  
20 urgency can be put there, and by using it as a screening  
21 tool, the focus of attention can be put on the control  
22 room roof or the containment building or the hill next  
23 to the containment number 2 or whatever it is.

24 MR. SIESS: That is PRA without safety goals.

25 MR. BERNERO: The safety goal is a backdrop



1 for that level of urgency.

2 MR. SIESS: But PRA without safety goals is  
3 still a great tool.

4 MR. BERNERO: There is no denying that.

5 MR. MARK: You seem to me to have run down the  
6 usefulness of PRA, because I learned from this  
7 implementation plan that PRA is useful in making  
8 realistic evaluation of the strength of existing  
9 structures. There are apparently some things it can do  
10 with realism and precision. I was surprised, I must  
11 say. In fact, I do not believe it yet.

12 (Laughter.)

13 MR. BERNERO: No. Ernst must have said that.

14 MR. ERNST: I would never have said that.

15 (Laughter.)

16 MR. OKRENT: We have about 8 minutes before I  
17 am going to change the subject temporarily to the SECY  
18 82-1A. And I am going to give Bill Kerr the use of the  
19 8 minutes, if I may.

20 MR. KERR: Would you be willing to turn to  
21 page 3 and deal perhaps with question 3 under "Accident  
22 Initiators," whoever?

23 MR. ERNST: I think Bob has hit on some of  
24 these already. Sure, external events have been  
25 modeled. I think it is fair to say that the research in

1 this area to try to come up with a methodology is still  
2 under way. In fact, I thought I saw the milestone being  
3 fiscal year 1984 or something like that when the program  
4 should bear fruit.

5 I think it is not so much a question of  
6 whether people can go out and model things and come up  
7 with numbers as a question of verification, have they  
8 done it reasonably well, do we reasonably agree with  
9 them so that we can reasonably agree with the bottom  
10 line?

11 And I guess the position of the Action Plan  
12 is, let us be cautious before we just run out and  
13 everybody independently model a bunch of plants and  
14 calculate seismic risks; let us at least get some better  
15 consensus on methodology.

16 As far as the dominant contributors are  
17 concerned, I think dominant contributors are  
18 interesting, but I think you arrive, as Bob mentioned,  
19 at different conclusions from Zion compared to Indian  
20 Point. Without a safety goal, without some judgment of  
21 what is risk important, one might say, go fix dominant  
22 contributors, in which case you do exactly the same  
23 thing on Zion as you do on Indian Point. So I think  
24 there is a benchmark kind of usefulness to a safety goal.

25 Do you want to add anything to methodology

1 there, Bob?

2 MR. BERNERO: (Nods negatively.)

3 MR. ERNST: On the consideration of whether  
4 external events may change the cost-benefit balance --

5 MR. KERR: The question, as far as I  
6 interpreted it, was that in a sense one is ignoring  
7 external events when at least in some cases it appears  
8 that most people who have modeled external events have  
9 concluded that these are the dominant contributors.

10 Now, part of your answer seemed to say, we are  
11 going to wait to calculate those until research tells us  
12 how to do it better. In the meantime, in a trial  
13 period, it will not matter much. Is that what you are  
14 saying? But in the long term, when we try to get down  
15 to using this stuff, we will have to take it into  
16 account, but we will know more then?

17 MR. ERNST: Again, I think one must take the  
18 safety goal proposal in its entirety. I think the  
19 policy expression is that the existence of a safety goal  
20 itself should not mandate a number of PRAs.

21 The implementation plan suggests -- and I  
22 guess the EDO would further modify it, but the  
23 implementation plan suggests -- that in the near term  
24 over the next couple of years, about the only PRAs that  
25 may be requested -- and this would be subject to

1 Commission approval on a program-by-program basis --  
2 might be the first group of INREP plants or maybe one or  
3 two more high-density sites. But basically, the only  
4 decision in the foreseeable future would be whether to  
5 do an INREP or not.

6 MR. KERR: It would follow, for example, if  
7 one takes this attitude and the situation comes up that  
8 piping had not been analyzed in five plants, we would  
9 say that is an external event, we do not know how to  
10 model it, we will ignore it. I am being a little  
11 ridiculous.

12 MR. ERNST: No, no. Let me finish my  
13 sentence. So in the near term, there are only a few  
14 plants that may or may not be affected, depending upon  
15 the decision on INREP.

16 Another question is: for those few plants,  
17 should you include external events? INREP, if approved,  
18 would be coupled with SEP. SEP looks at external events  
19 in a deterministic way. And the judgment of the Staff  
20 is in looking at the plant in that manner, if it meets  
21 present requirements, that the risk likely is acceptably  
22 low. And that is just a technical position which could  
23 be reversed in the future. We just do not know that  
24 much yet about what the actual level of seismic risk is.

25 But from the standpoint of analysis,

1 probabilistic analysis, in the near term we are saying  
2 we feel reasonably comfortable with that decision in the  
3 near term and why we have to make a hard decision on  
4 this.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           On one hand, the Commission says it is in the  
2 safety goal; on the other hand, the plant says they  
3 don't know how to do it probabilistically, and that is  
4 the debate you are having. On the other hand, General  
5 Electric comes in with GESSAR and says they don't want  
6 to address seismic events in the FDA review for future  
7 applications, and the Division of Engineering says they  
8 don't know how to do earthquakes in PRA space. And yet  
9 the dominant risk in the two most recent PRAs is  
10 seismic. How can you ignore that? And yet the  
11 precursors aren't seismic precursors today, they are  
12 still human errors and equipment failures, and how can  
13 you ignore that? If it is really not seismic that is  
14 the dominant risk, and I don't believe it is, then  
15 spending all of these high powered researchers worrying  
16 about the seismic problem is certainly the wrong thing  
17 to do.

18           MR. OKRENT: I must say I don't understand  
19 your use of the term the "precursors" are not seismic.  
20 Let me postulate for a moment a pressure vessel which  
21 has the probability of 10<sup>-4</sup> per reactor year. You  
22 would not have expected to see it yet, but I doubt that  
23 you would say that the precursors haven't shown a  
24 pressure vessel failure and so it is not an important  
25 contributor.

1           MR. MATTSON: Multiple failures in the  
2 operation of nuclear power plants continue to occur  
3 month in and month out.

4           MR. OKRENT: You have a minute, Mr. Kerr.  
5 What else would you like to ask?

6           MR. KERR: I guess I don't understand the  
7 answers to the question, but it may be because the  
8 question wasn't well put. I was not trying to say that  
9 earthquakes are the most important contributor. I don't  
10 know whether they are or not. I was simply saying that  
11 people have concluded in some cases, people who have  
12 done very serious PRAs, that they are, and if we are  
13 going to ignore them for a while, I assume it is because  
14 we want to wait until we learn how to deal with them.  
15 But we aren't saying we are going to ignore them from  
16 now on just because we can't calculate them or something.

17           MR. MATTSON: No one said ignore them. People  
18 said study further. And the tendency that we sense on  
19 your part is to force us to a decision that we are not  
20 ready to make yet.

21           MR. KERR: I am just assuming that at some  
22 point when you put the safety goal into practice on  
23 other than a play basis, that you can't ignore the  
24 seismic problem, and I am trying to find out what it is  
25 one would do to get from here to there.

1           MR. BERNERO: I think the better way to put it  
2 is to uncouple the two. As a practical matter, it makes  
3 little difference if I say I am going to look at  
4 internal events and give it half a safety goal, I will  
5 give it half of the 10<sup>-4</sup> and I will give external  
6 events half of the 10<sup>-4</sup> and carry on separately or I  
7 will use the safety goal independently for each of the  
8 causes, the initiators. It is a factor of 2  
9 difference. We are trying to uncouple the thing.

10           We do have fairly good mechanisms for dealing  
11 with internal effects for evaluating or estimating the  
12 threat of internal events. We have a lot of data  
13 indicating to us we should be paying attention to those,  
14 and we can carry on constructively and sensibly with  
15 that. We don't ignore external events. They constitute  
16 perhaps substantial threats: wind, fire, flood and  
17 earthquake. But the problem is we can get wildly or  
18 widely varying values of that risk.

19           Look at what is happening at Indian Point,  
20 factors of 10 or 20 coming out of the peer review on  
21 external events, and we are trying to uncouple the two  
22 and develop better methods for getting numerical  
23 estimates of risk from external events. In the  
24 meanwhile, the potential for using external event risk  
25 analyses as a screening tool is still a real benefit.



1 To go up to Indian Point and look at the roof at the  
2 control room, don't spend so much time looking at the  
3 wall of the control room. It is the roof that appears  
4 to be the problem. What the absolute level of the  
5 problem is is a difficult issue because the methods are  
6 just not that good.

7 MR. KERR: Does that make it clear?

8 MR. OKRENT: And he didn't tell you that they  
9 found a factor of 10 or so on internal events in Zion,  
10 the same reviewers.

11 MR. SIESS: Yes. Are you all that sure that  
12 the uncertainties in the internal events are that much  
13 lower than the uncertainty in the external events?

14 MR. BERNERO: I think so. I think it would be  
15 worth asking the people who really do it.

16 MR. SIESS: You said 10 or 20 as if it were  
17 large. For the internal events what do you consider the  
18 uncertainty? What did WASH-1400 have?

19 MR. BERNERO: I wouldn't use WASH-1400's  
20 estimate of uncertainty now, I think, and Joe Murphy is  
21 right here.

22 MR. SIESS: Why?

23 MR. BERNERO: I think they were  
24 underestimated. But in a recent IREP study we made an  
25 estimate of the two sigma band on internal events, and I

1 thought it was a factor of 10 on data, data uncertainty  
2 for internal events.

3 MR. SIESS: How much would you add to that for  
4 the incompleteness uncertainty?

5 MR. BERNERO: I don't know. There is one  
6 contractor that regularly modifies that. We do not.

7 MR. OKRENT: Look, we better go on to the next  
8 topic. We will come back to the implementation plan,  
9 but let's talk about SECY 82-1A.

10 MR. MATTSON: I have two ways we could  
11 proceed. One way is a slide show of about six slides  
12 that march through 82-1A, and another way is to forego  
13 that and just go through your list of questions. Which  
14 would you rather do?

15 MR. SIESS: Which list of questions are you  
16 working on? Next time I hope you label these A, B, C, D  
17 and something.

18 MR. MATTSON: I have a four-page list dated  
19 August 26.

20 MR. SIESS: I have it. It says severe  
21 accident policy, 82-1A.

22 MR. OKRENT: What would you prefer, Mr. Kerr?  
23 How would you like them to proceed?

24 MR. KERR: I am putty in their hands.

25 MR. SHEWMON: Why don't we let them present

1 their Vu-graphs, then. I find reacting to our questions  
2 somewhat disembodied, but maybe that is because I have  
3 done less preparation than anyone else for this meeting.

4 MR. OKRENT: We have one vote for that and  
5 nothing for anything else.

6 MR. SIESS: Did you prepare the slides before  
7 or after you got the questions?

8 MR. MATTSON: After.

9 MR. SIESS: All right. I vote for the slides,  
10 too.

11 MR. MATTSON: The points on this first slide  
12 are used as the titles of some subsequent Vu-graphs, so  
13 I want to say there are five main points I want to make  
14 about what is in the paper. And given that you have  
15 probably read that slide already, I won't summarize your  
16 reading.

17 The basic purpose of 82-1A was to try to bring  
18 for your discussion and the Commission's discussion and  
19 the policy-makers and the Staff a plan for how to  
20 proceed with severe accidents. A couple of things we  
21 tried to achieve in the plan from the beginning were,  
22 first, to make the next generation of plants safer than  
23 the first generation of plants and to provide a  
24 mechanism for making decisions in that regard; and  
25 second, to provide incentives for industry to resolve

1 the severe accident issue rather than NRC going off,  
2 researching it and making the decisions themselves.

3           So, as you consider the approaches that we  
4 have taken, remember those are two of the underlying  
5 principles, making reactors safer than the first  
6 generation, and providing incentives to industry. So  
7 the paper, in updating an earlier version of the paper  
8 provided last February and had your review, Commission  
9 review and a number of comments, the paper summarizes  
10 again the developments that have occurred since TMI.

11           You all know about the severe accident things  
12 that have already been added to the standard review plan  
13 and the Commission's regulation, either in the CP rule  
14 or the hydrogen interim rule. You all know that PRA  
15 results and research results are still coming in, are  
16 still under review. You have heard some of the  
17 controversy surrounding what they mean, an area that is  
18 still in flux and final conclusions haven't been reached.

19           You should all know of the status of  
20 implementation of the TMI backfits. If you view them th  
21 same way I do, I think significant progress has been  
22 made implementing those changes.

23           You should all know of the IDCOR program and  
24 its progress on studying whether design changes for  
25 severe accidents would make any difference to four

1 typical designs. You have heard in great detail about  
2 the NRC research program and how it is now divided into  
3 two phases, one to support a decision process in 1984  
4 for operating reactors, and another phase following that  
5 to clean up any items still needed for confirmation,  
6 much like the ECCS decision process of the early 1970s,  
7 decisions in 1974 and confirmatory testing for another  
8 six or eight years in the case of ECCS.

9           We have heard today about the safety goal and  
10 we know its status. It should be obvious that 82-1A has  
11 to continue to be in flux and revision so long as the  
12 safety goal is in flux and in revision, although we have  
13 to stay flexible to accommodate whatever the outcome is  
14 there. It is much like you have heard the research  
15 people say about the research program. It will go  
16 forward or should go forward even if there is no safety  
17 goal at all. The safety goal provides a way to make  
18 some of the measurements necessary for the judgments  
19 mentioned on severe accidents, but you could always make  
20 those judgments with the same judgment-dominated process  
21 that has existed in years past.

22           What SECY 82-1A proposes is what it proposed  
23 in the first instance, to replace the generic severe  
24 accident rulemaking with several plant-specific,  
25 standardized design approvals, in rulemaking, that is,

1 using Appendix D to Part 50 to approve for ten-year  
2 referencing in further CP applications those standard  
3 plant offerings of whatever manufacturers would come  
4 forward. This slide summarizes that we know of three  
5 designers who have expressed an interest, one review  
6 already under way, GESSAR II, another for which the  
7 initial meetings between the applicant and the staff  
8 will begin later this month, the Westinghouse advance  
9 design, and an expectation that when 82-1A is finally  
10 approved, that CE will file an application for operating  
11 GESSAR in accordance with the requirements of 82-1A to  
12 give it forward referencing approval.

13 MR. SIESS: It says FDA for GESSAR II. Is  
14 that a typo or have I missed something?

15 MR. MATTSON: Final design approval.

16 MR. SIESS: What happened to the PPA?

17 MR. MATTSON: They have had that already.

18 MR. SIESS: And GESSAR II?

19 MR. MATTSON: Yes.

20 MR. SIESS: What did they call it?

21 MR. MATTSON: We have two FDA reviews for  
22 GESSAR. One is the STRIDE package. The other is  
23 improvements on that package for future reference.

24 MR. SIESS: I have a 24-volume SAR on GESSAR  
25 II. Is that what you are talking about?

1 MR. MATTSON: Yes.

2 MR. SIESS: I just got that six months ago.

3 Have you already done a PDA on it?

4 MR. MATTSON: Yes.

5 MR. SIESS: Have we got a PDA letter on GESSAR  
6 II? I am completely lost.

7 MR. MATTSON: Maybe we are lost on the number  
8 reference. It also has a different number. Chemi, is  
9 it 238?

10 MR. SPEIS: Yes. That was done before TMI.

11 MR. MATTSON: Yes, some time ago. This is the  
12 Hartsville design, right?

13 MR. SIESS: So GESSAR II is a new name for  
14 what was originally a Hartsville --

15 MR. MATTSON: I can straighten it out for you  
16 later. I will get it for you tomorrow.

17 MR. SIESS: So what we have is an FSAR on  
18 GESSAR II.

19 MR. MATTSON: Yes.

20 MR. SIESS: And it is really in two pieces,  
21 one piece to get an FDA under the current requirements,  
22 and another to get an FDA for future referencing, that  
23 is, a ten-year certification under this rulemaking  
24 approach, much like the two approvals that CESSAR would  
25 have. It has in essence an FDA today under the old

1 rules that can be used for the plants now under  
2 construction that follow Palo Verde. They can reference  
3 that FDA approval and not have to go through all of the  
4 OI that FDA went through, much like Palo Verde did, and  
5 then another FDA approval for future referencing.

6 MR. SIESS: That is on this same document?

7 MR. MATTSON: Yes.

8 MR. SIESS: Will there be amendments?

9 MR. MATTSON: I'm not sure how they will  
10 handle the different amendments but they have to address  
11 more in the second review than they do in the first, and  
12 the "more" is what is described in 82-1A.

13 MR. SIESS: The paper we have now is just for  
14 the first review?

15 MR. MATTSON: In the case of CESSAR, yes. In  
16 the case of GESSAR --

17 MR. SIESS: No, GESSAR.

18 MR. MATTSON: In the case of GESSAR, I am not  
19 clear on how they handle the severe accident  
20 information. We are receiving some of that information.

21 Demi, is it not in the docket, do you know?

22 MR. SPEIS: It is in the docket.

23 MR. MATTSON: You should be getting both, Chet.

24 MR. MATTSON: Let me dwell a moment on what  
25 the policy requires that is different between these two



1 kinds of FDA approvals because it is really the  
2 substance of what 82-1A says has to be done for the next  
3 generation of plants that wasn't done for the first  
4 generation of plants.

5           First of all, it says that they have to  
6 address the unresolved safety issues. That means come  
7 to an agreement with the Staff as to what should be done  
8 about those unresolved safety issues insofar as they  
9 apply to those designs. They also have to by inference  
10 address the dominant contributors in the PRA. If there  
11 is a safety goal and if it has cost effectiveness or  
12 dollar values/man rem averted in it, you would have to  
13 show what design alternatives had been considered for  
14 reducing the risk in accordance with that \$1000 a man  
15 rem.

16           MR. SIESS: That PDA was on the one they call  
17 238 NI?

18           MR. MATTSON: Yes, that is it. That is right.

19           MR. SIESS: Okay.

20           MR. MATTSON: It requires that there be  
21 specific design features considered in these forward  
22 referencable standardized plant approvals, such as  
23 filtered events designed for sabotage protection,  
24 consideration of external hazards like seismic and so  
25 forth.

1           MR. MARK: That man rem bit, they could handle  
2 that just by moving it a few miles further away or going  
3 to a different state or something. There would be no  
4 need to change the design.

5           MR. MATTSON: The idea would be you would pick  
6 some envelope of sites for which you wanted to certify  
7 the design, and you would try to characterize the worst  
8 site you wanted to sell that design for, I presume, and  
9 then show for those site characteristics what the risk  
10 was for the design you proposed.

11           MR. MARK: But it is a flexible thing. It is  
12 site dependent.

13           MR. MATTSON: Yes, but the approval is for a  
14 standardized design. It would have to be for an  
15 envelope of sites to remove that site dependence if the  
16 standardized plant approval is to mean anything at all.  
17 Otherwise you have to go through the approval again case  
18 by case in future applications, which would defeat the  
19 purpose of standardization in the first place.

20           MR. OKRENT: I am sorry, what is your  
21 impression that SECY 82-1A would ask one of these  
22 standard plans to do for sabotage? You ticked off a few  
23 things.

24           MR. MATTSON: In the case of sabotage it  
25 acknowledges that it is difficult to handle in the PRA,

1 and all it requires of them is that they show what  
2 design consideration they have given to the question of  
3 sabotage. The Staff in turn lacks definitive criteria  
4 on design considerations, never having made such a  
5 requirement, the thought being that the process of  
6 proposal and review and review by the ACRS and the  
7 Commission ultimately would lead to some sort of  
8 understanding of what was required for design  
9 considerations of the sabotage.

10 MR. OKRENT: And on severe accidents what was  
11 it that they would have to do?

12 MR. MATTSON: There is a number of things they  
13 have to do for severe accidents. One, they have to do a  
14 PRA before they get an approval. That moves the PRA  
15 back into the design process. The second sort of thing  
16 they have to do is address their consideration of either  
17 the dominant contributors to risk and what you could do  
18 about them to reduce the risk, or through consideration  
19 of some specifically listed design changes. They would  
20 have to show what the cost effectiveness of making  
21 changes to the design they propose would be, so they  
22 have to consider filtered events for each of those  
23 designs.

24 MR. OKRENT: Would you say in the Zion PRA  
25 these features have been addressed?

1 MR. MATTSON: No.

2 MR. SIESS: There is a chapter at the end. I  
3 am trying to understand how you define the word  
4 "addressed."

5 MR. MATTSON: Not in the same way they would  
6 have to be here is what my answer meant. It is my  
7 understanding they addressed filtered vents, for  
8 example, in Indian Point. I am not up to date on Zion.  
9 Chemi, do you want to address it?

10 MR. SPEIS: They have been addressed in both.

11 MR. MATTSON: But whether they did not address  
12 them in the context of a safety goal, that that is what  
13 we have by the time 82-1A goes forward. So there would  
14 be more.

15 MR. OKRENT: Zion as they calculate it meets,  
16 I think, the safety goals, so it would only be on an  
17 ALARA basis, and they did do an ALARA calculation using  
18 their numbers and so forth.

19 MR. MATTSON: In concept that is what we have  
20 in mind. We haven't reviewed that to say whether that  
21 is acceptable for a future plant, but in concept it is  
22 that kind of consideration, yes.

23 MR. OKRENT: And how would the decisions be  
24 made, then, on either things like that or whether or not  
25 you wanted another HPRCI system on the PWR and so forth

1 in the review of these standard plans? I am trying to  
2 understand how this will bring order to a diffuse severe  
3 accident rulemaking.

4 MR. MATTSON: If you presume that they didn't  
5 have these alternates in the design they proposed, that  
6 their basic design didn't include them, and we presume  
7 that is the way they came in, they would still be  
8 required to consider them as add-ons. And to show what  
9 they would do to reduce the risks as measured by their  
10 PRA for their site envelope and to estimate what they  
11 would cost, and if there is a safety goal, to show  
12 whether or not that cost-benefit was above or below the  
13 safety goal guidance. If there was no safety goal, then  
14 you would have to make some judgments without the  
15 guidance of a safety goal as to whether it was cost  
16 effective to require those add-ons.

17 MR. OKRENT: For some people, including  
18 myself, who think there are going to be large  
19 uncertainties in many of the most interesting  
20 cost-benefit calculations that one could do here -- if  
21 there are not uncertainties, there will be differences  
22 of opinion on the calculated results -- are you  
23 suggesting that the PRA methodology is sufficiently  
24 nature that it will lead one to the right answer; there  
25 is a right answer?

1           MR. MATTSON: I am not suggesting you could do  
2 it with the PRA alone. The paper says you would have to  
3 step back and view the uncertainties and think about  
4 what it really meant to add those things anyhow, despite  
5 what their cost-effectiveness might be, and make  
6 decisions on them for each of these designs.

7           MR. OKRENT: So how are we going to get this  
8 decision making done in a way that is more orderly and  
9 less ad hoc when we do it one vendor at a time, which is  
10 the way it seems to be, rather than in some kind of  
11 overall context where you would have to consider the  
12 differences among vendors but nevertheless it is an  
13 overall context? I am trying to see why you think --

14           MR. MATTSON: You really have to make it in an  
15 overall context before you make it for any of these  
16 vendors under the plan put forward in 82-1A. You have  
17 to make a decision in early 1984 for all of the  
18 operating plants. Now, given whatever the ensemble of  
19 PRAs is at that time and whatever our research program  
20 and the IDCOR program have told us about the  
21 cost-effectiveness of retrofits, the laundry list we are  
22 all familiar with, you are going to make a generic  
23 decision anyhow in 1984 for future plants where the goal  
24 is to somehow make them safer where you can afford to do  
25 that. The idea is to tune the decision to the design

1 specifics, given whatever policy guidance the Commission  
2 issues in the form of a safety goal.

3 MR. OKRENT: Do you feel that if the  
4 Commission adopts a safety goal by the end of 1982, it  
5 is going to be other than on something which I will call  
6 a trial basis? In fact, even in the application to the  
7 Commission's own regulations I have to assume that it  
8 will only be an input to decision-making.

9 MR. MATTSON: That is true.

10 MR. OKRENT: Since the uncertainties will be  
11 there.

12 MR. MATTSON: But it is for these generic kind  
13 of decisions and for these standard rulemaking decisions  
14 that we are urging the safety goal be used in that trial  
15 period. This is the kind of decision we think it is  
16 made for, to decide whether and how much severe accident  
17 mitigation equipment to add to the various classes of  
18 plants as one element of the decision.

19 MR. OKRENT: I must confess I still have  
20 trouble. On the one hand, I hear and I agree that there  
21 are large uncertainties in PRA and that there will be  
22 problems that arise from these uncertainties in trying  
23 to make decisions on whether you can see the level or  
24 whether something is cost-effective and so forth. But  
25 then I seem to hear in connection with these proposed

1 specific standard plan rulemakings that somehow we will  
2 be able to use PRA and make the decisions using PRA as a  
3 principal if not the principal guiding source of  
4 information.

5 Am I hearing this incorrectly?

6 MR. MATTSON: No. I think, as Bob did  
7 beautifully before, it is a way of ordering your  
8 understanding of what the sources of uncertainty are and  
9 what their importance are to the elements of the  
10 decision. For this there is no better substitute for  
11 PRA as a sole source of a decision-making process. AS  
12 Mel calls it, the bottom line item, it is something you  
13 have to stay away from, but as a way to order your  
14 thinking about what the sources of uncertainty are and  
15 how they affect your decision, there is no better  
16 accounting system we know if, is there?

17 Let me try to jump to something that might be  
18 more productive. I think we have an example that would  
19 illustrate why we are reticent to make or urge the  
20 Commission to make policy decisions on some of the  
21 severe accident systems today. The best example I know  
22 of, and maybe you will pick it to pieces, is filtered  
23 vents, where we have had an ongoing dialogue with you in  
24 subcommittees and the full committee on what filtered  
25 vents would do for severe accident mitigation.



1           We have tried to put together a series of  
2 slides -- Chemi, I don't even know whether we have  
3 enough copies for everyone -- that talks about the  
4 evolution of knowledge on filtered vents over the last  
5 couple of years, the studies that have gone on that, on  
6 the one hand, say they help you a lot, and on the other  
7 hand, say they don't really affect overall risk. On  
8 another hand, when you look at the uncertainties and  
9 fragilities for seismic analysis in the last two PRAs,  
10 they say if you design the right kind of filtered vent,  
11 they may help you a lot for the dominant contributors.

12           How can we make a precipitous decision on  
13 something that seems to change every time we turn around  
14 and a new analysis is done?

15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1           The assessments of overall risks in the  
2 context of further understanding, more research in the  
3 plant laid out the way we have laid out this one. We  
4 would propose to make those decisions rather than  
5 jumping to decisions on any one of them now. If it  
6 would be useful to understand filtered vents as an  
7 example of why we prefer the more studied approach,  
8 putting it off until later, using tools which today are  
9 not suitable for making these decisions, but maybe in  
10 the course of time, we offer that.

11           MR. OKRENT: I am not sure the alternative is  
12 making a decision today, which is the one you  
13 suggested. In fact, I do not recall any schedule on  
14 which a decision was to be made in less than about two  
15 years, as I remember.

16           It seems to me, though, you are proposing to  
17 make fairly binding decisions, things that will stand  
18 for ten years on these specific FDAs.

19           Taking up the order of a year to review or  
20 some not too long time -- I may have missed it by some,  
21 but not many, years to review the FDA, and without the  
22 benefit of some kind of broad policy guidance based upon  
23 engineering judgment or whatever it is the Commission  
24 would use. So this is where I find myself at a loss to  
25 understand the philosophy in SECY 82-1A, frankly, unless

1 I have misread it.

2 I got the impression the Staff thought it  
3 could proceed with the GESSAR and what might follow and  
4 in fact arrive at conclusions in a rather quick period  
5 of review. Did I read it wrong?

6 MR. MATTSON: I think you do, because the  
7 Staff cannot make the decision on GESSAR. The  
8 rulemaking would be a Commission rulemaking. The  
9 judgmental processes would occur. It is not a year. It  
10 is two years. It is in full light of the entire laundry  
11 list of things to be considered in 82-1A. It is a  
12 significant jump to even require consideration of those  
13 things in a design.

14 Where have we ever required consideration of  
15 design alternatives as a part of approval prior to the  
16 approval?

17 MR. OKRENT: But the Staff would propose to  
18 the Commission that they adopt a certain rule on GESSAR  
19 2 without having a broader policy as to what it might do  
20 with regard to --

21 MR. MATTSON: That is the down side, no  
22 question. But this side has GE actively working to  
23 develop the answer and Westinghouse actively working to  
24 develop the answer, and IDCOR actively working to  
25 develop the answer, and as I sit here today, over and

1 over asking the question of the industry what are you  
2 doing to address these questions, and unless you got a  
3 different answer than I did, the answer was not much  
4 except for these incentives, which have created a  
5 willingness on their part to work like IDCOR, like  
6 GESSAR, like Westinghouse, hopefully like CESSAR.

7           So I run the risk of being inconsistent  
8 because Commissioners change as time goes on and there  
9 is a few years of difference between GESSAR and CESSAR,  
10 but I have some of the best talent in nuclear  
11 engineering in the country working on the question with  
12 a vested interest in making an acceptable answer.

13           MR. OKRENT: I had assumed IDCOR was in  
14 response to the Staff's schedule for severe core damage  
15 rulemaking, not to SECY 82-1A, but maybe I am wrong.

16           MR. MATTSON: You are right. We have kept  
17 them working in this context.

18           MR. BERNARO: Roger, I think it is worth  
19 adding the IDCOR program and degraded core cooling  
20 research program are noted by the Commission as  
21 continuing and they are a fundamental part of this. The  
22 analysis of GESSAR 2 is not in vacuum. It is not the  
23 only severe accident consideration.

24           MR. MATTSON: That is how I tell you what I  
25 want you to have in your research program. It is what

1 my staff says they do not know how to answer in GESSAR  
2 2. Please help them understand what the core does on  
3 the floor of a Mark III instead of a large, dry Indian  
4 Point containment.

5 Well, let me see what I can provoke with the  
6 next several slides. I will skip the one with the  
7 schedule, and they are just part of 82-1A. You have  
8 probably seen it before.

9 MR. KERR: Roger, is it conceivable that there  
10 might be a mechanism for a pressure suppression  
11 containment of the type being proposed by GE would be  
12 unacceptable? Is there any way that possibility could  
13 come out of a study that is being carried on?

14 MR. MATTSON: Yes.

15 MR. KERR: It would come out of this on the  
16 basis of a probabilistic assessment of performance?

17 MR. MATTSON: We understood the core melt  
18 progression in Mark IIIs, and we understood the level of  
19 risks predicted for those plants and compared them  
20 against what we thought we wanted, either judgmentally  
21 or in the safety goal, for future plants, and as we  
22 continue the dialogue on what constitutes a strong  
23 containment, as the Commission calls it, it is  
24 possible.

25 This slide just acknowledges the fact that an

1 important question while severe accident issues are  
2 being resolved is what do you do with plants in the  
3 pipeline and how should hearing boards conduct  
4 themselves on severe accident issues. 82-1A again  
5 summarizes what we have done to date.

6           It makes the statement that we at this point  
7 are unprepared to make decisions on additional severe  
8 accident requirements until further research and further  
9 thinking is done, and then says the Commission wants the  
10 decisions on the examination of severe accident  
11 requirements to occur generically -- its level, not  
12 case-by-case, in the auspices of hearings.

13           That is, it holds the status quo at  
14 essentially where it is today on severe accident  
15 requirements -- something I think the ACRS overlooked,  
16 and the difficulty it had with this concept in August  
17 and in chastising the staff about our failure to stay in  
18 communication with you.

19           We had proposed this body as one forum for  
20 testing that judgment of whether there were additional  
21 things that ought to be considered for more prompt  
22 implementation than this 82-1A approach would require.  
23 We said in there that IDCOR and the NRC should come to  
24 this body periodically and talk about the progress being  
25 made in severe accident research and that the Commission

1 itself once a year would ask the question of what  
2 progress has been made, and should there be some  
3 modification of the 82-1A policy statement.

4           That is, do we learn something quicker than we  
5 thought we were going to learn it. And it tells us some  
6 action ought to be taken other than the status quo while  
7 the 82-1A approach is still under way. We thought that  
8 was useful.

9           MR. OKRENT: I must say I have reviewed about  
10 as much research in the sense of it being research and  
11 not as it relates to policy as I feel is profitable, and  
12 I would be more interested in seeing proposed rules or  
13 alternative rules and look at the pros and cons of these  
14 and have them examined -- seriously, penetratingly, so  
15 forth and so on.

16           Doing research is like forming a committee to  
17 study something in many ways.

18           MR. BENDER: There are other viewpoints, as  
19 you probably know. I guess I personally do not find  
20 myself too much at odds with Roger over the matter of  
21 studying the matter more before he tries to formulate a  
22 rule, since whenever you formulate a rule, as is being  
23 seen now in just trying to develop a rule associated  
24 with this severe accident policy business, people tend  
25 to interpret the formulation as being the rule.

1           And it seems to me that it is wiser to try to  
2 understand how the various alternatives might be  
3 implemented. But I was more concerned when we wrote our  
4 letter not so long ago about this process, Roger, by the  
5 fact that while the industry has some things going on  
6 and NRC has some things going on, there does not seem to  
7 be much order to the effort.

8           Is my interpretation wrong? Is there order?  
9 Is there some set of answers that will really come out  
10 on some date and you know what kind of questions you are  
11 trying to answer?

12           MR. MATTSON: Well, for the operating  
13 reactors, that is an important question, to which our  
14 answer is not acceptable yet.

15           (Laughter.)

16           MR. MATTSON: The place you can see the  
17 current status of our answer is the revised NUREG-0900,  
18 the severe accident research plan. In that research  
19 plan are the questions as we have been able to  
20 articulate them, NRR and in research, that we are trying  
21 to answer. When you read them at a superficial level,  
22 they make sense. They are logical. They seem  
23 complete.

24           But when you get down to the technical level  
25 of what is the question you are trying to address and



1 you look at the letters NRR sends to research and the  
2 way research modifies SECY or NUREG-0900, you will  
3 detect there is not convergence yet on what are the  
4 unknowns. Is it more important to understand how the  
5 core drips from the lower support plate down to the  
6 vessel or more important to understand the coolability  
7 of the debris bed on the containment floor?

8           And in the coolability of the debris bed on  
9 the containment floor, whether the accident  
10 characteristics you are most interested and are those  
11 one-for-one. Do they have a one-for-one correspondence  
12 to elements of the research program, because the  
13 approach being proposed for the decision in '84 is  
14 through PRA to say what we expect the current risk to be  
15 from operating plants, classes of operating plants, how  
16 we could reduce that risk through design changes of a  
17 specific character, a list of specific things to  
18 consider, and what would it cost.

19           And if we get to '84 and we thought uh-oh, we  
20 left out a question, we should have asked that question  
21 in '82 because it will take two more years to answer it,  
22 then the decision will not occur in '84. We will have  
23 left something important out.

24           The dialogue on what those questions are,  
25 whether you agree they are the right questions, whether

1 you as a forum for NRR and Research agree that they have  
2 all of the questions down, they are probably suitable  
3 for planning purposes, for making budgets, for  
4 estimating costs. But are they suitable for answering  
5 all the technical questions. More is needed in that  
6 area. I will not pretend more is not needed.

7           But on the question of future plants, that  
8 process is already under way, following 82-1A as it  
9 exists today. We are saying to General Electric and  
10 will say to Westinghouse here are the questions we need  
11 answered. Here are the design alternatives you have to  
12 consider.

13           You have to do a PRA. What does that mean?  
14 How good a PRA can you do at this stage of design? That  
15 list of questions is before us, and that is what they  
16 are using today. If it is not complete, then your  
17 comments to us should be what should be add to it.

18           MR. SIESS: Roger, I am sort of on Dave's side  
19 about trying to rule. I do not think you would try one,  
20 but has anyone even thought about the possible kinds of  
21 policies -- I will say policies rather than rules --  
22 that might come out of this and as to whether they all  
23 lead to the same needs of knowledge?

24           For example, one policy would be no change.  
25 We do not need to think more than we have now.

1 MR. MATTSON: There is a group of people  
2 working on that problem, and that is IDCOR, on the  
3 premise that there is nothing more needed, that you can  
4 prove with the existing state of knowledge or another  
5 year and a half manipulation of that. For the four  
6 reactors there is nothing else needed.

7 There are people working on that premise.

8 MR. SIESS: All right. It takes a certain  
9 body of research to permit that decision to be made.

10 MR. MATTSON: Yes.

11 MR. SIESS: Now another policy might be that  
12 you cannot build any more reactors. It would take some  
13 body of research to provide the knowledge to make that  
14 decision.

15 MR. MATTSON: 82-1A attempts to reach a  
16 consensus opinion among the Staff elements, the  
17 Commissioners and you all that that is an alternative  
18 that we can rule out. It attempts to say that reactors  
19 can be built and sited safely in the United States.

20 MR. SIESS: All right. Taking that as a  
21 premise, a policy might say design the plant so that the  
22 probability of a core melt is  $10^{-6}$  ,  $10^{-7}$  .

23 MR. MATTSON: Why would anyone draft a rule  
24 headed in that direction when there is no one pointing  
25 the agency in that direction? Instead, the Commission

1 is pointing the agency in the direction of a probability  
-4  
2 of core melt of 10 .

3 MR. SIESS: That is because they are assuming  
4 something about containment.

5 MR. OKRENT: The U.K. is.

6 MR. SIESS: I just put that on with nothing  
7 about containment. Now that would lead you to research  
8 in one direction. Now if your rule was going to be to  
9 mitigate the consequences of a core melt, no matter what  
10 its probability, that would lead you down another  
11 research path, would it not?

12 MR. MATTSON: Yes. Well, you know, you are  
13 not going too far afield from what I think the  
14 Commission is trying to get into 82-1A's policy  
15 statement but is having some difficulty getting  
16 cooperation.

17 For example, what constitutes a strong  
18 containment? I think we are all being told the  
19 Commission is not very inclined to put in a containment  
20 performance objective and a safety goal. They are  
21 inclined to put something in 82-1A about what  
22 constitutes a good containment.

23 So should we be putting in their mouths words  
24 for them to say on what constitutes a strong  
25 containment? That would be part of the policy judgment

1 you are looking for now. We have gone as far in our  
2 proposal to them as we felt comfortable going on what  
3 constitutes a strong containment. Should we go  
4 further? Is there more that you would want to say about  
5 what constitutes a strong containment?

6 MR. SIESS: My point is the kind of research  
7 you do depends on where you might end up. It is  
8 conceivable that any place you would end up you would  
9 need the same research to get there, but I do not  
10 believe that. There is a lot of research on when, how  
11 and whether it gets out of the vessel.

12 MR. SHERMON: Let me develop it in a different  
13 way. You said your goal at one point was to reduce  
14 risk. Actually, I think you misquote the IDCOR people,  
15 or at least I heard them at a different meeting than you  
16 attended. And their argument is that what you ought to  
17 do is research that will indeed reduce risk.

18 And what the research program is let's try to  
19 understand more and more about all kinds of things and  
20 maybe then someday we will know enough to go back and  
21 say what is important to risk. So in a sense you could  
22 say IDCOR's approach is closer to your goal of reducing  
23 risks by looking at, indeed, those elements which seem  
24 to contribute to it as we all understand it in the  
25 research program.

1           And, in a sense, which head is trying to push  
2 you is the same way of can you find out what elements  
3 are important, how you think you can get your risk down  
4 low enough and then work on those topics, and, at least  
5 to go back to the research program, that is what many of  
6 us do not see there perhaps as well as you do.

7           I am not sure that is a question.

8           MR. MATTSON: Well, you are close to  
9 articulating an alternative approach that I have not  
10 seen you write down.

11           MR. SHEWMON: We have written repeatedly we do  
12 not understand the connection between the research  
13 program and where you people want to end up with your  
14 regulations.

15           MR. MATTSON: Maybe you need to read the  
16 latest draft. I have been reading it the last couple of  
17 days and I see the connection.

18           MR. SIESS: The research program looks to me  
19 like let us learn everything about everything and then  
20 we will know what to do.

21           MR. MATTSON: Chet, there have been things cut  
22 out of that research program because it looked that way  
23 to you and to us. If you look at the NRR comments and  
24 the ACBS comments on the research program, they are  
25 almost an overlay.

1 MR. SIESS: Yes. I would like to see an  
2 answer to them.

3 MR. MATTSON: The research people are moving  
4 in that direction.

5 MR. KERR: Which version of 0900 should I  
6 read?

7 MR. MATTSON: August 30.

8 MR. BERNARO: The SECY 82-03A, which is  
9 transmitted to you.

10 MR. KERR: 82-03A?

11 MR. BERNARO: Yes. The SECY paper is  
12 82-203A.

13 MR. KERR: Date? what?

14 MR. MATTSON: August 30.

15 MR. BERNARO: August 30.

16 MR. KERR: I have not seen that.

17 MR. SIESS: We would not have it yet. Do not  
18 worry.

19 MR. KERR: I am glad to know the problem is  
20 settled. I feel better about it.

21 MR. MATTSON: I did not say it is settled. I  
22 said we need to keep talking. We need your input on  
23 what the technical questions are. You people have an  
24 interest in MARCH. Do you agree with IDCOR, NRR and RES  
25 views on deficiencies in MARCH that should be fixed in

1 the next generation of codes or two generations or  
2 whatever.

3 I think Bernard has two generations of those  
4 codes. Are we fixing the right ones of those or what we  
5 think are the information needed to make the right  
6 decision in '84 -- those kinds of things.

7 But that is not the alternative you are  
8 proposing, and I do not understand yet what I hear from  
9 various elements of the Committee that they think they  
10 are telling the Commission is an alternative approach  
11 for making policy judgments now.

12 MR. SHEWMON: Is this the latest 82-A that we  
13 are talking about in the handout for tomorrow?

14 MR. GRIESMEYER: We have not seen it yet.

15 MR. KERR: Are you talking about 82-1A or  
16 82-03?

17 MR. SHEWMON: I do not know, to be quite  
18 honest. I would settle for either one and be happiest  
19 with both.

20 MR. KERR: 03 is apparently a new description  
21 of a research program. 1A is a description of a policy  
22 on severely-damaged reactor cores.

23 MR. SHEWMON: Okay.

24 MR. MARK: That is what we had been talking  
25 about until the other was mentioned.



1           MR. MATISON: You would not nibble on my thing  
2 about filtered vents. I would say that I think in 82-1A  
3 we have stated the signal on filtered vents  
4 incorrectly. We do not acknowledge the uncertainty  
5 created by the seismic domination of risk in the two  
6 most recent PRAs. That says filtered vents may have  
7 more value for large, dry PWR containments than you can  
8 read in 82-1A.

9           So one thing we will be doing as a result of  
10 some of the questions you have asked is suggesting to  
11 the Commission when we meet with them on 82-1A that that  
12 at least ought to be changed. If we were to go through  
13 82-1A and some of its specifics, there are probably  
14 other modifications that could be made that would be  
15 more acceptable to you and still acceptable to us.

16           But I do not know how you suggest we proceed.

17           MR. OKRENT: I will suggest we take a break,  
18 after which we will come back to the implementation plan  
19 and then to SECY 82-1A in that order, because we did not  
20 finish the implementation plan. I want to have some  
21 discussion.

22           We will reconvene in about seven minutes.

23           (A brief recess was taken.)  
24  
25

1           MR. OKRENT: We will reconvene and go back to  
2 the question of the staff's action plan implementation.  
3 Where were we when we were so rudely interrupted by me?

4           (General laughter.)

5           MR. ERNST: It seems to me we might have  
6 gotten to the bottom of Page 4. I am not sure. I don't  
7 quite know how to answer the last question at the bottom  
8 of Page 4 anyway, other than what we have really already  
9 talked about in one form or another. ALARA is basically  
10 symbolism for considering costs as well as benefits.  
11 The philosophy -- we have been doing it subconsciously,  
12 if not quantitatively, for a long time. This is just a  
13 quantification of what one might call good engineering  
14 judgment about what is sufficient for safety versus what  
15 is not.

16           MR. OKRENT: Yes. I guess this question again  
17 relates to process, in other words, how is  
18 decision-making going to be affected? Even in this  
19 trial period, how do you plan to accomplish  
20 decision-making in view of the large uncertainties that  
21 are going to be present for many of the more interesting  
22 issues? Well, maybe by tomorrow you will have an answer  
23 on that.

24           Dr. Mark?

25           MR. MARK: On that question, when I read what

1 was referred to here, I couldn't believe the word  
2 "benefits" was the word intended, but it would rather  
3 more be usefulness, efficacy, or something of that  
4 quality.

5 MR. ERNST: I am sorry, sir.

6 MR. MARK: I said I couldn't believe the word  
7 "benefits" in the way I usually understood it was the  
8 word intended. I thought "usefulness" or  
9 "applicability" would be more my idea, to find out  
10 whether you can live with the darned thing, and whether  
11 it was having a good effect as a benefit.

12 MR. ERNST: My use of the word "benefit?"

13 MR. MARK: The word "benefit" came out of the  
14 implementation plan.

15 MR. ERNST: I think the "benefit" terminology  
16 there that you are talking about, the incremental  
17 reduction in risk is a benefit.

18 MR. MARK: You are talking about the reduction  
19 in risk. You are talking about the fact that you can  
20 work with it and it helps you in doing your work. That  
21 is what I supposed you meant, the benefits from the  
22 point of view of making decisions.

23 MR. ERNST: Maybe we are talking two different  
24 subjects.

25 MR. BERNERO: I was about to answer it in the

1 same way Mel did. We speak of using PRA to evaluate the  
2 cost benefit of design changes. What is entailed in  
3 both actual resource costs and in competing risks to  
4 make a change to a plant and how much risk you avert or  
5 how much risk you reduce as the benefit.

6 MR. MARK: If that is the case, then the  
7 answer in two years is zero or open question mark,  
8 because you are making changes that would be in effect  
9 two years from now.

10 MR. BERNERO: No, you are looking at the plant  
11 with and without a postulated feature and evaluating the  
12 level of risk the plant poses as it stands against the  
13 level of risk you estimate it to pose given that you  
14 have incorporated the feature.

15 MR. MARK: Okay.

16 MR. OKRENT: Before we go on, I should note  
17 that you have been handed copies of something called  
18 Filtered Vented Containment Systems, which the staff  
19 mentioned prior to the break. I suggest you might look  
20 at it. If you have questions today or tomorrow, they  
21 can give you additional information, but I guess it is  
22 intended to be semi-explanatory to the intelligent  
23 layman, which we are supposed to be.

24 MR. SIESS: This came from -- Oh, thank you.

25 MR. OKRENT: Why don't we go on? We are on

1 the top of Page 5.

2 MR. ERNST: Top of Page 5 addresses staff  
-3  
3 justification, 10 . I guess the staff justification  
-4  
4 is that if 10 is construed to be a design objective,  
5 then what does one do if one does not operationally meet  
6 the design objective? And at what level does one feel  
7 that it is no longer an ALARA question, but a very  
8 strong mandate to fix. I am not sure anybody is  
-3  
9 completely wedded to 10 . I don't know whether 10 x  
-4  
10 3 would be all right. It is a hard judgment to  
11 call, but the staff also did not suggest a time frame.  
-3  
12 They just said above 10 extended operations should  
13 not be permitted.

14 You could probably have the same words at 10 x  
-4  
15 3 . I don't know. But if you look at the incentives  
-3  
16 for fixing, for example, if you get upwards of 10 at  
17 a typical site, I think the man rem works out to  
18 something on the order of several million dollars a  
19 year, a reactor year incentive to fix, and at most  
20 populace sites it would be a decade higher than that  
21 just from radiological, not even including off-site  
22 property damage or perhaps even on-site property  
23 damage.

24 So, it is not an insignificant incentive, plus  
25 clearly the description in the action plan, I think, is

-4

1 strong toward trying to achieve the 10 . So, if you  
2 had reasonably close calls, I don't know what the number  
3 would be, a factor of three or so one way or the other  
4 in ALARA. Consider the fact that an ALARA would not be  
5 the sole basis for decision-making. I think you would  
6 look at other factors that might influence that decision  
7 at that time.

8 I don't think the action plan should be  
9 construed as putting the numbers in, turning the crank,  
10 and the decision comes out. That kind of a process.  
11 The goal should be to try to get the design objective.  
12 At least that was the intent in the action plan.

13 MR. OKRENT: I guess when I look at this I try  
14 to ask myself, suppose I lived downstream of a dam, and  
15 I asked the state what the failure probability was at  
16 which they would not use ALARA considerations, but would  
17 require some kind of a fix without prejudging how long  
18 would be acceptable, and so forth.

-3

19 If they came back to me and said 10 per  
20 reactor year, but we haven't allowed for A, B, or C as  
21 possible failure modes versus a limited set of failure  
22 modes, and this is just our best estimate, and the  
23 uncertainty in this number is unspecified, and if I  
24 asked them, could it be a factor of ten, they said,  
25 well, it could be a factor of ten to two sigma, I just

1 can't say, I am not sure I would feel that I considered  
2 that adequate.

3 Now, you know, dams have different modes of  
4 failures, just as reactors have different kinds of  
5 accidents, so the picture is not radically different if  
6 you want to put it that way. If the Teton Dam failed,  
7 there would be a modest number of casualties, if the  
8 major event occurred where it all gave way once, which  
9 would strongly affect the nearest medium-sized city.

10 On the other hand, if he came to me and said,  
11 gee, this is a 99.9 percent confidence number,  
12 everything is in it, I might react to that one in 1,000  
13 more strongly myself. It is partly in that sense that  
14 the question is posed. If you say one in 1,000, it  
15 means different things depending upon what the  
16 qualifications are that go with it, and I was wondering  
17 whether you had thought this through and decided that  
18 within the statements of the draft action plan this is  
19 okay, or what.

20 MR. MATTSON: Let me answer it.

21 MR. OKRENT: It is not an easy question.

22 MR. MATTSON: I think we are trying to discuss  
23 it too abstractly. If you were to get information that  
24 was  $10^{-3}$ , it would be it is  $10^{-3}$  because of A, B,  
25 and C. Essentially, the situation we have at Indian

1 Point. It is 10<sup>-3rd</sup> because of earthquakes, fires,  
2 and hurricanes. And so you look at the hurricanes, and  
3 you say, gee, what could the uncertainty be with the  
4 hurricanes? Can you really get that big a hurricane  
5 that quickly, that much surprise? What would really  
6 happen to the city of New York as the hurricane passed  
7 over it? How important is that? You are looking at the  
8 range of uncertainty for that contributor. If you look  
9 at seismic, is it really 10<sup>-3rd</sup> because of seismic,  
10 because that is real or because of the way it was  
11 analyzed? You look at the uncertainty in the analysis  
12 and quickly find large sources of uncertainty, some  
13 above and some below 10<sup>-3</sup>.

14 Similarly with fire. I don't think anyone is  
15 trying to make the statement that it is 10<sup>-3rd</sup>. It  
16 could be an order of magnitude. Instead, I think the  
17 statement is mean or median 10<sup>-3rd</sup>. Then you look  
18 hard at what the contributor is and make decisions on it  
19 based upon the consideration of uncertainties and other  
20 things.

21 MR. ERNST: I think to some degree it is the  
22 intent behind the thing, and I guess that could be  
23 subject to question. In my view, the intent is that  
24 core melts would be 10<sup>-4</sup> or less. That should be the  
25 way the plan would be looked at. I guess it is to say



1 there may be some good reasons why they should not be,  
2 but it should be more than make me assume good  
3 reasons why I should lower the core.

4           It reminds me of a paragraph in the action  
5 plan on Page 19. I know, because I looked at it only an  
6 hour or so ago when there was a comment made that the  
7 action plan didn't assign the burden of proof. It  
8 does. It says if you are significantly above the design  
9 number, the burden of proof as to why you shouldn't fix  
10 something should shift to the industry, and if you are  
11 substantially below the design number, the burden of  
12 proof clearly should shift to the NRC.

13           I think if one looks at the entire action plan  
14 to get a gist of intent, one wouldn't be saying, you  
15 will have a lot of plants at 10<sup>-3</sup>.

16           MR. OKRENT: The note I have on that page is,  
17 what about the situation where the staff says it is  
18 larger and the industry says it is smaller?

19           MR. ERNST: I guess we have had that problem  
20 for 25 years now.

21           MR. SIESS: You know what happens.

22           MR. OKRENT: Sometimes these numbers are put  
23 down and the authors have in mind a variety of ways in  
24 which they would use them in decision-making if they  
25 were the ones. On the other hand, they have a habit of

1 being applied by other people.

2 MR. ERNST: I think that is exactly why you  
3 have to consider the plan in its entirety. Although it  
4 may have been better crafted, I think we tried to think  
5 of things like that, and most of the paragraphs have  
6 some usefulness, like the burden of proof sought. Out  
7 of context, you wonder what that means. In context with  
8 <sup>-3</sup> 10 or <sup>-4</sup> 10 it comes with a little more meaning.

9 MR. OKRENT: Well, have you considered whether  
10 you would want mean or high confidence values for that  
11 operating limit, given your freedom of choice?

12 MR. ERNST: Well, I guess there are two ways  
13 to express it. If one assumes, perhaps reasonably, that  
14 95 percent confidence band is equivalent to a decade plus  
15 or minus, then one can choose a decade different number  
16 at 95 percent confidence or a decade different number at  
17 50-50, whatever. I don't know. You have a -- well, I  
18 don't know the answer to that question. I don't think  
19 anyone sitting here with me knows either.

20 MR. OKRENT: How about Question 3?

21 MR. ERNST: I think if one makes a back of the  
22 envelope calculation on a typical site, one gets roughly  
23 a \$2 million number, and I think that is roughly  
24 comparable to the loss of plant, maybe another billion  
25 replacement power. I don't have a number for off-site

1 property damage. It may not be the same order of  
2 magnitude in some locations. I don't know.

3 MR. BERNERO: You used the term "average core  
4 melt", and if one gives weight to the types of  
5 containments and the expected performance of  
6 containment, you will have a lot of core melts that  
7 don't have substantial off-site costs but do wipe out  
8 the roughly \$1 billion plant, and half a billion dollars  
9 or \$500 million worth of replacement power. If you look  
10 at the extreme events, you are going to get substantial  
11 off-site cost, but if you look at the average core melt,  
12 \$2 billion, \$3 billion in the ATWS form, we are even  
13 getting into the argument that has been made before that  
14 changes like TMI changes on all plants, safety changes  
15 that are costly should be ascribed to being one of the  
16 costs of core melt.

17 So, you can change that number into \$10  
18 billion or \$20 billion if you want as an exercise, but  
19 you need a working tool, and for a typical core melt  
20 given there is a reasonable containment performance, a  
21 couple of billion dollars is a reasonable number.

22 MR. ERNST: I think there is another comment  
23 there is no question on, but maybe the comment should be  
24 made, too. That is, the \$1,000 per man rem is argued by  
25 many to be too conservative. One could perhaps argue

1 that is a surrogate for risk aversion, and maybe a few  
2 other things. It is clear that at a typical site,  
3 assuming typical kinds of containment performances and  
4 core melt accident sequences, that is in the same ball  
5 park of benefit as the benefit of preventing a core melt  
6 would be to the utility or the rate payer for loss of  
7 plant.

8           If, however, one changed the \$1,000 a man rem  
9 and perhaps for very good analytical reasons to  
10 something like 100 or so, then I think there is a  
11 legitimate concern about where is your incentive in  
12 ALARA?

13           MR. OKRENT: Actually, based upon what I am  
14 told by people who do crack calculations, if you brought  
15 the 50 miles, you might only get on the order of a fifth  
16 of the total man rem that you would calculate out to  
17 very large distances. Is that your impression?

18           MR. BERNERO: It varies with the site. At  
19 Indian Point, you get a very large fraction at 50  
20 miles. At Palo Verde and places like that, you get  
21 almost none of it. In general, for the more populace  
22 sites you do get from the average on up, from the  
23 average site on up, I think you get a large part of the  
24 man rem dose in the first 50 miles.

25           MR. OKRENT: You don't get more than a half, I

1 don't think.

2 MR. BERNERO: I don't think you get more than  
3 a half except on Limerick's, possibly not even  
4 Limerick. On Indian Point you do. Limerick and Zion, I  
5 am not sure.

6 MR. ERNST: Indian Point is like 85 or 90  
7 percent.

8 MR. BERNERO: Yes, on Indian Point you get a  
9 very large percentage, and it varies from site to site.  
10 I am not sure where you are going, what you are trying  
11 to do.

12 MR. OKRENT: Well, by the way, if in fact at  
13 Indian Point you get 85 to 90 percent within 50 miles,  
14 and at Big Rock, if I could take another site, you get  
15 only 20 percent within 50 miles, this would go counter  
16 to some statements we have heard other members of the  
17 staff make that all sites east of the Rockies look  
18 roughly the same, or east of the Mississippi look  
19 roughly the same with regard to latent effects, that it  
20 is the distances beyond 50 miles that dominate.

21 MR. BERNERO: You shouldn't compare Big Rock  
22 Point to Indian Point. You should compare Indian Point  
23 to Newboldt Island, to Peach Bottom. That came up in  
24 the Perryman site, where all of the alternate sites for  
25 Baltimore Gas and Electric had major population

1 centers.

2 MR. OKRENT: But there have been discussions  
3 of the siting task force where they have said that they  
4 thought, I believe, that all sites looked roughly the  
5 same. I am quite sure that was -- well --

6 MR. ERNST: I think that was sort of a broad  
7 statement. I was on the site policy task force some  
8 years ago, too, and I think it was more in a broad PRA  
9 context, and it is hard to separate them. There weren't  
10 decades of difference between them.

11 MR. OKRENT: If for some sites this is an  
12 order of a factor of five, in other words, 50 miles only  
13 picks up roughly a factor of five of the total --

14 MR. ERNST: One-fifth?

15 MR. OKRENT: Yes, I am sorry, one-fifth of the  
16 total, then let's say instead of, well, we will call  
17 \$1,000 a man rem is really \$200 per man rem, then there  
18 are genetic effects, psychological effects, and so  
19 forth, so it is not completely clear that \$1,000 a man  
20 rem is as large, let's say, a disparity from numbers  
21 that EPA might commonly use, let's say 2.5 million or  
22 1.5 million or in that range, as you frequently hear.

23 MR. MARK: Does anyone know what the radiation  
24 dose at 50 miles from one of the bigger releases is  
25 estimated to be?

1 MR. OKRENT: Do you mean the average one?  
2 Because it would depend on the scenario. If it rained,  
3 they might get --

4 MR. BERNERO: It could be lethal at 50 miles.

5 MR. SIESS: At 50 miles, did you say?

6 MR. BERNERO: In a rain, the Dorset disaster  
7 sort of thing, where the worst accommodation of all of  
8 the worst thing, a very low probability combination, but  
9 you can get a lethal dose at very large ranges.

10 MR. MARK: Over 300 rem?

11 MR. BERNERO: Yes. In effect, you can get a  
12 feel for that if you look at the emergency planning  
13 document, NUREG-0396, where it calculates the  
14 probability of given doses in range of miles.

15 MR. SIESS: If you get that at 50 miles, could  
16 you get worse at 25?

17 MR. MARK: It mustn't rain at 25 if you are  
18 going to have this kind of a dose at 50. It has got to  
19 be clear.

20 MR. OKRENT: One rain per accident?

21 MR. SIESS: One rain per accident. Okay.

22 MR. BERNERO: A rain at the site, of course,  
23 is almost optimum. It clunks the stuff down right  
24 away.

25 MR. SIESS: It increases the rem but not

1 necessarily the man rem.

2           MR. BERNERO: I think the whole dialogue on  
3 the \$1,000 a man rem on the value impact analysis, one  
4 of the things I think that bears repeating is, some  
5 value for health effects alone is a weak tool. A  
6 complete display of the costs, the impact, a complete  
7 display of them, at least the off-site ones, is  
8 something that we have recommended. An orderly display  
9 of the cost of early death, the costs of radiation  
10 injury, the costs of latent cancer, the costs of  
11 evacuation, the costs of interdiction of property, the  
12 costs of cleanup, and so forth. Those are legitimate  
13 and reasonable costs, and they ought to appear in the  
14 equation.

15           MR. OKRENT: I guess the ACRS agrees with you  
16 in that area.

17           MR. BERNERO: Yes. Staff has said that. The  
18 Commission, on the other hand, has hewn very tightly to  
19 the health effects only.

20           MR. MARK: All right, and they are assuming no  
21 evacuation, everyone stays outdoors and waits?

22           MR. OKRENT: Oh, no, no, no.

23           MR. BERNERO: No, no, no. The Commission is  
24 silent on the subject. Now, in a risk analysis, one  
25 normally does a model of evacuation and a sensitivity



1 analysis for everybody was confused, they stood outside  
2 and got in the cloud, or everyone responded quickly and  
3 got out of the way. You find out what your uncertainty  
4 is in the emergency response.

5 MR. MARK: But the new statement of the goal  
6 says people in the vicinity, and I was told this morning  
7 that means people within one mile of the site boundary.  
8 They can all be evacuated with about a 99 percent  
9 probability, and therefore there aren't any doses  
10 anyway.

11 MR. OKRENT: That is right.

12 MR. MARK: So the safety goals can be met by  
13 just having a bunch of buses ready.

14 MR. OKRENT: That's right.

15 MR. SIESS: As long as it is not caused by an  
16 earthquake.

17 MR. OKRENT: That's right.

18 MR. ERNST: I think staff would look closely,  
19 and this is part of the prescriptiveness of doing  
20 PRA's. I think you look closely at the assumptions.  
21 However, whatever evacuation plan you might choose would  
22 not affect the ALARA aspect of this.

23

24

25

1 Not if you include proper damage. Again your  
2 evacuation potential exists even up to 50 miles, and you  
3 have lots of time.

4 MR. MATTSON: If you listen to what we say  
5 today about how we are planning to use the safety goal  
6 and PRA in the next two or three years, it is so generic  
7 that you will not base this question on individual  
8 site-specific issues anyhow. You will find a generic  
9 model for addressing all of the generic safety issues  
10 you want to consider in the course of those few years,  
11 and you won't have to fine tune the work.

12 MR. MARK: But you can't talk about health  
13 effects in a generic way. They are site specific. They  
14 depend upon evacuation. The only thing you can do there  
15 is something analogous to or similar to release  
16 quantities.

17 MR. BERNERO: One of the reasons for the staff  
18 implementation plan being so heavily into core melt is  
19 the most likely item of discussion in a case-specific  
20 forum is core melt, system reliability, core melt  
21 likelihood or core melt frequency.

22 MR. MARK: I perceived that when I read it. I  
23 thought this is great, that is where we should have  
24 started.

25 MR. OKRENT: Question 4 on page 5.

1 MR. ERNST: I think the answer to the first  
2 part would be yes, if you evaluated a certain sequence  
3 and it looked like it was a dominant sequence and that  
4 proposed improvement would also improve other sequences,  
5 yes.

6 MR. OKRENT: All right. Question 5.

7 MR. ERNST: Well, I had two notes down here,  
8 both of which I guess you will have other questions.  
9 One is good QA, and the other is prescriptive guidance.  
10 I think it is recognized that you can take dominant  
11 sequences and split them up enough so that you could  
12 have enough letters after the sequence so that you could  
13 make them non-dominant. I think the Staff would just  
14 have to be aware of this possibility.

15 MR. OKRENT: It is not an unreal question.

16 MR. ERNST: That is true, but in the next  
17 breath I think you would have to give the Staff analysts  
18 credit that if they thought they saw a dominant sequence  
19 or a bad sequence, they would be able to sharpen the  
20 pencil the other way and figure out it was bigger than  
21  $1 \times 10^{-5}$ .

22 MR. OKRENT: Question 6.

23 MR. ERNST: I guess the answer is no,  
24 certainly not at this time. The  $10^{-6}$ ,  $10^{-7}$  really  
25 is a screening kind of criterion rather than what we are

1 talking about in the safety goal. I wouldn't anticipate  
2 any change at the present time.

3 MR. MATTSON: That doesn't mean there might  
4 not be other screening criteria invented while the  
5 safety goal is under discussion. For example, in PTS  
6 there is another screening criterion being discussed,  
7 and the number that seems to be bandied about today is  
8 <sup>-5</sup> 10 .

9 MR. OKRENT: For what?

10 MR. MATTSON: Pressure vessel failure. When  
11 you begin to look at plant-specific --

12 MR. BERNERO: A crack in the pressure vessel.

13 MR. MATTSON: I am not trying to tell you the  
14 final answer on PTS today. I am trying to tell you that  
15 although we say 10<sup>-6</sup> , 10<sup>-7</sup> may not change in the way  
16 it is applied in the current standard review plan, new  
17 screening criteria being discussed today may be more  
18 influenced by the safety goal. Whereas in the past they  
19 might have been 10<sup>-6</sup> , 10<sup>-7</sup> , today they would  
20 probably come up somewhat because of the 10<sup>-4</sup> .

21 MR. OKRENT: Now, that is an example of where  
22 the containment criterion is relevant because you would  
23 be talking about a scenario that would give you trouble  
24 with a containment performance criteria, and it is, I  
25 think, well worth your while to be cautious in that

1 regard.

2 MR. BERNERO: Thank goodness all PWR are in  
3 relatively large containments, with a few exceptions.

4 MR. OKRENT: Well, but you had better know  
5 what the likelihood is of different releases. You don't  
6 need seven categories. Three categories are sufficient,  
7 like SST-1, 2 and 3. Given the vessel failure, it seems  
8 to me in adopting criteria and also what confidence you  
9 have to have in the number, to some extent this question  
10 is raised with that in mind as well as other things.

11 MR. SPEIS: We had that in mind when we talk  
12 about numbers like that, simultaneously looking at the  
13 potential release categories because it could be unique  
14 categories because of the failure of the vessel in some  
15 peculiar way. So we are thinking of that. We are  
16 covering this type of thought.

17 MR. SIESS: So the 10<sup>-5</sup> on the scenario  
18 would not be an absolute. If that scenario did not lead  
19 to a high release category, you might -- or is it not --  
20 back to question 4. You know, if one scenario  
21 contributes more than 10 percent -- or is that 10  
22 percent to the risk, risk of core melt? Right. That  
23 might be one percent of the risk to the public or it  
24 might be 40 percent of the risk to the public or  
25 something like that, depending on what release category

1 it was?

2 MR. ERNST: I think you would have to consider  
3 that. I don't think the factor of 10 applies only to  
4 core melt. You would have to consider the risk of the  
5 sequence.

6 MR. SIESS: The way it was stated, though, it  
7 says core melt frequency -- right? -- without regard to  
8 the particular kind of melt.

9 MR. OKRENT: You know, there are some fairly  
10 major policy questions related to this number you just  
11 mentioned in connection with pressurized thermal shock,  
12 and it is the sort of thing that when you arrive at a  
13 decision, in my opinion, it should be carefully  
14 documented. The reasons given for why it is acceptable,  
15 it should be well publicized, and I would provide ample  
16 time.

17 MR. MATTSON: This wasn't an attempt to spring  
18 a number on you so you couldn't comment on it. The  
19 people developing that decision aren't even here today.  
20 It was an attempt not to blindside you by answering  
21 10 or 10<sup>-7</sup> would remain unchanged, that you would  
22 keep seeing 10<sup>-6</sup> or 10<sup>-7</sup> on all the decisions the  
23 Staff was making. You will not. You will see other  
24 numbers.

25 MR. OKRENT: I have already seen other

1 numbers. I could look at the standard review plan for  
2 aux feedwater and if I want to derive a number a little  
3 bigger than  $10^{-6}$ , right?

4 MR. MATTSON: No, that is supposedly based on  
5  $10^{-6}$ .

6 MR. OKRENT: You can get a little bigger than  
7  $10^{-6}$ .

8 MR. SIESS: But  $10^{-5}$  on a crack in the  
9 vessel as compared to  $10^{-6}$  on an initiator, they are  
10 not all that far apart, are they? I mean a crack in the  
11 vessel doesn't necessarily mean a core melt.

12 MR. SPEIS: You can discriminate it, but we  
13 are talking about a crack that is supposedly with an RS,  
14 but still there is a discrimination between that.

15 MR. SIESS: But more or less means what, goes  
16 all the way around, 360 degrees this way? That would be  
17 a core melt. I would buy that.

18 MR. SPEIS: Not always.

19 MR. SIESS: I had it going circumferentially  
20 across the vessel.

21 MR. BERNERO: Whichever way the weld goes.

22 MR. MATTSON: I think you are getting a long  
23 way into this without the people who know about it being  
24 here. I think you are probably making a record you don't  
25 want.

1 MR. OKRENT: I would also like to see how you  
2 keep it cool.

3 Why don't we go on to the next questions?

4 MR. ERNST: The 10 percent discount factor is  
5 supposed to be a real discount factor without any  
6 inflation built in.

7 MR. OKRENT: Now, there is a paper by Stripp  
8 which says that 4 percent discount is the real discount  
9 rate. Have you seen that? It was done with NRC funding.

10 MR. ERNST: Yes, I have seen 4. As a matter  
11 of fact, we will have shortly the first draft coming out  
12 on prioritization of generic safety issues that uses 5.  
13 I don't think that 10 is hard and fast. I think the 10  
14 came basically from our environmental kinfolk who have  
15 been using 10 percent in environmental statements. The  
16 OMB guidance is 10 percent. I don't know how hard and  
17 fast we are with that 10 percent.

18 MR. SIESS: A 10 percent discount and a 5.4  
19 percent inflation.

20 MR. BERNERO: And there is also the issue of  
21 whether one applies a discount factor to future health  
22 effects because on latent effects you can make the  
23 future vanish that way.

24 MR. OKRENT: I am aware of that. If the  
25 Commission is going to discount future health effects at



1 this rate or keep them at 4 percent, I am not sure why  
2 they are going through all of the trouble they are on  
3 high level waste storage.

4 MR. ERNST: The costs are discounted in this  
5 proposal, not the benefits. The health effects are not  
6 discounted at all.

7 MR. OKRENT: But the economic costs would be?

8 MR. ERNST: Yes.

9 MR. OKRENT: But they end up being a trade-off  
10 with health effects. If you try to reduce the health  
11 effects, you can incur larger economic costs and  
12 vice-versa. So I am not sure --

13 MR. SIESS: Does that provide a regulatory  
14 bias by discounting one and not the other?

15 MR. ERNST: It would provide some bias.

16 MR. SIESS: In that direction.

17 MR. ERNST: It might be a factor of 2,  
18 something like that, over a 30-year lifetime if you used  
19 a 4 percent, 10 percent, something greater than that.

20 MR. OKRENT: So you are saying that the 10  
21 percent is something you are still thinking about?

22 MR. ERNST: Well, it is in the paper. I am  
23 just saying that in the paper we have coming out, we are  
24 using 5. The only reason 10 is there is the OMB  
25 guidance, and I am not sure whether it should stay there

1 or not. I have no strong feelings about it. Actually  
2 personally I have some feeling that it should be lower.  
3 I don't think that represents the true expected return  
4 on money nowadays.

5 MR. OKRENT: Why don't we go on.

6 MR. ERNST: Whose PRA results have we used? I  
7 don't know, do you?

8 MR. SIESS: I thought it was obvious you used  
9 the Staff's.

10 MR. ERNST: We will use yours.

11 [Laughter.]

12 MR. OKRENT: It is a fairly essential question.

13 MR. SIESS: There is quite a range there  
14 between the Staff and et cetera.

15 MR. MATTSON: If that becomes a source of  
16 unwarranted burden, everyone will abandon PRA and safety  
17 goals as an approach to regulation. If it isn't a  
18 source of difficulty, people will do it.

19 MR. SIESS: Roger, if you made a PRA right now  
20 and industry made one independently of NRC, how much do  
21 you think you would differ?

22 MR. MATTSON: Well, the only test I have that  
23 is current is Indian Point. They made one and our  
24 contractor made one, and I don't know -- I know what our  
25 contractor did superficially and I know what the Indian

1 Point folks did, and I guess at the moment I believe the  
2 Indian Point people more than the contractor.

3 MR. SIESS: How much did they differ?

4 MR. MATTSON: A factor of 4 on final.

5 MR. SIESS: Were they independent in the NRC  
6 use of the word?

7 MR. MATTSON: Now you are over my head. I  
8 have to turn to someone else.

9 MR. ERNST: I don't think the contractor went  
10 in and second guessed the systems analysis work.

11 MR. BERNERO: Excuse me. To my knowledge, the  
12 first benchmark we have of independent PRAs is Browns  
13 Ferry where the Staff/contractor PRA is now published  
14 and the industry owner PRA is soon to be published, and  
15 that is the Browns Ferry plant where we did an IREP  
16 study, internal events only, simultaneously with the  
17 owner and his contractor doing a Pickard Lowe  
18 Gerrick -- whatever it is -- internal plus external  
19 event, and that is the first benchmark where we have --

20 MR. SIESS: Do you have it or you will have it?

21 MR. BERNERO: We have ours out. They haven't  
22 come out with their publication but they have been kept  
23 separate to be independent. They are also diverse in  
24 methodology.

25 MR. SIESS: Can you separate the internal

1 events in theirs for comparison?

2 MR. BERNERO: Yes. Traditionally we expect we  
3 will be able to because the Pickard, Lowe and Gerrick  
4 reports so far published make it easy to separate the  
5 events.

6 MR. SIESS: Suppose NRDC did one. Do you have  
7 any idea, would that be as close? Of course, they would  
8 probably have to get someone to do it.

9 MR. BERNERO: The closest we have come to a  
10 public interest group doing one is selected scenario  
11 calculations or consequence analyses that have  
12 occasionally come up. There is no sign we have ever  
13 seen of a full-scale PRA.

14 MR. MATSON: But let's say that we aren't  
15 doing plant-specific ones because that doesn't seem the  
16 way we are headed. We are not doing licensing case  
17 PRA. Instead, we concentrate on generic PRAs to make  
18 generic decisions somehow. I am not sure what a generic  
19 PRA is.

20 MR. SIESS: Independent of safety goals.

21 MR. MATSON: But we published one and used it  
22 as a basis to issue a new requirement. It goes out for  
23 public comment, and the AIF publishes one that says we  
24 should do less. And the Union of Concerned Scientists  
25 publishes one and says we should do more. Doesn't that

1 difference of opinion and range of uncertainties help  
2 you understand what the things are that you should  
3 concentrate on in making the decision? You don't rely  
4 on any of them in making the decision.

5 MR. SIESS: You are separating PRAs now from  
6 safety goals completely.

7 MR. MATTSON: I am? Why?

8 MR. SIESS: Well, in a safety goal I have a  
9 number to meet, and the fact that someone is higher than  
10 I and someone lower doesn't help me decide whether I  
11 meet the number.

12 MR. MATTSON: But I look at the sources of the  
13 differences, make decisions whether I do or don't.

14 MR. SIESS: You are answering the question  
15 essentially as I did. You use the Staff's rate.

16 MR. MATTSON: Not if the Staff made a mistake  
17 and someone pointed it out.

18 MR. SIESS: I am not talking about a mistake.  
19 How much did the Indian Point surveys differ in terms of  
20 certainties?

21 MR. BERNERO: They aren't different PRAs.  
22 What they are is the owner did an extensive PRA and the  
23 Staff and its contractor up-raised that PRA and came up  
24 with alternate figures by way of incorporating  
25 corrections they deemed necessary.

1           MR. SIESS: Was there any alternate figures on  
2 the uncertainty level?

3           MR. BERNERO: I don't know. I didn't read  
4 that much of the report.

5           MR. SPEIS: Supposedly they came up with best  
6 estimate figures, not certainties, whatever that means.  
7 Let me give you an example. For hurricanes, the Staff  
8 versus Indian Point differed by a factor of 20 on  
9 hurricanes. Overall it is a factor of 3, both internal  
10 and external, for Indian Point 2. There are numbers all  
11 over the place. The bottom line doesn't seem that much  
12 different between what Indian Point did and Sandia did.

13           MR. SIESS: The external events will be a big  
14 source of difference, and if they dominate, they would  
15 affect the bottom line.

16           MR. MATTSON: Chet, if you are interested in  
17 understanding differing points of view as you go about  
18 making up your mind on some requirement, then you don't  
19 want the PRAs and the analysis to necessarily agree.  
20 You want differing viewpoints. You want to be able to  
21 examine the uncertainty as measured by different  
22 interpretations of the same information. Why do we want  
23 them to all come out the same?

24           MR. OKRENT: I don't think there is a  
25 suggestion that we do want them all to come out the same.

1           MR. SIESS: The question was which one do you  
2 use when they don't?

3           MR. MATTSON: The one you believe.

4           MR. BERNERO: The one you trust.

5           MR. SIESS: Oh, that puts me on the spot. I  
6 don't believe any of them.

7           [Laughter.]

8           MR. ERNST: I guess in a half-kidding way I  
9 have said sometimes we will believe the Staff numbers on  
10 risk and the industry numbers on cost, and the ALARA  
11 ought to come out pretty close.

12          [Laughter.]

13          MR. OKRENT: Let's go on to item 2.

14          MR. ERNST: Just thoughts of the top of the  
15 head. There is a QA -- maybe quality assurance isn't  
16 the proper word, and I forgot what the right word is --  
17 in the PRA manual, but that is part of it. I think  
18 there clearly will be industry interface to comment on  
19 whatever we do, and our contractors to comment on  
20 whatever the industry does. I would anticipate that any  
21 NRR-sponsored reviews would be given a QA review by  
22 Research -- stop me if I am wrong -- and eventually it  
23 has to go for some kind of decisional process.

24                 As I best understand EDO's position right now,  
25 however it comes out, we don't know, but the EDO's

1 position is before you take any action on the basis of a  
2 PRA and safety goal of any substance, anyway, it would  
3 come to the Commission's attention for guidance.

4 MR. SIESS: Oh, boy.

5 MR. OKRENT: If I were to think back to  
6 WASH-1400, which I will call a Staff document or a Staff  
7 PRA, and if I try to think of the comments that came in  
8 from industry, I think they tended to lie on one side of  
9 the spectrum of comments. I don't think you got many,  
10 if any, from industry that were like the kind you got,  
11 let's say, from the American Physical Society on the  
12 first draft or you even got from the UCLA on seismic and  
13 so forth.

14 What I am getting at is the following. If the  
15 only peers that review it are the industry, you will get  
16 a valuable set of comments but it will be only half, and  
17 if there is no mechanism for getting the other half, you  
18 will have had an imbalance in the peer review, and I  
19 suggest you think on that.

20 MR. SIESS: But you will know which half it is.

21 MR. OKRENT: You will know which half.

22 MR. ERNST: Again, that emphasizes the point.  
23 I don't know how you do it in the plan. It probably  
24 isn't that large. But perhaps we should really pay more  
25 heed to what comes out of the PRAs in the way of



1 sequences in comparison to past results, with a little  
2 less emphasis on the bottom line.

3           MR. OKRENT: I use the term "PRA" or sometimes  
4 I change it and say "reliability analysis" to mean  
5 things in addition to the full-scope PRA, and the Staff  
6 frequently has informed and will frequently have this  
7 kind of mini-PRA or reliability analysis done for it,  
8 and it seems to me you need to have a process set up for  
9 providing the appropriate review of it. Sometimes it  
10 doesn't take too much.

11           If I think of what was done for the SEP  
12 plants, the way it was used, it was only  
13 semi-quantitative, at best, so it didn't take too much.  
14 On the other hand, if we are hinging a lot on the  
15 calculation -- for example, Sandia was doing on filtered  
16 vented containment but they didn't include external  
17 events -- it would have been a major oversight, let's  
18 say, to have arrived at the conclusion without the  
19 benefit of a critique. But this could be changed  
20 radically by external events, okay?

21           MR. MATTSON: But would you suggest that the  
22 implementation plan for safety ought to be so  
23 prescriptive as to get clear down into the mix of people  
24 involved in a peer review? Isn't that kind of standard  
25 knowledge if you are going for a peer review, to get the

1 right mix?

2 MR. OKRENT: No, I would say that the word  
3 "peer review" is ill defined now. It is used loosely.

4 MR. MATTSON: Do you think it is possible to  
5 agree on all of those details in the implementation plan?

6 MR. OKRENT: No. Right now it is hard to find  
7 in the implemenation plan a statement that the Staff  
8 will accomplish or will try to accomplish some kind of  
9 independent review or whatever it is and a process will  
10 be set up which is commensurate with the importance of  
11 what it is being reviewed. I don't think you will find  
12 that statement.

13 MR. MATTSON: It is hard to argue that that  
14 specific statement shouldn't be in there or even  
15 elaborated on when you look at one.

16 MR. OKRENT: But it is not in there, I don't  
17 think.

18 MR. MATTSON: Probably not, but in trying to  
19 understand the general thrust of your comments on this  
20 so I can understand some of your comments on 82-1A too,  
21 you say it has a short paragraph, the implementation  
22 plan, on the process, and now I am beginnig to  
23 understand more what you mean by that. These are very  
24 specific examples of what might be involved in how you  
25 review and use the various pieces of the safety goal

1 decision process, marching it through the agency up to  
2 the ultimate decision-maker, who has what lays for  
3 comment and who sends what memo to whom and what element  
4 of the Staff --

5           MR. OKRENT: I think the process in the end is  
6 the way in which you are going to apply it and the way  
7 in which it is going to be used by the outside and so  
8 forth, and really it warrants thought.

9           One other comment in that area. I can easily  
10 foresee a two-year trial period where hardly any of what  
11 I will call the hard problems were tested.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           As someone earlier said, we will be looking at  
2 generic problems where it will not be too crucial to  
3 have very good numbers and so forth. I think there are  
4 going to be some generic problems which exactly fit that  
5 category. But if you restrict yourself to that kind of  
6 problem, you will not really have tested PRAs in the  
7 street, as it were, and you will have done a disservice,  
8 in effect, to the whole thing because it will only be  
9 after the 2 years that the gory issues come up.

10           MR. SIESS: I think it is very important that  
11 you commit yourself at least to establishing the  
12 credibility of the process of the PRA. And I guess when  
13 you think about credibility, you have got to think about  
14 credibility to whom. There is the public, which I think  
15 is probably the main target. There may be as the public  
16 -- although it represents them, there are public  
17 interest groups who may or may not represent the public,  
18 and I think you may even have problems with the  
19 Commission or some fraction of them.

20           So that how you establish credibility for that  
21 2-year period, unless it is factored into it, may not  
22 get you anywhere.

23           MR. OKRENT: Does that help clarify what we  
24 are getting at?

25           MR. ERNST: (Nods affirmatively.)

1           MR. MARK: There is reference in the  
2 implementation plan to require PRAs presumably done by  
3 the applicant under circumstances of high-population  
4 sites which are not in this document defined. If you  
5 just leave them and say, here is my PRA, do not assess  
6 it, or get it assessed, or have a mechanism for it, it  
7 may be the kind of thing you are used to seeing from the  
8 applicant, look, I do not want to follow this up, but  
9 there is a need for some statement in here as to there  
10 is a means and we will use it to establish the  
11 credibility or something.

12           MR. OKRENT: We are at the top of page 6, I  
13 suppose.

14           MR. ERNST: The fifth question, I guess the  
15 answer is, number one, it is not being required, it not  
16 proposed to be, and the present EDO position is that it  
17 would not be in the licensing process unless carefully  
18 supervised by the Commission.

19           MR. OKRENT: So it is expected that unless the  
20 Commission so ruled, the PRAs not only would not be used  
21 by th Staff but reports could not bring them in either,  
22 as it were, because the rules of the Commission would  
23 say otherwise?

24           MR. MATTSON: There are practical questions  
25 one might ask, given this is the recommendation of the

1 EDO, like, what do you do about those boards who have  
2 already asked for the results and brought them into the  
3 hearing process, does the Commission talk to those  
4 boards and tell them to stop that or use them in  
5 particular ways? Because there are examples when that  
6 is going on. There are other examples of where the  
7 Commission is fairly well in control of what they want  
8 the board to do.

9 MR. ERNST: I am not so sure how that sorts  
10 out. I am not a lawyer, but I do not think a policy  
11 statement has the force of law. It could guide the  
12 board and it could guide the Staff. But an intervenor  
13 -- I am just postulating now -- an intervenor or  
14 licensee could bring a PRA in and make a substantive  
15 argument under our rules.

16 MR. SIESS: As I think a lawyer told us this  
17 morning, anyone can sue you on anything.

18 MR. ERNST: The Action Plan was reviewed by  
19 the legal department, and we did get a legal sign-off.

20 MR. OKRENT: Okay. 7.

21 MR. ERNST: To never have? That is a long  
22 time. I think what we are talking about is a 2-year  
23 trial period, what happens after a 2-year trial period I  
24 think is a separate question.

25 MR. OKRENT: The INREP program, now.

1           MR. SIESS: Dave, how many plants are in that  
2 category?

3           MR. OKRENT: Have we seen a paper, by the way,  
4 in which there is a definition of what the INREP program  
5 would be according to the Staff's recommendation? I am  
6 trying to recall whether I have seen it and forgotten  
7 it, should have seen it.

8           MR. BERNERO: It was suppressed, Dave.

9           (Laughter.)

10          MR. ERNST: It would have been nice to have  
11 seen it, but you have not.

12          MR. OKRENT: Okay.

13          MR. MATTSON: And neither have the rest of us.

14          MR. ERNST: And also it would be nice to see,  
15 but I have not either.

16          (Laughter.)

17                 I think the current schedule for some kind of  
18 an interim paper is in the order of the fall or some  
19 time.

20          MR. OKRENT: Is there an INREP guide as to  
21 what will be included in it?

22          MR. ERNST: There has been a draft of an INREP  
23 guide, which we have reviewed. Again, it is anticipated  
24 to have a draft guide out on the street by toward the  
25 end of this fiscal year or early next fiscal year.

1 MR. MATTSON: I do not think you should attach  
2 any connection between the way this is being decoupled  
3 from the safety goals. There is nothing nefarious  
4 afoot. It was decided it would really complicate the  
5 safety goal to try to get an INREP decision in there.  
6 It would also complicate 82-1A to get an INREP decision  
7 in there. Besides, they were being slow in their  
8 specifications anyhow. So they have just been decoupled.

9 MR. SIESS: The INREP guide you mentioned, is  
10 that the guide that came out in a loose leaf form for  
11 some meeting you were having?

12 MR. MATTSON: No.

13 MR. SIESS: What was that?

14 MR. OKRENT: That was an IREP -- I am sorry,  
15 IEEE.

16 MR. SIESS: No; I have a big blue reg.

17 MR. BERNERO: There is a two-volume  
18 NUREG/CR-2300 entitled "PRA Procedures Guide." It came  
19 out under the IEEE NAS forum.

20 MR. SIESS: No; I got a blue thing. It is one  
21 volume. It has the holes punched in it. And it was  
22 issued for comment prior to the second meeting on INREP.

23 MR. BERNERO: NUREG-2300.

24 MR. SIESS: You said two volumes.

25 MR. BERNERO: You could fit it into one big



1 binder, but it actually came in two parts. There is  
2 also a NUREG/CR called the "IREP Procedures Guide," if  
3 you were going to do another IREP, here is how you  
4 should do it. And then there is what Mel is talking  
5 about, the INREP Procedures Guide, which would  
6 synthesize from those, what prescription for an INREP  
7 PRA there should be. There were three different things  
8 there.

9 MR. OKRENT: Let us see, while we are on the  
10 subject, let me issue a request that when it is  
11 practical we get a copy of a draft "INREP Procedures  
12 Guide," and also what your plan is for INREP in time so  
13 that if the committee wants to make comments, it can  
14 before you have made perpetual plans.

15 MR. SIESS: Before you cast it in concrete.

16 MR. ERNST: Yes. Clearly, the first step in  
17 our procedures is to get through CRGR and then after  
18 that --

19 MR. SIESS: After that, the ACRS is easy.

20 MR. OKRENT: And while I am asking, I was just  
21 wondering, have we gotten from the Staff copies of all  
22 of the documents they had received with regard to --

23 MR. BERNERO: It is my understanding you are  
24 separately getting from international programs copies we  
25 are getting; that is, the preconstruction safety report,

1 the design report, the statement of of case, the nuclear  
2 inspector. There is a whole catalog of things.

3 MR. OKRENT: Would it be fair for me to ask  
4 that you check with Dr. Griesmeyer to see if what you  
5 have is what we have?

6 MR. BERNERO: All right.

7 MR. OKRENT: And if not, we can get copies  
8 from you.

9 MR. BERNERO: The only thing we are lacking  
10 now is the main PRA analysis and two peripheral reports.

11 MR. OKRENT: The Westinghouse report?

12 MR. BERNERO: Yes. It is not in yet. I was  
13 assured this morning it is on the track or something.

14 MR. OKRENT: Maybe you could check with Dr.  
15 Griesmeyer this week.

16 MR. ERNST: The first question under "Other  
17 Specific Issues," I think it has probably been answered  
18 during the day, but clearly, Staff already has CRGR and  
19 its guidance of the implementation plan. Neither the  
20 implementation plan or the safety goal imposes new  
21 requirements or new processes. I think that is the  
22 simple answer.

23 Item 5 on page 7 -- oh, that is the 10  
24 sequence discussion. I read item 5 on page 7, and I do  
25 not see -- maybe I need more explanation of how that

-5

1 might prejudice the outcome. I think it might establish  
2 some general ground rules for considering severe  
3 accident. But since basically, severe accident is -- at  
4 least one part of it is -- aimed at standardized plants,  
5 the 10<sup>-5</sup> sequence, it would not apply to that.

6 MR. OKRENT: Let me see, let me try to  
7 reconstruct what could be intended by the question. On  
8 page 7 it says: "The ALARA principle will be followed  
9 for any future additional risk reduction measures  
10 considered for new plants; however, further  
11 risk-reduction design measures beyond those already  
12 approved will not be required for operating plants if  
13 there is reasonable confidence the design objectives  
14 have been met."

15 Now, let us leave the rest of it aside. Then  
16 let us reread the question. Does item 5 prejudice the  
17 outcome of any severe-accident rulemaking? Might there  
18 not be a defense-in-depth basis for a philosophical  
19 decision that operating licenses should include  
20 containment as practical and not too cost-ineffective,  
21 considering all of the uncertainties even if the design  
22 objectives have been met, particularly when they are to  
23 be met by median values of an incomplete PRA.

24 Does that make sense now?

25 MR. ERNST: I should let Roger answer, because

1 you have two parts: the OR operating reactors and the  
2 standardized plants. But I think an overlay on this  
3 thing is I do not think the safety goal should preempt  
4 anything. It is again another consideration.

5 MR. BERNERO: Yes. Perhaps if I use an  
6 illustrative example of what we would expect as a  
7 possible, not necessarily the outcome, but a possible  
8 outcome of severe-accident considerations. Laying out  
9 generic PRAs -- that is, surrogate plant PRAs --  
10 suitably analyzed to be reasonable surrogates for  
11 classes of plants, you could look at large dry  
12 containments and numerically calculate that you are  
13 below safety-goal levels; in other words, that the plant  
14 is safe enough.

15 Then the Staff might look at that display and  
16 say, when I calculate the cost-effectiveness of the  
17 filtered-vent containment system, I come out below the  
18 line, not far below the line, but below the line,  
19 acceptable; however, I have substantial uncertainty in  
20 the following areas, and enumerate some of the  
21 common-cause failures that haunt us, such as sabotage,  
22 seismic, wind, and they have the characteristic of  
23 substantially increasing the likelihood of slow  
24 overpressure failure of containment for which a  
25 filtered-vent containment system has unique benefit.

1           The Staff in those circumstances might  
2 conclude, and recommend to the Commission as part of a  
3 severe-accident rule, that in order to deal with the  
4 demonstrated value of this containment system or  
5 containment system addition and its potential of  
6 reducing other events for which we do not have good  
7 analyses, do not have good probabilities, that we  
8 recommend that as a matter of rule or policy we  
9 incorporate this feature in all such containments.

10           MR. OKRENT: And you would say that what you  
11 have just indicated, it would not be in contradiction to  
12 the first two sentences on paragraph 5?

13           MR. BERNERO: No. I think if you go back there  
14 it used the expressions "uncertainties and other  
15 factors" -- I cannot remember the words.

16           MR. OKRENT: It says, "However, further  
17 risk-reduction design measures beyond those already  
18 improved will not be required for operating plants if  
19 there is reasonable confidence the design objectives  
20 have been met."

21           MR. BERNERO: Yes. "Reasonable confidence."  
22 If one says, I was reasonably confident of this simple  
23 numerical calculation, I would go home happy.

24           MR. MATISON: There is an inverse to that.  
25 And that is, the plant that does not meet the safety

1 goal, like a lot will not on first blush, what 82-1A  
2 says is there are not any big-ticket items for making  
3 plants come into conformance with safety goals.

4           There are design or operational nuances that  
5 can bring them into conformance. You see that happening  
6 in the Indian Point decision making by the Staff today.

7 It comes in in excess of 10<sup>-4</sup>. What are the reasons  
8 it comes in in excess? Well, maybe the dirt is not  
9 plowed the right way outside of containment.

10           Maybe it ought to meet Appendix R a little  
11 faster, and lo and behold, it meets the safety goal.  
12 Well, that costs them money. That costs several  
13 millions dollars, let us say. Was it right to have  
14 spent the money in prevention fixes of that sort,  
15 presuming that the PRA was complete and you really knew  
16 all of the things you needed to do to come into true  
17 conformance with the safety goal?

18           Or would it be a better judgment to say, gee,  
19 those are some examples, I bet there are some others I  
20 have not thought of; I will spend that money on a  
21 filtered vent because they all seem to be sources of  
22 slow overpressure vessel failure in the containment.

23           Those are harder choices to make. It is human  
24 nature to jump to the quick fix and presume it is  
25 complete. I do not know how the implementation plan is.

1           MR. OKRENT: Are there other questions for Mr.  
2 Ernst on the draft action plan for implementation at  
3 this time?

4           (No response.)

5           MR. OKRENT: I guess not. We have two  
6 alternatives now. We are supposed to meet for what I  
7 hope is not too long with some representatives from the  
8 Staff. But I would propose we do that at the end of the  
9 day. Whenever we do, it would be in closed session. We  
10 did not go through the entire list of questions with  
11 Roger. We could do that, though in principle tomorrow  
12 we meet with the full committee.

13           MR. MATTSON: It would be a lot easier to do  
14 today because a number of these things have already been  
15 talked about. And to make the record complete, we could  
16 just refer to where they have been talked about  
17 otherwise. The whole thing on the containment  
18 criterion, I think we have already answered.

19           MR. OKRENT: Would you like to try to go  
20 through these quickly today?

21           MR. MATTSON: I would.

22           MR. OKRENT: Let us start and see how the  
23 subcommittee bears up.

24           MR. MATTSON: I am referring to your  
25 Fraley-to-Dircks memorandum of August 26, 1982. It is

1 four pages long and has 15 questions on it.

2 MR. OKRENT: And I guess you inherited a view  
3 from someone else's?

4 MR. MATTSON: I do have those marked. If you  
5 remember when we get there, I will go through those.

6 MR. OKRENT: All right.

7 MR. MATTSON: You say we are drawing important  
8 conclusions as to the existing level of risk compared to  
9 some set of assumed safety goals. And then you say we  
10 are drawing conclusions, important conclusions, about  
11 the efficacy of existing containments and the  
12 benefit-cost efficacy of various possible design  
13 improvements. Then you go on to ask is there a detailed  
14 backup and so forth. Let me break it into two pieces.

15 We are trying to draw a planning conclusion,  
16 not a final conclusion, but a planning conclusion, about  
17 the existing level of risk. Now, there are probably a  
18 lot of ways to state that. Let me try to paraphrase in  
19 a little less formal language what I think we are saying  
20 in 82-1A.

21 We are saying, insofar as we know how to do  
22 generically today operating reactors are safe enough  
23 pending the outcome of further research on severe  
24 accidents. Given what we know today, we do not know  
25 anything to require generically of operating reactors



1 for accidents beyond the design basis.

2           Now, in individual PRAs, like Indian Point, we  
3 may find things we may want them to do. But  
4 generically, in the severe-accident rulemaking context,  
5 they are as safe as we know how to make them -- I am  
6 sorry, they are as safe as they need to be today, given  
7 our understanding of the current technology. That is a  
8 planning assumption. That is how we will conduct  
9 ourselves for the next 2 years while we go about  
10 assimilating information from individual PRAs,  
11 individual licensing actions, and several large  
12 programs, one IDCOR and the other our own research  
13 program.

14           It is a planning conclusion, not a final  
15 conclusion. We say over and over it is not a final  
16 conclusion. We once contemplated making it a final  
17 conclusion, and everyone said, and we agreed, you cannot  
18 make it a final conclusion yet, you have not written a  
19 technical basis for it. The research is not in. And  
20 that is true. So it is not a final conclusion.

21           MR. OKRENT: Is it a planning assumption or a  
22 tentative conclusion? Those are not the same to me.

23           MR. MATTSON: They are the same to me. Which  
24 would you rather call it?

25           MR. OKRENT: As it is worded, it sounds like a

1 tentative conclusion. If you said, this is a planning  
2 assumption --

3 MR. MATTSON: I am willing to call it a  
4 planning assumption if those are better words for you.

5 MR. BERNERO: A prognosis?

6 MR. SIESS: A hope?

7 MR. MATTSON: That is more like "tentative  
8 conclusion" to me. That is a little stronger. A  
9 planning assumption is what I mean by it.

10 MR. OKRENT: Well, I guess, in fact, our  
11 experience has been that each time a PRA is done, more  
12 often than not we find something that tends to go  
13 against the conclusion in the sense that there are  
14 things that are important enough to be fixed.

15 MR. MATTSON: Not generically. On that plant.

16 MR. OKRENT: I do not know what this term "not  
17 generically" means. Yes, "on that plant," but it is  
18 only individual plants that cause risk. It is not  
19 generic plants that are unreal.

20 MR. MATTSON: My statement is wrong. There  
21 are some times generic implications for these things.

22 MR. OKRENT: There are generic implications  
23 for many individual plant findings.

24 But I will repeat, each time we look at a  
25 plant there are some things, in fact, usually there are

1 some things fixed in the process of doing the PRA. I  
2 wonder if there have been any PRAs that do not fall in  
3 that category. And then there are some things you want  
4 to look at hard in addition to the things included in  
5 the PRA which are unresolved issues; they are issues but  
6 labeled "unresolved."

7 I myself do not know how the Staff can arrive  
8 at any I will use the term "quantitative judgment" on  
9 risk. I think the Staff and the committee have been  
10 saying we think these plants can be operated without  
11 undue risks to the public, whatever that means. But we  
12 are moving into a somewhat different era, and you are  
13 making statements now not in the old context, it seems  
14 to me, but in a new context, and I guess I find that  
15 these are, in fact, really strong tentative conclusions.

16 Some of them have already been put in a bit of  
17 disarray, like whether or not when you include external  
18 events, some features are useful. For example, there is  
19 an implication here that for large containments filter  
20 vents are not very useful. For external events they may  
21 be, and in some other events they may be.

22 So I must say I have a rather strong problem,  
23 speaking only for myself, with the way this thing is  
24 worded and the tentative conclusion drawn here.

25

1           If I understand your words, you wouldn't  
2 disagree with a planning assumption that says for now  
3 there is no undue risk to public health and safety by  
4 not making decisions on severe accident measures until  
5 more information is available.

6           MR. OKRENT: I guess the Commission has  
7 proposed the schedule, which I think, if they were to  
8 follow through, might lead to decisionmaking in '84,  
9 maybe early '84. If in fact they are going to act on  
10 that kind of time scale, I would myself say that seems  
11 to be an acceptable time scale in which to do it.

12           But in reading 82-1A, there is a suggestion  
13 that upgrading the plants might not be looked at in this  
14 context.

15           MR. MATTSON: How can you? Where?

16           MR. OKRENT: Where do you get the flavor of  
17 that, operating plants would be looked at and a decision  
18 will be made? The flavor I get is that they are all  
19 okay.

20           MR. OKRENT: Maybe it is a misreading.

21           MR. MATTSON: That is the intent of the words  
22 in section 7, beginning on page 12, entitled "Further  
23 Research on Accidents." As you go along, it is supposed  
24 to lay out a decisionmaking process based upon the  
25 research on severe accidents coupled to the things that

1 come in from IDCOR, giving some prognosis about how we  
2 think they are going to go, and then alluding to a final  
3 regulatory decision on severe accidents targeted for  
4 early 1984.

5           That's final decisions on operating reactors.  
6 It doesn't say "operating reactors," I will grant you.  
7 "The Commission has considered the question of whether  
8 an additional regulation should be issued at this time  
9 to require more capability to mitigate the consequences  
10 of severe accidents in operating reactors and plants  
11 under construction. Although there are large programs  
12 presently ongoing which will provide information related  
13 to this question. They have not yet produced  
14 significant insight."

15           MR. SPEIS: What page is that?

16           MR. MATTSON: That is on page 17.

17           MR. SPEIS: The last paragraph there.

18           MR. BENDER: Is IDCOR doing everything that  
19 needs to be done?

20           MR. MATTSON: No, I don't believe so. They  
21 are not doing any experiments or any fundamental model  
22 development.

23           MR. BENDER: If I read that literally, they  
24 are doing what needs to be done.

25           MR. MATTSON: They are doing what they think

1 needs to be done in their judgment.

2 MR. BENDER: What about your judgment? When  
3 will you make a decision about what else should be  
4 done?

5 MR. MATTSON: We promise in this policy  
6 statement early '84.

7 MR. BENDER: And thereafter what happens?

8 MR. MATTSON: In the research program?

9 MR. BENDER: In '84 you are going to decide  
10 what else needs to be done?

11 MR. MATTSON: Yes.

12 MR. BENDER: And then what happens?

13 MR. MATTSON: Here we go, at the bottom of  
14 page 20.

15 MR. BENDER: I don't have it.

16 MR. MATTSON: I'm sorry, let me come back to  
17 your question. The Commission will conduct an annual  
18 review. It goes on to say, the Commission expects to  
19 conduct its annual review twice, the first in the spring  
20 of '82, the second one year later, finally resolving  
21 this matter for operating plants and plants under  
22 construction by mid-1984.

23 Now, your question was, where does it say we  
24 are going to decide the issue for operating plants, and  
25 my answer is right there.

1           MR. OKRENT: Yes, but the flavor of the thing,  
2 the whole flavor is that you have a basis for concluding  
3 for the operating plants that there may be no need, or  
4 at the moment you see no need for improvement. And by  
5 mid-1984 you will not have good PRA's on most of the  
6 operating plants.

7           So I am not sure on what basis you will know  
8 in fact what the risk level will be for the operating  
9 plants. I don't know how well you will have evaluated  
10 containment performance for some of the operating  
11 plants. You may be in the early round of looking at  
12 that by then, and --

13           MR. MATTSON: Your statements aren't right.

14           MR. OKRENT: Correct me.

15           MR. MATTSON: I will have better and better  
16 PRA's. Indian Point and Zion are better than those that  
17 preceded them.

18           MR. OKRENT: I said you won't have them for  
19 most of the operating plants.

20           MR. MATTSON: But I will have them for  
21 representative operating plants. There are  
22 representative plants in the research program. There  
23 are representative plants in the IDCOR program. There  
24 are other plants that are doing PRA's as part of the  
25 industry-sponsored work outside of IDCOR. And I will

1 have better, not the best ever, but better PRA's in 1984  
2 than I do today, and I will have research results of a  
3 specified nature.

4 MR. OKRENT: Let's look at what you will have  
5 by 1984 if you follow your own plan, if and when you get  
6 the INREP plan going.

7 MR. MATTSON: I won't have anything from INREP  
8 in '84. This counts on nothing from INREP.

9 MR. OKRENT: Well, I must say I would be  
10 reluctant to assume that the PRA's that have been done  
11 assess the risks for all of the individual plants or  
12 that you haven't -- you will not have fallen into, not  
13 an identical but a similar problem to that which  
14 WASH-1400 did when --

15 MR. MATTSON: My knowledge will be incomplete  
16 in '84, but it will be better than today. And if I put  
17 the right things in the research program to anticipate  
18 that industry will leave things out, like they did at  
19 Indian Point, Zion, and other plants before them, I can  
20 influence how well I fill in those gaps in knowledge  
21 between now and '84.

22 But none of us expect it to be a perfect state  
23 of knowledge. But the goal is to have a sufficient  
24 state of knowledge to make final decisions on severe  
25 accident measures. That is the drum we are trying to



1 beat to get everybody marching to the same step. Here  
2 is the goal, here is the time you are supposed to finish  
3 your program. Tell us what the answer is. Whatever you  
4 need to know between now and then, tell us now so we can  
5 spend the money to get it.

6           Those of you who review what we think we need  
7 to know by then, what have we left out. That is all  
8 this is trying to say. Schedule a time for making a  
9 decision.

10           People said in the first version we left out  
11 operating reactors, so we said, all right, we will  
12 address it, we will do operating reactors. Here's the  
13 process, here's the schedule. We'll couple it to the  
14 research program by specifying the questions for which  
15 there are no answers, that we need answers to by '84.

16           MR. OKRENT: The bulk of the research program  
17 hasn't changed, unless it's in this latest draft  
18 report. We have not yet received the latest report that  
19 was mentioned on severe accidents.

20           I don't want to belabor this any more. Maybe  
21 Mr. Bender will.

22           MR. BENDER: Can I pursue the point I was  
23 trying to make earlier?

24           MR. MATPSON: Please.

25           MR. BENDER: In 1984 you will have the IDCOR

1 information.

2 MR. MATTSON: '83, actually.

3 MR. BENDER: Well, whenever. And at that time  
4 you will do what, decide whether there is additional  
5 experimental work to be done?

6 MR. MATTSON: No.

7 MR. BASSETT: If I could respond to that, the  
8 IDCOR report will be in in less than a year from now,  
9 next July.

10 MR. MATTSON: The idea is, the IDCOR program  
11 and our research program will be measuring how safe are  
12 our existing plants. They will also be looking at ways  
13 to increase the safety, given an understanding of what  
14 the dominant contributors of risk are for the various  
15 classes of plant -- how would you fix the dominant  
16 contributor in this class, that class, and the other  
17 class.

18 They are also looking at the cost of those  
19 things. Simultaneously, the Commission is moving  
20 forward with a safety goal. Somehow they are going to  
21 tell us, how safe must they be.

22 MR. BENDER: Hold off for a moment. Let's  
23 just stop with what IDCOR is doing and what you are. I  
24 asked the question earlier. Maybe you didn't respond  
25 the way you intended to. You said you weren't sure that

1 IDCOR was doing all that needed to be done and you  
2 wouldn't know until they got done what else you needed  
3 them to do.

4 MR. MATTSON: Let me try to put more meat on  
5 those bones.

6 MR. BENDER: All right.

7 MR. MATTSON: We meet with IDCOR. We meet  
8 with them every couple of months at a management level  
9 for coordinating the programs. We are meeting with them  
10 in technical forums to discuss technical areas of mutual  
11 interest.

12 IDCOR has a very simple approach. They take  
13 four typical reactors and they look at the risk from  
14 those four reactors, and I don't know whether they look  
15 for alternative ways to reduce those risks or not.

16 MR. BERNERO: They claim they will. They  
17 haven't yet.

18 MR. MATTSON: That's essentially the same  
19 approach we will be taking in the research program  
20 between now and '84.

21 MR. BENDER: The PRA part of the research  
22 program.

23 MR. MATTSON: Yes. Well, but the PRA part of  
24 the research program is the funnel into which all  
25 information flows. If the PRA people say, I am

1 uncertain about how the debris bed is cooled or how the  
2 hydrogen burn affects containment or how penetrations  
3 fail or about how radionuclides move and those are  
4 important uncertainties that have to be removed before I  
5 can make any decision on the basis of this PRA, then  
6 elsewhere in the research program they put that item  
7 in.

8 MR. BENDER: All right. I am with you so  
9 far.

10 MR. MATSON: IDCOR isn't sponsoring any basic  
11 research. They are going with today's understanding of  
12 debris bed coolability, containment response, gas  
13 explosions, whatever, and attempting to do the analysis,  
14 with whatever uncertainty that yields, to say what the  
15 current state of risk is from four typical plants,  
16 typical of all operating plants.

17 Now, I may have overstated something earlier  
18 when I said they are going with a predilection that  
19 current safety levels can be justified. I don't mean to  
20 imply that if they show through legitimate analysis that  
21 there are problems of a specific nature that they won't  
22 bring them forward. Of course they will. But I would  
23 be more inclined to think that the IDCOR program will  
24 show what they think is an acceptable level of safety in  
25 existing plants.

1           MR. BENDER: Now, your program complements  
2 that program?

3           MR. BERNERO: To a very great extent, we are  
4 in parallel. We are doing more. We are spending more  
5 money. We have more resources in our program. We do  
6 have substantial physical research to validate, if you  
7 can use that term, to validate the risk codes. We are  
8 looking at all of the PRA's, and in particular we have  
9 started out with the reactor safety study and the four  
10 risk plants. We started out with six plants.

11          MR. MATTSON: But he has big things in there  
12 of a fundamental nature, like source term, the whole  
13 source term program between now and '84.

14          MR. BERNERO: Just as one example, the IDCOR  
15 program, because of a shortage of resources, chose to  
16 develop an alternate code to MARCH, but not an alternate  
17 to MATADOR. They are just waiting for MATADOR to use it  
18 along with their MAP code, which is an alternate of the  
19 MARCH code.

20          MR. BENDER: That's okay. I am just trying to  
21 get some kind of logic into this thing without going  
22 into a lot of details.

23          MR. BERNERO: Okay.

24          MR. BENDER: Given the two programs parallel  
25 each other and probably complement each other to some

1 degree, they will come together at some point, which  
2 right now is the end of next year or --

3 MR. BERNERO: The end of next year.

4 MR. BENDER: And you will be prepared to make  
5 some decisions at that time.

6 MR. BERNERO: Yes.

7 MR. MATTSON: We will then proceed to -- let  
8 me think out loud -- write a report that says, IDCOR  
9 tells us that the risk is X and that ways to reduce that  
10 risk are A, B and C, and their costs are so much per  
11 alternative, and recommendations are. Our own research  
12 tells us that the risk is, and ways to reduce that risk  
13 are, and their costs are.

14 In parallel there is a safety goal that tells  
15 us where our aiming point should be.

16 MR. BENDER: Okay.

17 MR. MATTSON: Based on that, we will either  
18 recommend a policy statement or rule for Commission  
19 action to either require change of the regulatory  
20 requirements or endorse the status quo as adequate for  
21 severe accidents.

22 MR. BENDER: How much is this work dependent  
23 upon knowing the way in which the core melts penetrate  
24 the containment, knowing the way in which debris beds  
25 have to be cooled, knowing the rate at which the core

1 melt penetrates the support structure, knowing the way  
2 in which the containments themselves may fail? How much  
3 of that goes into this probabilistic analysis and how  
4 much of it do you have to have in order to come to these  
5 conclusions you are talking about?

6 MR. MATTSON: The amount we need is in  
7 NUREG-0800 item by item. As far as we have been able to  
8 specify them today, that's the very question I said  
9 earlier needs more attention, to make sure we're not  
10 going too far in some areas and not far enough in other  
11 areas.

12 MR. BENDER: And you are going to make that  
13 judgment probabilistically or deterministically or some  
14 combination thereof?

15 MR. MATTSON: About how far we go in each  
16 area?

17 MR. BENDER: Yes, whether you are doing the  
18 right work at the right pace to get the right answer.

19 MR. MATTSON: That's very judgmental, because  
20 we have long arduous arguments over why are you spending  
21 all this money in the vessel, why don't you spend more  
22 money on the floor, with this molten core, the same kind  
23 of discussion you've had.

24 MR. BENDER: I don't have any question like  
25 that. I want to know why you're spending the money,

1 period.

2 MR. BERNERO: If you wished, you could go back  
3 to the models we had in WASH-1400 and just make all of  
4 the decisions, using those models without improvement.  
5 The ACRS for one -- Dr. Kerr is now absent --  
6 participated heavily in the critique of the MARCH code.  
7 The first version of it was more or less what was used  
8 in WASH-1400.

9 You are going to have flawed judgments, flawed  
10 conclusions, if you take that crude model, that first  
11 attempt. We are trying to draw a program up and conduct  
12 a program that gets us to a reasonable level of  
13 development with which to make sound decisions.

14 MR. BENDER: I'm trying to discover in my own  
15 mind why the experiments you are performing will sharpen  
16 up the MARCH code enough to give you this superior  
17 confidence that you seem to be displaying.

18 MR. BERNERO: What does the MARCH code  
19 describe? It describes how cores heat up, melt, slump,  
20 react in the bottom of the vessel.

21 MR. MATTSON: I don't understand "superior  
22 confidence." All we are saying is we will have looked  
23 at a representative sample of plants by '84. We can't  
24 say we've done that today.

25 MR. BENDER: I'm trying to relate it to the



1 experimental work you've got under way.

2 MR. MATTSON: The experimental work will be  
3 that work necessary to do to look at a representative  
4 sample of plants to remove what we see today to be the  
5 disabling uncertainty in those analyses.

6 MR. BENDER: I hear the words, but I'm not  
7 sure I'm comfortable with the term "that work," because  
8 I'm not sure that you know what "that work" is.

9 MR. BASSETT: We're not certain either, but it  
10 is the truth. So if we're going to predict performance  
11 by code, it's nice to know what the performance is so we  
12 can check it.

13 MR. BENDER: If the word were definitive  
14 enough and you spent enough money at the right pace, you  
15 might come up with the right answer. But I would put a  
16 number of qualifications on whether you can do it or  
17 not.

18 MR. MATTSON: And you will probably come to us  
19 in two years and tell us you were right.

20 MR. BENDER: You need to judge those things  
21 when you are presenting a program, and I haven't heard  
22 much judgment about it up to now. That is about the end  
23 of my speech.

24 MR. MATTSON: Where were we?

25 MR. OKRENT: Well, we were on one.

1           MR. SIESS: I thought we at least got to two,  
2 didn't we?

3           MR. MATTSON: The second part of one was  
4 whether we are making decisions about the efficacy of  
5 possible design improvements. We didn't intend to. We  
6 may have overstated on PWR's the case against filtered  
7 vents and perhaps a modification of that is in order.

8           You also imply we are making some decisions  
9 without a technical basis. We will try to pull together  
10 a summary status report on what technical basis we have  
11 for today's understanding of possible design  
12 improvements. Just to list where some of that  
13 information is, NUREG-0850 of course had a fair amount,  
14 but it will be updated in testimony by the staff in the  
15 Indian Point hearing, the Sandia reports that NRC has  
16 paid for looking at filtered vents, for example, other  
17 recent contractor reports. There are some from UCLA  
18 looking at the question of venting as a useful tool for  
19 seismic melt.

20           We will try to pull together in one place some  
21 statement of what our basis is. But I think you have to  
22 understand, we didn't draw any conclusions in 82-1A  
23 about any of these things. We said all of them that we  
24 addressed had to be considered in new standard plant  
25 applications and all of them will be considered by the

1 staff in its addressing of design possibilities for  
2 operating reactors.

3 MR. OKRENT: I guess Dr. Kerr and I both got  
4 the wrong impression when we read 82-1A.

5 MR. MATTSON: I don't know how you could draw  
6 the wrong conclusion on that, because on every one of  
7 them it says it shall be considered. There isn't any  
8 room for that. These preliminary conclusions need to be  
9 addressed and final conclusions reached for new design  
10 before they are applied to future plants, should be  
11 examined for future CP applications, hydrogen control  
12 systems, reliable containment heat removal. The cost  
13 effectiveness of this alternative should be considered  
14 in the design of plants for new CP's.

15 MR. OKRENT: In any event, it seems to me it  
16 is relevant for the staff to devote some effort to  
17 trying to develop a technical backup position as they  
18 think they can today or certainly by the time you have  
19 the IDCOR report in hand, and also to know where in your  
20 opinion there are weaknesses in this position, what the  
21 uncertainties are. If we don't know that, we will be  
22 ill prepared to review what the industry submits.

23 MR. MATTSON: But that is exactly what is in  
24 the research program.

25 MR. BERNERO: That is going on, and some of

1 the ACRS staff has had the opportunity to participate in  
2 some of the meetings. And you were in Chicago, I  
3 believe. You have heard some of the results.

4 We are marking up the decision process of next  
5 year this year. We are trying to go through in order to  
6 make these decisions: What information and with what  
7 gaps in it are we going to face?

8 MR. MATSON: Would that be the first  
9 opportunity for an ACRS Subcommittee to review the  
10 progress toward that decision by both IDCOR and the  
11 research program?

12 MR. OKRENT: Let me say again to some people,  
13 maybe I should put it that way. When they read  
14 SECY-82-1A and similarly when they read what the staff  
15 has prepared for the Committee on the safety of nuclear  
16 installations, there is a flavor of a conclusion rather  
17 than a planning assumption.

18 I am saying, if you have tentative conclusions  
19 you should be able to document them. Now, if you're not  
20 prepared to make those conclusions you should make sure  
21 it's not readable that way. Let me leave it that way.

22 MR. MATSON: All right, we accept that  
23 criticism. But in defense, I will encourage you to note  
24 that the planning assumption, as I guess I would prefer  
25 to call it today, is in the Commission paper as a policy

1 discussion pursuant to the issuance of a policy  
2 statement.

3           It isn't in the policy statement. The policy  
4 statement is, given that planning assumption, how do we  
5 comport ourselves in the management of this research  
6 program, the management of the hearing process, the  
7 management of the standardization approaches for the  
8 next two years while we are holding on this decision.

9           MR. OKRENT: Let's see. I think we better set  
10 a target that by 8:00 o'clock by hook or crook we will  
11 close the meeting, if not before.

12           MR. MATISON: The second question goes to the  
13 point of, there are large uncertainties.

14           MR. OKRENT: Excuse me. "Close" means we will  
15 go into closed session.

16           By the way, I think with regard to the meeting  
17 with Kelber, which has to be in closed session, many of  
18 the things of particular interest relate directly to  
19 what is in SECY 82-1A.

20           Go ahead.

21           MR. MATISON: You talk in question 2 about the  
22 large uncertainties in PRA on the one hand, but the  
23 quantitative conclusions about the level of risk or the  
24 efficacy of improvement for plants on the other hand.  
25 How is there a dichotomy between these two positions?

1 Even in the face of uncertainty, my answer is, one must  
2 adopt certain planning assumptions and that is what we  
3 intended them to be.

4 MR. OKRENT: We have a new term. Go ahead.

5 MR. MATTSON: Item three. The staff appears  
6 to have concluded that the risk is not only compatible,  
7 but only modest, if any changes are likely to be needed  
8 for future LWR's. The Europeans have done something  
9 different than that.

10 I guess the best examples are the greater AC  
11 capability in filtered vented containment systems and  
12 more ECCS trains and sabotage protection and so forth.  
13 We could get into a debate about whether or not the  
14 backfit of filtered vented containment systems or gas  
15 turbines or bunkered ECCS are major or minor changes.

16 MR. OKRENT: Did you say a bunker dedicated  
17 shutdown system was modest?

18 MR. MATTSON: It's a modest change in the  
19 sense that it costs a lot of money, but is it a  
20 fundamental change to the basic design of the plant?  
21 No. It's using the same technology we have today and  
22 adding another one, making it harder to have access to.  
23 It is a significant change in terms of monetary value of  
24 the thing, but is it a significant change in the  
25 fundamental design concept? No.

1           MR. OKRENT: I suspect the same words mean  
2 different things to you and some other readers.

3           MR. MATTSON: They must.

4           MR. OKRENT: I must say, I have to assume,  
5 based upon what I've read about the possible cost of  
6 such a system, as well as thinking about some of the  
7 problems with building it, connecting it up, and so  
8 forth, that it would not be a modest thing to add to an  
9 operating reactor.

10          MR. MATTSON: In terms of costs and difficulty  
11 of adding it, absolutely it would not be. I think that  
12 is the reluctance to doing it.

13          MR. OKRENT: A moment ago you said you would  
14 classify that in the modest area, I thought, because it  
15 didn't imply some fundamental new technology.

16          MR. MATTSON: Right. So we are using the term  
17 "modest" differently. Let's presume I showed a need for  
18 such a thing. Is that a fundamental change in the  
19 reactor today? I don't think it is.

20          MR. OKRENT: Okay.

21          MR. MATTSON: It's a big ticket item in terms  
22 of costs.

23                 You imply in this question we've made  
24 decisions. We haven't made decisions. That is the  
25 difference between a planning assumption and a decision,

1 I guess.

2 MR. OKRENT: By the way, do you expect that  
3 whatever decision you recommend to the Commission in  
4 1984 following this schedule that is listed here, that  
5 you will include in this decisionmaking some discussion  
6 of what other countries are doing, an evaluation of it?

7 MR. MATTSON: I don't think we should wait  
8 until 1984. I think your questions today are very  
9 germane. We must understand better what they are doing  
10 and why they are doing it. There is no excuse for  
11 waiting.

12 MR. OKRENT: I have something from Dr. Minogue  
13 telling me you were already up to date on all of this.

14 MR. MATTSON: I don't know. Dr. Ross has been  
15 in to see us. Dr. Speis is going with him to another  
16 one.

17 MR. BERNERO: Much more is being done.

18 MR. MATTSON: We are learning more. I don't  
19 think anyone has told you we know enough here. There's  
20 something going on. We need to find out more about it.  
21 If several countries in Europe choose to make LER's --  
22 on the last sentence on question 3, if they have a basis  
23 that we're cognizant of, it's obvious we need to find  
24 out what it is. It may have implications in our  
25 planning decisions and we may have missed something.



1           MR. BENDER: Let me ask about one specific  
2 country. The British have announced what they are doing  
3 in the press, or at least Mr. Marshall has written a  
4 couple of reports on it, and I have been trying to make  
5 up my own mind over whether what they are proposing to  
6 do represents a substantially different position than  
7 the United States has with regard to the safety of  
8 water-cooled power reactors.

9           Does the NRC staff have a position on British,  
10 the state of British improvements?

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Speaking for myself, I haven't seen them.

2 MR. BENDER: You are aware of them.

3 MR. BERNERO: We are not completely aware of  
4 them. We are just receiving the last of the documents  
5 which explain the differences they have, and in general  
6 they have three areas of differences in requirements.  
7 Basically, they are talking about a U.S. plant that is  
8 not yet licensed and what modifications they would have  
9 in order to use it in Britain.

10 MR. BENDER: They are referring it to SNUPPS.  
11 That is a licensed plant.

12 MR. BERNERO: Yes, it is a modified SNUPPS,  
13 and they make changes, A, because they did a PRA and did  
14 show that to meet their safety goal they should make it  
15 more reliable in some respect or another, and that is  
16 consistent with what 821A says we want to do in future  
17 plants here, to have PRA as part of the design  
18 refinement process.

19 Secondly, they have some changes they have  
20 done apparently for engineering judgment reasons, like  
21 improving the accumulator capacity for LOCA response.  
22 Thirdly, they have changes related to industrial  
23 practice, welding codes, concrete, things like that. We  
24 are trying to go through the documentation. They have  
25 to understand what they have changed and what

1 specifics. It is not so simple as the safety goal  
2 alone.

3 MR. BENDER: Who is doing that?

4 MR. BERNERO: We are trying to organize that  
5 right now. We are just getting the documents in. It is  
6 just not completely planned yet.

7 MR. BENDER: Am I incorrect in believing that  
8 we could get the same information about what the French  
9 are doing?

10 MR. BERNERO: Not so well documented and so  
11 thoroughly on a U.S. plant, which is a beautiful  
12 opportunity.

13 MR. BENDER: And how about the new concepts  
14 that GE is developing with the Japanese and Westinghouse  
15 is developing with the Japanese? Do we have access to  
16 those?

17 MR. MATTONS: Westinghouse, yes. I guess I am  
18 not certain about General Electric.

19 MR. KELBER: May I comment on that? We did  
20 have a meeting with General Electric to review the  
21 proprietary safety research that they are doing, and at  
22 our request asked them if there was any work on the  
23 advanced plant. At that time they told us -- while they  
24 didn't go through the general features of the plant,  
25 they told us they did not consider any of the design

1 features they were studying then to have significant new  
2 safety implications, and I must say from what they said  
3 I think that that statement was probably correct.

4 MR. MATTSON: But I don't understand  
5 something, Charlie. In the case of Westinghouse, their  
6 advanced design is partly theirs and partly the  
7 Japanese. It is being done in concert. So I know when  
8 we see Westinghouse we see Mitsubishi. In the case of  
9 General Electric, is GESSAR II, the 238 nuclear island  
10 that we have under review, the same plant that they are  
11 developing with the Japanese?

12 MR. KELBER: There are, I believe, some  
13 changes, but I think from just a cursory review that was  
14 given to us that they are probably correct, they do not  
15 have major safety implications.

16 MR. BENDER: It wouldn't have hurt if Mr.  
17 Minogue had answered the question somewhat that way  
18 instead of sending us a litany of contacts that had been  
19 made between the NRC and other countries, because it was  
20 irrelevant to the question.

21 MR. MATTSON: I guess I haven't seen the  
22 question or the response. But in my judgment, we need  
23 to do more to understand these things that are going on,  
24 and we will.

25 If I understand Question 4 in 821A, it says

1 that external events have to be considered for these  
2 future design approvals, and the rulemaking is  
3 substituted for the generic rulemaking.

4 MR. OKRENT: How about for the operating  
5 plants?

6 MR. MATTSON: I don't see how we can respond  
7 that it is not being factored into the research program,  
8 given all of the things.

9 MR. BERNERO: I just a little while ago  
10 postulated a scenario. I don't guarantee that is the  
11 outcome, but that is the mechanism by which we intend to  
12 treat it in the operating plant assessment.

13 MR. MATTSON: That also is the source of our  
14 looking again at Page 24 of 821A, wherein we had a  
15 statement. I will try to read slower. For dry  
16 containments, other studies indicate these filtered  
17 vented containment systems may be of value. I am sorry,  
18 I misread it. The implication here is that filtered  
19 vent is of more interest to us for pressure suppression  
20 containments than for large dry, and you can read in  
21 here a dismissing of further study. We should not have  
22 said that. We didn't intend it in the first place. But  
23 factoring in the seismic thing, one might change it to  
24 read, some recent information indicates these systems  
25 may not be cost effective for large dry containments.

1 That would be our input into the Indian Point hearing  
2 ourselves. While other studies indicate that they may  
3 be of value if the risk is dominated by large seismic  
4 events or for some pressure suppression containments.

5 MR. OKRENT: In the French case, where I  
6 believe they have in mind going this route, I think part  
7 of the logic and maybe an important part relates to this  
8 question of societal resources as much, if not more than  
9 health effects, because it is with the assumption that  
10 these are slow pressure buildups compared to ours, which  
11 in general means that you have a reasonable chance of  
12 doing a good job on evacuation unless you live in an  
13 area where the wind is always changing and there is no  
14 way of predicting.

15 So, the contamination question is, I think,  
16 stated, and the Swedes also state that, but I don't find  
17 that thought at all here.

18 MR. MATTSON: I would respond that that is  
19 kind of a detail. If I turn to my colleague and ask him  
20 in looking at the cost benefit of design modifications,  
21 and the research program for the '84 decisions, do we  
22 include land contamination?

23 MR. BERNERO: Yes, we have even told the  
24 Commission, recognizing that the present draft of the  
25 Commission's safety policy statement doesn't include

1 those terms of the equation. We have gone out of our  
2 way to tell the Commission we are nevertheless  
3 calculating those terms and displaying them as available  
4 for the cost benefit analysis, because they can change  
5 the outcome dramatically.

6 MR. MATTSON: The next question goes to the  
7 point of sabotage.

8 MR. OKRENT: As an example.

9 MR. MATTSON: Let me talk about sabotage for a  
10 moment, and see if we can generalize it. 821A doesn't  
11 speak to sabotage for operating plants. 821A does speak  
12 to sabotage for new design, and it requires that in  
13 proposing a new design, the applicant must show how he  
14 has considered sabotage in the design, and we will  
15 review it and do the right thing, is the best I can  
16 offer.

17 MR. OKRENT: This is raised as an example for  
18 new plants. If you talk about design it seems to me it  
19 is hard to change an existing plant with regard to  
20 sabotage except for some very specific issues. If you  
21 are going to wait for the designer to come in with this  
22 document and at that point try to review it from the  
23 point of view of design for sabotage, and you are going  
24 to try to complete this process in two years, and if you  
25 have some thoughts different from what he has done which

1 involve modifications of design approaches and have a  
2 fair shot of looking at it.

3 MR. MATTSON: I wish we were so smart that we  
4 had an organization that had people set aside to do  
5 that. We don't have any thoughts on design for sabotage  
6 other than the studies Michaelson did at Sandia years  
7 ago. The staff hasn't since then looked at design  
8 measures for sabotage.

9 MR. OKRENT: Michaelson didn't do them. I  
10 think he looked at them.

11 MR. MATTSON: He was part of the advisory  
12 group that oversaw them. I am sorry.

13 MR. OKRENT: In fact, there needs to be better  
14 communication within the staff, because other parts of  
15 the staff have told us that they think there may be  
16 almost enough information to develop a proposed rule or  
17 a standard.

18 MR. BERNERO: You are talking about the  
19 safeguards people?

20 MR. OKRENT: Mr. Goller told the subcommittee  
21 this once. But the point I want to make is the  
22 following. If you are going to really think about  
23 sabotage in design, you can't think about it in  
24 isolation. In fact, it could be affected by whether you  
25 use a two-train or a three-train or a four-train



1 system. It might influence that decision, as just one  
2 example.

3           It also obviously impacts on certain things  
4 that affect your flexibility in operation, what the  
5 operator can do, and so forth. I can't see how in a  
6 meaningful way the staff would address it if it waits  
7 until it has a proposal in hand. It in effect means you  
8 have to take whatever is presented to you or reject the  
9 whole thing, if I understand the nature of the problem.  
10 Even on the question of a dedicated bunker shutdown, if  
11 you are really serious about it, you don't add it after  
12 people come to you and they have done their drawings of  
13 the plant and say, oh, by the way.

14           MR. MATTSON: Not all of the future looking  
15 designs will be of the sort you describe. You are  
16 describing the sort where we are in with General  
17 Electric, who have taken the position that with small  
18 change their current design meets these current  
19 concerns, and they will be attempting to justify that.

20           In the case of Westinghouse, it is different.  
21 They are coming in with a full year of meetings and a  
22 long agenda with questions to consider. What do they  
23 think? What do we think? What can we mutually agree  
24 should be factored into the design, with a PDA  
25 submission not occurring until 1984. That is what

1 starts this next week, this year-long series of meetings  
2 on an identified agenda of issues to get our thinking in  
3 before the design is undertaken.

4 MR. OKRENT: The point I am trying to make is,  
5 I find it hard to see how the review of the FDA, unless  
6 somehow you are lucky, the Westinghouse one, you can get  
7 approaches developed to questions like sabotage and some  
8 others in anything that resembles an orderly way,  
9 orderly in the sense of factoring things together in an  
10 integrated way and trying to not do things that hurt  
11 what you are trying to help and so forth and so on.

12 It seems to me it is a fundamental question  
13 concerning the approach proposed in 82-1A, which is to  
14 wait until you have individual proposals and try to do  
15 the decision-making in terms of it's attractive to try  
16 to look at what you call real reactors. I can  
17 understand the appeal of that, but I wonder if you can  
18 do that instead of making some policy decision. I  
19 wonder if it is not some kind of a combination that you  
20 really need where there are certain things which are  
21 developed by policy and certain things that are in terms  
22 of real reactors. Is my concern clear?

23 MR. MATSON: Your concern is clear. I don't  
24 know how to do it.

25 MR. BERNERO: If we could go to what we are

1 talking about on the existing plants, where one would  
2 have a risk analysis brought up to date on an existing  
3 plant and for virtually every existing plant today there  
4 is a fault tree based vital area study which is some  
5 measure of its safeguards vulnerability in a complex  
6 way, and what you suggest is something perhaps by way of  
7 tradeoff studies, what combinations and permutations of  
8 systems, systems arrangements, and compartmentalization  
9 would optimize both the safeguardability of the plant  
10 and the safety of the plant in the conventional sense.

11 MR. OKRENT: And the reliability.

12 MR. BERNERO: Yes. It is a very complicated  
13 thing. I can understand how to do it conceptually, but  
14 I think it would take a very long time, and be very hard  
15 to do. It would be to design the optimum plant, or what  
16 we would best identify as the optimum plant.

17 MR. MATTSON: You asked, are there other  
18 design aspects related to prevention or mitigation of  
19 severe core damage that have the potential for being  
20 difficult to deal with at the CP stage. Well, any that  
21 depend upon final design details. Most of the people  
22 that talk about this standardization rulemaking  
23 consideration of severe accidents are talking about  
24 advanced design details. Certainly GESSAR II is of that  
25 sort.

1           Westinghouse has proposed a two-step process  
2 with a PDA and an FDA for their new design, but in  
3 discussions with them, I think we understand that that  
4 might all kind of flow together as the design is  
5 finalized, because if their concept works correctly they  
6 will be moving quickly towards final design detail.  
7 Most of the scope is within that proposal. Most of the  
8 plants are within the scope of that proposal. So our  
9 traditional understanding of the CP level of detail may  
10 not be the right understanding in this case. CESSAR, of  
11 course, is already at final design.

12           Question 6.

13           MR. BENDER: Excuse me, Roger. The fact that  
14 CESSAR and GESSAR are both designs which, as I  
15 understand it, are not developed through the balance of  
16 the plant stage, I have to question whether they present  
17 the whole picture.

18           MR. SIESS: Which ones did you say?

19           MR. BENDER: CESSAR and GESSAR.

20           MR. SIESS: GESSAR is a nuclear island.

21           MR. BENDER: It is a nuclear island, but it is  
22 pretty restricted in what it covers.

23           MR. MATTSON: GE is convinced they can do it.  
24 We are committed to reviewing their attempt. There are  
25 differing opinions about whether you can write suitable

1 risk type interface criteria between a nuclear island  
2 and the rest of that plant or CESSAR and the balance of  
3 plant. CE hasn't filed anything yet. They think they  
4 can do it. We will have to look. The policy paper  
5 recognizes the point you are making. It encourages as  
6 complete a design both in terms of finalized design and  
7 the scope of supply as possible. The only other  
8 industry spokesmen we have talked to are the folks from  
9 Bechtel, who have come in very recently, in the last  
10 week, to talk about what they would like to do with  
11 extending their design experience in the future, and  
12 they also understand the importance of getting as much  
13 of a plan as possible and are kind of up in the air as  
14 to how to couple up with an NSSS. It is a somewhat  
15 fresh view from Bechtel, incidentally, on the question  
16 of standardization.

17 MR. SIESS: What is missing in GESSAR and  
18 Westinghouse? There is an ultimate heat sink at one  
19 end. What about the curve?

20 MR. MATTSON: Most of Westinghouse, most of  
21 the plant is there. I can't tell you where the line  
22 is.

23 MR. SIESS: Is the turbine there, the turbine  
24 generator?

25 MR. MATTSON: I believe it is. They

1 essentially replaced the architect engineer.

2 MR. SIESS: They still have to stop short of  
3 the ultimate heat sink unless they are going to make  
4 that a standard, too.

5 MR. MATTSON: There are site specifics, like  
6 the ultimate heat sink and the foundation.

7 MR. SIESS: What is GE short other than the  
8 turbine building and the heat sink?

9 MR. MATTSON: I am sorry, Chet. I am not  
10 prepared to address it.

11 MR. SIESS: I thought they were pretty  
12 complete. They had some safety equipment in the turbine  
13 building, so we had to look at it.

14 MR. MATTSON: There are differences of opinion  
15 on how much of it you need. That has to be true,  
16 because we are willing to consider everything from  
17 CESSAR to the Westinghouse approach and there is quite a  
18 large difference between the scope of supply between the  
19 two, and both manufacturers think this approach will  
20 work even though there is a PRA required before  
21 licensing.

22 The Gerrick point in Question Number 6 about  
23 strict separation of two-train systems may have negative  
24 effects on reliability. I am told by my staff and  
25 others they are aware of this. They are watching it. I

1 have heard what Gerrick is saying. I do know that in a  
2 couple of examples of trying to increase the reliability  
3 of aux feedwater systems, we are seeing the license  
4 applicants come in and propose cross-connections in lieu  
5 of third pumps as a means of increasing reliability. In  
6 one case, cross-connections of a power supply and in  
7 another case cross-connections of pipes.

8 But the point is well taken. The bottom line  
9 of your question is, why do we believe the review  
10 approach would be effective. Maybe I missed the  
11 question. You do the best you can with your  
12 understanding of the state of the design art at the time  
13 you make a decision, and if we have learned that strict  
14 separation isn't always good, I am sure we will apply  
15 that in the review process. What other answer can there  
16 be to this question?

17 MR. OKRENT: I guess I had a couple of reasons  
18 for raising the question. In the first place, I thought  
19 it was an interesting observation, even if it is a  
20 possibility not necessarily correct. It does to my mind  
21 suggest an interaction with the sabotage thing, and I  
22 alluded to it earlier. You don't necessarily have two  
23 trains and you cross-connect. Maybe what you do is go  
24 for, well, the German approach was four at 50 percent,  
25 and if these are separated, that may in the first place

1 get rid of the question of interconnection, or at least  
2 its being this important, and it may help on sabotage,  
3 and it may also facilitate maintenance without putting  
4 pressure on getting things fixed in a hurry, and so on  
5 and so forth. So, sometimes when you go back and look  
6 at something, I don't know what they had in mind when  
7 they picked four at 50 percent completely, but I can see  
8 if it is laid out a certain way that it could have some  
9 advantages. The British have gone to four at 100  
10 percent on some systems rather than four at 50.

11 MR. SIESS: Isn't that what Westinghouse has  
12 done, too?

13 MR. MATTSON: Four at 50.

14 MR. OKRENT: You would want to know is there a  
15 big advantage and what is the difference in cost in  
16 going to four at 100 percent, but it seems to me you  
17 can't wait until the people come in with a design plan  
18 where they have laid things out and sized it, because  
19 you want to have quite a bit of knowledge when you start  
20 raising these questions for the first time. Okay? So  
21 there are a couple of reasons for raising the point.  
22 That is one of the reasons why I am concerned about just  
23 waiting to get the FDA and then starting to decide using  
24 just a PRA plus some judgment.

25 MR. MATTSON: But the real world is more



1 practical than that. I mean, I already have an FDA  
2 application, and I am starting to consider another. Are  
3 you suggesting that the purpose of these questions is to  
4 modify 82-1A or to sensitize us to some things that you  
5 think might be of interest which ought to be factored  
6 into our thinking? If it is the latter, it has already  
7 occurred. Is the former necessary in order to get the  
8 ACRS to support the approach in 82-1A?

9 MR. OKRENT: I can't speak for the ACRS. I  
10 can speak for myself. I have the kinds of concerns  
11 about 82-1A that I have tried to indicate, and as I say,  
12 one of them is the doubts as to the practicality of  
13 being able to do a good job without having certain kinds  
14 of policy decisions to guide the designer before he  
15 comes in to you. If you have some things already on  
16 stream, I doubt that they are going to meet the kinds of  
17 standards I expect I would want in 1985 after looking at  
18 what the British are doing, what the French are doing,  
19 and understanding it, not necessarily copying it, but  
20 thinking these various questions through and trying to  
21 develop a more nearly optimum integrated approach.

22 MR. MATISON: I think I was almost up to 7 on  
23 Page 3. What is meant by the existing severe accident  
24 rulemaking is unfocused. Well, we are trying to  
25 contrast in the paper focused on real reactors versus

1 unfocused on abstract generic reactors of some sort. We  
2 are trying to force the decision to be more practical  
3 faced with real designs than faced with hypothetical  
4 designs.

5 I have to admit that the difference may not be  
6 important because we have to make a decision on  
7 operating reactors by '84, which has a lot of the  
8 generic difficulties with it. How would appropriate  
9 consistency among the various decision-making processes  
10 be obtained?

11 MR. SIESS: Before you move away from that,  
12 what you said about real versus hypothetical, in going  
13 back to Dave's questions about the bulk of the trains,  
14 for example, is it your feeling that you can't do a  
15 meaningful PRA until you actually have the details of  
16 the design that you couldn't do a conceptual one on four  
17 at 50 percent trains, four 100's versus two 100's? Or  
18 three 50's? Including such things as sabotage, fire,  
19 common mode failures?

20 MR. MATTSON: I think you can do what you  
21 called conceptual PRA's to look at the influence of risk  
22 on conceptual options. I suppose Bob has done more  
23 thinking on that than I, but this process depends upon  
24 being able to do that.

25 MR. SIESS: Because it is really reliability

1 you are looking at when you look at systems and not  
2 risk.

3 MR. MATTSON: But you have to know whether  
4 that reliability is important to the dominant sources of  
5 risk in that design.

6 MR. SIESS: We have a lot of rules and  
7 policies now based upon a single failure criterion which  
8 is a rather crude reliability approach. Do you think  
9 the new standard plants are enough different from  
10 anything we have got so that you can't tell whether  
11 anything is an important risk once you establish its  
12 reliability level and decide what reliability level is  
13 appropriate for that system in comparison to risk?

14 MR. MATTSON: No, I don't think they are that  
15 much different. GESSAR, I know, isn't that much  
16 different.

17 MR. BERNERO: GESSAR and Grand Gulf aren't all  
18 that different.

19 MR. MATTSON: I just licensed Grand Gulf. I  
20 know what that looks like.

21 MR. SIESS: So if it were a question of two  
22 trains versus four, you could determine what that  
23 reliability is and determine whether it is worthwhile in  
24 terms of risk, couldn't you?

25 MR. MATTSON: In the sense of, do I have a

1 good PRA base for doing that, if that PRA base is  
2 influenced by a PRA of Grand Gulf or similar design,  
3 yes, that is easy. If it is something new like  
4 Westinghouse, then I may have to find a conceptual PRA  
5 ground to make decisions between now and whenever they  
6 come up with a final design.

7 MR. SIESS: Westinghouse has a number of  
8 systems that are different.

9 MR. MATTSON: Yes.

10 MR. SIESS: And you wouldn't know their  
11 relative effects on risk until you tried to put them all  
12 together.

13 MR. MATTSON: Yes, I think that's true. Bob?

14 MR. BERNERO: Yes, and there is certainly from  
15 previous PRA work on subsystems, if you want to call  
16 them that, the high pressure injection systems or  
17 auxiliary feedwater systems, cooling water systems, you  
18 can in what you call a conceptual PRA, you can identify  
19 missing parts, reliability, a likely or achievable  
20 reliability for missing elements, but when you get into  
21 very substantial changes like four at 50 percent systems  
22 which we haven't analyzed before in this country, it  
23 takes a fair amount of work to do something like a  
24 conceptual PRA, to at least get a first cut at what sort  
25 of overall reliability you might achieve.

1           MR. OKRENT: Roger, we have to finish this  
2 topic within the next five minutes. Let me throw you  
3 one more curve ball and just mention it to your thinking  
4 and you can pick up whatever question or two you want to  
5 deal within the remaining two minutes.

6           It seems to me another kind of questions which  
7 could arise for future plans is should the seismic  
8 design basis not be uniform across the plant or all  
9 systems that are "seismic category 1?" My intuition  
10 tells me to get an optimal risk reduction per dollar.  
11 That is the way to go.

12           If one were to try to think that through, it  
13 would take some studies and so forth. It would be  
14 factored in partly the design, partly the qualification.  
15 I guess there would be some things qualified in a  
16 different way higher than they now are. For example,  
17 some things might be designed for even less.

18           MR. SIESS: The Japanese have a 1A and a 1,  
19 don't they?

20           MR. OKRENT: But to give you an example of  
21 something that would involve, when one looks at the  
22 seismic risk question --

23           MR. MATSON: You all have good ideas for  
24 future design. It is too bad you cannot find a way for  
25 influencing those future designs to have an input.

1 These are great ideas.

2 MR. SIESS: I do not think the Commissions  
3 have had much influence on future design.

4 MR. MATTSON: They are trying to through  
5 82-1A.

6 MR. SIESS: But they are already here. When  
7 you talk about "future", are you talking about something  
8 beyond the Westinghouse and the GESSAR?

9 MR. MATTSON: But those people who are  
10 proposing those designs are doing so because they want  
11 the Commission to speak on what the Commission wants in  
12 future designs. They are forcing the issue. It is good  
13 they force the issue. The Commission is saying gee, we  
14 would like to do that and use standardization and  
15 consider the things the Staff tells us are important to  
16 consider.

17 And the Staff is influenced on what we tell  
18 them is important to consider by your input. We ought  
19 to find a way to get that into a document -- 82-1B or  
20 whatever.

21 MR. SIESS: Or C or D?

22 MR. OKRENT: Would you believe 84?

23 MR. MATTSON: I do not think there is anything  
24 else on this list of questions we have not already  
25 talked about. The decision process for CPs you have to

1 give full consideration to severe accidents. I do not  
2 know how to say it any more clearly than was in 82-1A.

3 For OLs, NTOLs and OPs, it is what is in  
4 NUREG-0900 and the research program measures how safe  
5 they are, how you can improve it and whether it is cost  
6 effective, bounce it off a safety goal and decide what  
7 to do.

8 Containment. We have talked about Question  
9 11. Strongly containments. I am not sure the ACRS and  
10 the Commission are telling us the same thing about  
11 strong containments. You saw their letter on strong  
12 containments, but I doubt that you attended or read the  
13 transcript of the meeting they had with General Electric  
14 to talk about what strong meant for Mark IIIs, and some  
15 signals we think we received from the Commission in the  
16 context of that meeting about the integral performance  
17 of containment.

18 So I think what we have written is fairly  
19 close to what the Commission expects to see.

20 MR. OKRENT: I deliberately put "strong" in  
21 quotes.

22 MR. SIESS: Strong in type is better.

23 MR. MATSON: Significant safety improvements  
24 mandated by studies at TMI has been accomplished.  
25 Obviously, we are not saying that. You are reading it

1 wrong. I read it again. It is right the way it is  
2 written. You could read it again, but you would have to  
3 think I was crazy to say I implemented all of those  
4 things.

5 I did -- how many did we do this year? 1,700  
6 OR actions we implemented in the division this year, and  
7 there are that many more next year. We ain't done yet.

8 MR. OKRENT: Okay. Why don't we finish this?  
9 Thank you very much, Roger. I am sure the subject will  
10 come up again tomorrow.

11 MR. MATTSON: Could I get some guidance on how  
12 to approach this with the full Committee? I would  
13 propose to use the same five summary slides and see what  
14 that entices.

15 MR. OKRENT: That is a good point. If I could  
16 get the attention of the Subcommittee members --

17 MR. BENDER: They are listening intently or  
18 attentatively. What is it?

19 MR. OKRENT: Mr. Ward and Mr. Siess, we have  
20 been asked by Dr. Mattson how we think it would be best  
21 to arrange the portion of the meeting tomorrow when we  
22 meet with him on SECY 82-1A. It is a more general  
23 question, actually.

24 There are four subjects on the agenda  
25 tomorrow. The first one is with OPE on safety goals.



1 There I have a suggestion which I want to try out on  
2 you, namely that when we meet with OPE we go through  
3 that list of questions that was sent to the Commission  
4 and ask them things about these questions.

5 MR. WARD: Do you mean the questions OPE  
6 sent?

7 MR. MARK: Those yellow things?

8 MR. OKRENT: OPE plus the Staff's and a set of  
9 questions to the Commission. It has been suggested from  
10 the Commission that if we have comments on these  
11 questions, even though we may have commented on some of  
12 the subjects before, we should get that to them. So I  
13 propose that for the meeting with the OPE tomorrow that  
14 is what we concentrate on as far as the full Committee  
15 is concerned, to give it a focus.

16 Then, I think the next meeting would be with  
17 the Staff on the implementation plan. Fortunately, Mr.  
18 Ernest is not here, so we have in principle until  
19 tomorrow morning to think about how that should be  
20 organized for the full Committee. But it is a  
21 non-trivial question. The total time allowed --

22 MR. SIESS: The first item is what?

23 MR. OKRENT: Safety goals. There are two  
24 hours allotted. The second item is implementation.  
25 There are two hours, if you allow for the break.

1           MR. SIESS: I would put them in the other  
2 order.

3           MR. OKRENT: Well, then after lunch,  
4 backfitting is shown for two hours. I think that is, in  
5 a way, the most simple one, since the subject is  
6 somewhat confined. And then from 4:00 to 6:00 we meet  
7 with the Staff on severe accidents and the regulatory  
8 process, 82-1A.

9           MR. SIESS: I think Roger ought to start off  
10 on SECY 82-1A, telling us what he intended to have in  
11 it, rather than what is in it, since he has devoted a  
12 fair amount of time today saying this is not really what  
13 we meant. We gave the wrong signal.

14           I think the Committee certainly needs --

15           MR. OKRENT: Or it could have been read by  
16 somebody --

17           MR. BERNARO: With a dark mind.

18           MR. SIESS: It probably was read by somebody,  
19 but I do not think the Committee will be all that  
20 up-to-date on SECY 82-1A, so if Roger could paraphrase  
21 it and hit the high spots without worrying about what he  
22 is changing from what is in it -- let's say the intent.  
23 That is what I meant.

24           MR. OKRENT: All right. Ten or fifteen  
25 minutes on the major intent of it, Roger. I mean, I

1 think you have a feeling for the kinds of questions.

2 MR. MATTSON: The Commission postponed its  
3 session so it could get a reaction from you. I think it  
4 is October 6, which is about the time you are back in  
5 town again.

6 MR. OKRENT: We are meeting with the  
7 Commission on Friday.

8 MR. BERNARO: No. They are meeting the  
9 Staff. Their meeting with Staff is postponed.

10 MR. MATTSON: You will have some dialogue with  
11 them on Friday and with us tomorrow. What is your goal,  
12 to write a letter on 82-1A?

13 MR. OKRENT: If the Committee can make up its  
14 mind, we will try to write a letter at this meeting. I  
15 do not know if we will do that.

16 MR. SIESS: We do not have any other way of  
17 communicating with the Commission.

18 MR. MATTSON: Well, you can write a letter.  
19 You can communicate with them Friday. I do not know  
20 what good it will do, but you can resurface this  
21 question of working together in a small group to try to  
22 refine the language so that if it says tentative  
23 conclusion and ought to say planning conclusion and it  
24 is either acceptable to us to say either and it makes  
25 you feel better to say the former -- those sorts of

1 changes we should find a way not to bother them.

2 MR. OKRENT: In any event, the suggestion for  
3 you is that you try to have ten or fifteen minutes in  
4 which you give what you think is the essence of what you  
5 are trying to do there and, as Siess said, your intent,  
6 so that we do not have to rely on somebody possibly  
7 misinterpreting the words.

8 MR. MATTSON: I will do that.

9 MR. SIESS: I will propose we now go into  
10 closed session for fifteen or twenty minutes with  
11 Charlie Kelber and, if so, we will finish on the agenda,  
12 which says we finish at 8:30.

13 MR. BENDER: I cannot believe it.

14 (Whereupon, at 8:00 o'clock p.m., the meeting  
15 recessed, to reconvene immediately in closed session.)

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

\_\_\_\_\_

in the matter of: ACRS/Joint Meeting of the Subcommittee on Safety  
Philosophy, Technology and Criteria and the Subcommittee on Class 9 Accidents

Date of Proceeding: September 8, 1982

Docket Number: \_\_\_\_\_

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript  
thereof for the file of the Commission.

Sharon Filipour

Official Reporter (Typed)

*Sharon Filipour*

Official Reporter (Signature)

MAJOR AIF CONCERNS WITH  
STAFF SAFETY GOAL POLICY AND IMPLEMENTATION PLAN

- . USE OF SAFETY GOALS AND PRA IN INDIVIDUAL PLANT LICENSING REVIEWS AND HEARINGS
- . LACK OF CLEAR ESTABLISHMENT OF BURDEN OF PROOF FOR JUSTIFYING CHANGES TO EXISTING REQUIREMENTS
- . UNDUE EMPHASIS ON CORE MELT FREQUENCY
- . STAFF INTENT TO FURTHER DISAGGREGATE GOALS
- . STAFF INTENT TO INCLUDE PLANT AND OFFSITE ECONOMIC DAMAGE IN COST-BENEFIT PROCESS
- . EXCESSIVE STRINGENCY IN 0.1% INDIVIDUAL RISK GUIDELINE
- . RE-DEFINITION OF PLANT PERFORMANCE GUIDELINE TO ENCOMPASS "LOSS OF PROTECTIVE FEATURES" LEADING TO CORE MELT

FILTERED VENTED CONTAINMENT SYSTEMS:  
HISTORY/BACKGROUND

o FVCSs HAVE BEEN STUDIED AND MADE PART OF CONTAINMENT DESIGNS OVER THE PAST TEN YEARS. THE FOLLOWING ARE EXAMPLES OF REACTORS/REACTOR DESIGNS THAT INCLUDE FVCS:

- ZERO POWER PLUTONIUM REACTOR FACILITY
- GERMAN SNR - 300 PROTOTYPE LMFBR
- FAST FLUX TEST FACILITY (FFTF)
- CLINCH RIVER BREEDER REACTOR
- SWEDISH BWR'S (INITIALLY BARSE BACK)
- FRENCH PWRs (NEW REQUIREMENT: NO DETAILS)

T. P. Speer  
9/9/82

FILTERED VENTED CONTAINMENT SYSTEMS:  
HISTORY/BACKGROUND  
(CONTINUED)

- o FVCS HAVE BEEN STUDIED AND CONTINUE TO BE STUDIED BOTH WITHIN NRC AND ELSEWHERE.
  - SINCE 1978 RES HAS SPONSORED A PROGRAM STUDYING FVCSs FOR LWRs.
  - SINCE 1979 NRR HAS BEEN APPLYING THE FVCS RESEARCH TO LICENSING APPLICATIONS.
  - INDEPENDENT ASSESSMENTS HAVE BEEN PERFORMED, E.G., BY UCLA (1975); BY THE CALIFORNIA ENERGY COMMISSION (1978); EPRI (1981); AND BY COMMONWEALTH EDISON FOR THE ZION PROBABILISTIC SAFETY STUDY (1981).



## FILTERED VENTED CONTAINMENT SYSTEMS STATUS

- o CONCEPTUALLY FVCSs CAN BE BUILT AND, IF NECESSARY, BACKFIT INTO PRESENT REACTOR DESIGNS, SO THAT OVERPRESSURIZATION FAILURE OF CONTAINMENT BUILDINGS CAN BE PREVENTED BY VENTING THE CONTAINMENT ATMOSPHERE AND RESULTING RADIONUCLIDE RELEASES KEPT LOW THROUGH FILTER SYSTEMS.
- o FVCSs ARE EXPENSIVE. ESTIMATES RANGE FROM 10 MILLION DOLLARS TO 50 MILLION (COSTS ARE CONSIDERABLY LESS FOR SOME BWR DESIGNS WHERE THE SUPPRESSION POOL IS THE FILTERING MEDIUM).

FILTERED VENTED CONTAINMENT SYSTEMS STATUS  
(CONTINUED)

- 0 ESTIMATES OF RISK REDUCTION VARY GREATLY (RATIOS VARY FROM  
1 (NO REDUCTION) TO HUNDREDS) DEPENDING ON A NUMBER OF FACTORS:
- DOMINANT CORE-MELT ACCIDENT SEQUENCES
  - CONSIDERATION OF EXTERNAL EVENTS
  - TYPE OF REACTOR/CONTAINMENT SYSTEM STUDIED
  - COMPETING AND ATTENDANT RISKS
  - TYPE OF CONTAINMENT ANALYSIS PERFORMED
  - TYPE OF RISK MEASURE USED (E.G., EARLY FATALITIES VS. LATENT EFFECTS)
  - HOW FVCS IS INTEGRATED INTO AN OVERALL MITIGATION/PREVENTION STRATEGY

NOTE: IT IS IMPORTANT TO NOTE THAT RISK REDUCTION VALUES GENERATED IN MANY OF THE RES. PROGRAMS ARE NOT MEANT TO BE DEFINITIVE VALUES OF RISK REDUCTION ACHIEVED WITH A GIVEN SYSTEM, BUT RATHER VALUES TO AID IN ADVANCING A METHODOLOGY DEVELOPMENT, E.G., FOR THE DEVELOPMENT OF VALUE IMPACT METHODOLOGIES FOR MITIGATION FEATURES.

## CONSIDERATIONS OF OPTIONS TO FVCSs

### WHY CONSIDER OPTIONS?

- o PRUDENT APPROACH TO THE STUDY OF MITIGATION FEATURES IN GENERAL
- o IF FVCSs PROVE TO BE RELATIVELY EXPENSIVE, LESS EXPENSIVE ALTERNATIVES ARE EVEN MORE IMPORTANT TO CONSIDER

### WHAT OPTIONS ARE BEING CONSIDERED?

- o PASSIVE CONTAINMENT HEAT REMOVAL, E.G., HEAT PIPES
- o INDEPENDENT AUXILLIARY CONTAINMENT SPRAY SYSTEM

EXAMPLES OF RISK REDUCTION

VALUES FOR FVCSs

- o SNL STUDY OF FVCSs FOR MARK-III TYPE CONTAINMENT:
  - RISK REDUCTIONS RANGE FROM 2 TO 3 FOR STAND ALONE FVCSs WITH LOW VOLUME VENTS, UP TO 80 TO 90 WHEN A FVCS IS INCLUDED IN AN OVERALL MITIGATION/PREVENTION STRATEGY (WHICH INCLUDES AN ATWS FIX)
- o SNL STUDY OF FVCSs FOR ICE-CONDENSER PLANT:
  - RISK REDUCTIONS RANGE FROM 2 TO 3 FOR ADDING ON A FVCS (ASSUMING EFFECTIVE HYDROGEN CONTROL)
- o SNL STUDY OF FVCSs FOR MARK-I TYPE CONTAINMENT:
  - SIGNIFICANT (>10) RISK REDUCTION IF FVCS IS PART OF A MITIGATION/PREVENTION STRATEGY
- o STAFF STUDY OF ZION/INDIAN POINT (LARGE DRY CONTAINMENTS):
  - WHEN ONLY INTERNAL EVENTS ARE CONSIDERED, RISK REDUCTION IS SMALL (LESS THAN 3)
  - WHEN EXTERNAL EVENTS ARE INCLUDED, POTENTIAL RISK REDUCTION IS LARGE (GREATER THAN 20) ASSUMING FVCSs CAN BE BUILT TO WITHSTAND EXTERNAL EVENTS

## DEGRADED CORE VS. MOLTEN CORE:

### THE CAPACITY FOR RECOVERY

- o IN PAST PRAs, LITTLE OR NO CREDIT IS GIVEN FOR RECOVERY, THAT IS, DEGRADED CORES ARE ASSUMED TO LEAD TO CORE MELT.
- o THERE EXISTS A WINDOW OF TIME DURING WHICH RECOVERY IS POSSIBLE. DEPENDING ON REACTOR TYPE AND SEQUENCE CONSIDERED, THIS WINDOW CAN RANGE FROM TENS OF MINUTES TO MANY HOURS.
- o THERE APPEARS TO BE A TREND THAT THOSE ACCIDENTS WHICH ARE THE MAJOR CONTRIBUTORS TO RISK ARE ALSO THOSE FOR WHICH RECOVERY IS LESS LIKELY. THIS IS ESPECIALLY TRUE WHEN EXTERNAL EVENTS ARE TAKEN INTO ACCOUNT.

SECY 82-1A

PROPOSED COMMISSION POLICY STATEMENT ON  
SEVERE ACCIDENTS AND RELATED VIEWS ON  
NUCLEAR REACTOR REGULATION

ACRS DISCUSSION OF SEVERE ACCIDENT POLICY STATEMENT

SEPTEMBER 8, 1982

R. J. MATTSON

PROPOSED POLICY STATEMENT ON SEVERE ACCIDENTS AND RELATED VIEWS  
ON NUCLEAR REACTOR REGULATION (SECY 82-1A)

- SUMMARIZES THE POST-TMI DEVELOPMENTS IN RULES AND LICENSING PRACTICES RELATED TO SEVERE ACCIDENTS
- REPLACES THE LONG-TERM GENERIC RULEMAKING WITH SEVERE ACCIDENT RULEMAKINGS DESIGNED TO CERTIFY SPECIFIC STANDARD PLANT DESIGNS FOR REFERENCE IN FUTURE CP APPLICATIONS
- SCHEDULES A SEVERE ACCIDENT DECISION FOR GRs IN EARLY 1984
- SPECIFIES TREATMENT OF SEVERE ACCIDENTS ON ONGOING LICENSING PROCEEDINGS
- PROVIDES COUPLING AMONG RELATED POLICIES, E.G., STANDARDIZATION, SAFETY GOALS AND USE OF PRA

## DEVELOPMENTS SINCE TMI

- ● LICENSING ACTIONS CONSIDERED SOME ASPECTS OF SEVERE ACCIDENTS (INTERIM HYDROGEN RULES, REG GUIDE 1.97, ETC.)
- CP/ML RULE
  - 100 PERCENT METAL WATER REACTION
  - POST-CP PRA
  - BACKFIT ALLOWANCE FOR CONTAINMENT VENTING
- NEW PRA RESULTS AND RESEARCH
  - DECREASING SOURCE TERMS
- TMI FIXES
- IDCOR PROGRAM
  - INDUSTRY PROGRAM
  - 1981 TO 1983
  - COST/BENEFIT FOR SEVERE ACCIDENT FEATURES
- LARGE NRC RESEARCH PROGRAM
  - PHASE 1 FOR 1984 DECISIONS
  - PHASE 2 FOR CONFIRMATION
- SAFETY GOAL PUBLISHED FOR COMMENT



SPECIFIC STANDARD  
PLANT RULEMAKINGS

- GESSAR II - FDA REVIEW UNDERWAY
- WESTINGHOUSE - PDA APPLICATION 1984
- CESSAR - FDA APPLICATION 1983




Figure 1--Proposed Schedules for Programmatic Activities of NRC and the Nuclear Industry as Related To Severe Accident Policy Development, Regulatory Decisions and Rulemaking.

## TREATMENT OF SEVERE ACCIDENTS IN ONGOING LICENSING PROCEEDINGS

- NO ADDITIONAL REGULATIONS ON SEVERE ACCIDENTS REQUIRED NOW, BECAUSE NO SIGNIFICANT NEW INSIGHTS INTO CONSEQUENCE MITIGATION FEATURES SUFFICIENT TO SUPPORT FURTHER REGULATORY CHANGES, NOR INDICATION FOR CLEAR NEED TO ADD SUCH FEATURES
- WE NOW HAVE:
  - ONE FINAL AND ONE PROPOSED RULE ON HYDROGEN CONTROL (DEGRADED CORE ACCIDENTS) AND RELATED MATTERS (46 FR 58484, 12/2/1981 & 46 FR 62281, 12/23/1981)
  - ONE FINAL RULE FOR PENDING CPs, I.E., THE CP/ML RULE (47 FR 2286, 1/15/1982)
- PROGRAM(S) TO OBTAIN SUFFICIENT INFORMATION IN ~ 2 YRS. TO COMPLETE POLICY DEVELOPMENT AND DECISION MAKING ON SEVERE ACCIDENTS FOR ALL CLASSES OF PLANTS
  - RESEARCH ON SEVERE ACCIDENTS (NRC/IDCOR)
  - REVIEWS OF PRAs ON I.P., ZION, LIMERICK, GESSAR-II, ETC.
  - STAFF STUDIES OF CONTAINMENT FAILURE MODES FOR A REPRESENTATIVE SAMPLE OF OPERATING PLANTS AND PLANTS UNDER CONSTRUCTION AND FOR ALL FUTURE DESIGNS
  - CLOSE INTERACTION WITH ACRS AS TECHNICAL INFORMATION BECOMES AVAILABLE
- INDIVIDUAL LICENSING PROCEEDINGS NOT APPROPRIATE FORUMS FOR BROAD EXAMINATION OF SEVERE ACCIDENT REQUIREMENTS

IMPLEMENTATION GUIDELINES FOR SEVERE ACCIDENT POLICY

(CONDITIONS FOR STANDARD DESIGNS FOR REFERENCE IN FUTURE CP APPLICATIONS)

- COMPLIANCE WITH CURRENT COMMISSION REGULATIONS, INCLUDING TMI REQUIREMENTS IN 10 CFR 50.34
- COMPLETION OF A PRA BEFORE SD APPROVAL THROUGH RULEMAKING AND COMMITMENT TO MEET THE REQUIREMENTS FOR DESIGN FEATURES FOR PREVENTION, MANAGEMENT, OR MITIGATION OF SEVERE ACCIDENTS SHOWN TO BE COST-EFFECTIVE IN THE COURSE OF THAT RULEMAKING
- USE OF UPDATED VERSION OF SRP (NUREG-0800)
- CONSIDERATION OF ALL APPLICABLE USIs
- COMPLIANCE WITH CP RULE REQUIREMENTS