

ORIGINAL

OFFICIAL TRANSCRIPT  
PROCEEDINGS BEFORE

NUCLEAR REGULATORY COMMISSION

DKT/CASE NO.

TITLE ADVISORY PANEL ON THE DECONTAMINATION OF  
THREE MILE ISLAND UNIT 2

PLACE Harrisburg, Pennsylvania

DATE February 2, 1983

PAGES 110 thru 208

8302220462 830202  
PDR ADOCK 05000320  
T PDR

**AR**  
ALDERSON REPORTING

(202) 628-9300  
440 FIRST STREET, N.W.  
WASHINGTON, D.C. 20001

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 - - -  
4 ADVISORY PANEL ON THE DECONTAMINATION OF  
5 THREE MILE ISLAND UNIT 2

6 - - -  
7 Harrisburg, Pennsylvania  
8 Wednesday, February 2, 1983  
9

10 The meeting was convened, pursuant to notice,  
11 at 7:07 p.m., John Minnich, Chairman of the Committee,  
12 presiding:

13  
14 PRESENT:

15 JOHN MINNICH, Chairman

16 THOMAS COCHRAN

17 GORDON ROBINSON

18 NIEL WALD

19 CRAIG WILLIAMSON

20 JOEL POTH

21 ARTHUR MORRIS

22 ELIZABETH MARSHALL

23 HENRY WAGNER  
24  
25

P R O C E E D I N G S

1  
2 MR. MINNICH: Ladies and gentlemen, your  
3 attention, please. Okay, I am going to call the meeting  
4 to order. Temporarily, we are without mikes, so I will  
5 try to shout so you can hear me.

6 I do have an announcement. For those of you  
7 from the Harrisburg area who may be interested, on  
8 February 9th, which is next Tuesday night, from 7:00 to  
9 10:00 in the Harrisburg City Council chambers in the  
10 Government Center on the Square, there will be some  
11 people from Suffolk County in New York who take public  
12 input on the events surrounding the -- they are  
13 particularly interested in anyone who cares to share  
14 with them if they in fact evacuated the area in 1979.

15 They are in the process of preparing their  
16 plan for evacuation in case their facility caused them  
17 to do that, and they are looking for public input.

18 There will be some formal announcements made  
19 on that, but I told the gentleman today that I would  
20 make that announcement tonight at this meeting, and if  
21 anyone has any questions on that, you can see me after  
22 the meeting.

23 Now, we will call the meeting to order. I  
24 believe we now have a quorum present. Just a couple of  
25 housekeeping items, if you will. This panel is now

1 served by Michael T. Masnek, who is replacing Bill  
2 Travers, who had originally been assigned to this panel,  
3 and Mike is standing up there, and welcome, Mike, for  
4 those of you who have not yet met him.

5           At the last meeting, someone from the -- one  
6 of the organizations, I am not sure which one,  
7 Susquehanna Lions or whatever, contacted me and asked if  
8 I would write, as chairman of this panel, to Judge  
9 Sylvia Rambo, a federal judge in our district, and  
10 inquire as to whether or not funds would be available  
11 from the suit for \$25 million, I believe, that was  
12 awarded in the settlement of that class action suit that  
13 could be the verdict for the cleanup.

14           As you will recall, so much was set aside for  
15 settlement of claims, and some other moneys were set  
16 aside for studies, et cetera. I did that at that  
17 request, and received an answer from the judge, and she  
18 pointed out that that was not possible to do, that the  
19 settlement had been decided and determined, and was in  
20 fact allocated, and nothing more could be done in that  
21 respect, but I wanted you to be aware that I had done  
22 that without any big fanfare or anything like that.

23           Finally, thanks to Joel, who has worked on  
24 putting together an agenda for tonight, we do have quite  
25 an agenda, and we are going to start with the Safety

1 Advisory Board, and call upon Dr. James Fletcher.

2           If you will, Doctor. I don't know if the  
3 mikes are now working, but --

4           MR. FLETCHER: Well, we will see.

5           No, this one is not working, either.

6           MR. MINNICH: For the panel -- excuse me,  
7 Doctor. If you will, for the recording purposes, the  
8 mike with the black cable is the one that you must  
9 direct your voice to so she can understand what you are  
10 saying.

11                           STATEMENT OF JAMES FLETCHER

12           MR. FLETCHER: Well, I will stand, addressing  
13 your advisory group, if that is all right with you.

14           I am James Fletcher, and I am Whiteford  
15 Professor of Engineering at the University of  
16 Pittsburgh, and I suspect the reason that GPU  
17 administration asked me to chair this group was because  
18 I was once the administrator of the NASA, and what I was  
19 asked to do was to put together a group of experts in  
20 what we felt to be the principal regions of concern that  
21 would deal with the problem of TMI Number 2 safety,  
22 which I then proceeded to do.

23           But let me first say what our charter is. It  
24 is, by the way, spelled out, and it is public  
25 information, but in essence, our charter is to advise

1 the President of GPU Nuclear in regard to the safety of  
2 the public in the environs of the TMI 2 unit, and also  
3 the safety of the workers that are involved in the  
4 decontamination of the TMI 2 unit.

5 A secondary purpose in our charter was to try  
6 to examine the communications between GPU Nuclear and  
7 the public, and between the public and GPU Nuclear.  
8 This is a secondary purpose, but nevertheless, it was  
9 put into our charter, and we take that very seriously.

10 Not in our charter, but nevertheless much  
11 discussed in our meetings, is the matter of perceived  
12 dangers as well as real safety, and we get into lots of  
13 discussions about that, but we all agreed that perceived  
14 dangers are an important part of what we advise GPU on.

15 To give you an example, there could be an  
16 accident which -- conceivably be an accident which  
17 really didn't endanger either the workers or the public,  
18 but because it was an accident, it might alarm the  
19 workers or the public, and we ought to prevent -- avoid  
20 those as well, and anything that might have public  
21 visibility.

22 To do this, what I tried to do was pull  
23 together a group of widely diverse but very widely  
24 recognized people, and we have ten members of our Safety  
25 Advisory Board, and in just two more minutes, Mr.

1 Chairman, I would like to tell you who they are and what  
2 their expertise is.

3 We have -- and I've got a list of them. I  
4 already introduced myself. We have John Auxier, who is  
5 a nuclear engineer, and has been heavily involved in  
6 trying to estimate the impact of radiation effects on  
7 human health, and he is from Oak Ridge National  
8 Laboratory, only recently left that organization, as I  
9 understand it.

10 Dr. Merrill Eisenbud is a professor of  
11 environmental medicine, a long-time expert on the impact  
12 of all kinds of environmental effects on human health,  
13 was director of environmental health for the City of New  
14 York, is now a director of the Laboratory for  
15 Environmental Studies at NYU Medical Center.

16 Bob Friedman, who is here with us tonight --  
17 Bob, would you raise your hand? -- is going to speak to  
18 you briefly as one of the participants, is from Penn  
19 State University, and he is director of the Center for  
20 Science Policy, and his training is in political  
21 science, so you can begin to see we have a rather  
22 diverse group already, and it is not easy sometimes to  
23 communicate.

24 We have Dr. Clark Goodman, who until recently  
25 was at MIT, but he chaired the Radiation Waste Panel for

1 the other NRC, the National Research Council of the  
2 Academy of Sciences, for many years, and he is actually  
3 chairman of one of our panels, which I will discuss in a  
4 moment.

5 Dr. Bruce Lundin was one of my colleagues at  
6 NASA, but he also was the staff director for the Kemeny  
7 Commission review, and is now a -- has left NASA. He  
8 was director of the Lewis Research Center.

9 Howard Raiffa chairs the National Research  
10 Council Committee on Risk Analysis, and is probably the  
11 foremost expert in the country on risk assessment and  
12 risk analysis. He is a professor of management  
13 economics at Harvard Business School.

14 Norm Rasmussen, who is with us tonight --  
15 Norm, would you raise your hand? -- is author of the  
16 well-known WASH-1400, known as the Rasmussen Report. I  
17 am sure it is the first in-depth study of nuclear  
18 safety, of reactor safety, nuclear reactor safety. He  
19 is at present just recently retired, I guess, as  
20 chairman of the Nuclear Engineering Department at MIT.  
21 And he will be talking to you tonight.

22 Bill Stratton has been involved in the weapons  
23 aspect, nuclear weapons business at Los Alamos, but also  
24 recently involved in nuclear safety involving reactors,  
25 but he has had a great deal of experience on how to make



1 nuclear weapons safe, and he is past chairman of the  
2 Advisory Committee on Reactor Safeguards.

3           And then, last but not least is Jack  
4 Fabrikant, who is on our committee and is -- I would  
5 call it a health scientist. He has both an M.D. and a  
6 Ph.D., from the University of California. He is  
7 chairman of the Advisory Committee on Reactor Safeguards  
8 for the NRC, and he would be here tonight except he is  
9 from the University of California at Berkeley. So that  
10 is a long trip for him. But if necessary, he can visit  
11 with you.

12           Now, before I finish, let me just say that we  
13 early on decided to divide ourselves into panels,  
14 because we had to get the work done, and we keep  
15 changing the panels, but at the present time there are  
16 four panels, one panel on what we call external affairs,  
17 and Bob Friedman, sitting before you, is chairman of  
18 that panel. External affairs includes public, but it  
19 also includes workers, because we began to realize that  
20 was an important external affairs problem.

21           We also have a panel on core removal safety  
22 which Bruce Lundin chairs. We have one on -- I think we  
23 call it waste inventory, to keep track of all the  
24 radioactive waste that was generated as a result of the  
25 accident, and make sure that all of it ultimately is

1 disposed properly. We then have a health safety panel  
2 under Dr. Merrill Eisenbud, who also would like to have  
3 been here tonight, but he had a health problem, but in  
4 some future date he will be glad to appear.

5 I think those are the four principal panels.  
6 We are not going to discuss the activities of each of  
7 the panels, but simply give you an idea of the kind of  
8 things we do by the three of us that are here talking to  
9 you and answering questions and so forth.

10 I might say before I let Norm take the roster  
11 here that we have tried to preserve a degree of  
12 independence from the GPU company in the following  
13 ways. Although we are advisory to the president of GPU  
14 Nuclear, all our meetings are held in private, and we do  
15 have an output of the meetings which are recommendations  
16 to the president of GPU Nuclear.

17 We also -- I used to keep minutes in my own  
18 handwriting. Some of the members objected to that,  
19 because they thought that some day they might be  
20 misquoted, so we do keep internal minutes which -- for  
21 our own use, and those are not generally public  
22 documents, but I suppose if they were subpoenaed we  
23 would be embarrassed, but we would have to let them go.  
24 But by and large the meetings are private, and only our  
25 recommendations to GPU Nuclear are in the public domain,

1 and an annual report, which I guess was the subject of  
2 your last meeting, which we are obliged to publish.

3           We are now about ready to begin writing the  
4 second annual report, because as of next April that will  
5 be our second anniversary.

6           With that as an introduction, let me introduce  
7 -- oh, you shouldn't hold this against us, but just for  
8 the record, I noticed in reviewing these things that all  
9 of us have Ph.D.'s, which is a terrible thing. Please  
10 don't hold that against us. Even the M.D. has a Ph.D.  
11 Just think of us as a group of experts in our field, and  
12 let it go at that. Call us by our first names, if you  
13 prefer. Dr. -- I mean, Professor Norman Rasmussen.

14                           STATEMENT OF NORMAN RASMUSSEN

15           MR. RASMUSSEN: Mr. Chairman, it is a pleasure  
16 for me to be here. As some of you may know, Harrisburg  
17 is where I was born, and I was raised on a farm not far  
18 from Middletown, and spent my youth there, so it is a  
19 special area for me.

20           What I would like to talk to you tonight about  
21 is the technical issues and some of the reasons for some  
22 of the conclusions that you have seen in your first  
23 report of our committee, and how I think the committee  
24 has changed its opinion on some of those conclusions  
25 during this second year.

1           As you well know, right after the accident, we  
2 had a plant that was in very serious condition. It had  
3 six to eight feet of water on the floor. The water was  
4 radioactive. It had radioactive gas inside the  
5 containment. It had damage -- severe damage to the  
6 core, the extent of which nobody knew or understood.  
7 And it presented a technical problem unlike any that  
8 anybody had faced before as to how to clean that up in a  
9 safe way so that nobody's health or safety was  
10 threatened.

11           And clearly, no utility in the country has an  
12 organization ready to do that, and certainly GPU didn't  
13 either. And so their first task was therefore to go out  
14 and recruit a group of people with the expertise needed  
15 to undertake this difficult assignment.

16           Now, it wasn't so hard to find a lot of people  
17 with the kinds of expertise needed to do this, but to  
18 mold them into a functioning organization was a  
19 challenging problem indeed, and one of the conclusions  
20 of our committee's report at the end of the first year,  
21 as you may recall, was that we felt the organization was  
22 not yet good enough to undertake a major problem like  
23 lifting the head off the reactor.

24           It was because of several reasons. One was,  
25 there were three major organizations involved, Bechtel

1 National, Bechtel Northern, GPU, and then it interacted  
2 with DOE, NRC, and several other organizations as well,  
3 and to get all those organizations to operate smoothly  
4 together is a challenging management problem, and not  
5 easily solved, because the experts you put together may  
6 not necessarily have the management skills to make an  
7 organization like that function well, and there were  
8 clearly some problems in this organization, or we  
9 wouldn't have made a remark like we did in that report.

10 Well, I don't know whether our comments had  
11 anything to do with it, but the management recognized  
12 this, too, and I am happy to report that in my opinion  
13 and, I think, in the opinion of our committee,  
14 tremendous strides have been made during this last year  
15 to cope with that problem.

16 They have put together one organization now.  
17 They have taken people from the three original  
18 organizations, put them into one organization under the  
19 leadership of Mr. Kanga. Mr. Kanga is a man with  
20 substantial expertise in managing large projects for the  
21 Bechtel Corporation, and so he knows the management  
22 techniques needed to make a complex organization  
23 function, and we now begin to see that organization  
24 functioning the way that makes us less concerned about  
25 the management of the project than we were a year ago.

1           Now, how do I reach that conclusion is a fair  
2 thing for you to ask, so let me tell you on what basis I  
3 have reached that conclusion. One is, of course, we  
4 meet regularly and interact with the people, so we have  
5 gotten to know the people, and through our knowledge of  
6 them and our discussions with them, it seems to me we  
7 have all begun to believe in these people as competent  
8 people, dedicated to what they are doing and serious  
9 about doing it right.

10           But that wouldn't be enough evidence for me to  
11 come before you and tell you that they are a good  
12 organization. That is just a hope on the basis of what  
13 we have seen. And the proof of the pudding is in the  
14 fact that they have now accomplished a number of major  
15 complicated tasks and done it amazingly well with little  
16 or no difficulties encountered in the project. I would  
17 like to describe a few of them to you.

18           The first major problem inside the containment  
19 after the permission was granted to vent it was to get  
20 people inside and begin to measure and get ready to do  
21 some useful work in there, and they got that  
22 accomplished quite well. Very inefficient at first in  
23 terms of number of man hours it took to get a man inside  
24 containment, but that has been improved as time has gone  
25 on.

1           Then they had to get eight feet of water,  
2 600,000 gallons of water off the basement floor,  
3 radioactive water, and that is a non-trivial problem,  
4 given the environment that you had to put some of the  
5 equipment in, and so on, so that was their first real  
6 challenge. They designed a thing, a system called the  
7 SDS system, for Submerged Demineralizer System, put it  
8 into operation, pumped all that water through the  
9 system, which filtered out the radioactivity by ion  
10 exchange, actually.

11           And now the radioactivity in that water  
12 resides in sealed cans called the liners from the  
13 demineralizer. Some of it has been shipped to Idaho  
14 already, and plans are under way to ship the rest of it  
15 to Idaho some time during -- I don't know when the exact  
16 schedule is.

17           So, that was a major accomplishment done ahead  
18 of schedule and with essentially no problems, and some  
19 of you are engineers enough to know that you don't get a  
20 result like that by luck. It is only because you have  
21 carefully planned the project and thought of a lot of  
22 things that might go wrong and have contingencies to  
23 deal with them.

24           So, it was a complicated enough project that  
25 luck won't win for you. There are too many places to go

1 wrong. So, that was encouraging to us on the committee.

2           The next major activity undertaken was to  
3 refurbish the crane, because no major head removal or  
4 cleaning up of the reactor system itself can take place  
5 without the availability of that crane. That, I am told  
6 today, has just been finished. The crane is now  
7 operable, so that it can begin to lift heavy shielding  
8 blocks when they are ready to do that.

9           That was also done, and that is a very  
10 difficult problem. If you realize people in these suits  
11 had to climb ladders to the top of the crane rail, scrub  
12 down the crane, replace wires and electrical circuits,  
13 to accomplish that with no major problem and no  
14 accidents to the workers was also an accomplishment.

15           The third thing they have done is  
16 decontaminated the building from the top down to the  
17 major working floor, hosed it all down and washed it off  
18 to get rid of as much of the loose radioactivity as  
19 possible, and that has gone well.

20           Then, this summer, they did two more things  
21 that were important steps and complicated, difficult  
22 operations. One was to remove a lead screw. I won't  
23 bother telling you -- It is a piece of steel that goes  
24 into the top of the reactor. They removed it to give  
25 themselves a one-inch hole to go in through the top of



1 the vessel with a one-inch camera, go down there and  
2 look at what was inside, and our first visual inspection  
3 of what the state of the core is was obtained at that  
4 time.

5           And that was a non-trivial operation which had  
6 to be very carefully scheduled and worked out so the  
7 workers weren't overexposed, because some of the  
8 radiation fields are fairly high, which limited the time  
9 they could be in the region. And that went well, and  
10 got remarkably good pictures of what the condition is in  
11 that core. I am sure if you haven't seen them, GPU  
12 would be glad to show you --

13           MR. MINNICH: We have seen them. We saw them  
14 at the last meeting.

15           MR. RASMUSSEN: You have seen those movies.  
16 Well, you have probably a feel then for what the  
17 delicacy and difficulty of that operation is, and if you  
18 have ever seen what a human being has to put on to get  
19 in the containment, you realize how hard it is to do  
20 some of those things under the conditions those people  
21 had to work.

22           And finally, more recently, after the quick  
23 look, which put a TV camera in, they did an operation  
24 which was similar, called a quick scan, where they put  
25 radiation detecting devices down in and measured the

1 radiation levels inside the top head of the pressure  
2 vessel.

3           So, all those operations have been  
4 accomplished this year, and in my judgment, and I  
5 believe the committee supports this, although we haven't  
6 taken an official vote, they have been done very well.  
7 We have learned a lot of things. But the important  
8 thing is, no major mistakes were made. Nobody was  
9 hurt. No unusual occurrences of a safety type were  
10 encountered. The closest thing we had to trouble, I  
11 guess, was people getting overheated in these suits, and  
12 some people got heat stroke or something close to heat  
13 stroke, a problem we knew would be serious, and that  
14 happened to a few people.

15           So, all in all, I think the committee is  
16 pleased with the progress, especially in the management  
17 of the project. It seems now to us to be fairly tightly  
18 managed. I am sure in an organization that large you or  
19 I or anybody could find ways to manage it better, at  
20 least what we think would manage it better, and nobody  
21 would claim it is 100 percent efficient, but  
22 nonetheless, it has done some tough jobs. It has done  
23 them well. It has accomplished them basically within  
24 the budget and time schedule laid out for the projects,  
25 and that is a measure of a well-functioning management

1 team.

2           And so, I think by the end of this year our  
3 committee will report in its report that we are much  
4 more satisfied, and I have, and so have several others  
5 on the committee I am on, reviewed the head lift plans,  
6 and they seem to us to be well thought out. I have  
7 tried to find things they haven't thought of that should  
8 be considered, and except for a few minor ones that were  
9 rather trivial, I could find no major issue that  
10 occurred to me that wasn't covered.

11           So, I am confident now that that is a  
12 functioning organization that can undertake the major  
13 next step, which is to remove that head and get out the  
14 core.

15           And with that, I will step down, and let Bob  
16 tell you his, and then we will be ready for any  
17 questions you may have.

18                           STATEMENT OF ROBERT FRIEDMAN

19           MR. FRIEDMAN: As Jim Fletcher indicated in  
20 his opening presentation, a secondary activity of our  
21 group had to do with the relationships with the  
22 community, and I think Jim very nicely talked about one  
23 important aspect of that, and that is that when you deal  
24 with problems of this kind, technical people on the one  
25 hand may see the picture in one way, and citizens in the

1 community may see it quite differently, so that the  
2 perceptions of the problem out there in the community,  
3 so to speak, may be very different from the way  
4 technical people, whatever side of the fence they are  
5 on, see it.

6           And so, it made it very interesting to add me  
7 to the group, because I have zero technical training in  
8 the nuclear engineering field, although I do have an  
9 involvement in science policy, but entirely from the  
10 social science side.

11           At any rate, the purpose of our panel has been  
12 to deal with the communication linkage relationship  
13 between the community and the company, and I think it is  
14 not surprising to anybody in this room to learn that the  
15 relationships since the accident have not been ideal.

16           Our problem was to deal with them in a way to  
17 help both the community understand the company better  
18 and for the company to understand what was going on in  
19 the community, and we have been doing two kinds of  
20 things. As some of you know, and of course several  
21 members of the NRC committee have been very helpful in  
22 this, in agreeing to be a part of it, we created what I  
23 would loosely describe as a group of people.

24           It is not a committee, because they have never  
25 met as a group. Indeed, some of them don't know who

1 some of the other members are. But we put together a  
2 group of people in the larger community, and the larger  
3 community really is -- I think I am right -- a  
4 four-county area. There are individuals represented,  
5 some as far east as Lebanon, and some as far west as  
6 Carlisle, who generously agreed to interact with us from  
7 time to time on matters of concern on the cleanup.

8           And without identifying people, because I  
9 should say that although some of them may have  
10 identified themselves, we have never asked them publicly  
11 to identify, and so at this point, without asking them,  
12 it wouldn't be appropriate. The individuals come from  
13 industry, labor, religious groups, civic organizations,  
14 minority groups, political organizations. They come  
15 from different localities, and we went out of our way to  
16 make certain that they represented different points of  
17 view with respect to the cleanup, attitudes toward the  
18 cleanup, nuclear power generally, and so on.

19           There are 25 individuals in all. They have  
20 from time to time provided us with their reactions to  
21 the aftermath of the accident, progress on the cleanup,  
22 specifics on the reporting of the cleanup activities by  
23 the company, and indeed, last summer we alerted them to  
24 the fact that there was going to be a quick look during  
25 the middle of the summer to get their sense of how well

1 the company presented information, how well the media  
2 dealt with it, and so on. And so, we have used them as  
3 kind of a sounding board.

4           In addition, we have ourselves been reviewing  
5 a number of surveys that have been conducted about  
6 community attitudes in order to feed back to the  
7 management of the company general feelings in the  
8 community about the cleanup, about restart of TMI 1, and  
9 other issues that are pertinent to this.

10           And I might add, for example, that one of the  
11 things that I think is pretty well understood at this  
12 point is that while the referendum conducted in three  
13 counties last spring was an advisory referendum, it  
14 wasn't conducted in the entire area and the turnout was  
15 low, that there is a congruence between the general  
16 attitudes at that time or shortly after that time  
17 regarding restart at TMI 1 and the vote cast in the  
18 primary election. The vote was on a fairly ambiguous  
19 question, but nevertheless it does represent a sense of  
20 the point of view of the community, and I think the  
21 company understands that.

22           I think it is no secret to anybody here that  
23 there is considerable fear in the community, a  
24 considerable concern in the community. A lot of people  
25 are concerned about the slow progress of the cleanup,

1 and that, as many of you know, has ramifications that  
2 relate to the limited funding, and so on and so forth.  
3 But there is a full understanding of this.

4           There is, as I have indicated, a continuing  
5 widespread concern about restart of TMI 1. Some people  
6 don't want TMI 1 restarted until 2 is cleaned up.  
7 Others are unalterably opposed. And there are a core of  
8 people who support restart of TMI 1.

9           There is, I should add, a general feeling of  
10 confidence that ultimately there will be a cleanup, and  
11 it will be completed. What is important, and I don't  
12 think there is any purpose in my -- we could go on at  
13 length about the kind of information that we have and  
14 have reported back. The important thing, I think, for  
15 me to add is that whether the reaction of the community  
16 is good or bad, and a lot of it has tended to be  
17 negative with respect to the accident, the cleanup, and  
18 so on, the company has listened when we have reported  
19 it. They have heard us, and I think that their efforts  
20 have been to respond to the information that we have  
21 given. And I think that is the positive side of the  
22 kind of findings that we have.

23           Jim, do you want to close?

24           MR. FLETCHER: Yes, Bob. I am the wrap-up  
25 person.

1           Let me just see if I can summarize what we  
2 have all said. First of all, I would like to -- I  
3 should have said this before -- show some pride in the  
4 Safety Advisory Board. We have put together a  
5 functioning board which I think I am a pretty good  
6 referee at. It is not easy to get a political scientist  
7 to talk to a mathematician to talk to a nuclear  
8 engineer, but somehow we have managed to come up with a  
9 consensus, and I think it provided useful information to  
10 GPU management.

11           The second point I think that was made is that  
12 we still notice a -- some skepticism about not only GPU,  
13 but about the NRC, the Nuclear Regulatory Commission, in  
14 the community, which we perceive, but we are not exactly  
15 skilled in changing that. That just happens to be a  
16 fact of life at the moment.

17           On the other hand, balancing that, we notice  
18 considerable progress at GPU, both in terms of the steps  
19 taken towards cleanup and also towards the pulling  
20 together of a competent organization to do that. On the  
21 other hand, most of our problems are ahead of us in this  
22 cleanup activity, and the next big step will be the head  
23 removal, and we have assigned a fair fraction of our  
24 group to deal with that problem, and although we haven't  
25 come up with our own opinion on it, we think it is a



1 potentially dangerous operation, dangerous to the  
2 workers, at least, and although it is potentially  
3 dangerous, we think it can be done safely by proper  
4 preparation beforehand, and we don't anticipate any  
5 accidents.

6           But nevertheless, it is the next step, and  
7 that is what we are spending a good fraction of our time  
8 doing.

9           So, with that as kind of a sum-up, we stand  
10 ready to answer any questions. I want to remind you  
11 that we are only a few of the experts, and we can answer  
12 when the rest of us have all agreed on something, but if  
13 you ask us a detailed question on what health risk this  
14 or that or the other does, well, it turns out that Jack  
15 Fabrican isn't here, and we may have to defer, but  
16 things that we have already agreed on I think we can  
17 answer, and also the things that we are supposedly  
18 expert on, either Norm or Bob or I will be glad to try  
19 and answer.

20           Thank you.

21           MR. MINNICH: Thank you, Doctor.

22           One of the areas that this panel -- many areas  
23 that this panel had looked at and was concerned was the  
24 worker safety, and we are delighted that you have been  
25 involved in that also.

1           I thought of a couple questions that I have,  
2 but I think they really are more to be directed to Mr.  
3 Kanga when he gets up here rather than yourself, so I  
4 will delay mine. Does any of the panel have any  
5 questions? Yes.

6           MR. COCHRAN: I agree with the chairman that  
7 the worker safety is the principal concern in terms of  
8 the exposures resulting from the accident, and I am  
9 curious as to how GPU or your panel views the work in  
10 terms of how does one decide when one has decontaminated  
11 enough to permit a particular piece of work to be  
12 performed, for example, repair of the crane?

13           I noticed, Norman, your discussion that you  
14 mentioned that the crane had been repaired and the  
15 decontamination is going on, and if one simply said that  
16 one's primary concern was with worker exposure, one  
17 might have presumed that decontamination would be  
18 complete, and that the crane repairs were then  
19 starting. And I just don't have a feel for what  
20 criteria are being used and how the ALARA principle is  
21 being applied in terms of how far one reduces worker  
22 exposure before one gets on with the other aspects of  
23 the work.

24           MR. RASEUSSEN: Well, I am not surprised,  
25 Tom. You ask a very sophisticated question. That is

1 probably one of the toughest ones to decide in a project  
2 like this. The ALARA principle says that you should do  
3 everything practical to reduce the workers' exposure,  
4 but we think it's important that you look at this  
5 project in a somewhat broader sense, because there is  
6 some threat of exposure to the public and the workers if  
7 you don't get the plant cleaned up as well.

8           The longer it sits there contaminated, with  
9 water in the basement, the more potential we have for  
10 some kind of a release that we would like to be sure we  
11 get rid of. After all, water in the basement is not the  
12 way you would like to contain it if you could. We all  
13 feel better now that that radioactivity is in the  
14 epicore liners.

15           So, you are faced with a difficult tradeoff of  
16 how many man rem you give workers compared to how many  
17 man rem you might potentially give the public or the  
18 workers if you don't do anything and take the risk of  
19 something, corrosion or some other phenomenon occurring  
20 in a longer time period.

21           And that is not an easy decision to make, and  
22 generally you make it by saying, if we can get the dose  
23 level down well below the permitted dose levels for  
24 workers, it is important to get on with the project, and  
25 so you have the basic guideline that you don't

1 overexpose relative to the NRC guidelines, and you do  
2 what is reasonably achievable to get it below that, but  
3 in order to get the job done and prevent -- reduce this  
4 other risk, you take some exposure.

5           It is a hard balance to make, and I wouldn't  
6 say it has been done quantitatively. It has been done  
7 by judgment. But those are the factors one has to weigh  
8 one against the other in reaching the decision of when  
9 someone gets some exposure.

10           Does that address --

11           MR. COCHRAN: Well, if there are no  
12 quantitative numbers, there are no quantitative  
13 numbers. Do the workers feel like they are getting a  
14 fair shake at this? I mean, do they feel like that the  
15 primary consideration is given to reducing their  
16 exposures, and that they are not going in there sooner  
17 than they might otherwise?

18           MR. RASMUSSEN: Somebody on our panel knows  
19 the answer to that one, but -- Do you, Jim?

20           MR. FLETCHER: No. Let me just say that --

21           MR. RASMUSSEN: You had better talk here, so  
22 it is recorded.

23           MR. FLETCHER: So far that's -- as Norm says,  
24 this is a judgment question, and it really can't be  
25 quantified because nobody can quantify one's intuition

1 about what are the chances that a structural failure  
2 will occur over time, or that material that is in the  
3 reactor vessel will so contaminate the metal that it  
4 would weaken.

5           Those are judgment questions, and you probably  
6 point out it is pretty hard to quantify judgment.

7           Now, with regard to the attitude of the  
8 workers, we feel that is the next important thing. That  
9 is why we set up this -- we used to have a panel called  
10 the Community Linkage Panel, because we thought that was  
11 the important thing, and that's when we set up the 25  
12 people that Bob Friedman mentioned, but we began to  
13 realize, as probably you already have recognized, that  
14 the immediate problem is the worker safety and their  
15 perception of the dangers, and so that is our next task.

16           I would like to be able to tell you our  
17 opinion of what their attitudes are right now, but I  
18 would say that is the job, that is the immediate future  
19 job of the newly formed External Relations Panel, is to  
20 try to look at it from the workers' point of view, and  
21 see how they judge the hazards, real and perceived, that  
22 are involved in their work.

23           I know that is not a satisfactory answer, but  
24 we have just started to look at it.

25           Do you want to add to that, Bob?

1 MR. FRIEDMAN: No.

2 MR. MINNICH: Henry has the -- Lake Barrett  
3 has the radiation received by the workers up to this  
4 date. I think it would be useful to have that in the  
5 record. I think some of the public might get the idea  
6 that there has been a lot of radiation from the  
7 statements that were made, and I think it is better to  
8 quantify it, and point out that they are below  
9 permissible levels.

10 MR. BARRETT: Okay. On the cleanup, I can  
11 give you the numbers for 1982. I noticed Jim Hildebrand  
12 from GPU is here, and he can correct me if I don't have  
13 these right. No worker received over five rem in 1982.  
14 Five rem is the long-term average for workers. They can  
15 receive up to three rem per quarter. That would be the  
16 maximum. But no worker has gotten over five.

17 Two workers were between four and five rem in  
18 1982. Eleven workers were between three and four rem.  
19 Seventy-seven workers were between two and three rem,  
20 and 269 were between one and two rem; 121 were between  
21 .75 and one rem; 121 between .5 and .75 rem; 199 between  
22 .25 and .5 rem; 289 between .1 and .25 rem, and between  
23 zero and .1 rem, there were about 1,000.

24 The total man rem in 1982 was about 390 man  
25 rem which, compared to a normal operating reactor, is

1 slightly less.

2           Now, I would like to add that in -- with the  
3 increase in productivity and the pace of the cleanup  
4 picking up, I would expect the numbers in '83 to be  
5 higher than this. We don't have any, you know, exact  
6 estimates yet, but it will be going up.

7           Now, the total since the accident, in 1979 for  
8 Unit 2, there were 661 man rem; 1980, 207 man rem; in  
9 1981, 146. So the man rem for Unit 2, you know, have  
10 not been that high, but the main -- as mentioned before,  
11 the main work is yet ahead.

12           MR. MINNICH: Just with a yes or no, does a  
13 worker have -- if a worker feels they, you know, they  
14 just don't want to go in, do they have that right, to  
15 say, hey, I don't want to go in, Bob, you know, and do  
16 they --

17           MR. MORRIS: They get paid to go in.

18           MR. MINNICH: Well, I know they get paid to go  
19 in, but --

20           (General laughter.)

21           MR. MINNICH: Come on, Art.

22           MR. ARNOLD: The simple answer, Jack, is, yes,  
23 they have that right. I think it is obvious that there  
24 are implications to turning down work assignments that  
25 one would have to discuss to give you a more complete

1 answer.

2 MR. MINNICH: But they do have the right to  
3 say, hey, I just feel I've had it and I don't want to go  
4 in. I don't want to get into a big discussion on that.  
5 I was just curious about it.

6 Okay. Any other questions from the panel?  
7 Yes, go ahead.

8 MR. WALD: I just wanted to ask Lake, were  
9 those the GPU TMI workers that you were referring to  
10 throughout, or did you include any other subcontractors,  
11 NRC, or what have you?

12 MR. BARRETT: Those are all the people that  
13 were badged, that we required GPU to badge that worked  
14 on Unit 2. Many of those were contractors. Some of  
15 those were GPU personnel. Bechtel personnel, NRC  
16 personnel were all included in them.

17 VOICE: Don't forget SAB.

18 MR. BARRETT: SAB people were probably badged  
19 also.

20 VOICE: That is a larger population than the  
21 GPU January 14th handout.

22 MR. COCHRAN: How does the Nuclear Regulatory  
23 Commission know that no one got over five rem in a given  
24 year then, if some of them were transient workers?

25 MR. BARRETT: A favorite topic of yours. You



1 know, it is -- each worker gets his records from the  
2 sites that he works at, and it is his responsibility to  
3 keep track of his. Generally there has not been a lot  
4 of the transient workers at TMI. I don't have the  
5 numbers. Most of them are Met Ed people or, you know,  
6 sort of full-time contractors. Not much of the -- you  
7 know, on Unit 2, like you might see at some other  
8 facilities, where people are brought in for short time  
9 periods and released.

10 MR. MINNICH: I apologize. The sound system  
11 doesn't seem to be working all that well for some reason  
12 or another. I think maybe that is why a mike went out  
13 just now. That mike there I don't believe is working at  
14 all.

15 Any other questions? Go ahead, Joel.

16 MR. ROTH: Yes. I would just like to say  
17 thank you, because at the last panel meeting I was quite  
18 outspoken, I guess, and perturbed, and had conflict  
19 about the report, and had nobody here to answer it, and  
20 particularly I was interested in conflict resolution  
21 which Phil Fine attempted to answer, but we were still  
22 in conflict after that.

23 But pretty soon after the meeting -- I would  
24 just really like to say this publicly -- I did receive a  
25 phone call from Bob, and we did get together, and we did

1 talk, and I think tonight, you know, was the outgrowth  
2 of that. So, if that is conflict resolution, I am all  
3 for it, and now if we can get GPU to do the same, that  
4 would be nice, too. But thank you, Jim, Bob, and Norm.

5 MR. MINNICH: Yes. Thank you.

6 Did you have a question? Mayor?

7 MR. MORRIS: Dr. Friedman, he did mention, I  
8 believe, there were 25 citizens involved with giving  
9 input to the Safety Advisory Board, and while you did  
10 not want to mention names, and I appreciate that, I --  
11 being from Lancaster, and being concerned with the  
12 possibility of water dumping, I am wondering if any of  
13 the individuals you mentioned were from Lancaster  
14 County, who are served by the water in the Susquehanna  
15 River, and if so, was there any concern expressed by  
16 those individuals on the dumping of the water issue?

17 MR. FRIEDMAN: I am blocking right now on -- I  
18 know that I haven't talked to anyone from Lancaster  
19 County myself. I think there is one person from the  
20 county. The issue has only come up in a very general  
21 way. It isn't an imminent possibility. As a result, we  
22 have not raised questions about the water dumping with  
23 anybody.

24 MR. MORRIS: Okay. Realize that water would  
25 be the basic concern of many people in Lancaster County,

1 and if there is only one out of 25, I can see why that  
2 may have not come up. I didn't want to put you on the  
3 spot of identifying how many, but it is a concern that I  
4 would have, and I didn't know whether you would address  
5 that or not.

6 MR. FRIEDMAN: We have not raised it  
7 specifically. I will say this. I have had  
8 conversations with a number of panel members about this  
9 whole problem of what the people out there, so to speak,  
10 are afraid of, and what some technical people see as  
11 real problems, and we talked about the water issue as a  
12 matter that a number of people in the community -- and  
13 obviously Lancaster County has a primary interest in  
14 it. It is not a big problem in Cumberland County. But  
15 it has been discussed generally, but not by me with  
16 anybody in Lancaster County.

17 MR. MORRIS: The only thing that I would  
18 suggest, if there is only one out of 25, that you may  
19 want to, if you ever get into that issue, you may want  
20 to have greater input from the Lancaster County area.

21 MR. FRIEDMAN: And you should know, there is  
22 some room for fluidity in this. We actually added two  
23 people who weren't on our original group later on. We  
24 had a situation where we thought we ought to have  
25 greater representation in York County than we originally

1 had. Yes, we appreciate that.

2 MR. MINNICH: Any other questions from the  
3 panel?

4 (No response.)

5 MR. MINNICH: Thank you, gentlemen. I think  
6 maybe you can catch your plane. I remember now, while  
7 you were talking, I remember now where I first -- I am  
8 not sure that I met you offically there, but where I  
9 first was in your presence where you spoke.

10 MR. WALD: Jack?

11 MR. MINNICH: Oh, yes, Niel.

12 MR. WALD: I didn't realize the group was  
13 leaving. Can I ask --

14 MR. MINNICH: Niel wants to catch a plane. I  
15 don't know if -- I mean Norman. I am sorry. Excuse me,  
16 Niel.

17 MR. RASMUSSEN: Do you have a question?

18 MR. WALD: Yes. It was something you touched  
19 on, and I thought it might be useful to have your  
20 opinion, because we have periodically approached this  
21 question. From the standpoint of safety, does your  
22 panel monitor the tradeoff in any quantitative way, or  
23 is anyone making any quantitative observations about the  
24 effect of the passage of time on the risk of inadvertent  
25 releases or other consequences from the plant's delay in

1 cleanup?

2           In other words, is somebody keeping tabs on  
3 what the effect is of another year or another two years,  
4 and so on, and does your panel keep an eye on that?  
5 Because it relates directly to the question of funding,  
6 the urgency of funding, the approaches to various  
7 funding sources, and I have never seen -- in our  
8 discussions we have never been able to get any  
9 quantitative assessment of the increase in hazard  
10 relative to the passage of time.

11           Now you are sorry you didn't leave for the  
12 airport.

13           (General laughter.)

14           MR. RASMUSSEN: You know, that is clearly a  
15 tough issue to face. As we all know, the longer it sits  
16 there, the more corrosion there will be, the more things  
17 that will fail, but sitting in an environment that --  
18 let me start again.

19           You asked if I can quantitatively say anything  
20 about it, and it is very hard to quantitatively say how  
21 fast things corrode and when the failure sets in from  
22 corrosion in the environment it is in. When will the  
23 pump fail? When will the ventilation fail? We have  
24 gotten fairly good at doing it -- well, some people say  
25 not so good -- I think fairly good at doing it for well

1 maintained running equipment, how often that fails,  
2 because we have built up quite an inventory of events to  
3 judge the frequency on, but we have to, I think, just  
4 use our best engineering judgment. We know how fast  
5 certain things corrode, so we have some feeling of how  
6 long pipes will last and so on.

7           But to try and quantitatively say how the  
8 probability of -- or how the risk to the public is  
9 changing with time, I don't think we're good enough to  
10 do that yet. We certainly consider that issue all the  
11 time, and ask what is likely to be failing, what gaskets  
12 or material and so on. Did you want to say --

13           VOICE: I was going to say, the risk  
14 assessment group is just getting started to do something  
15 on that.

16           MR. RASMUSSEN: Yes, the risk -- GPU has  
17 started a risk assessment group. They had a temporary  
18 one that reviewed some things. They have now made it  
19 permanent. But I have done a little in the risk  
20 assessment field, and I wouldn't believe them if they  
21 told me they could predict the risk of how that plant is  
22 going to fail over time if you just leave it there. I  
23 mean, you have to worry about all the issues, but I  
24 don't believe we could trust the numbers we could  
25 predict on that.

1 MR. FLETCHER: Could I add something?

2 MR. RASMUSSEN: Sure, Jim.

3 MR. FLETCHER: I should have introduced myself  
4 as a non-nuclear expert, and they say fools rush in  
5 where angels fear to tread. That is one of the first  
6 questions I had of the nuclear experts, and I asked it  
7 again just recently, and the answer came back about like  
8 Norm's.

9 I do remember them saying one number, though.  
10 They said if it went another ten years, they would  
11 really begin to worry. Now, if that is helpful, I don't  
12 know. That is not very quantitative.

13 MR. RASMUSSEN: There are a number of things  
14 we are pretty sure would fail in ten years. Whether  
15 they will fail in one, two, or five --

16 MS. MARSHALL: Could I ask a question,  
17 Chairman?

18 MR. MINNICH: Certainly. You go right  
19 ahead.

20 MS. MARSHALL: Following up on that theme, I  
21 believe at our last meeting there was mention made of  
22 penetration into the concrete of radioactivity, and also  
23 it was said that this was more extensive than had been  
24 anticipated. Is there any risk in -- I mean, based on  
25 the amount of penetration so far, is there any risk of

1 further penetration through the concrete given the time  
2 schedule that we have? Is that a cause for concern?

3 MR. RASMUSSEN: That's a hell of a good  
4 question. I wish I knew the answer. But the water is  
5 no longer there, so one of the mechanisms to move it  
6 through the concrete is gone. But I don't know how fast  
7 -- I think it is a pretty slow diffusion rate without  
8 the water present to dissolve it and move it further  
9 in. So I doubt if that is a major issue. Tom, do you  
10 think it is going to keep moving into the concrete? It  
11 is not something that concerns -- It is deep enough in  
12 now that you've got a problem. If it goes a little  
13 deeper, it won't change the magnitude of the problem  
14 much, is what I think.

15 MS. MARSHALL: Do I gather, then, it is deeper  
16 where the water existed, and not as deep --

17 MR. RASMUSSEN: Yes, that's correct.

18 MS. MARSHALL: I see.

19 MR. MINNICH: Actually, the contamination was  
20 a result of water seepage into the concrete.

21 Since we are on that question, on that  
22 particular topic, let me ask a question. In the GPU  
23 recovery program estimate, there is a statement that in  
24 recent months it has become clear that gamma dose rates  
25 in containment are remaining at elevated levels despite



1 progress made in decontamination.

2 Have you looked at that?

3 MR. RASMUSSEN: Oh, yes.

4 MR. MINNICH: Okay.

5 MR. RASMUSSEN: That is, of course, a major  
6 issue with us, because that is a major source of worker  
7 dose, and we and GPU for sure, too, hope that with a  
8 good, thorough, careful washing, those dose levels could  
9 be reduced tremendously lower than they are now. Now,  
10 they have washed it, and they found that penetration  
11 into the concrete and some other factors have prevented  
12 them from washing away as much of the stuff as they  
13 hoped.

14 They now have a first rough model that  
15 identifies where most of the radioactivity, the sump and  
16 some other sources, and they are putting that together  
17 to sort of calculate what they believe the radiation  
18 dose is as a function of position based on what they  
19 have estimated the source terms to be, and we were told  
20 in our last meeting that that calculation is proceeding,  
21 and they are now getting so that they can make fair  
22 estimates.

23 But there is -- a lot of their dose comes from  
24 the basement where the water was and in the concrete,  
25 but there is still some up above, too, that didn't wash

1 off as well as they had hoped. So that is a problem.

2 MR. MINNICH: Hypothetically, if the rate  
3 remains high, and one of the next objects is to remove  
4 the head, will they still be able to proceed if that  
5 rate remains as high as it is?

6 MR. RASMUSSEN: Yes. Their estimate is that  
7 they can do that. They are considering other options to  
8 reduce the worker dose as he goes from the door over to  
9 the head area by perhaps using appropriate shielding  
10 along the way so the worker goes through a much lower  
11 radiation field in getting to the job site. You might  
12 talk to Mr. Kanga and others about that, because they  
13 will know more of the details than I do.

14 MR. COCHRAN: I am just curious in terms of  
15 other plants. Was this containment painted on the  
16 inside?

17 MR. RASMUSSEN: Yes, the concrete was  
18 painted.

19 MR. COCHRAN: And it is still -- the water  
20 went through?

21 MR. RASMUSSEN: Yes. It was essentially all  
22 painted. Tom probably knows that, Tom Devine.

23 MR. DEVINE: Jack Devine.

24 MR. RASMUSSEN: Jack.

25 MR. DEVINE: My son is Tom.

1           Let me try to put that in perhaps better  
2 perspective. The reactor building is reinforced  
3 concrete. It has a steel liner throughout. It is a  
4 completely enclosed steel liner. The problem with the  
5 penetration is really an interior concrete within that  
6 structure, not penetration through the liner. It is a  
7 problem because it has caused a persistent higher dose  
8 rate inside the reactor building, and therefore we have  
9 to address that problem. It has not been a problem  
10 because of migration towards the outside.

11           Where we have been able to measure depth of  
12 penetration, it has been still in fractions of an inch,  
13 which is nothing approximating penetration through a  
14 four or five-foot thick surface, but it is a problem,  
15 because that means that surface washing doesn't get it.  
16 You've got to get below the surface.

17           MR. COCHRAN: I am curious. Where it has  
18 penetrated, are those unpainted surfaces?

19           MR. DEVINE: We have a variety of surfaces,  
20 and let me start out by saying that our analytical  
21 ability is somewhat limited, because most of this is  
22 occurring in the basement, which is not habitable for  
23 human beings. So we are lowering instruments and we are  
24 deriving information. Most of the surfaces which appear  
25 to be the high pickup are surfaces which are unpainted.

1 In some cases, the basement is painted up to five feet,  
2 but we flooded with eight feet of water, so that upper  
3 ring, we call it the bathtub ring, is where we are  
4 seeing that real high penetration. There is also  
5 concrete block. There is a stairwell, for example, that  
6 is built with concrete block, just like a regular  
7 building. It has no safety function. The concrete  
8 block is very porous, and we have seen high radiation  
9 areas in those structures.

10 MR. MINNICH: Is that stainless steel liner --  
11 can radioactivity penetrate that? Is that why it is  
12 stainless steel?

13 MR. DEVINE: It is not stainless. It is carbon  
14 steel.

15 MR. MINNICH: Oh, carbon steel. I am sorry.

16 MR. DEVINE: It is really part of a pressure  
17 vessel designed to withstand the effects of an accident,  
18 including pressure and temperature and everything else.  
19 Gamma rays penetrate through those kind of materials,  
20 but they are attenuated as they go through, so that is  
21 why the walls are as thick as they are.

22 MR. MINNICH: Any other questions?

23 (No response.)

24 MR. MINNICH: Thank you.

25 MR. FLETCHER: Can I just say, thank you for

1 inviting us, and if you want us to come back at any  
2 time, or any of the other members, we would be glad to  
3 do so. I might add that Dr. Friedman here has attended  
4 most of your meetings as a part of the public, but he  
5 just didn't happen to be here at the time you asked the  
6 question.

7 MR. MINNICH: Yes. Well, thank you very  
8 much. We appreciate your coming.

9 MR. FLETCHER: Dr. Friedman is going to stay.  
10 Norm and I have to leave.

11 MR. MINNICH: Okay, fine. Have a good flight  
12 back, or however you are going.

13 MR. FLETCHER: Thank you.

14 MR. MINNICH: Okay. The next agenda item is  
15 Mr. Kanga on recovery program estimate. Mr. Kanga.

16 STATEMENT OF BAHMAN KANGA

17 MR. KANGA: What I am going to talk about is  
18 to briefly review the reassessment that we made for this  
19 project for both the schedule and the cost of the  
20 project, and you have received the report. I will give  
21 you a brief rundown, a summary of it. I will try and  
22 answer questions.

23 Let me introduce Larry Santee, who is manager  
24 of schedule and cost control, and we will try to operate  
25 the two machines simultaneously so that as I explain

1 things on the chart here, the rest of the people would  
2 be able to look at the other vu-graphs.

3 In essence, what we have done is to look at a  
4 series of different cases or scenarios, depending upon  
5 the assumed cash flow available to the project in the  
6 different years. The result of the different scenarios  
7 is that the total cost varies to some extent, but the  
8 major impact is in schedule time of various  
9 activities.

10 What I would like to do is to first define to  
11 you the five cases or five scenarios, then explain to  
12 you the difference in the cost, then explain to you the  
13 difference in the milestones of the various events, and  
14 then, if necessary, and if you have some questions, to  
15 go into more detail. So let me first -- excuse me.

16 MR. MINNICH: Before you begin, let me throw  
17 one question at you. I believe I heard on the news -- I  
18 don't recall seeing it in here -- that the cash  
19 availability assumptions are made based on the premise  
20 that the Governor's package will not receive total  
21 funding support. Is that correct or incorrect? Did I  
22 hear that --

23 MR. KANGA: That is not quite correct, and I  
24 think it might be more appropriate if we could do this  
25 in two steps, one, to explain to you the various

1 scenarios, and then perhaps Bob Arnold might want to  
2 talk to you about the funding levels that might be  
3 available in the future, because I think it would be  
4 most appropriate to go to what we have done in terms of  
5 various cases, and then for you to judge the probability  
6 of one or the other case being actual.

7           The first scenario or case that we have  
8 essentially is based upon the premise that we would have  
9 a cash flow of \$76 million in 1983, that in 1984 we  
10 would have \$92.6 million, and in 1985 and later years we  
11 would have \$100 million, all dollars being assumed in  
12 1983 levels. The actual cash flow therefore in 1984 and  
13 beyond would be higher depending upon the escalation  
14 that might happen in those years.

15           The second case that we have looked at is a  
16 similar assumption, except that we said that in 1984 and  
17 beyond, we will have \$100 million available to us, but  
18 those would be in the current dollars in the value of  
19 the dollars at that time frame, and therefore we have an  
20 assumed escalation included in it, and therefore in  
21 terms of 1983 dollars those would be a lower number of  
22 dollars available to us.

23           In the Case Number 3, what we asked ourselves,  
24 the questions were, in effect, what would be the effect  
25 on cost and schedule if in 1985 we had essentially

1 unlimited cash flow, which would then help us in  
2 accelerating the activities related to the fuel removal  
3 so that we could complete the fuel removal in 1985, and  
4 I would like to explain that when I talk in terms of  
5 various time frames and compare the four or five cases,  
6 I think it would be more apparent to you than just at  
7 the present time defining what we were doing.

8           In Case Number 4, we assumed essentially the  
9 same numbers as in Case Number 1, except that in 1983  
10 and '84 we wanted to see the effect on the schedule if  
11 we were to receive \$10 million more in those two  
12 years.

13           Our reason for looking at the various cases  
14 was to see how sensitive our schedules were to the  
15 actual amount of money that might be made available to  
16 us.

17           In Case 5, we took the Case 4 and essentially  
18 looked at it with unlimited cash flow in 1984 and '5, to  
19 both expedite the start of the fuel removal and reduce  
20 the total time interval for removal of the fuel to 12  
21 months.

22           Our intent in looking at the last case was  
23 essentially to see how much acceleration we can have in  
24 our schedule in the areas in the early period of the  
25 total schedule, namely, in '83 and '84, which is much



1 more sensitive to the amount of engineering, detail  
2 design, and other software packages that we have to  
3 prepare, as compared to later years, where the  
4 additional money would go in the area of actual physical  
5 work which could be accomplished, say, by adding a full  
6 two-shift operation to the project.

7           It would not be very feasible to add a  
8 two-shift operation in terms of preparation of design,  
9 engineering, and other items.

10           Let me just briefly go over with you the  
11 assumptions and the qualifications that we have in our  
12 estimate and schedule, and that is given in more detail  
13 in the report, and as we talked about, the estimate was  
14 prepared in terms of mid-1983 dollars, so that the  
15 amount of money for the whole project was in terms of  
16 one essential item. We then applied in various cases  
17 the escalation required, and we have made an assumption  
18 of 8 percent per year compounded escalation, and that  
19 may or may not happen in future years.

20           We have excluded the debt service on the  
21 capital investment. We made the assumption for the base  
22 case that the in containment work would be done on a  
23 50-hour per week basis, whereas the balance of the  
24 activities would be based on 40 hours per week, and when  
25 we go into other cases, to accelerate the defueling

1 process, we made assumptions that we would be working  
2 two shifts in the containment.

3 We also made the assumption that in some  
4 particular cases we would be able to open the equipment  
5 hatch to allow movement of large pieces of components.  
6 We have excluded any salvage value for any material that  
7 we would remove from the plant. We have specifically  
8 not attached any cost or schedule contingency factors or  
9 allowance, and I will speak to that in a second.

10 The maintenance of the equipment and facility  
11 as investment protection is specifically excluded, and  
12 we have assumed that the arrangements can be made for  
13 shipping all rad waste off-site, and let me go back to  
14 Item Number 8 to indicate to you why we made that  
15 decision not to include cost and schedule contingency.

16 The -- in normal construction work, we apply a  
17 contingency factor to both cost and schedule depending  
18 upon the detail of the design and the progress of the  
19 design. However, in this project, we have to  
20 essentially understand the condition of the plant as we  
21 progress through the work, and therefore to make  
22 assumptions at this time in terms of contingency would  
23 be too premature.

24 We have therefore essentially looked at this  
25 total cost and schedule as the best information that we

1 have at the present time. As we go forward and we find  
2 additional information, we would take a look at it, and  
3 where necessary, we would modify the cost and schedule.

4           In the area of Item Number 9, we have  
5 specifically on this project excluded any investment  
6 protection. In other words, we are not protecting the  
7 equipment as we go along in our work, but at the same  
8 time we take prudent precaution not to unnecessarily  
9 damage any equipment.

10           So, those are the basic primary assumptions  
11 that we have made for this study. Let me now briefly  
12 show you the five cases and compare that with the cost  
13 and schedule study that was prepared in July, 1981.

14           In terms of the effort which is for the future  
15 years, you will see that the -- in terms of 1983  
16 dollars, between Case 1 and Case 2, we have a difference  
17 of approximately \$30 million. The total range between  
18 Case 1 and 5 is in the area of 520 to 553.6. However,  
19 there is significant difference when we look at the  
20 program completion between the five cases, where in Case  
21 5 the program completion is December, '87, and the  
22 program completion in Case 2 is December, '89, which  
23 indicates to you the impact of change in the funding  
24 that might be available.

25           You will also notice that in terms of 1983

1 dollars, the July, '81, estimate indicates that  
2 approximately \$644 million to go and the five cases are  
3 lower than that number. The July, '81, estimate also  
4 indicated the completion of the program by August,  
5 '86.

6 Let me now jump over to the milestone  
7 comparison, and what we are indicating here are a number  
8 of selected milestones, the dates by which we would  
9 complete those milestones in the five cases that we  
10 considered in the study, and also to compare that with  
11 the 1981 evaluation, and that comparison is in your  
12 book, and I would like to essentially review with you  
13 just a few primary milestones rather than go through  
14 each one of them.

15 Essentially if you would look at the start of  
16 the reactor fuel and debris removal, you see that in  
17 Case 1 we are talking in terms of January, '85, whereas  
18 in Cases 4 and 5 we are talking of July, '84, in the two  
19 cases. This shows you the acceleration that we could  
20 accomplish if we had additional funding available as we  
21 had indicated early in the project for Case 4 and 5.

22 Also, the completion of the fuel and debris  
23 removal changes from June, '86, in Case 1 to June, '85,  
24 in Case 5. As we indicated earlier, in Case 1, the  
25 schedule for the removal of the fuel and debris from the

1 reactor vessel is shown here to be 18 months. When we  
2 looked at Case 3, which was additional funding being  
3 available to reduce that schedule by six months, we have  
4 shown that completion as a 12-month activity.

5           Similarly, we have shown that as a 12-month  
6 activity in Case 5.

7           Some of the other milestones that  
8 significantly change are, as we talked about a little  
9 earlier, in the completion of the project or the final  
10 shipping of all the rad waste. In terms of our approach  
11 to this schedule, in the view of the limited funding,  
12 our approach was that we want to remove the fuel as  
13 early as we can with prudent care and also to reduce the  
14 radiation exposure to as far as practicable.

15           We have not included complete decontamination  
16 of all areas prior to the removal of the fuel.  
17 Therefore, you see that in a number of cases the  
18 completion, as an example, the completion of the Phase 2  
19 decontamination is later than the defueling processes.  
20 We have essentially given priority to removal of the  
21 fuel as compared to decontamination of areas and systems  
22 which are not necessarily a priority item.

23

24

25

1           MR. KANGA: In your report, we have indicated  
2 to you our base schedule, and it indicates to you the  
3 various restraints between the activities, and it shows  
4 you the phasing of the work that is necessary. I will  
5 not at this time go into those details.

6           I have some more details that we can talk  
7 about if it is desired, but in view of the time I'd like  
8 to conclude my presentation at this time and take any  
9 questions.

10           CHAIRMAN MINNICH: Can you go back to, I  
11 believe it's either the second or third slide back from  
12 the last one you put on there.

13           MR. KANGA: Yes. What would you specifically  
14 like to --

15           CHAIRMAN MINNICH: The one that showed --

16           MR. KANGA: The dollars?

17           CHAIRMAN MINNICH: No, no. The year in which  
18 certain projects would be finished, where you pointed  
19 out in case five it would be --

20           MR. KANGA: Is this the one, or are we talking  
21 about --

22           CHAIRMAN MINNICH: Yes. Okay. Case one --  
23 see, I don't know if I missed something. Case one and  
24 case two, the cash flow in case two is faster -- is  
25 higher, I'm sorry, in the later years, and yet the

1 completion date is later than in the case one.

2 MR. KANGA: No. Excuse me. Case two is the  
3 case where we assumed that the cash flow would be in  
4 current dollars, and therefore the --

5 CHAIRMAN MINNICH: Okay.

6 MR. KANGA: -- actual '83 dollars are less in  
7 that case. In case three we accelerated the removal of  
8 the fuel by six months.

9 CHAIRMAN MINNICH: Okay.

10 Questions. Go ahead, Art.

11 MAYOR MORRIS: If I could ask one question.  
12 You're now saying in case one that completion would be  
13 projected in June of '88. Back in mid-1981 the  
14 projection then was August of '86, I believe.

15 MR. KANGA: Yes.

16 MAYOR MORRIS: And the prior and I think only  
17 real projection was in August of 1980, which was the  
18 very first real projection that was done. Do you  
19 remember what the date of completion was according to  
20 that one?

21 What I'm trying to do is see if we ever get  
22 any closer than five years. That would have been the  
23 very first projection. I think it says in the summary  
24 here or whatever, August of 1980 was really the first  
25 real definitive estimate of TMI-2 cleanup.

1           MR. ARNOLD: Mr. Mayor, I don't recall that  
2 date and I don't know if we have anybody here -- Jack?  
3 -- that does. If any of my people do, why, indicate  
4 that.

5           My recollection is that the July or August  
6 1980 one was approximately one year earlier. There  
7 wasn't too much difference in the time duration. The  
8 thing that's important to keep in mind, I think, in  
9 looking at this, you know, what is a two-year slip, is  
10 that for the July '81 and the August '80, for that  
11 matter, one of the assumptions for doing the cost and  
12 schedule assessment was that there would be unlimited  
13 dollars.

14           And I think that if you look at this two-year  
15 slippage, so to speak, my sense is about a year and a  
16 half of that is due to the cash restraints, half a year  
17 the cash restraints that existed in 1982 and another  
18 year in the balance of the effort in having more limited  
19 cash flow. And then six months of the two years is a  
20 somewhat different understanding of the total technical  
21 effort that's necessary.

22           MAYOR MORRIS: No, I understand the money and  
23 the technical problems you run into. I guess I'm trying  
24 to say that when the projection is three years away for  
25 completion I'll start feeling that the end is in sight.



1 But so far it seems like every time we have a projection  
2 it's always five years from now.

3 It's just a point that -- it doesn't need an  
4 answer. It's just a point that --

5 MR. ARNOLD: I'll celebrate with you.

6 MR. COCHRAN: Art, maybe I can help you,  
7 because I'm not sure that his definition of program  
8 completion is the one, is the dates that make the most  
9 sense to look at in terms of making some decision here.  
10 I mean, an alternate would be the time of fuel removal,  
11 because one might then conclude that subsequent  
12 decontamination is driven by worker exposure, for  
13 example, rather than polishing up the last nuts and  
14 bolts.

15 MR. KANGA: I think that that's a valid  
16 comparison, and we should look at in terms of the start  
17 of the fuel and debris removal, which in 1981 estimate  
18 was May '84 and compares to case one as January '85.  
19 And if you would look at in terms of case four, that's  
20 July '84. It's a valid comparison that you might want  
21 to perform.

22 MR. COCHRAN: What does GPU make of just this  
23 part of your analysis? I mean, I'm not sure what  
24 conclusion you draw from this other than the obvious  
25 one, that the results aren't very sensitive in terms of

1 funding but the final program dates can vary by several  
2 years.

3 I mean, what's your conclusion from all this?

4 MR. KANGA: The basic conclusion that this  
5 chart indicates to you is that certain activities are  
6 indeed sensitive to the funding, that we could improve  
7 from January '85 to July '84 in start of the defueling  
8 process, that we could improve from June of '86 to June  
9 '85 in removing the fuel from the reactor vessel.  
10 That's a change of one year, depending upon the  
11 funding.

12 MR. COCHRAN: And how much does that cost?

13 MR. KANGA: The cost, as we showed earlier,  
14 the total cost is -- actually, it's interesting to  
15 observe that if you take a look at it in terms of 1983  
16 dollars, the total cost of case five compared to case  
17 one is actually less. And if you look at it in terms of  
18 escalated dollars, it's much more significant because  
19 now you have 974.7 compared to 949.6.

20 MR. ARNOLD: Let me perhaps add to that if I  
21 could, Tom, I think pertinent to your question. As  
22 you'll note in going through the report, what we tried  
23 to do was to understand the effort necessary to get the  
24 radiation levels in the plant down to where there would  
25 be a consistent radiological condition with an operating

1 point.

2           And I think your point is an important one,  
3 that that doesn't mean that the plant will be totally  
4 cleaned up and that there will be areas in the plant at  
5 the time we say the cleanup is complete that will still  
6 be contaminated. But they'll be areas where the  
7 contamination will be reliably controlled and where the  
8 man-rem exposure involved in making further progress  
9 would probably not be worth it at that point in time.

10           And we can't say exactly what the precise  
11 conditions will be at a given point in the plant  
12 relative to that. We tried to conceptualize what the  
13 end of the program is and describe it in that way. And  
14 I think that in terms of, you know, my sense of what  
15 does all this mean, is that it does mean that to get to  
16 the point of the start of fuel removal it's not very  
17 dollar sensitive.

18           We're limited by the technical effort,  
19 particularly the engineering effort, the lead times  
20 involved in that to be ready to remove fuel. The  
21 removal of the fuel would take us between a year and a  
22 year and a half depending on the dollars available and  
23 can we work a second shift or just basically a single  
24 shift; and that the balance of the work effort can be  
25 accelerated to some extent with more dollars because of

1 the plant volume that you're working on is large enough  
2 to apply more people.

3 But in terms of the rate at which you reduce  
4 the risk to the public, it's relatively low already by  
5 the time we get the fuel removed. So that that latter  
6 part of it is not the major increment in reduction of  
7 risk to the public.

8 CHAIRMAN MINNICH: Any other questions?

9 (No response.)

10 CHAIRMAN MINNICH: Okay, we want to take the  
11 next item, the update on the cleanup.

12 MR. COCHRAN: John, it may be more appropriate  
13 to jump to item five and then come back to the cleanup.

14 CHAIRMAN MINNICH: Okay, if you don't mind,  
15 Bob, an update on funding, and then go back.

16 MR. ARNOLD: As I understood your question  
17 earlier to Bauman related to funding, it was that this  
18 cost reassessment assumes that the Governor Thornburg  
19 plan is not funded at that level.

20 CHAIRMAN MINNICH: That's what I thought I  
21 heard someone on the news media say. I may have  
22 misunderstood.

23 MR. ARNOLD: I think I would characterize it  
24 differently. Not having heard the actual comment that  
25 was made, I don't know that I want to say that I

1 disagree with it. But let me tell you how I would  
2 describe it.

3           At the time Governor Thornburg made his  
4 proposal, what we had based upon the August 1981 cost  
5 estimate was a funding requirement on the balance of  
6 program of \$760 million. That was from January '82 on.  
7 And he sort of scoped out a way of allocating those  
8 total dollars among local, regional interests, and  
9 national interests.

10           Where we are today is that from January 1983  
11 on, this base case, if we add the \$635 million that it  
12 forecasts as being necessary to complete the program to  
13 what was spent in 1982, let's say about \$65 million --  
14 it's a little bit higher than that -- we're about \$700  
15 million or \$705 million as we see it now from the same  
16 calendar date of January '82 to the balance of the  
17 program.

18           So we have seen some reduction relative to the  
19 \$760 million number. If one looks at the different  
20 pieces of the funding for the cleanup and where Governor  
21 Thornburg would have asked them to be allocated and  
22 where are we in terms of having those in place, I think  
23 that we're not that far off from the concept that  
24 Governor Thornburg is proposing, and it I think is  
25 consistent with what we use as our base case. And let's

1 take the pieces of it.

2 Under Governor Thornburg's proposal there  
3 would be about \$50 million a year from the GPU system  
4 customers going towards the cleanup. Currently, the  
5 Jersey Central customers are paying toward the cleanup  
6 at that rate, their 25 percent share of \$12.5 million --  
7 25 percent of \$50 million.

8 We are collecting in the Pennsylvania  
9 companies about \$22 million on an annual basis of the  
10 \$37.5 million and we have agreement of the Pennsylvania  
11 Commission that with TMI-1 going back into service we  
12 would collect at the total rate of \$37.5 million.

13 We did file for an increase in rates in the  
14 Pennsylvania companies a couple weeks ago, as I recall,  
15 and part of that request was to uncouple the customer  
16 revenues towards cleanup from the restart of Unit 1.  
17 And you know, we're hopeful that the Commission will  
18 agree to do that, so that towards the latter part of  
19 this year we will be collecting on a current basis at  
20 the rate of \$37.5 million from the Pennsylvania  
21 companies, which gives us the \$50 million per year  
22 customer component.

23 If one did the arithmetic, the utility  
24 industry share under the Thornburg plan would have been  
25 one-sixth of \$190 million, which is \$31-plus million per

1 year. And what we had under way in 1982, just to  
2 refresh everybody's memory, was an effort at the Federal  
3 Government level to try to mandate the contributions.  
4 That effort failed.

5 I think the industry saw it as unlikely that  
6 it would be resurrected in 1983 and at their meeting in  
7 Phoenix a couple weeks ago the Board of Directors of the  
8 EEI companies, the Edison Electric Institute, which is  
9 the industry association of investor-owned utilities,  
10 passed a resolution recommending voluntary contributions  
11 at the level of \$25 million per year for six years, for  
12 a total of \$150 million.

13 Governor Thornburg proposed a Federal  
14 Government participation at a level essentially  
15 equivalent to the industry level, and what we're seeing  
16 or expecting in 1983 is perhaps half of that or on the  
17 order of \$15 million. And that's a part of the \$76  
18 million that was shown in the program and on the  
19 slides.

20 We expect that through the next few years at  
21 least we would have funding as part of the government's  
22 R&D effort that would also contribute towards cleanup  
23 activities or have a dual purpose in the range of  
24 perhaps \$10 to \$20 million per year.

25 We have -- also, it's part of the Thornburg

1 plan, the contribution from general tax revenues in both  
2 Pennsylvania and New Jersey at the rate of \$5 million  
3 per year in Pennsylvania and \$2.5 million per year in  
4 New Jersey, and the Commonwealth of Pennsylvania has  
5 included in their '83 fiscal budget the \$5 million for  
6 the first increment of that.

7           We do not currently have that in the New  
8 Jersey budget, but we continue to work with the State  
9 Government of New Jersey to see if that can't be brought  
10 about.

11           So if you go back and -- well, and then the  
12 last component was insurance, expected at the beginning  
13 of 1982 and had in fact about \$90 million worth, \$85  
14 million worth of insurance. We have about \$45 million  
15 worth of insurance remaining, which we will use at about  
16 the rate of \$10 to \$20 million per year, depending on  
17 how it does the most good.

18           So if one looks at, let's say 1984, and we'd  
19 expect that \$50 million from customers, \$25 million from  
20 utilities, \$10 to \$20 million for the Federal Government  
21 R&D program, the State of Pennsylvania at \$5 million and  
22 perhaps another \$2.5 million with New Jersey, and some  
23 balance of the remaining insurance money, say  
24 approximately \$10 million or so, we're in the range of  
25 \$100 million for 1984 that we're anticipating. We see



1 the bulk of that funding, if it comes into place in '84,  
2 would be reliable for the next few years at least.

3           MAYOR MORRIS: Bob, the money that you just  
4 got as an out of court settlement of \$37 million I guess  
5 is going to be in the form of credits. Is that money  
6 likely to reduce, then, the need for the total amount of  
7 cleanup monies by that amount, by about \$37 million,  
8 because of cheaper equipment or whatever?

9           MR. ARNOLD: We have to -- it is in the form  
10 of rebates, so we have to spend funds in order to  
11 receive the rebate. But the settlement is based upon  
12 all rebates we receive going to the cleanup, and that's  
13 kind of an accounting, perhaps, issue, because the money  
14 may well be spent by Jersey Central on an activity in  
15 New Jersey or by Penn Elec in an activity out in  
16 mid-Pennsylvania, and we would still receive the rebate  
17 and we would be able to flow that back as a credit to  
18 the TMI-2.

19           So the answer to your question is yes, those  
20 rebates will in effect reduce the total funding  
21 requirements.

22           MAYOR MORRIS: Has that been included in your  
23 most recent projection or would that projection then  
24 reduce by \$37 million?

25           MR. ARNOLD: It is not included in the funding

1 that I described racking up against the funding  
2 requirements. The funding requirements that were the  
3 assumptions or the calculations that were done in the  
4 cost estimate of course ignore where the funds come  
5 from.

6 So that \$635 million cost to go is independent  
7 of where the funds come from.

8 MAYOR MORRIS: Okay. But you didn't reduce  
9 that because you figured you could get equipment  
10 cheaper.

11 MR. ARNOLD: No.

12 MAYOR MORRIS: You just assumed that cost, but  
13 then the \$37 million would come into being as a  
14 contribution from, really, from --

15 MR. ARNOLD: Right, as an offset against the  
16 \$635 million requirement. I say again, we have to spend  
17 the money to get the rebate.

18 MAYOR MORRIS: I understand, but somewhere  
19 that has to come into play in the whole funding  
20 picture.

21 MR. ARNOLD: Yes.

22 MAYOR MORRIS: Either cheaper equipment or a  
23 contribution.

24 MR. ARNOLD: Yes.

25 MAYOR MORRIS: One or the other.

1           MR. ARNOLD: It either will reduce the cost of  
2 specific increments of work over what we've estimated --  
3 hopefully we've estimated them accurately in terms of  
4 market costs -- or it will come back as an effective  
5 credit to the books.

6           MR. COCHRAN: I heard too many numbers at  
7 once. Could you tell me how much hard money you see,  
8 sort of money in the hand versus money that's still  
9 awaiting the Thornburg proposal or EEI contributions and  
10 so forth?

11           MR. ARNOLD: In terms what --

12           MR. COCHRAN: What we can count on.

13           MR. ARNOLD: -- we can count on at this time,  
14 we are at about \$34.5 million from customer revenues  
15 that we're currently receiving.

16           MR. COCHRAN: That's annually?

17           MR. ARNOLD: Per year, on an annual basis, and  
18 pending a change in the rates it would remain. We have  
19 about \$45 million of insurance funds. We have a Federal  
20 Government appropriation bill that covers a three-year  
21 program that would maintain funding at the site at about  
22 the \$15 to \$20 million per year, that serves the purpose  
23 of both R&D and cleanup. That's been appropriated for  
24 the current year and I guess that's sort of in between  
25 the hoped-for and in the bank, so to speak, Tom.

1           There is the \$5 million committed by the State  
2 of Pennsylvania. So that's kind of a combination of  
3 lump sums available right now and annual dollars  
4 available. But if you said the \$50 million was over  
5 five years, that's \$250 million; \$45 million of the  
6 insurance money. I don't know how you want to -- how  
7 optimistic you want to be on the Federal Government. I  
8 personally tend to be quite optimistic in terms of the  
9 support that this Administration has shown for the  
10 program.

11           I think that, you know, we've got a  
12 significant part of the total funding pretty well in  
13 place, and I think that the project is the type of thing  
14 that tends to reinforce itself, in terms of as we make  
15 progress and see success coming I think that we get the  
16 additional support necessary to make these things happen  
17 to let us complete the project.

18           MR. COCHRAN: According to my arithmetic, if  
19 Edison Electric members coughed up \$150 million and did  
20 it, instead of over six years, by mid-'86, you've got  
21 the money to get the fuel out of the reactor under case  
22 one.

23           MR. ARNOLD: Well, I have a lot of confidence  
24 in your ability to do the arithmetic.

25           MR. COCHRAN: Well, I mean, you've got -- I

1 just added up about \$210 million from the numbers you  
2 gave me. The cost to get the fuel out under the case  
3 one is about \$320 million. And so if you --

4 MR. ARNOLD: I guess to some extent you get  
5 into what motivates different entities to be  
6 participants in this. I think we see, and I guess I  
7 think the public around Three Mile Island would endorse,  
8 that what we're looking at is a program to decontaminate  
9 the facility, including removing the fuel, not just  
10 simply get to the point of where the fuel's been  
11 removed.

12 But I think there is some good reasons for  
13 encouraging the people who acknowledge a role in  
14 supporting this program to support it for the total  
15 duration.

16 MR. COCHRAN: I'm not suggesting you shouldn't  
17 go ahead and clean it up. I'm just making an  
18 observation that you can have the money, if you can get  
19 the EEI to step in, to get the fuel out.

20 MR. ARNOLD: I think that's kind of one  
21 calibration on what funds are a pretty reasonable  
22 assurance.

23 CHAIRMAN MINNICH: Any other questions from  
24 Bob on the funding?

25 (No response.)

1           CHAIRMAN MINNICH: If not, we're going to take  
2 about a ten-minute break.

3           (A brief recess was taken.)

4           CHAIRMAN MINNICH: I believe we've finished  
5 with that particular question and we can now go back to  
6 the update and the cleanup. Mr. Kanga.

7           MR. KANGA: I'll keep this report somewhat  
8 brief.

9           CHAIRMAN MINNICH: Thank you.

10          MR. KANGA: As we talked about when we talked  
11 in terms of the reassessment of the schedule, and also  
12 it was mentioned earlier, one of the major items that we  
13 are presently working on and have just about completed  
14 is the refurbishment of the polar crane which would be  
15 required to lift the head. The crane is essentially  
16 operational. We have operated it in all the various  
17 directions. We have, however, not completed its tests  
18 and that's the next set of steps we have to go through  
19 to qualify it to be able to lift the head without any  
20 problems.

21          We still anticipate that we will be able to  
22 lift the head in the middle of this year, and we are  
23 also concurrently working on a number of engineering  
24 activities related to the removal of the plenum, which  
25 would be the step following the removal of the head. We

1 are concurrently in the process of working on what is  
2 required in terms of equipment and systems for removing  
3 the fuel.

4           We are working on the various interfaces that  
5 need to be defined properly for the design and  
6 fabrication of the cannisters, and we will in the next  
7 few months also start working on the preliminary designs  
8 for the fuel racks which would be required in the fuel  
9 pool.

10           In the area of the fuel pool, we have certain  
11 tanks which were put in that area after the accident, so  
12 we are working on characterizing those tanks, working on  
13 how to remove them, and eventually we will remove them  
14 before we can put the racks in place.

15           In the area of rad wastes, let me just very  
16 briefly state that in almost all cases we have shipped  
17 more rad waste than was generated in 1982, so that in  
18 effect we are catching up on some of the rad waste that  
19 was stored at the site.

20           Of particular interest, we have the Epicore  
21 prefilters. There were 49 in storage at the beginning  
22 of the year. At the end of the year we had shipped 16  
23 out, and as of today we have shipped a total of 21. We  
24 anticipate that all 49 of the Epicore 2 liners would be  
25 shipped out by the end of the third quarter of this

1 year.

2           So we are making progress. We have also  
3 shipped this year, in '83 actually, two SDFS liners, and  
4 we will be shipping out others in due course. So we  
5 have made a concerted effort in terms of reducing the  
6 storage of rad waste and we will continue to do that.

7           Basically that's my report. With your  
8 permission, I would, and if time permits, I'd like Dr.  
9 Baker to talk about the environmental discharges or,  
10 more appropriate, lack of discharges, and also have Jack  
11 Devine brief you in a brief way on what we have seen  
12 under the head in the recent characterization that we  
13 have done, and also talk to you about the future  
14 characterization that we'll be doing in the next couple  
15 of months.

16           CHAIRMAN MINNICH: Before we do, I have two  
17 quick questions and perhaps maybe some of the panel  
18 members would.

19           Somewhere I saw, and I think it may have been  
20 in Lake Barrett's report, that you were having a problem  
21 with decontaminating the lead screws. Did I see that?

22           MR. BARRETT: I think Mr. Devine's going to  
23 talk about that.

24           CHAIRMAN MINNICH: Okay. And also, the higher  
25 than expected level of radiation or contamination at the



1 plenum.

2 MR. KANGA: That's the topic that Jack would  
3 be talking about.

4 CHAIRMAN MINNICH: That also? Okay. Then I  
5 defer. And you've answered my other question about the  
6 shipment of the liners, and that's good.

7 Do the panel members have any questions?

8 MAYOR MARSHALL: Will the truck strike affect  
9 this in any way?

10 MR. KANGA: No, I do not believe so.

11 MR. COCHRAN: I have a question, but I'm not  
12 sure which, whether it comes now or later. I can ask it  
13 now and then you can decide.

14 CHAIRMAN MINNICH: Go ahead.

15 MR. COCHRAN: In your new cost estimates,  
16 there were substantial decreases of about, according to  
17 your news release, \$177 million from the previous  
18 estimates, due in part to waste -- in the waste  
19 processing area, in decontamination. Can you elaborate  
20 on that a little bit and tell me also what you foresee  
21 in terms of whether the wastes will be stored in  
22 Pennsylvania as opposed to being stored at DOE, and so  
23 forth?

24 MR. KANGA: Okay. I'd like to do it after  
25 Jack finishes talking, for this reason: He has set up

1 -- and I have a slide which would then indicate to you  
2 the various areas in which the 1981 cost estimate  
3 differs from this one, and then we can talk in terms of  
4 what you want.

5           CHAIRMAN MINNICH: Okay.

6           DR. BAKER: Mr. Arnold has requested, since we  
7 didn't get an opportunity to really introduce me, I'm  
8 the manager of environmental controls at Three Mile  
9 Island. My function is, as the title would indicate, to  
10 coordinate all the environmental monitoring that occurs  
11 around Three Mile Island.

12           For the sake of brevity, I'll give you just a  
13 thumbnail sketch of what's going on right now or what's  
14 gone on in 1982. The program more or less is out there  
15 collecting data, and one might consider it to be  
16 baseline data in anticipation of the restart of Unit 1;  
17 and also, it serves as a guide or a check, if you will,  
18 on the cleanup processes, too, to make sure that they  
19 are being conducted in accordance with the appropriate  
20 regulatory guidelines.

21           Now, we approach the environmental monitoring  
22 program essentially in two aspects, if you will. One is  
23 the actual taking of environmental samples, from water  
24 samples to fruit samples. There's a whole gamut of  
25 environmental samples that are taken, and we tie or

1 couple that into a site specific computer model and this  
2 gives us a feel of how we can -- what's gone on, and  
3 permits us to assess any of the releases that may have  
4 occurred.

5           With respect to TMI-2 in particular, the main  
6 point or source of release is still from the containment  
7 stack when they go into the entries, and if we take a  
8 look at the mean rate of nuclides, we look at krypton-85  
9 and tritium from Unit 2 during the releases. And with  
10 respect to krypton-85 for 1982, we maintain four  
11 constant air samplers on the environment that we collect  
12 samples from every week. They also coincide with EPA's  
13 stations, and in essence in 1982 we have not seen  
14 anything above background levels at any of our  
15 monitoring stations.

16           With respect to the tritium, again from all of  
17 the pathways that are monitored we just simply haven't  
18 seen anything above what we would anticipate to be part  
19 of the background levels around the island. And that in  
20 essence is a thumbnail sketch of what the program is.  
21 Mr. Kanga kind of pointed out that there was a report of  
22 the lack of information on the program. I'll certainly  
23 entertain any questions.

24           CHAIRMAN MINNICH: Questions?

25           Tom, please move that mike down. No, the one

1 with the black cord here. See, that's the recording  
2 mike so she can hear what you're saying.

3 MR. COCHRAN: Did you say that you only have  
4 four monitoring stations for measuring the krypton  
5 offsite?

6 DR. BAKER: Yes, that's correct, four  
7 stations. We had a number of stations out at the time  
8 of the Unit 2 containment purge. But what we've done in  
9 essence is taken a look at the environmental monitoring  
10 or the environmental site specific activities with  
11 respect to, say like meteorology. Meteorology plays a  
12 large role in where you put these samplers out, and what  
13 we did then was we cut back this very large program that  
14 we had for the purge of the containment building and got  
15 it down to something that was more manageable and a  
16 little bit less expensive to run.

17 I would point out that for 1982, just to give  
18 you an idea of the figures, we had 915 curies of  
19 krypton-85 that was released and tritium was 111 curies.  
20 Those values are, depending upon sites, are within  
21 certainly acceptable ranges.

22 MR. COCHRAN: The 915 was measured how?

23 DR. BAKER: That was from -- that was detected  
24 from the samples that were taken by Radcon, and Mr.  
25 Hildebrand could address that.

1           We didn't see anything in the environment.  
2 The 915 curies that was measured was what was released  
3 out of the stack. Now, by the time that material leaves  
4 the Island and is dispersed, if you will, is dilute,  
5 then none of the stations have seen it.

6           I might say that this is where the computer  
7 model comes in, because what we can do is factor in what  
8 the release was along with the meteorology that occurred  
9 at that point in time and we can project what we would  
10 anticipate to be the levels out in the environment to  
11 see.

12           MR. COCHRAN: Could you tell me how many  
13 orders of magnitude you could be off in the measurement  
14 of krypton-85 at one of these stations because the wind  
15 is blowing between the stations rather than over the  
16 stations?

17           DR. BAKER: The sensitivity, if you will, of  
18 the actual sample that's taken goes into the analysis,  
19 how low or how small of a sample can you see. What the  
20 computer model permits one to do is to take that value  
21 and, even though your actual sample may not be sensitive  
22 enough to pick up what went by, the computer model  
23 does.

24           In essence, if the analysis of the krypton  
25 only allows you to get down to 10 or 20 picocuries per

1 cubic meter of air, for example, that's the level of  
2 sensitivity at which that sample can be analyzed at, but  
3 less than that was released, then one can plug that  
4 value into the computer model and it will project less  
5 than 15 or less than 10 picocuries out in the  
6 environment.

7 MR. ARNOLD: (Inaudible.)

8 DR. BAKER: Yes. As Mr. Arnold pointed out --  
9 I think I made this clear -- there are other air  
10 monitoring stations out there, but there are four  
11 special ones out, if you will, in the predominant wind  
12 patterns around Three Mile Island, that are specifically  
13 set to pick up or detect krypton-85.

14 MR. COCHRAN: Well, my only point is it would  
15 seem to me that a proper statement would be that having  
16 only four monitors isn't a reliable way to measure  
17 krypton-85, that the only reliable way is to measure it  
18 at the stack. Now, is that a fair assessment?

19 DR. BAKER: Yes, that's a fair assessment.

20 MR. COCHRAN: And that all of this four  
21 monitors out there and the fact that you didn't detect  
22 anything doesn't mean a hell of a lot; isn't that a fair  
23 statement?

24 DR. BAKER: What it says, what it verifies, is  
25 the model says that you will see less than the

1 sensitivity. If the wind direction, predominant wind  
2 direction, is towards one of the sampling stations and  
3 one takes a sample of it and the analysis sensitivity of  
4 the sample of it is such that you can't get down to what  
5 the dispersion value was or what the concentration of  
6 krypton is out in the environment, then your sample  
7 serves as almost a negative reinforcement that, yes,  
8 because of my sensitivity I had less than a certain  
9 amount of activity, the computer model will in fact  
10 project what that concentration is.

11 CHAIRMAN MINNICH: Yes.

12 MR. WALD: We shouldn't lose track of the fact  
13 that there are other people measuring krypton-85 out  
14 there, EPA for example.

15 CHAIRMAN MINNICH: And the other elements.

16 MR. COCHRAN: Well, he said his stations were  
17 colocated with the EPA stations, so that doesn't buy you  
18 anything.

19 DR. BAKER: They're in the general areas.  
20 They're not side by side. They are in certain stations,  
21 others they are not. They're in the general  
22 vicinities.

23 CHAIRMAN MINNICH: You still have your  
24 monitoring devices scattered throughout the whole area,  
25 do you not?

1           MR. KIRK: We have general air-sampling TLD's  
2 scattered throughout the entire area, yes.

3           CHAIRMAN MINNICH: Yes, you better -- Bill,  
4 I'm sorry. Just sort of refresh the panel.

5           MR. KIRK: EPA still has 30 air monitoring --  
6 13 air monitoring stations. We have four krypton  
7 monitoring stations, one of which is in essentially the  
8 same location as Gary's. The other three differ  
9 slightly.

10           Our sensitivity is two picocuries per cubic  
11 meter for krypton-85, which is a little better than the  
12 sensitivity they get for analysis. The worldwide  
13 average of krypton is running between 20 and 30  
14 picocuries per cubic meter. In the last year our  
15 samples have been within that range.

16           We have in the last several weeks taken a  
17 sample directly out of the TMI stack and compared it to  
18 the numbers that their rad-safe people were getting, and  
19 we got exactly the same answer, which on that particular  
20 day, which was 10 to 11 January this year, they released  
21 .24 curies.

22           When they integrated their stack monitor  
23 retrospectively, they got the same answer we had gotten  
24 measuring the concentration.

25           CHAIRMAN MINNICH: So you in effect are



1 checking on them to verify that what they are saying is  
2 in fact so?

3 MR. KIRK: This was a special case. There had  
4 been some questions raised as to whether that particular  
5 monitor was actually seeing what it was saying was  
6 there, so we went in with the sampler we use in the  
7 environment for krypton and measured it.

8 CHAIRMAN MINNICH: Thanks, Bill.

9 Any other questions?

10 DR. BAKER: Thank you.

11 CHAIRMAN MINNICH: Thank you.

12 Jack?

13 MR. DEVINE: Mr. Chairman, I'd like to give  
14 you a brief overview of some of the work we've done in  
15 the last two months with respect to examinations of the  
16 reactor vessel in preparation for the head lift, and as  
17 I do so I'll try to answer the two questions you raised,  
18 which are really at the heart of that question.

19 As a first step to provide some orientation, I  
20 brought some slides, which are really photographs of two  
21 models which we use for planning purposes, which I think  
22 better illustrate the structures and the geometries and  
23 where we're looking for radiation, that sort of thing.  
24 I'd like to show those first and then I'll describe the  
25 program.

1           Okay. I apologize that I only have one set of  
2 these slides, so those in the audience can't follow on  
3 our auxiliary screen.

4           This first picture is a model of the  
5 containment building itself, a cutaway obviously.  
6 That's the large cylindrical building on the site that  
7 houses the reactor. The reactor system, the nuclear  
8 steam supply system is that interconnection of blue  
9 pipes and structures in the center, and the reactor  
10 vessel housing the fuel is the centermost one.

11           Looking at that in closer view, again the  
12 center structure is the reactor vessel. The reactor  
13 vessel is really the lower half of that center  
14 cylinder. The upper portion is an auxiliary structure  
15 on top of it, and on either side are the steam  
16 generators.

17           Again, another view. You can see --

18           MR. ARNOLD: Jack, can you identify the polar  
19 crane?

20           MR. DEVINE: Yes, that's a good idea. Mr.  
21 Arnold suggested we point out the polar crane. It is up  
22 in the top of the building and it travels on this curve,  
23 which can rotate, and then the crane carriage can go  
24 back and forth. So it covers 360 degrees.

25           Refurbishment of that crane is necessary to

1 remove this head structure in order to get at the fuel,  
2 and that's the whole program that we've been working on  
3 for the last year.

4           CHAIRMAN MINNICH: I take it the little light  
5 figure is a comparison of a human to the --

6           MR. DEVINE: That's your standard five-foot --  
7 or six-foot, rather, standard man. This structure is  
8 about 50 feet tall, and I've got some larger pictures of  
9 the head itself. So you see, when we're talking head  
10 lift it's really a substantial endeavor.

11           Let me -- I keep reversing myself here.

12           That again is a view of that reactor system,  
13 the reactor and the head structure, from a little  
14 different viewpoint so you can get some idea of how it's  
15 shaped. That platform at the top is where all of the  
16 Quick-Look experiments were conducted. That's where the  
17 men lowered the camera through into the reactor vessel  
18 itself.

19           CHAIRMAN MINNICH: That has to be removed  
20 also?

21           MR. DEVINE: That will come with the head, and  
22 I'll show you that in a moment.

23           Now, this is another model and it shows that  
24 central blue structure, that reactor, in cutaway. Now,  
25 again I'll move away from the microphone.

1           The platform at the top is right at the top of  
2 this picture. The structure which supports the control  
3 rod guide mechanism is in light blue here. The head  
4 itself is this portion, which bolts to the reactor  
5 vessel, which is this lower portion here.

6           The plenum that you've heard so much about is  
7 this large yellow tube structure here. The fuel is all  
8 down in this area. The reactor vessel sits in the  
9 containment building and, although there would be no one  
10 standing there where this model is shown, that interface  
11 is the bottom of the refueling canal. So normally after  
12 we remove the reactor vessel head we'll be filling that  
13 with water to provide shielding from the fuel. I have  
14 some other views that'll show that in better detail.

15           When we talk of removing the head, we're  
16 really addressing that entire structure, which is the  
17 pressure vessel top right here, with that large flange  
18 and the ring of big bolts all around it, the control rod  
19 drive mechanism, some structure underneath the control  
20 rod drive mechanism which guides those lead screws as  
21 they're moving in and out of the reactor, and then the  
22 service area, which is an area for servicing the  
23 reactor. It handles cables and that sort of thing  
24 attached to it.

25           That whole unit moves. It's about 25 feet

1 high, weighs something like 150 tons. It's a very, very  
2 large structure.

3           After that is removed, it will leave the upper  
4 portion of the plenum protruding above the level of the  
5 refueling canal, which then must also be removed in  
6 order to get to the fuel itself. So this whole reactor  
7 disassembly program involves first removing the head,  
8 then removing the plenum, which is also going to be a  
9 rather difficult job because it involves very tight  
10 clearances and it's a very large structure, before we  
11 can have access to the fuel.

12           Again, looking at the structure in overview.  
13 Our examination program was as follows. First, we  
14 lowered that television camera all the way, you know,  
15 hanging a small camera through that long tube all the  
16 way into this core region down here. In order to get  
17 that television camera in, we had to remove a lead  
18 screw, which is a long steel shaft and it connects these  
19 control rod drive mechanisms to the control rod down in  
20 this region.

21           VOICE: Take the mike with you.

22           MR. DEVINE: What a great idea. I felt slave  
23 to this microphone, but I didn't think of moving it.

24           You all heard a lot about that examination.  
25 It was very successful.

1           The second part of the examination or an  
2 additional stage of the examination program that we've  
3 been into recently is the determination of how much  
4 radiation is present in this area, and we want to find  
5 that out for two reasons. When we remove the head, we  
6 are going to be faced with two distinct problems.

7           The first is that the head structure itself  
8 will contain some radioactivity. Keep in mind that that  
9 entire reactor coolant system has been filled with  
10 radioactive material for a number of years. So after  
11 the water is drained down we would expect a substantial  
12 amount of residual radioactivity to remain on those  
13 structures.

14           We've known from the beginning that that would  
15 be the case, but it's rather difficult to quantify how  
16 much that will be, and that led us to this examination  
17 program. So the first problem is how much radiation  
18 will be associated with this device, because when it is  
19 lifted by the crane and then moved over and set on its  
20 storage space it will be a source of radiation from  
21 which we must protect people. And then after it's set  
22 on that storage stand it will continue to be a source of  
23 radiation and we're going to have to make sure that it's  
24 not an intolerable one.

25           Secondly, having removed that head, this area

1 of the plenum, again presumably also covered or coated  
2 to some degree with radioactive material, will be a  
3 source until we're able to fill that canal with water.  
4 People will have jobs to do in that area and we want to  
5 be able to predict exactly what that radiation source  
6 will be.

7           That concern prompted us to conduct the  
8 examination which I mentioned before. It was done in  
9 December. It was very straightforward. It involved  
10 lowering a small radiation meter through the same holes  
11 that we used for the Quick-Look examination and  
12 measuring radiation in this cavity.

13           Now, the radiation measurement was rather  
14 complex because -- well, for a couple of reasons. One,  
15 because the only access we had was through that  
16 Quick-Look hole, the instrument had to go inside this  
17 small tube and that very much complicated our ability to  
18 truly understand what was going on in this entire  
19 region. It was a masking effect.

20           Secondly, the whole reactor vessel was filled  
21 with water. It will be dry later on. So analytically  
22 we had to account for that.

23           The results from that examination were  
24 somewhat different than we had predicted, although I  
25 must point out that it was our uncertainty about that

1 which prompted us the exam in the first place. So we  
2 weren't alarmed, I would say, but we were certainly  
3 intrigued with the results and there's been a great  
4 effort going on since then to try to analyze them.

5           In a nutshell what we saw was that the  
6 radiation levels were higher than we had anticipated and  
7 the characteristic shape of them, in other words the  
8 location of some of those radiation sources, was  
9 somewhat different than we anticipated.

10           Hand in hand with this examination we have  
11 been examining the lead screws, which I mentioned  
12 before, which were removed. And one of the interesting  
13 things about that examination is that, as expected, they  
14 were highly contaminated. They were a source of  
15 radiation, but the radiation was not readily removed by  
16 normal water washings. It required some more aggressive  
17 washing with chemicals to remove the radiation.

18           Now, what we've done at this point is try to  
19 tie those two things together, assume that the lead  
20 screw, the radiation on the lead screws, the radioactive  
21 material I should say, the contamination on the lead  
22 screws, is representative of the whole head region, and  
23 correlate that with the measurements of radiation we  
24 took with that small instrument and analytically take  
25 into account the fact that it was looking inside of a



1 steel tube and it was submerged in radioactive water.  
2 We try to piece that whole picture together to get as  
3 early as we can a good idea of whether or not those two  
4 problems that I described will be severe and whether or  
5 not they will force a change in our head lift plans.

6           We haven't completed that review yet. Our  
7 preliminary conclusion, and I must emphasize that  
8 they're preliminary, is that the radiation associated  
9 with the head itself as it's lifted up and removed is  
10 not substantially greater than occurs in some of the  
11 more contaminated operating reactors in the country,  
12 meaning that if we use careful procedures to protect  
13 people, we put additional shielding on the head itself  
14 and on the storage stand where it will be kept in the  
15 reactor building, it should present no severe problem.

16           With respect to the plenum effect, right now  
17 the radiation associated with it may be a more  
18 significant problem. When we have a good handle on the  
19 degree of that there are a number of things we can do,  
20 all of which really were planned into the program to  
21 some extent.

22           We can provide additional shielding in this  
23 area to protect the people who have to work near that  
24 area until the reactor is flooded, or we could provide  
25 for some earlier than previously planned partial

1 flooding to permit extra shielding while we prepare to  
2 remove the reactor vessel plenum.

3           The real key here is that the examinations  
4 we've done so far were very early. The difficulties I  
5 described, the fact that the instrument had to be  
6 installed through a pipe in water, was a complication.  
7 We recognized that when we did it, but we wanted to get  
8 some information as soon as we can.

9           We plan in the course of preparations for head  
10 lift to repeat those measurements after the water is  
11 removed and after we've been able to remove some of the  
12 interfering structure in this area. So certainly before  
13 we lift the head we'll have a confirmed picture of the  
14 radiation level and the risk of having a real surprise  
15 when we lift the head is very, very low.

16           Our effort now was to get as good a handle on  
17 that as early as we could, and in fact I think it's been  
18 quite successful in that respect.

19           Are there any questions?

20           CHAIRMAN MINNICH: With -- excuse me. Go  
21 ahead.

22           MR. WALD: After you, sir.

23           CHAIRMAN MINNICH: When you take the head off,  
24 you have a place where that is then set down?

25           MR. DEVINE: Right.

1           CHAIRMAN MINNICH: Will you clean the head up  
2 inside or will you have to remove that from the facility  
3 and ship it somewhere to be decontaminated? I don't  
4 want you to go into a long explanation.

5           MR. DEVINE: We have not developed our plan to  
6 that point.

7           CHAIRMAN MINNICH: You haven't developed that,  
8 okay.

9           MR. DEVINE: We certainly plan surface  
10 decontamination in place, and in fact we are planning  
11 right now -- it's another one of the many steps involved  
12 in head lift preparation -- to do a washdown of that  
13 head before we even lift it or as we're lifting it.  
14 Now, what we've seen with the lead screws is that we can  
15 certainly expect some adherent contamination that won't  
16 be removed and we will have to get to that.

17           One possible approach might be to put the head  
18 back on and then flush chemically later on after the  
19 fuel's out. It's very, very plausible.

20           Yes?

21           MR. WALD: Yes. Do you have any spectral  
22 analysis of what the major nuclides are that are  
23 involved, that are your contaminants?

24           MR. DEVINE: The instrument we lowered in here  
25 was a very small ionization chamber, so it provided no

1 spectral information. The lead screw examinations have  
2 been -- and that is predominantly cesium, in the 98, 99  
3 percent range. We've been exploring in some detail the  
4 various chemical mechanisms for causing an adherent  
5 layer of cesium -- and in fact there are some and that's  
6 been a very interesting learning process for us.

7 MR. WALD: The other question is, can you give  
8 us any sort of ballpark figure, highly preliminary,  
9 tentative, and with all the constraints on it, R per  
10 hour, rad per hour?

11 MR. DEVINE: Yes, highly preliminary.

12 MR. WALD: I already said all that for you.

13 MR. DEVINE: What we're seeing with the  
14 reactor vessel head is that inside of the head itself  
15 there'll be a fairly high radiation level. About 185 R  
16 is an upper bound on that.

17 MR. WALD: Per hour?

18 MR. DEVINE: That is heavily shielded. Yes, R  
19 per hour. That is heavily shielded by all this  
20 structure.

21 The area around the head at surface level when  
22 it's in storage is something -- now, this is presuming  
23 we had no shielding and we will be adding shielding.  
24 But the numbers -- I have to say that I'm dealing from  
25 memory here. The numbers were in the neighborhood of I

1 think 50 to 100 millirem per hour.

2           The area directly beneath that on the floor  
3 below was approximately 10 millirem per hour. Again, we  
4 would provide additional shielding to protect that  
5 area.

6           The most serious area was the area to the  
7 side, which is not a direct exposure path for someone,  
8 but the reason for that is that there's less shielding  
9 provided by the steel, and that was in the few R per  
10 hour range. But we plan an arrangement of shielding  
11 around that head structure to provide protection against  
12 that.

13           CHAIRMAN MINNICH: Any other questions?

14           (No response.)

15           CHAIRMAN MINNICH: Thank you, Jack.

16           MR. DEVINE: Thank you.

17           (Pause.)

18           MR. COCHRAN: Could I show my ignorance and  
19 ask you what -- that's a factor of a thousand dose  
20 reduction in the shielding, in shielding from the cesium  
21 gamma?

22           MR. DEVINE: I think you have to ask that --  
23 yes, you mean in --

24           MR. COCHRAN: You went from 100 and something  
25 rem per hour to 100 and something millirem per hour,

1 just going through a couple inches of steel.

2 MR. DEVINE: The measurements were in  
3 different places. There is a couple inches of steel and  
4 there's also a substantial amount of other material in  
5 that region, which is providing shielding as well.

6 Tom, let me say, at request I provided very  
7 preliminary information. We're studying it very  
8 carefully. We've got three different organizations  
9 doing comparative analyses, and we're certainly going to  
10 deal with it very carefully. I wouldn't want to project  
11 that as a confident number.

12 Ray, do you recall, is that number  
13 approximately?

14 VOICE: (Inaudible.)

15 MR. DEVINE: I think it's a good number.

16 CHAIRMAN MINNICH: Lake, we're going to close  
17 with you, and I apologize to the audience that tonight  
18 we will not, unfortunately, have any questions from the  
19 audience. Hopefully, next hearing we definitely will.

20 I'd like to call Tom Gerusky to just make a  
21 quick statement to the panel, and then, Lake, if you'll  
22 deal with the transportation routes. And I apologize  
23 that the Mayor is not here, because it was really his  
24 concern that prompted you to take a look at this issue.

25 Tom?

1           MR. GERUSKY: Well, it's going to be short and  
2 sweet.

3           Before the meeting I expressed to the Chairman  
4 and Vice Chairman that it would have been best if this  
5 portion of the meeting would be postponed, because the  
6 compacting document we're talking about for the  
7 Northeastern low level waste disposal compact will not  
8 be available until two weeks from Friday, when the  
9 states finish, the eleven states in the Northeast that  
10 are working on this, finish their final draft in  
11 Boston.

12           After that, at that point it then gets sent  
13 back to the governors and to the legislatures of each of  
14 the states for ratification and comment and change if  
15 needed. But each state must pass this document as a  
16 duplicate. No one can change a word in the document.  
17 And then Congress must approve the document before it  
18 can go into effect.

19           So we're talking about a long-term process.  
20 But the Coalition of Northeastern Governors, with the  
21 addition of Maine, Delaware and Maryland, have been  
22 working on this for a year and a half as a result of a  
23 1980 federal law which said the states are responsible  
24 for all low-level radioactive waste generated within  
25 their boundaries and that the states could get together,

1 form compacts, get a site for disposal, and then exclude  
2 by January 1st, 1986, all other sources from outside the  
3 compact states for using the site.

4           No compact has been approved yet by Congress.  
5 None really has been approved by the states that won't  
6 have to go back to the states for change. I don't know  
7 if any -- well, the Congressional staff says that  
8 there's no way to change the 1986 date, but that doesn't  
9 mean that they will allow the compacts to close the  
10 sites in 1986.

11           In any case, there's no way we're going to  
12 have a site in the Northeast by 1986 and all the states  
13 will have to prepare for that eventuality.

14           But I will be back with the document, with the  
15 backup documents and with the people who are involved  
16 and with all the information, and it'll get to you ahead  
17 of time so you can read it and digest it and maybe I can  
18 answer some questions.

19           CHAIRMAN MINNICH: All right, fine, Tom.  
20 Thank you, and I think that's good. It is of great  
21 interest to this Committee.

22           Lake.

23           MR. BARRETT: Mine's very short.

24           Following the last meeting I did talk to Mayor  
25 Reid and tell him the truck routing. The truck routing



1 is down to the airport and over the Cloverleaf Bridge  
2 and not over the Wilson Street Bridge for the heavy  
3 trucks.

4 CHAIRMAN MINNICH: Okay. So his concerns have  
5 been addressed.

6 MR. BARRETT: The very next day.

7 CHAIRMAN MINNICH: And you did make him aware  
8 of it. That's good. Maybe that's why he's not here  
9 today.

10 Bob, I would like to throw I guess a challenge  
11 out to you, or maybe to your advisory committee. Is  
12 there a point in time where someone will take a look at  
13 the decontamination process and the question really of  
14 -- and it's going to come at some point in time, so  
15 perhaps it ought to begun to be looked at -- as to  
16 whether Unit 2 will be decommissioned or restarted, and  
17 the cost factors and develop whether or not there is a  
18 point in time where it may be more prudent to move in  
19 one direction than the other when you start comparing  
20 prices?

21 I don't want an answer tonight. That's  
22 something that obviously somebody has to give some  
23 thought to.

24 MR. ARNOLD: Well, I wonder if it might not be  
25 helpful, though, in a couple of minutes to identify some

1 of the variables of that issue, though, Jack.

2 CHAIRMAN MINNICH: Sure.

3 MR. ARNOLD: First of all, let me assure you  
4 the company is very interested in knowing whether from a  
5 technical standpoint the plant can be recovered or not,  
6 and that has to be determined, I think, before any money  
7 can be spent on any recovery effort with any prudence at  
8 all. So we will be extremely interested in being able  
9 to identify that technical issue as early as we can.

10 It may well be that it'll be a subject  
11 appropriate for the SAB to be looking at also in terms  
12 of the investment in worker exposure to get to a point  
13 where it can be recovered. So I think it does become an  
14 issue for the SAB as well, would be my sense at this  
15 point.

16 Our feeling is that at least through fuel  
17 removal and probably for a fair amount of the work  
18 beyond that, there's no difference in the approach one  
19 would envision. So I think it is some time off before  
20 we really get the plant to a point where there's the  
21 potential for looking at a different approach in the  
22 balance of the work, depending upon what is done with  
23 the plant ultimately.

24 In the interest of not running over the two  
25 minutes I promised you, I think those are the things

1 that we're looking at and we are very concerned and  
2 interested in being able to settle that issue.

3 CHAIRMAN MINNICH: Okay. So at some time  
4 there would really be a practical point where you would  
5 consider that.

6 MR. ARNOLD: Yes, there's certainly a  
7 practical point for considering it. I think it's still  
8 three, perhaps four, years off.

9 CHAIRMAN MINNICH: Okay. The next question  
10 for the panel is, when do you wish to meet again, and  
11 bearing in mind that we are interested in getting the  
12 information on the low radioactive waste disposal  
13 compact and the implications of that compact.

14 MR. EWING: When did Tom say?

15 CHAIRMAN MINNICH: He said about two weeks.

16 Tom, you indicated you would have that  
17 material in about two weeks?

18 MR. GERUSKY: No. It'll be finished in two  
19 weeks. I would say another month before --

20 CHAIRMAN MINNICH: You need another month.

21 MR. GERUSKY: -- we would be able to get it.

22 CHAIRMAN MINNICH: Okay. How about in six  
23 weeks, then? One, two, three, four, five six. That  
24 would take us somewhere around Saint Patty's Day week in  
25 March. How about the 16th of March, the day before

1 Saint Patty's Day? That'd be a Wednesday night again.

2 MR. EWING: I'm teaching until 4:30 in  
3 Pittsburg.

4 CHAIRMAN MINNICH: Oh, okay.

5 MR. EWING: How about -- Thursday is okay.

6 CHAIRMAN MINNICH: Thursday would be better?

7 MR. EWING: Yes.

8 CHAIRMAN MINNICH: I have no problem with  
9 that. Anybody else? The 17th? Just wear your green  
10 that day, that's all. The 17th of March.

11 Motion to adjourn?

12 MR. MASNIK: Mr. Chairman, the location?

13 CHAIRMAN MINNICH: Anybody have a preference  
14 other than here?

15 (No response.)

16 CHAIRMAN MINNICH: I think so. And the only  
17 thing is, tell them we need a better sound system,  
18 please.

19 VOICE: I will.

20 CHAIRMAN MINNICH: Okay. Thank you,  
21 gentlemen, Mrs. Marshall.

22 (Whereupon, at 9:53 p.m., the meeting was  
23 adjourned.)

24 \* \* \*

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

\_\_\_\_\_

in the matter of:   ADVISORY PANEL ON THE DECONTAMINATION OF  
                          THREE MILE ISLAND UNIT 2

Date of Proceeding: February 2, 1983


Docket Number: \_\_\_\_\_

Place of Proceeding: Harrisburg, Pa.

were held as herein appears, and that this is the Original transcript  
thereto for the file of the Commission.

Diane Hammond

Official Reporter (Typed)



Official Reporter (Signature)

DISTRIBUTION LIST  
FOR MATERIAL RELATING  
TO THE ADVISORY PANEL FOR THE  
DECONTAMINATION OF THE  
THREE MILE ISLAND UNIT 2

Chairman Palladino 1014-H  
 Commissioner Gilinsky 1014-H  
 Commissioner ~~Asselstine~~ 1014-H  
 Commissioner Ahearne 1014-H  
 Commissioner Roberts 1014-H  
 W. J. Dircks, EDO 6209 MNB  
 H. R. Denton, NRR P-428  
 B. J. Snyder 5031-AR  
 L. Barrett (20) TMI Site Mail Pouch  
 M. Masnik 5031-AR  
 R. A. Weller 5031-AR

R. Lo 5031-AR  
 D. Cleary 5209-AR  
 C. Hickey 5205-AR  
 W. Pasciak P-712B  
 F. Congel P-712C  
 F. Remick 1013-H  
 M. Libarkin, ACRS 1014-H  
 R. Major, ACRS 1014-H  
 J. Cook, OPA 3709-MNB  
 R. Browning, NMSS 905-SS  
~~Docket File 50-320~~ 016  
 PDR 015  
 LPDR 015  
 TERA 016

Mr. Steven M. Long, Director  
 Power Plant Siting Program  
 Department of Natural Resources  
 Tawes Building B-3  
 Annapolis, MD 21401

~~Mr. Herbert F. Feinroth  
 Nuclear Reactor Evaluation Branch  
 Division of Nuclear Power, B-107  
 U.S. Department of Energy  
 Washington 20545~~

Mr. Matthew Bills, Associate Deputy  
 Assistant Administrator (RD-680)  
 U.S. Environmental Protection Agency  
 401 M Street, SW  
 Washington, DC 20460

Mr. John Shea  
 Council on Environmental Quality  
 722 Jackson Place, NW  
 Washington, DC 20006

Mr. Peter Tuite  
 Waste Management Group, Inc.  
 595 West Hartsdale Ave.  
 White Plains, NY 10607

Dr. Thomas M. Gerusky  
 Bureau of Radiation Protection  
 Department of Environmental Resources  
 5th Floor, Fulton Building  
 Third and Locust Street  
 Harrisburg, PA 17120

~~Dr. James Opelka  
 Argonne National Laboratory (Mail Pouch)  
 EISD Building 10  
 Argonne, ILL 60439~~

PANE  
 P.O. Box 268  
 Middletown, PA 17057

Mr. Frank D. Davis  
 200 Gettysburg, PA  
 Mechanicsburg, PA 17055

Ms. Beverly Hess  
 1037 McClay Street  
 Harrisburg, PA 17103

Mr. Edward Charles  
 90 Nittany Drive  
 Mechanicsburg, PA 17055

Mr. John H. Murdoch  
 44 Kensington Drive  
 Camp Hill, PA 17011

Ms. Mary Hartnett  
 c/o TMI Alert  
 315 Peffer Street  
 Harrisburg, PA 17057

Dr. Frank Parker  
 School of Engineering  
 Vanderbilt University  
 Nashville, TN 37203

Mr. Richard Chamberlain  
 Society of Nuclear Medicine  
 475 Park Ave. South  
 New York, NY 10016

Mr. Bob Leyse  
EPRI-NSAC  
3412 Hillview Ave.  
Palo Alto, CA 94303

Mr. Willis Bixby  
U.S. Department of Energy  
P.O. Box 88  
Middletown, PA 17057

Ms. Mary J. Gregory  
9th Floor, Federal Building  
6th and Arch Streets  
Philadelphia, PA 19106

Ms. Lynn DeLaurentis  
Donaldson, Luskin and Jenrette  
140 Broadway  
New York, NY 10005

The Honorable Robert Reid  
Mayor of Middletown  
60 W. Emaus Street  
Middletown, PA 17057

The Honorable Arthur E. Morris  
Mayor of Lancaster  
P.O. Box 1559  
120 N. Duke Street  
**Lancaster, PA 17605**

Mr. John Minnich, Chairman  
Dauphin County Commission  
P.O. Box 1295  
Harrisburg, PA 17108

Dr. Henry Wagner  
John Hopkins School of Hygiene  
615 N. Wolfe Street  
Room 2001  
Baltimore, MD 21205

Dr. Thomas Cochran  
Natural Resources Defense Council  
Suite 600  
1725 I Street, NW  
Washington, DC 20006

Mrs. Ann Trunk  
143 Race Street  
Middletown, PA 17057

Mr. Joel Roth  
RDI Box 411  
Halifax, PA 17032

Lt. Gen. (Ret., USA) Dewitt C. Smith, Jr.  
Director, Pennsylvania Emergency  
Management Agency  
P.O. Box 3321  
Harrisburg, PA 17105

~~The Honorable~~ Elizabeth Marshall  
~~Mayor of York~~  
50 W. King Street  
York, PA 17405

Mr. Thomas Smithgall  
2122 Marietta Ave.  
Lancaster, PA 17603

Neil Wald, M.D.  
5422 Normlee Place  
Pittsburgh, PA 15217

Dr. Gordon Robinson  
Associate Professor of  
Nuclear Engineering  
231 Sackett Building  
University Park, PA 16802