



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

----- x  
: In the Matter of: :  
: : :  
6 LONG ISLAND LIGHTING COMPANY : Docket No. 50-322-OL :  
: : :  
7 (Shoreham Nuclear Power Station) : :  
: : :  
8 ----- x

Third Floor, B Building  
Court of Claims  
State of New York  
Veterans Memorial Highway  
Hauppauge, New York 11787  
  
Tuesday, September 21, 1982

The hearing in the above-entitled matter  
convened, pursuant to recess, at 10:30 a.m.

BEFORE:  
  
LAWRENCE BRENNER, Chairman  
Administrative Judge  
  
JAMES CARPENTER, Member  
Administrative Judge  
  
PETER A. MORRIS, Member  
Administrative Judge

## 1 APPEARANCES:

2 On behalf of the Applicant, LILCO:

3 W. TAYLOR REVELEY, Esq.  
4 ANTHONY F. EARLEY, Esq.  
5 T.S. ELLIS, III, Esq.  
6 Hunton & Williams  
707 East Main Street  
Richmond, Virginia 23212

7 On behalf of the NRC Regulatory Staff:

8 RICHARD BLACK, Esq.  
9 Nuclear Regulatory Commission  
Washington, D.C.

10 On behalf of Suffolk County:

11 LAWRENCE COE LANPHER, Esq.  
12 Kirkpatrick, Lockhart, Hill,  
13 Christopher and Phillips  
1900 M Street, N.W.  
Washington, D.C. 20036

14 \* \* \*

15

16

17

18

19

20

21

22

23

24

25



P R O C E E D I N G S

(10:30 a.m.)

1  
2  
3 JUDGE BRENNER: Good morning.

4 I guess, consistent with our policy of last  
5 week, I have another happy announcement. Our other  
6 intrepid court reporter and his wife, Mr. and Mrs. Ray  
7 Heer, are now the proud parents of one Michael Chambers  
8 Heer, who was born at 2:53 a.m. on Friday, September  
9 17th and weighed in at 6 pounds, 13 ounces.

10 MR. ELLIS: This is a fertile hearing.

11 JUDGE BRENNER: Due to the long lead times  
12 involved, we disclaim any credit pro or con with respect  
13 to births so far.

14 Actually, they delayed the announcement  
15 because there had been some dispute over the name, and  
16 we offered to adjudicate it for the parents. But like  
17 most other issues in this hearing, as soon as we  
18 threatened to apply our judgment the parties settled the  
19 matter.

20 Turning to less important things, today was  
21 the day we were going to receive the report from the  
22 parties on emergency planning. I don't know whether the  
23 parties plan on doing that orally or in writing.

24 MR. REVELEY: We will have something for you  
25 in writing, Judge, later in the day. It is my

1 understanding that the County's lawyers and our lawyers  
2 are negotiating the language at this very moment, and  
3 they will send it up later today.

4 JUDGE BRENNER: Okay, very good.

5 (Panel of witnesses conferring.)

6 JUDGE BRENNER: The Board's decision on the  
7 emergency planning discovery documents we will issue  
8 either at the very end of the day today or early  
9 tomorrow morning, and we have made arrangements to have  
10 copies up here, hopefully tomorrow, for everyone. If  
11 counsel wish to receive rapid copies in the Washington  
12 area, they can contact my secretary tomorrow morning and  
13 get them.

14 That's all we had with respect to matters  
15 unrelated to quality assurance. If there are no other  
16 unrelated matters, we can turn to that subject.

17 Judge Morris has a question before we resume  
18 the cross-examination. Are there any other matters we  
19 need to discuss?

20 MR. ELLIS: Yes, Judge Brenner, just a couple  
21 of minor matters, administrative matters. Mr. Muller  
22 would like to be absent today to return triumphantly  
23 home, and Mr. Youngling is, I think after discussion  
24 briefly with the Board -- I think Mr. Earley had  
25 discussion with the Board on Friday and with Mr.

1 Lanpher. There are some fairly vital operations going  
2 on in the preoperational area today, but he will be  
3 back, I think, tomorrow.

4 WITNESS MUSELER: He will be back whenever we  
5 need him. If that needs to be tomorrow, that's fine.  
6 He is available on an hour's notice at the most.

7 MR. ELLIS: Thank you, Judge.

8 JUDGE BRENNER: That's fine for us. We'll  
9 leave it up to the parties to keep talking with each  
10 other as to when he should be here. And also,  
11 consistent with what we discussed last week, Mr.  
12 Alexander is not a part of the panel, and when we need  
13 him we'll give you notice also. I don't expect it will  
14 be this week, the way we're going.

15 Well, nobody has brought it up. I guess I  
16 should ask if there has been any progress as a result of  
17 our discussion at the end of the day on Friday towards a  
18 differently organized, more summary approach, without  
19 losing the substance of any of the important  
20 information.

21 MR. LANPHER: Judge Brenner, I was going to  
22 address the Board on that. I was sort of waiting my  
23 turn. I have considered, we have considered, very  
24 carefully your remarks the other day and I think they  
25 were useful, and thank you.

1           The way I intend to proceed with respect to  
2 the pattern matters, without in my opinion cutting down  
3 the important stuff, I have limited the areas  
4 substantially and am deleting from that summary list  
5 that I provided to the Board the other day -- I'm not  
6 intending to cover as separate matters procedures,  
7 special processes, inspection or corrective action.

8           I am intending to complete calculations,  
9 proceed to E&DCR's, storage matters, handling and  
10 storage, FSAR, matters related to whether the design  
11 conforms to FSAR, though that will -- and I have advised  
12 Mr. Earley of this -- I believe focus mostly on the  
13 configuration reports which were item one of the  
14 subpoena, as opposed to focusing at length on review of  
15 audit reports; then also cover the subject matter of  
16 document control.

17           I may also have rather brief examination along  
18 these pattern lines in the areas of drawings,  
19 substantive problems with drawings. With respect to  
20 those areas that I am intending to cover, I think this  
21 is one of your requests and I think it's probably a good  
22 idea: I'm going to try to cover, for instance, within  
23 E&DCR matters which seem to relate directly to each  
24 other.

25           I don't know just how well it's going to



1 work. It's going to result in some jumping around. But  
2 all the signature E&DCR's, we'll cover those, all the  
3 places where people failed to sign them, we'll handle in  
4 one place and that kind of thing. And hopefully that  
5 will not result in too much jumping around between the  
6 reports, but it will, I think, help to focus the  
7 attention on the same discrete problems.

8 In doing that, I want it to be clear that it's  
9 not -- I don't mean to testify on this, but it's not  
10 necessarily the County's intention that each -- it's not  
11 our position that each of these discrete areas I'm going  
12 to address necessarily are unrelated to other areas.  
13 But just as a convenience in questioning the witnesses,  
14 hopefully it will make things go faster.

15 JUDGE BRENNER: We appreciate that. We  
16 realize no matter how you organize it there is no  
17 perfect way, and you may even see fit to vary what you  
18 said somewhat depending on how a subject is going, and  
19 we recognize that. We just think it's worth a shot, as  
20 they say, and we appreciate your adjusting.

21 We're also going to be alert during the  
22 testimony and in the findings to problems with respect  
23 to matters you said you weren't going to address  
24 individually in terms of directly going to pattern  
25 evidence, such as inspections, corrective actions and

1 procedures.

2           You didn't say it, but what we inferred or in  
3 any event what we independently will be looking at  
4 through the course of what comes out in testimony before  
5 us would be problems in those areas as they relate to  
6 the other areas. The interrelationship is obvious.

7           MR. LANPHER: Judge Brenner, my further  
8 proposal would be that early during the break -- and I  
9 am very hopeful that I can finish. I'm trying to look  
10 at, how long does all this take. I am very hopeful that  
11 all this so-called pattern examination will be completed  
12 this week, or the vast majority of it.

13           And I would then be returning to my cross  
14 plan, which I think will be probably significantly  
15 shorter in view of some of the things that we will have  
16 covered here. I would be proposing during the break and  
17 early in the break to prepare a summary outline, or not  
18 really a summary outline, a detailed outline of the  
19 areas within the audit reports that were covered and  
20 addressed and that we think support the pattern  
21 arguments that we are making.

22           That way LILCO will be on notice of things  
23 that we think are pertinent. And then on redirect or  
24 whatever, if they need to address it or whatever, they  
25 won't be surprised if we later want to cite something in

1 findings.

2 JUDGE BRENNER: All right, that sounds like a  
3 good way to begin and we'll see how it goes. I think it  
4 has potential for efficiency, as you indicated.

5 Mr. Ellis?

6 MR. ELLIS: Yes, sir, we do too.

7 Last week, when the Board suggested getting to  
8 the nitty-gritty, which led to the one-day recess, we  
9 thought that was helpful. We felt the Board's comment  
10 last Friday was helpful to add more focus. And we think  
11 that what Mr. Lanpher told us yesterday in terms of how  
12 he was limiting -- it was also helpful, but I don't  
13 think we quite reached the point yet that we need to.

14 I think wherever possible -- and I can  
15 understand that it may not be possible in many  
16 instances, and it may not be in his judgment desirable,  
17 but whenever possible we would like to be advised of the  
18 specific findings, that is the numbers, that he's  
19 interested in, because then we are able to present, I  
20 think, a more complete picture to the Board, as we did,  
21 for example, on the one involving the suppression pool,  
22 suppression chamber, that sort of thing.

23 And I think that's important. The finding by  
24 itself standing alone is not terribly informative.

25 JUDGE BRENNER: The document by itself

1 standing alone?

2 MR. ELLIS: Yes, sir.

3 JUDGE BRENNER: Yes. Well, I think that is  
4 reasonable, where you can do that, Mr. Lanpher, the day  
5 before, even late on the day before. I recognize there  
6 are some areas where you might not want to give them  
7 that kind of notice, and we'll leave that up to your  
8 judgment.

9 But I would think that that would be the  
10 minority, because it takes a while for the witness to  
11 reread the document and get the full flavor and so on.  
12 However, we're only requiring the document indications,  
13 and as to the more specific indications in advance we  
14 are urging you to do it where you can, but we're not  
15 requiring it, so that you can have some reasonable  
16 judgment as you pursue cross-examination.

17 In addition, if you do identify specific  
18 findings, we are not going to estop you from discovering  
19 another part of the finding in the document as you get  
20 closer to your cross-examination.

21 All right. If there's nothing else, we'll go  
22 to Judge Morris' question and then resume the  
23 cross-examination from there.

24 Whereupon,

25 T. TRACY ARRINGTON,

1                   FREDERICK B. BALDWIN,  
2                   ROBERT G. BURNS,  
3                   WILLIAM M. EIFERT,  
4                   T. FRANK GERECKE,  
5                   JOSEPH M. KELLY,  
6                   DONALD G. LONG, and  
7                   WILLIAM J. MUSELER,

8 the witnesses on the stand at the time of recess, having  
9 been previously duly sworn, resumed the stand and were  
10 examined and testified further as follows:

11                 JUDGE MORRIS: Mr. Eifert, Friday morning just  
12 before lunch I directed a question to you about whether  
13 there was a definition of positive traceability or  
14 criteria that would in effect tell the auditor what he  
15 should be looking for and how he would judge an  
16 observation.

17                 Were you able to find anything on that  
18 subject?

19                 WITNESS EIFERT: Yes, sir, I was. We don't  
20 define the term "positive traceability," but in our  
21 engineering assurance procedure 5.3 for calculations, in  
22 the instructions with respect to preparing the  
23 calculation we give specific details on how a preparer  
24 is to identify input sources.

25                 This would be the requirement that auditors

1 would use in developing their checklists and in  
2 conducting audits, and if I can read briefly from that  
3 -- and I won't read all the words, I will read the  
4 pertinent words -- it indicates that "input values and  
5 identification of the sources -- let me start again:

6           "Input values, including units and  
7 identification of sources, see sample source reference  
8 below," and then the same is technical document,  
9 document number and/or title, issue date, revision  
10 number, and section, page or table numbers if  
11 applicable. The second item as an example is incoming  
12 letters from outside organizations, letter  
13 identification number, date, name of originator, name of  
14 addressee, file location, and an originator's source  
15 when available.

16           So we have been very specific in establishing  
17 the strict requirements in the procedures themselves,  
18 and this is therefore the criteria that the auditors use  
19 in conducting the audits.

20           JUDGE MORRIS: Thank you.

21                           CONTINUED CROSS EXAMINATION

22                           ON BEHALF OF SUFFOLK COUNTY

23           BY MR. LANPHER:

24           Q     Gentlemen, I'm going to direct some questions  
25 relating to engineering assurance audits on

1 calculations, and first try to follow the new format.  
2 I'm going to cover a number of audits generally under  
3 the rubric of traceability or positive traceability, as  
4 we were talking about last week. And I would like to  
5 direct your attention first to engineering assurance  
6 audit 34 and audit observation 119, page 2 of that at  
7 the bottom of the page, item 2 at the bottom under the  
8 heading "One-Line Diagrams."

9           It starts out, "Calculation for service  
10 loading fails to meet the requirements of EAP 5.3. The  
11 calculation provides data without identifying the source  
12 of information." And it continues.

13           Did you find that, Mr. Eifert?

14           (Pause.)

15           Q     Mr. Eifert, is this an example of an instance  
16 where positive traceability requirements of EAP 5.3 were  
17 not met?

18           A     (WITNESS EIFERT) Mr. Lanpher, this is an  
19 example of where the specific identification of the  
20 source document for the input data was not identified.  
21 In this particular situation, the data that was in  
22 question was amperage ratings of equipment, which is  
23 found in the vendor data which comes with the  
24 equipment.

25           It was identified that this was an isolated

1 case. The situation here in the electrical discipline  
2 at this point in time was that they had had low  
3 calculation preparation activity and the preparer of  
4 this calculation had used an old calculation as a model  
5 in preparing this calculation, that had been prepared  
6 prior to Stone & Webster's strict requirements for  
7 specific traceability.

8           The information is traceable to the vendor  
9 documentation. The situation is that there wasn't ready  
10 traceability with specific identification of that vendor  
11 document.

12           Q       This observation goes on to state that the  
13 calculation fails to incorporate the latest input data  
14 available at the time that it was prepared. Is it a  
15 requirement under your EAP that the latest input data be  
16 incorporated?

17                   (Pause.)

18           A       (WITNESS EIFERT) When people prepare  
19 calculations, the practice is to use the latest input  
20 data. The situation in this case is a very unusual  
21 circumstance, where the motor and load lift was in the  
22 process of being revised when the preparer prepared this  
23 calculation. The motor and load lift was revised and  
24 dated between the time the preparer prepared the  
25 calculation and the time it was reviewed.



1 I was unable to establish specifically in  
2 going back and talking to the auditors whether or not  
3 that motor and load lift had indeed been distributed at  
4 the time of the review. The situation I believe is very  
5 unusual that the motor and load lift was being revised  
6 at that point in time; not a significant problem.

7 The electrical discipline periodically goes  
8 back and has to update these calculations as the data  
9 used as input to this analysis changes. They do not  
10 necessarily update the analysis each time an individual  
11 input item changes, but they go back and periodically  
12 update these analyses. So that would have happened even  
13 had we not identified the specific concern as a finding  
14 in the audit.

15 Q Is the identification of updated or new input  
16 data that should be included in the calculation one of  
17 the responsibilities of the reviewer or checker of the  
18 calculation? In other words, is that person supposed to  
19 look to make sure the most current input is used?

20 A (WITNESS EIFERT) Yes, it is. But as I  
21 indicated, the situation in this case may be that the  
22 revised motor and load lift had not been distributed.  
23 There is a date indicated on engineering documents, the  
24 issue date. There is normally some small amount of time  
25 that it takes to reproduce those documents and get the

1 distribution date to the individuals that use that  
2 information.

3           As I indicated, the situation here may have  
4 been that it had not been distributed, and the  
5 individual who prepared the calc then, prepared and  
6 reviewed it, would not have been aware that a change was  
7 coming at that point in time. The fact that the  
8 information is distributed, I am confident, provides me  
9 confidence that the calculation would have been again  
10 revised as appropriate to make adjustments for the  
11 changes in the data on the motor and load lift.

12           Q     Gentlemen, I'd like to now turn your attention  
13 in the same audit to observation 120, page 1, item 2.  
14 That item, the first two sentences or three sentences  
15 read: "The calculations used information obtained from  
16 vendor catalogues which were not identified. The  
17 sources of various formulae used were not identified.  
18 Therefore, traceability is not maintained."

19                     Gentlemen, is this an example --

20           A     (WITNESS EIFERT) I'm sorry, Mr. Lanpher, I  
21 missed your reference.

22           Q     It's page 1 of 2 of observation 120. It is  
23 item 2.

24                     (Pause.)

25           Q     Mr. Eifert, is this an example of failure to

1 comply with the traceability requirements of EAP 5.3?

2 (Panel of witnesses conferring.)

3 A (WITNESS EIFERT) Again, Mr. Lanpher, I  
4 believe it's fair to say that ready traceability was not  
5 provided in this case, and this is in some respects  
6 again a different problem from the problem we have seen  
7 in other audit observations. In going back over the  
8 weekend and spending a lot of time talking to the  
9 auditors, we have been able to put together some  
10 additional information with respect to these  
11 situations.

12 This particular situation, the practice in  
13 documenting these calculations was to maintain a  
14 standard listing of the input sources for the documents,  
15 which is included in the front of the book of  
16 calculations for a series of pipe supports. In this  
17 particular case, for this book of calculations that page  
18 had been lost.

19 With respect to the two specific areas  
20 identified, the vendor data as well as the reference to  
21 the various formulas that were used, as we have  
22 discussed earlier the vendor data is one of the many  
23 input sources that we use in many calculations. The  
24 standard practice that Stone & Webster employs utilizes  
25 systems that identify on vendor data, index vendor data

1 by specification, so that the engineers can use that  
2 data file. Engineers preparing and reviewing  
3 calculations know that they have to go to those files.

4           The second situation, with respect to the  
5 formulas, again this is a situation where these were  
6 standard formulas that were very familiar to the people  
7 doing the work, standard welding formulas, as I recall  
8 in our discussions. In this particular case, the  
9 auditor was not specifically familiar with this set of  
10 formulas and therefore identified the observation and  
11 worded the observation as she did.

12           But again, the situation is that proper  
13 formulas were being used. As I would expect, the  
14 reviewer places his emphasis on assuring that the  
15 methods and the conclusions in the calculations are  
16 appropriate. The concerns that we have been discussing  
17 are the administrative concerns, which our engineers  
18 appropriately consider of secondary importance.

19           Traceability did exist. There wasn't a  
20 concern with the analytical method. It was ready  
21 traceability that did not exist.

22

23

24

25

1 Q Mr. Eifert, could you please turn to  
2 Engineering Assurance Audit 38, the first page of it?  
3 And if you could keep open to the audit that you were  
4 just referring to, Audit 34, and Observation 120, and  
5 specifically in Audit 38, if you could review the second  
6 paragraph that starts, "The review of the corrective  
7 action proposed for engineering assurance audit  
8 observation 120," and I think this is a followup on the  
9 earlier audit observation.

10 (Pause.)

11 Q Mr. Eifert, was a review of pipe stress design  
12 calculations undertaken as a result of Audit Observation  
13 120?

14 (Whereupon, the witnesses conferred.)

15 A (WITNESS EIFERT) Specifically, no. You said  
16 pipe stress design. This is pipe support design  
17 calculations that are addressed in Audit Observation  
18 120. It affects the pipe support design calculations.  
19 We did undertake a review, but not specifically because  
20 of the item you have indicated. We have discussed here  
21 Item 2 with respect to the traceability of input  
22 sources.

23 Q The paragraph I was referring to you in  
24 Engineering Assurance Audit 38, which does reference  
25 pipe stress design calculations, you are correct in

1 that. What portion of Audit Observation 120 does that  
2 relate to?

3 (Whereupon, the witnesses conferred.)

4 Q Mr. Eifert?

5 A (WITNESS EIFERT) With respect to the report  
6 on Audit 38 and the reference there to pipe stress  
7 design, that is, I believe, a typographical error. That  
8 is referring specifically back to Audit Observation 120,  
9 which is pipe support design. This concern relates to  
10 pipe support.

11 Q So this in Audit 38, this is incorrect. It  
12 should have said pipe support design calculations?

13 A (WITNESS EIFERT) Yes. With respect to the  
14 corrective action that was undertaken as a result of  
15 Audit Observation 120, the concern, if you refer back to  
16 Audit Observation 120, and the cause for management's  
17 decision to perform an extensive corrective action, was  
18 reported in Item 4 of that audit observation. Item 4  
19 identifies that the auditors in looking for design  
20 consistency between the calculations and the design  
21 drawings identified some discrepancies between the  
22 STRUDL model used in the analysis, the finite element  
23 analysis, and the actual configuration of the pipe  
24 supports, because in that concern management undertook  
25 an extensive program of going back to determine if any

1 of the discrepancies were of significance to the  
2 adequacy of the plant. That program has been ongoing  
3 for some time, and my understanding in talking to the  
4 people on the project is that they have not identified  
5 any discrepancies because of that, the inconsistencies  
6 that would have resulted in an unsafe plant.

7 Q They did identify, however, discrepancies or  
8 errors in the calculations that needed to be addressed  
9 in a re-evaluation program?

10 A (WITNESS MUSELER) I think it is important to  
11 address that particular question and to focus on this  
12 particular audit observation a little bit because this  
13 is one that we considered a significant concern when  
14 this came up.

15 Q Mr. Museler, you are back on 120?

16 A (WITNESS MUSELER) I am back on Audit 120, the  
17 one that kicked off the re-evaluation of the pipe  
18 supports in accordance with this concern, because as you  
19 can see, if you read Observation Number 4, the auditors  
20 identified that there was something amiss in the  
21 calculations they looked at. They found that the  
22 analyzed condition was off in this one particular case  
23 by a few inches, but there was a discrepancy between the  
24 analysis that was done and the actual design drawing of  
25 the plant.

1           That is the kind of thing that is significant,  
2 as opposed to the kinds of concerns that we have been  
3 discussing all along here. It was significant. It was  
4 brought not only to the attention of Stone and Webster's  
5 management. It was brought to the attention of our  
6 company, and our project engineer was involved in it,  
7 and in effect any questionable calculations that might  
8 have had this particular problem were the subject of  
9 review, which, as I recall, was almost all of them that  
10 had been done prior to a certain point in time.

11           They were all reviewed. The number of pipe  
12 supports that comes to mind is in the neighborhood of  
13 1,800 pipe supports, and of those, we did identify a  
14 few, approximately on the order of 1 percent, that did  
15 require some minor modifications as a result of this  
16 problem, but minor or not, that is a significant concern  
17 to us, because it did affect the plant, whereas none of  
18 the other observations we have been discussing have had  
19 an effect on the plant.

20           Those modifications were minor, and I also  
21 asked when I looked into this whether or not they  
22 constituted a safety hazard to the plant. The design  
23 engineers who worked on that indicated that while we did  
24 have to modify a small number of pipe supports in order  
25 to have them meet their design margins, that in fact



1 they would not have failed even if we had not made these  
2 changes, but nevertheless, this is one that we  
3 considered significant, that we took, and I believe this  
4 program is largely done, but there may still be some  
5 small amount of cleanup work left where we went back and  
6 reviewed anything that could possibly have had an effect  
7 on the plant.

8           And I think that is indicative of how the  
9 engineering assurance program works relative to things  
10 that are really substantive from the standpoint of the  
11 safety of the plant. This was one where we did have  
12 concern, and as it turned out, we did have to make some  
13 minor modifications which would not have constituted a  
14 safety hazard, but nevertheless we did have to make some  
15 minor modifications to some pipe supports.

16           Q     Mr. Museler, were you able to determine what  
17 the cause of the problem was? Was there a generic  
18 cause? Or what?

19                     (Whereupon, the witnesses conferred.)

20           A     (WITNESS EIFERT) The primary cause of the  
21 discrepancies as we have been able to establish were  
22 situations where in installing the pipe supports it was  
23 necessary to make some adjustments to the pipe support  
24 for installation. These adjustments are normally  
25 documented, required to be documented on engineering and

1 design coordination reports which were reviewed by the  
2 pipe support people and approved on the basis that they  
3 were acceptable within the bounds of the analysis.

4           This was a judgment process that is ongoing,  
5 and it is an acceptable process. The audit observation  
6 in this particular case reflected a concern of the  
7 auditors that the changes were beyond what could be  
8 accepted specifically by engineering judgment. The  
9 STRUDL analysis is a finite element. It is a very  
10 precise, if I can call it that -- I am not a STRUDL  
11 expert by any means -- process, and the auditor's  
12 judgment was that in some cases possibly re-analysis was  
13 warranted.

14           The company had extensive, or had extensive  
15 concern, and we went to a lot of effort to determine if  
16 the auditor's concern was valid, and then undertook the  
17 corrective action program as Bill described.

18           Q     Mr. Museler, you indicated, I believe, that  
19 those supports or areas that needed actual modification  
20 were areas where the original design bases were not  
21 met. Is that correct?

22                     (Whereupon, the witnesses conferred.)

23           A     (WITNESS MUSELER) I believe what I indicated,  
24 Mr. Lanpher, is that the margin available, and I am sure  
25 you are familiar with the fact that all of the

1 engineering design has a built-in margin. It is not  
2 just designed to perform its function, but it is  
3 designed with various safety factors, depending on the  
4 components, and the ones that required modification did  
5 not have the required design margin. Therefore, they  
6 were redesigned and reworked so that they did have the  
7 appropriate design margin, but in no case did that  
8 margin decrease to anything close to having no margin  
9 available over and above what would be required from the  
10 safety standpoint, but it did require an upgrading of a  
11 small number of supports to achieve the required design  
12 margin.

13 I would like to point out again that of the  
14 1,800 supports that we reviewed, even though more than  
15 that small number may have had a numerical discrepancy,  
16 of that 1,800, only a very small number, approximately  
17 20, did require any upgrading, which is indicative of  
18 the margin and really the extra margin that is put into  
19 the design. So, even if a few inches were required to  
20 be either added or taken out of a support because of an  
21 installation geometry situation, that the inherent  
22 conservatism in the design had more than enough to  
23 accommodate that.

24 Q Mr. Museler, you indicated that about 20 out  
25 of the 1,800 supports needed rework, but you also

1 indicated that more than that number of calculations had  
2 problems. The implication was that in some cases you  
3 found a calculation error, but it didn't lead to a  
4 requirement for rework. Is that a fair summary?

5 (Whereupon, the witnesses conferred.)

6 A (WITNESS MUSELER) I believe what I am  
7 indicating is that there were cases where the engineer  
8 did make a judgment, and that judgment was borne out by  
9 the redoing of the calculation.

10 Let me back up a little and explain the  
11 process. As Mr. Eifert indicated, the reason for an  
12 actual as built condition being different from the as  
13 analyzed condition many times is due to the geometry or  
14 the interference with other components in the plant when  
15 we install a pipe support. So if we were to go to  
16 install a pipe support and find that in order to make it  
17 fit, we would have to change the dimension of one piece  
18 by so many inches, the engineer would look at that and  
19 decide whether or not in his judgment the particular  
20 change would fall within the design margin that was  
21 available.

22 In other words, he knows when he is making a  
23 change, he knows what the calculation of record was  
24 based on. He knows he is making a change to that  
25 calculation of record. He knows that that change will

1 either increase or decrease the margin available, and in  
2 his judgment, if it were to decrease the margin, his  
3 judgment, which was applied in these cases, was that it  
4 would not decrease the margin to something that was less  
5 than the required margin.

6           So, that happens in almost every case where we  
7 need to modify a pipe support to put it in the field.  
8 So I think the answer to your question properly -- I  
9 don't know how many fall into that category. We modify  
10 a large number of pipe supports to put them in, just  
11 because of again the geometry of the plant and the  
12 amount of equipment that is put in there, and these  
13 changes are all looked at by the engineers, so every  
14 time we modify a pipe support from its calculated  
15 design, an engineer has to either redo the calculations  
16 or make a judgment that the change is minor and will not  
17 affect the margins available.

18           So, that happens quite frequently, and I can't  
19 give you the number of pipe support modifications we  
20 have made, but it's large.

21           Q     Where you modify the design in order to be  
22 able to implement the pipe support, is there a  
23 requirement that the engineer's judgment, if it be  
24 documented by a calculation or not?

25                     (Whereupon, the witnesses conferred.)

1           A       (WITNESS MUSELER) Excuse me. Could you  
2 repeat the question, Mr. Lanpher?

3           Q       Let me rephrase it for you. When a  
4 modification needs to be made to a pipe support, is an  
5 engineer permitted to approve that modification based  
6 only upon his or her judgment or does that judgment have  
7 to be supported by a calculation or a revision to the  
8 earlier calculation?

9           A       (WITNESS MUSELER) In the first case, the  
10 engineer's judgment is reviewed by his supervisor, and  
11 then either by the project engineer or by the project  
12 engineer's representative, so it is not a case of one  
13 man making that decision, but the basic answer to your  
14 question is, yes, engineering judgment is permitted to  
15 be used in certain instances and with the appropriate  
16 reviews involved.

17                   What the particular audit observation that we  
18 are talking about here in Audit 120 indicates is that  
19 the engineering assurance division and later on the  
20 agreed to by the engineering division identified a  
21 situation where judgment should be backed up by  
22 calculation more than it had been in the past.

23           A       (WITNESS EIFERT) Mr. Lanpher, I would like to  
24 also point out that we spent a considerable amount of  
25 time this weekend going over all the observations that

1 we discussed as well as other observations, and this is  
2 the only example of the situation where the auditors  
3 identified a difference between the analysis and designs  
4 in all of our calculation audits that we performed on  
5 Shoreham over the years.

6           This is a very important audit observation.  
7 We have gotten a flavor for the amount of effort that  
8 management has put into correcting it and evaluating the  
9 concern to assure that we do have a safe plant. This is  
10 the kind of situation that if there was a trend, I would  
11 be very concerned, and we haven't had a trend with  
12 respect to this type of design consistency.

13           It demonstrates, I think, to me, and I was  
14 responsible for the engineering assurance audit program  
15 for sure, it demonstrates to me that our audit program  
16 is effective in finding both the administrative control  
17 problems that we have spent many hours now on,  
18 discussing with respect to the ready traceability of  
19 inputs, but we also have a thorough audit program, as we  
20 discussed earlier, that looks at the correctness of the  
21 inputs used in calculations and the use of the  
22 calculation results.

23           It is on this basis, this kind of evidence,  
24 this confidence, that my people have thoroughly audited  
25 and that the technical adequacy of the work is what it

1 should be, that it is of high quality. That is  
2 consistent with what I have indicated before, the way  
3 the engineers do their job. They appropriately put  
4 their primary attention and emphasis on ensuring the  
5 technical adequacy of the work product, and secondary  
6 importance on the administrative.

7 I would like to point out one example to maybe  
8 counteract the situation in this audit where the  
9 auditors have identified that the STRUDL model didn't  
10 precisely agree with the support design. In Audit 23,  
11 we have an audit observation that indicated that -- you  
12 want to refer back to the specific audit observation.  
13 It is Audit Observation 030 in Audit 23.

14 (Pause.)

15 A (WITNESS EIFERT) In this audit observation,  
16 we indicate that interoffice correspondence had been  
17 referenced as a source of input data in some  
18 calculations without noting the issued engineering  
19 document from which the information was obtained, and  
20 spending time going back over the weekend we were able  
21 to go back and look specifically at some of those  
22 calculations to illustrate the difference between  
23 traceability and ready traceability. The situation on  
24 one of the calculations was that the calculation  
25 indicated that a pressure loss figure was from a vendor



1 document, that he had gotten information from another  
2 engineer, and the precise wording is, pressure loss from  
3 vendor via engineer. That is the words on the  
4 calculation.

5           The traceability is there. The engineer  
6 preparing it knew that it was from the vendor document,  
7 and others can trace back and identify the specific  
8 vendor document, and have traceability to the  
9 information. These are the types of administrative  
10 problems that we have discussed as I indicated for some  
11 hours during these proceedings, as contrasted with the  
12 technical problem that we identified by Audit 120, which  
13 we do consider very important, and have taken all the  
14 necessary action to ensure that that situation is  
15 corrected and we have a safe power plant.

16           I might also point out at this time that I  
17 went back and reviewed the procedures that were in  
18 effect. I know, Judge Morris, I described to you the  
19 criteria from today's procedure. If you go back to the  
20 procedures in effect in 1972 and 1973, the wording in  
21 the procedures does not require the precise  
22 identification such as document numbers and page  
23 numbering and that sort of requirement as I related from  
24 the current procedures.

25           The wording indicated that we wanted

1 traceability, that indicated that the engineer was  
2 responsible for providing reference to documents and so  
3 forth as necessary to provide traceability. I think  
4 that we see in a lot of the early audits and probably as  
5 a cause in the later audits after all procedures became  
6 more stringent, is that the engineers make judgments on  
7 when something is unique enough or unusual enough that  
8 they need to have a specific reference to it, and for  
9 those I expect they would and provide the traceability.

10           But for the documents that were actively in  
11 use on the project, vendor documents, when you need a  
12 pressure drop for an operating characteristic of a  
13 filter, for example, that is the place you go get that  
14 information. It is the only place to get it, and the  
15 engineers, any engineer in the power industry knows that  
16 that is the way to get the information.

17           In the early calculations, we see that they  
18 were making those judgments and the audits were  
19 reflecting, in some cases, at least, a difference of  
20 opinion between the auditors and the people preparing  
21 the calculation on what was sufficient, and not that  
22 there wasn't traceability, but that the detail wasn't  
23 there. It wasn't until the late seventies that we  
24 changed our procedures to provide the more specific  
25 criteria that I described in response to Judge Morris's

1 question.

2 I am not sure exactly what conclusions we can  
3 draw, but if we look at the number of audit observations  
4 on input identification problems, approximately  
5 two-thirds of them, as I recall, the numbers occur  
6 before Stone and Webster had the detailed criteria, and  
7 one-third after that.

8 The conclusion that I can draw from that is  
9 that once there was a standard practice in the company  
10 with respect to precisely what the company was  
11 requiring, there was less discussion or confusion, if  
12 you will, between the auditors and the engineers, and we  
13 are achieving the specificity that the company now  
14 requires in the EAP's. I continue to want to emphasize  
15 that I am confident in all the discussions I have had  
16 with the auditors this weekend and looking at calcs and  
17 looking at other correspondence between engineering  
18 assurance and the project that we haven't had a  
19 situation where we didn't or weren't able to establish  
20 that traceability.

21 Traceability may not have been ready  
22 traceability, but it was traceability.

23

24

25

1 JUDGE MORRIS: Gentlemen, I would like to  
2 understand your concept of margin a little better. I'm  
3 not an engineer, so let me try to express my  
4 understanding and you correct me where I start to go  
5 astray.

6 But if you design a pipe support that is  
7 designed to withstand certain loads or combinations of  
8 loads, these are expressed numerically?

9 WITNESS MUSELER: Yes, sir.

10 JUDGE MORRIS: And is the margin also  
11 expressed numerically?

12 WITNESS MUSELER: It's expressed or  
13 expressible numerically, but not in relationship to the  
14 required load. The required load is the input data and  
15 the margin would come in when one gets to, for instance,  
16 in any given member, the allowable stresses that will be  
17 incurred in that member from the load, from the design  
18 load.

19 So to accommodate -- a given member may have  
20 an allowable stress of one type of another by code of,  
21 let's say, 25,000 pounds per square inch. That may be  
22 its allowable load. Its ultimate capability, in other  
23 words where it might fail or yield, would be  
24 considerably higher than that.

25 For instance, if the allowable were 25,000

1 perhaps the yield would be 40,000. So the concept of  
2 margin is the concept of the numerical difference  
3 between the allowable load, which is what the code says,  
4 the allowable stress, which is what the code says you  
5 design the object to, against when the particular  
6 component would really have a problem, would really go  
7 into some mode other than a normal mode, either a yield  
8 mode or, even further than that, into a failure mode.

9           So the margin is there. It can be  
10 back-calculated into how much of a margin that would  
11 mean with respect to the design load. The design loads  
12 also are generally conservative, but the margin I was  
13 speaking of is relative to the allowable stresses.

14           JUDGE MORRIS: You used the expression, I  
15 believe, "required margin." Is that different? Is  
16 there a difference between allowable and design required  
17 margin?

18           WITNESS MUSELER: Yes, sir. In general that's  
19 what I was referring to. The code requires, depending  
20 on which structural code, or the piping code, requires  
21 you to use an allowable number which is some factor  
22 higher than the actual required number to support the  
23 particular load that we're talking about.

24           So the answer to your question is yes, the  
25 required margin is the difference between the allowable

1 design condition and the condition at which one might  
2 expect to have some type of a problem.

3 JUDGE MORRIS: And the problem you apparently  
4 ran into with some 20-odd supports was, because of field  
5 modifications of the design that margin was decreased;  
6 is that correct?

7 (Panel of witnesses conferring.)

8 WITNESS MUSELER: That's correct, sir.

9 JUDGE MORRIS: And so design modifications  
10 were made to achieve the required margin for those  
11 cases?

12 WITNESS MUSELER: Yes, sir, design  
13 modifications and field modifications were made to  
14 achieve those margins.

15 JUDGE MORRIS: But for the balance, which  
16 would be nearly 1800, you mentioned that there were some  
17 where the margin was decreased, but not to the point  
18 where in the engineer's judgment modification needed to  
19 be made; is that correct?

20 WITNESS MUSELER: That's true. That's what  
21 the engineer's judgment said, that the modifications  
22 didn't need to be made. And that was confirmed by the  
23 calculational program that was done as a result of this  
24 audit observation.

25 In other words, the engineer had made that

1 judgment that there was sufficient margin available to  
2 accommodate the dimensional change we made in the field,  
3 and the program embarked upon as a result of this audit  
4 observation confirmed that by redoing the calculations  
5 in those cases.

6 JUDGE MORRIS: Recalculating the stress for  
7 the actual configuration?

8 WITNESS MUSELER: Yes, sir.

9 JUDGE MORRIS: What was the criterion on which  
10 you decided that it was okay?

11 WITNESS MUSELER: I believe the calculations  
12 were redone on all of them and the acceptance criteria  
13 was that it had to meet the allowable stresses. The  
14 pipe supports, because the components of pipe supports,  
15 for one reason only, are discrete sizes and many of our  
16 pipe supports are designed utilizing -- if you have a  
17 specific size strut, piece of steel beam, you only have  
18 discrete sizes to choose from, and when you design it  
19 you always choose the more conservative size.

20 Therefore, some of the supports, a large  
21 number of them in fact, have an inherent margin over and  
22 above the margin that we just discussed, caused simply  
23 by the fact that the components are always chosen  
24 conservatively. And we may have had, if the allowable  
25 were again, say, 25,000 pounds per square inch, we may

1 have had and did have many instances where the support,  
2 when one analyzed it, which they had done, the first  
3 time had a stress of only 5,000 or 10,000 pounds per  
4 square inch.

5           So even before you start to get into what we  
6 have discussed as the required design margin, there's a  
7 margin over and above that in almost all of them, just  
8 because of the nature of the design process and the fact  
9 that the components and the sizes and the configurations  
10 were chosen conservatively in the first place.

11           It should never be inferred that all of the  
12 pipe supports are in fact, or most any component in the  
13 plant, is designed right on the allowable requirements.  
14 It's designed either on the allowable or better, because  
15 of the nature of the process and the nature of the way  
16 the engineers do their work.

17           JUDGE MORRIS: Did I understand that your  
18 program of recalculation is not wholly complete at this  
19 time?

20           (Panel of witnesses conferring.)

21           WITNESS MUSELER: That's correct, sir. We  
22 believe that there is still some small amount of work  
23 remaining. We can get you the exact status.

24           JUDGE MORRIS: I'm not interested in  
25 precision.



1           WITNESS MUSELER: It is essentially complete,  
2 but there may be a few that have just not gone through  
3 the process yet.

4           JUDGE MORRIS: Then is it your conclusion for  
5 those supports that have been recalculated that they all  
6 meet the concept of required margin and that they can  
7 take the allowable loads?

8           WITNESS MUSELER: There's no question about  
9 that, sir, after the program that we have gone through,  
10 that all of those supports do meet the required  
11 margins. They meet their allowable stresses, and in  
12 fact, as I discussed, a large number of them are  
13 substantially more conservative than that.

14          JUDGE MORRIS: So that in effect the design  
15 margin is there or better; is that correct?

16          WITNESS MUSELER: That's exactly correct,  
17 sir.

18          JUDGE MORRIS: Thank you.

19          JUDGE CARPENTER: I'd like to ask a couple of  
20 questions to try to understand a little better. What is  
21 -- going back to 120, what is the STRUDL model? Can you  
22 give me just a brief word picture of what it is we're  
23 talking about here for the last hour?

24                   (Panel of witnesses conferring.)

25          WITNESS MUSELER: Judge Carpenter, it's been

1 over ten years since I performed any finite element  
2 analysis, but to the best of my knowledge the STRUDL  
3 model is what is termed a finite element analysis. What  
4 they do is, they conceptualize the support configuration  
5 with member sizing. So if it's going to be an angle, a  
6 piece of angle steel as one of the members, for example,  
7 they model that so that it can be used as input to a  
8 calculation.

9           So they use that one piece of steel as an  
10 element of the model, and that then, the configuration  
11 of that one member in relation to the other members that  
12 make up a support is mathematically modeled for  
13 configuration. That information, plus the material  
14 properties of the various members, are input to the  
15 computer program and the computer then, using finite  
16 element techniques which I can't explain in detail,  
17 analyzes that support configuration, with the computer  
18 output being the stresses in the pipe support, in the  
19 various members of that support.

20           JUDGE CARPENTER: The thing I was curious  
21 about was, when was the STRUDL model or the STRUDL pipe  
22 calculations first applied to the Shoreham design?  
23 Looking at 120, paragraph 4, you see the drawings  
24 existed while the STRUDL model calculations were being  
25 made, and I'm trying to understand that, whether the

1 design had been developed using something else and then  
2 STRUDL was laid on top of that, and now we are trying to  
3 look at the agreement between the two or not.

4 JUDGE MORRIS: If I might interject, what is a  
5 BZ drawing?

6 WITNESS MUSELER: I think we need a moment.  
7 But the question, what is a BZ drawing, a BZ drawing is  
8 strictly -- it's nothing more than a detailed design  
9 drawing of the pipe support itself. It shows the  
10 members, the base plate, the structural members, and  
11 shows where the pipe goes relative to the pipe support.

12 I think we need a moment to confer.

13 JUDGE BRENNER: I'm sorry, I still don't  
14 understand everything. I thought you were going to tell  
15 me about BZ in the context of the question. Is it the  
16 original configuration or still pre-built drawing?

17 WITNESS MUSELER: I'm afraid I'm not going to  
18 help you much, because it can be both. It's the  
19 original design drawing. It becomes an as-built at the  
20 end of the job. And in fact, the stress reconciliation  
21 program that we have spoken about several times already  
22 does utilize the final as-built BZ either as a total new  
23 drawing or as the last revision with any applicable  
24 E&DCR's.

25 So the term is used to denote a pipe support

1 drawing. Its particular vintage, either before  
2 installation or as-built after installation, depends on  
3 when you are looking at it.

4 JUDGE BRENNER: I inferred from this audit  
5 observation 4A in audit 120 that the problem here is  
6 that this was an as-built condition, so that this BZ  
7 drawing was as-built. But maybe that's wrong.

8 WITNESS MUSELER: That is generally a correct  
9 assumption, sir. It does reflect the as-built  
10 condition. There is a program to reverify that again as  
11 part of the stress reconciliation program, and that had  
12 not been done at this particular point in time. But I  
13 believe for purposes of the discussion we're having here  
14 it does present an as-built condition.

15 (Panel of witnesses conferring.)

16 WITNESS EIFERT: Judge Carpenter, the  
17 impression that I believe you received from our  
18 discussions, that the practice possibly is to draw up a  
19 support and build it and then do the analysis to support  
20 that at a later date, is incorrect. The practice is to  
21 design a pipe support that includes the effort of  
22 developing what the configuration would be and doing an  
23 analysis.

24 In this case we are discussing the STRUDL  
25 analysis as a mechanism of ensuring that it is an

1 adequate configuration and adequate materials in that  
2 configuration. The normal practice would be that there  
3 would probably be more than one STRUDL analysis  
4 performed as a basis of adjusting that configuration to  
5 ensure that we wouldn't have any stresses in any members  
6 beyond the allowables.

7           That process is ongoing and the BZ is  
8 developed as a part of or as a result of that process,  
9 and those drawings are then approved, together with the  
10 analysis that is also approved as the normal practice  
11 prior to any release for construction of the pipe  
12 supports. What we are seeing here primarily, as I was  
13 able to establish in discussing with a lot of people,  
14 that this situation relates to changes that occurred  
15 after that process was completed and the judgments being  
16 made with respect to the need to update or revise the  
17 analysis for these changes to the support  
18 configurations.

19           JUDGE CARPENTER: I guess what was giving me  
20 that feeling, you see, item 4 starts out, "The STRUDL  
21 model." And do I understand you correctly, you just  
22 testified that actually the STRUDL type calculations may  
23 be made several times for any particular support? If  
24 something was designed originally in, say, 1972, would  
25 it have had the STRUDL-type calculation made at that

1 time?

2 (Panel of witnesses conferring.)

3 WITNESS EIFERT: I believe the answer to that  
4 is yes, but I'm not really sure when the computer  
5 program STRUDL was first used and I would rather check  
6 that to give you a specific answer. I'm not sure if I  
7 understand your concern, and maybe I can restate the  
8 answer I gave you.

9 An analysis is performed and the support  
10 design drawing, the BZ, is prepared based on that  
11 analysis prior to the construction. The reference here  
12 to the STRUDL models would have been reference to the  
13 model of record in the analysis.

14 I may have confused you with some reference to  
15 the fact that in performing the pipe support analysis,  
16 the pipe support designers and the engineers may perform  
17 more than one finite element analysis using STRUDL,  
18 making adjustments in the configuration to get a  
19 configuration that is an acceptable design within  
20 allowable stresses.

21 WITNESS MUSELER: Judge Carpenter, I believe,  
22 if I can interpret your question, that you are concerned  
23 as to whether or not we issue the design drawings to the  
24 field prior to the completion of whatever analysis or  
25 calculations are required to verify that design. And if

1 that is the question, the answer to it is that the  
2 general procedure, with few exceptions, is that we do do  
3 the analysis and the calculations prior to the issue of  
4 that design to the field.

5           Where we change the design, either because of  
6 field condition or some other reason, as we go along,  
7 the proposed change to the design may exist prior to the  
8 confirmatory calculations, but the confirmatory  
9 calculations, except in the case of engineering  
10 judgment, as we have been discussing, is in fact done to  
11 confirm that change.

12           So the general thrust of your question I  
13 thought was, do we do the calculations prior to the  
14 issue of the designs to the field, and the answer to  
15 that question is that generally that is the way we do  
16 business.

17           JUDGE CARPENTER: Well, what I was really  
18 trying to get a feel for is why in October-November of  
19 1980, as you all testified to, this matter which you  
20 felt was the basis for serious review of all the  
21 calculations suddenly appeared. I was trying to get a  
22 feel for whether STRUDL was a new technique or  
23 something.

24           I think, if I understand you correctly, that's  
25 not so at all. So I was trying to find what was

1 happening in this time period to the design process that  
2 led to this audit finding. I still don't quite see what  
3 happened.

4 (Board conferring.)

5 WITNESS MUSELER: The audit observation is not  
6 directly related to whether the analysis was a STRUDL  
7 analysis or another kind of -- or a hand calculation.  
8 It was the analysis that was used for these pipe  
9 supports when they were originally done. The answer to  
10 the question, why did it occur at this point in time,  
11 goes back to the discussion we had relative to the  
12 installation of the pipe supports requiring changes to  
13 the original design as a result of geometry or  
14 interferences or whatever, and those judgments, that the  
15 E&DCR's are generated to document those changes.

16 Let me say also that someone may have gotten  
17 the impression all of the changes to the pipe supports  
18 are made on the basis of engineering judgment, and what  
19 we have done is found at a certain point where we have  
20 said we had to back that up with calculations. Many of  
21 the changes to the pipe supports require calculations  
22 right at that point in time, and they are done, the  
23 calculations are done, before any change to the pipe  
24 support is authorized.

25 These are the ones where the changes to the



1 pipe supports were relatively minor, small dimensional  
2 changes generally or what I will characterize as minor  
3 changes in configuration. And it is those changes that  
4 resulted in this particular situation where the engineer  
5 made the judgment that those changes would not result in  
6 any degradation of the design margins, and the audit and  
7 subsequently the engineering department observed that  
8 that judgment may need to be backed up by further  
9 calculations.

10           And when we did that we found, in the few  
11 cases we have spoken about, that in fact we did have to  
12 make some minor changes to get to the design margins.

13           But your question goes to why did it occur at  
14 this point in time. This point in time was a time when  
15 we were installing the bulk of the pipe supports in the  
16 plant. We had the largest number of changes to the pipe  
17 supports because we were putting in the largest number  
18 of pipe supports at that point in time.

19           There's nothing inherent in the STRUDL model  
20 that has anything to do with this, to my knowledge.

21  
22  
23  
24  
25

1           JUDGE CARPENTER: Well, looking again at Item  
2 4 of Report Number 120, 4-B, it references two different  
3 lengths, one in the BZ drawing and one in the STRUDL  
4 model. I was trying to get a feel. There are no dates  
5 given for either one of those, you see, so I can't get  
6 any feeling for the chronology of how the discrepancy  
7 developed.

8           WITNESS MUSELER: The chronology would have  
9 been that the STRUDL model, the calculation was done for  
10 the original design. That was done first. The original  
11 design was issued to the field. When we went to install  
12 it, or for whatever reason, we needed to make some  
13 modification to that design, in this case a change in  
14 length of, it looks like a little over 24 or 26, a  
15 little over six inches in one of the numbers.

16           Now, that occurred at a later point in time  
17 than the original calculation, and that is what the  
18 auditor observed. He said, the actual condition that  
19 you are building it to is six inches different than what  
20 the calculation was done to. So, the change, the  
21 required change came after the original STRUDL model,  
22 and the question is, does that six inches make a  
23 significant difference, and again, that is what  
24 triggered the re-evaluation of all of them. Did six  
25 inches make a difference here, did nine inches make a

1 difference here, did two inches make a difference  
2 somewhere else.

3           The net result of all of that was that in a  
4 small number of cases it did make a difference to  
5 achieve the required design margins. It would not make  
6 a difference with regard to the ability of the pipe  
7 supports to perform their function, but still, the  
8 program requires that the design margin be maintained,  
9 and that is what was done as a result of this program.

10           Does that help your question, sir?

11           JUDGE CARPENTER: Yes. It clarifies my  
12 understanding that this is more a comparison with -- if  
13 it wasn't an as built drawing, it certainly was the  
14 drawing which was applicable at that time for all  
15 practical purposes. The as built drawing did not  
16 conform to the STRUDL model calculation for that  
17 particular number shown on that drawing.

18           What further surprises me is that in 14 months  
19 after this audit report, the next audit, Audit Number 38  
20 that we have been talking about, the auditors report  
21 some progress, and it would have been nice if they had  
22 used a number there, 10 percent or 50 percent or  
23 something. Usually when someone says some progress, the  
24 progress is not major, for sure.

25           I am surprised that in 14 months of people

1 busily installing supports there wasn't a feel for a  
2 need. I understand your testimony about there probably  
3 being margins. You are confident that this wasn't going  
4 to be a major modification. But I am still surprised at  
5 the slowness.

6           WITNESS EIFERT: I think I can explain some of  
7 the situations and activities that were in progress  
8 during that time period. As a result of this audit  
9 observation, the project engineering group, together  
10 with some staff pipe support specialists from our  
11 engineering mechanics division spent a considerable  
12 amount of effort looking at the pipe support design  
13 activities being conducted for the Shoreham project for  
14 the primary purpose of determining the extent of the  
15 conditions identified in the observations and their  
16 significance, in order to give management a full basis  
17 for making a decision with respect to the corrective  
18 action.

19           In addition, during the same time period, the  
20 project was developing the final plans for the as built  
21 piping program, and there was a need to coordinate those  
22 two activities and coordinate the activities primarily  
23 to assure that we didn't duplicate activities.  
24 Specifically, if a new stress run for a given piping  
25 system indicates that loads have changed, there would be

1 a need for the engineers to go back, possibly a need to  
2 redo the STRUDL analysis for the supports for that  
3 system. Knowing that that was an activity that was  
4 being planned in the near future from the time of the  
5 audit observation 120, there was effort being made to  
6 coordinate those activities.

7           During that time period, the engineering  
8 mechanics division took considerable action with respect  
9 to the preventive action, established some additional  
10 training. As I indicated earlier, training not only  
11 with respect to the STRUDL, but all aspects of calc  
12 preparation to assure that people understand the  
13 requirement as well as -- and the basis of the  
14 requirement as well as the requirement itself.

15           There was a lot of activity going on. This  
16 was a significant problem when it was initially  
17 identified. This was of great concern to Stone and  
18 Webster management and LILCO management, to ensure that  
19 we went slow enough in effect to ensure that we did and  
20 took all the appropriate action to ensure that we had a  
21 safe plant.

22           I think that's what the timing demonstrates to  
23 some degree.

24           JUDGE CARPENTER: Well, wouldn't you agree  
25 that slow enough needs to be viewed in the perspective

1 of level of effort going on? Failure to meet the Phase  
2 1 due date of July 31, 1981, as shown in Audit Number  
3 38, Phase 1, was almost six months overdue. And the  
4 auditor comments, some progress. Certainly it would be  
5 reasonable to talk about being properly deliberate, but  
6 I don't read this that that's the way the auditor felt  
7 at all. He is saying there has only been some progress,  
8 and these due dates, the Phase 1 has gone by and the  
9 entire corrective action is supposed to be finished in  
10 another six months.

11 (Whereupon, the witnesses conferred.)

12 WITNESS EIFERT: I wasn't trying to  
13 characterize the audit observation 142, which we did  
14 issue late in 1981. I was giving some background with  
15 respect to the process that was ongoing that is the  
16 cause for the delay. The audit observation was issued,  
17 Audit Observation 142 was issued because the auditors,  
18 in this case, my people, thought that there was undue  
19 delay from the time that the joint project and division  
20 staff group had reviewed a considerably enlarged number  
21 of analyses and support designs. Then there was a delay  
22 from the time they had completed that activity, which I  
23 believe was at the end of the summer of 1981, until the  
24 time where a firm corrective action plan had been  
25 established, and significant progress being made.

1           And that is why we issued Audit Observation  
2 142, to bring management's attention to that. It is an  
3 unusual situation to have an audit observation like 142  
4 because management at Stone and Webster was fully aware  
5 of the problem and had authorized the project and  
6 extended the amount of time to complete this action.  
7 When Audit Observation 142 was issued, the project still  
8 had additional time to complete the combined effort of  
9 Phase 1 and 2, but had not yet completed the Phase 1  
10 effort, and the audit observation reflects that concern  
11 of the auditor that the Phase 1 effort hadn't been  
12 clearly completed with the detailed action plan for the  
13 Phase 2 effort established.

14           WITNESS MUSELER: I might add, Judge  
15 Carpenter, that in something of substance such as this  
16 type of a problem, the first thing that the engineering  
17 department would do would be to look at the entire  
18 problem and try to establish very quickly whether or not  
19 it represented a significant problem or whether or not  
20 it represented a problem that, while it existed, was  
21 something that was minor in nature and under control.

22           I think in this particular case, at this point  
23 in time, which was the end of last year, we had already  
24 established quite confidently that the problem, while  
25 there were cases where we recognized we had to make some

1 modifications, that the problem was bounded, was  
2 properly characterized as a minor problem with respect  
3 to the plant itself, and that the problem was also under  
4 control as a result of the program from the audit  
5 findings, and the type of instruction given to some of  
6 the designers that Mr. Eifert referred to.

7           So, it's true that it was not accomplished on  
8 the schedule originally set. However, there was a  
9 judgment made with regard to the resources applied to  
10 closing out that problem, but at the time that judgment  
11 was made, it had already been established that the  
12 problem did not represent anything that we had concern  
13 of with respect to the plant. We recognized that we  
14 probably were going to modify a few pipe supports, but  
15 we had also done enough work to know that the number  
16 would be very few, and that the impact of even those  
17 would be negligible.

18           JUDGE CARPENTER: One final question. Was the  
19 NRC advised of this at the time that the need for  
20 remedial action was identified?

21           (Whereupon, the witnesses conferred.)

22           WITNESS MUSELER: No, sir. This particular  
23 matter was not reported to the NRC.

24           JUDGE CARPENTER: I ask that only from the  
25 point of view of whether I can get another opinion about



1 this as the hearing proceeds. You are telling me that  
2 there really isn't anybody at NRC who has been on top of  
3 this.

4 WITNESS MUSELER: No, sir. We didn't notify  
5 the NRC because it was our judgment that the condition  
6 did not represent something that affected the safety of  
7 the plant.

8 JUDGE CARPENTER: Thank you.

9 JUDGE BRENNER: I may have some thoughts on  
10 this matter, too, in the form of questions, Mr. Lanpher,  
11 but I am not going to jump in now. One reason is, I  
12 don't think you were finished necessarily with this  
13 matter, and I am not sure how far you are going to take  
14 it in relation to other matters. So my silence now  
15 shouldn't be taken to say that I may not come back to  
16 this one myself.

17 MR. LANPHER: In my organization, I was going  
18 to come back to this originally. I think I am going to  
19 try to finish this up now myself.

20 BY MR. LANPHER: (Resuming)

21 Q To follow up first, gentlemen, on Judge  
22 Carpenter's last line of questions, regarding the timing  
23 of the corrective action, now, this was originally  
24 identified in 1980, and we have been -- in the fall of  
25 1980, I guess, and we have been focusing on Audit

1 Observation 142 in Audit 38, and that audit report was  
2 issued in December of 1981.

3 I would now like to turn your attention to  
4 Audit 39, Engineering Assurance Audit 39, Page 2 of it.  
5 And the longest paragraph on that page, I believe,  
6 concerns this same matter. It states that "The  
7 responses to audit observations have not been kindly.  
8 Of particular concern is the corrective and preventive  
9 action on Audit Observation 120 for pipe support design  
10 calculations."

11 If you could review that and also review  
12 Attachment 2, which about halfway down the page states  
13 that the stop work order was being prepared.

14 (Pause.)

15 Q Mr. Eifert, have you had a chance to review  
16 those portions?

17 A (WITNESS EIFERT) Yes, I have.

18 Q This indicates, does it not, the continued  
19 judgment of the auditor approximately two months after  
20 the previous audit was issued that still adequate  
21 corrective and preventive action had not been taken,  
22 correct? Or timely corrective and preventive action had  
23 not been taken?

24 A (WITNESS EIFERT) The information in Audit 39  
25 related to Audit Observation 142, and is tied directly

1 to Stone and Webster's strict policy for the timeliness  
2 of response and completion of corrective action on all  
3 engineering assurance audit observations. Our practice  
4 and rule is that all audit -- all action necessary to  
5 correct and prevent concerns identified in audit  
6 findings must be taken within 60 days of the date of the  
7 audit report unless the organization responsible has  
8 otherwise obtained engineering management's approval for  
9 an extended period of time.

10           The audit report which issued Audit  
11 Observation 142 is dated December 22nd, 1981. The audit  
12 report for Audit 39 is issued just about 60 days after  
13 that, on February 24th, 1982. This was a report on  
14 status, and is an automatic processing and reporting and  
15 doing the engineering assurance followup for all  
16 audits.

17           Q     Well, Mr. Eifert, an extension had in fact  
18 been granted beyond February, 1982, correct? I will  
19 refer you --

20           A     (WITNESS EIFERT) Not for Audit Observation  
21 142. Yes, it had been extended until May, the end of  
22 May, 19 -- let me confirm that for a second.

23           Q     I am not trying to trick you, sir. You might  
24 want to --

25           A     (WITNESS EIFERT) Audit Observation 120 had

1 been extended. They didn't have to have that completed  
2 until May of '82, I believe. We are talking here of  
3 Audit Observation 142.

4 Q Aren't they inextricably intertwined, sir?

5 A (WITNESS EIFERT) It is confusing in the fact  
6 that we chose to issue Audit Observation 142 to provide  
7 for the additional detail of the Phase 2 effort. Audit  
8 Observation 142 was primarily to assure that we got a  
9 definition of the Phase 2 effort, and it was issued for  
10 that purpose, and Audit Observation 142 today is closed  
11 because they established the plan for the Phase 2 effort  
12 and are carrying it out. 142 is today closed. It is  
13 120 that they have the extension approval to complete  
14 the total corrective action, and that is the observation  
15 which is tracking this concern.

16 Q Was a stop work order in fact issued?

17 A (WITNESS EIFERT) Yes, it was.

18 Q How was that finally resolved, or is it still  
19 in effect?

20 A (WITNESS EIFERT) The stop work order was  
21 issued and the project immediately submitted the final  
22 plan for the Phase 2 effort to engineering management.  
23 It was accepted, and the stop work order was lifted, or  
24 withdrawn.

25

1 Q Mr. Eifert, you have talked about Phase 1 and  
2 Phase 2. I am not sure we have really defined what was  
3 contained in each of those phases. Could you briefly do  
4 that?

5 A (WITNESS EIFERT) Phase 1 involved the efforts  
6 that the project and the engineering mechanics division  
7 staff personnel undertook to fully explore and  
8 understand the extent of the conditions reported in  
9 Audit Observation 124.

10 Q 120?

11 A (WITNESS EIFERT) 120. Excuse me. And the  
12 importance of those observations to obtain the  
13 information management would need to determine and  
14 decide on a corrective action program. I agree that the  
15 auditors, and it was my responsibility, I agree that in  
16 my judgment the progress was not being made at a pace  
17 that I felt it should be. On the other hand,  
18 recognizing the situation that the project was in,  
19 project engineering, in evaluating this, this was a  
20 significant amount of effort that would be undertaken if  
21 a decision was made to go back and review the number of  
22 calculations that we are talking about.

23 It's a decision that you want to assure is the  
24 right decision. In some things that we do, all of us in  
25 our daily lives, there are certain things that you know

1 you should go slow on to make sure you do the right  
2 decision, make the right decision. We can have  
3 disagreement between engineering assurance division and  
4 the project engineering people on that kind of progress,  
5 but in no case was there really any doubt that  
6 eventually a decision would be made and corrective  
7 action would be carried out.

8           This was unusual, as I indicated. This was,  
9 to the best of my ability to go through all the audit  
10 observations, this is the only one where we found an  
11 inconsistency in a calculation and the design. This is  
12 a very important situation, and appropriately was given  
13 careful consideration and evaluation with the ultimate  
14 decision to review these pipe supports to assure that we  
15 had a safe plant.

16           So, I think what you are seeing here is that  
17 we took time to make that decision. It was captured in  
18 the program. It wasn't a lost decision that nobody  
19 realized had to be made. We are seeing here in the  
20 documentation the difference of opinion between my  
21 people and myself and the project people with respect to  
22 how fast the decision was being made, but it was made,  
23 and the corrective action program has been implemented.

24           Q     Mr. Eifert, you forgot the second half of my  
25 question. What is Phase 2?

1           A       (WITNESS EIFERT) Phase 2 was implementing the  
2 corrective action plan that was decided upon and agreed  
3 to by the project engineering mechanics division staff  
4 and engineering management as a result of the product of  
5 Phase 1.

6           Q       Defining that corrective action plan was the  
7 subject of Audit Observation 142, correct?

8           A       (WITNESS EIFERT) Yes, sir.

9           Q       So that plan was finally defined only after  
10 the stop work order was issued earlier this year. Is  
11 that correct? I mean, you have been working on it, but  
12 in terms of adopting a corrective action plan.

13                       (Whereupon, the witnesses conferred.)

14           A       (WITNESS EIFERT) Mr. Lanpher, the Audit  
15 Observation 142 and the associated stop work order did  
16 not in itself create or force, if you will, the  
17 establishment of the corrective action plan. Prior to  
18 the issuance of the stop work order, I was personally  
19 involved in some of the management discussions with  
20 respect to the observation and the need for the Phase 2  
21 plan.

22                       I have personal knowledge that engineering  
23 management was aware of the need to develop this plan.  
24 I know that there were meetings between engineering  
25 management and the engineering mechanics division and

1 project personnel discussing this situation, so that is  
2 an ongoing process. The decision was going to be made  
3 without question from my involvement in that process.

4           The stop work order, the way we define it in  
5 our program, is a mandatory step that is based on an  
6 arbitrary schedule of 60 days for the projects to  
7 complete action in respect to findings of an audit  
8 observation. It is there quite arbitrarily with the  
9 primary purpose being to assure that management gets  
10 involved with the corrective action plans for items  
11 which are going to take more than 60 days to respond.

12           Q     Mr. Eifert, I just want to be clear on the  
13 record, however, that the time that the Phase 2  
14 corrective action plan was adopted and implemented was  
15 some time after issuance of Audit 39, earlier this  
16 year. Is that correct?

17           A     (WITNESS EIFERT) That is correct.

18           JUDGE BRENNER: Why don't you break up your  
19 question? You said adopted and implemented. Why don't  
20 you stay with just adopted?

21           BY MR. LANPHER: (Resuming)

22           Q     With that modification, it was adopted some  
23 time after Engineering Assurance Audit Number 39 was  
24 issued, which would mean after February 24, 1982.

25           A     (WITNESS EIFERT) Yes. A Phase 2 plan was



1 developed and approved by engineering management after  
2 February 24th, 1982.

3 Q Do you know when after that date?

4 (Whereupon, the witnesses conferred.)

5 Q Mr. Eifert, I am not looking for an exact  
6 date. Was it March? Was it July? Along those lines?

7 A (WITNESS EIFERT) I believe it was in April,  
8 but I don't recall specifically.

9 A (WITNESS MUSELER) Mr. Lanpher, my  
10 recollection on that matter is that it was prior to  
11 April 15th, and it may have been at the end of March.  
12 It is that time frame. I am certain of the time frame.  
13 I am not certain of the exact date.

14 Q Is that corrective action plan addressed in  
15 your testimony, gentlemen, in your prefiled testimony?

16 (Whereupon, the witnesses conferred.)

17 A (WITNESS EIFERT) We did describe in our  
18 testimony the stop work activity with respect to  
19 Engineering Assurance Audits.

20 Q I am talking about are the details or a  
21 description of that corrective action plan, is that  
22 addressed?

23 A (WITNESS EIFERT) No, we do not describe that  
24 in our prefiled testimony.

25 Q Is there any document that describes this

1 corrective action plan? Is it a formal issuance?

2 A (WITNESS EIFERT) The corrective action plan  
3 was described on an interoffice memorandum from the  
4 project to engineering management, describing the plan  
5 and requesting their approval of that plan and  
6 milestones in schedule.

7 Q That interoffice memorandum was adopted by the  
8 engineering department?

9 A (WITNESS EIFERT) Yes, it was.

10 A (WITNESS MUSELER) The engineering department  
11 prepared that plan, Mr. Lanpher, and it was approved by  
12 engineering management within Stone and Webster and  
13 accepted by the engineering assurance program, so it was  
14 developed by the engineering department, which was  
15 satisfactory with their management as well as to the  
16 engineering assurance department.

17 I should note that that plan and the one Mr.  
18 Eifert has been referring to as Phase 2 was the final  
19 confirmatory process to clear this matter up. The  
20 evaluations that we have been speaking of earlier, and  
21 that plan, by the way, Phase 2, is what I referenced  
22 earlier when I mentioned that we are essentially  
23 complete with that, and that is the basis for the  
24 numbers that we used before, but the early part of that,  
25 the evaluation, was ongoing from the time that there was

1 Audit Observation 120.

2           So, the evaluation of the problem to assure  
3 that it was a controlled situation and that the problem  
4 was bounded had been begun long before the final  
5 adoption of the Phase 2 corrective action plan.

6           MR. LANPHER: For the benefit of the board, I  
7 am going to return to the corrective action plan, but  
8 there were some followup questions I had on earlier  
9 aspects that I think will relate to the corrective  
10 action plan, so I will go back to that, unless the board  
11 has a particular question they want to ask at this  
12 time.

13           JUDGE BRENNER: You are still on this item? I  
14 want to break for lunch, but I want to let you finish  
15 this item.

16           MR. LANPHER: Yes, I am still on this item.

17           JUDGE BRENNER: Do you think you will finish  
18 shortly, or should we break now?

19           MR. LANPHER: I had no idea I was going to be  
20 on this item this long.

21           JUDGE BRENNER: You weren't by yourself.

22           MR. LANPHER: I hesitate to make a prediction,  
23 Judge Brenner, as to how long.

24           JUDGE BRENNER: All right. Why don't you go  
25 for about ten more minutes, and we will break.

1 BY MR. LANPHER: (Resuming)

2 Q Mr. Museler, I think probably half an hour or  
3 so ago, you mentioned, I guess it was in connection with  
4 what we call the Phase 1 efforts, that you or Stone and  
5 Webster, someone initially made a determination of which  
6 were the questionable calculations. I think  
7 questionable was the word you used. And I understand  
8 that that was about 1,800 calculations. Is that  
9 correct?

10 A (WITNESS MUSELER) No, sir. We are looking at  
11 two phases of the situation. The 1,800 number that I  
12 referred to was in connection with the final closeout of  
13 the entire item. That was the number that needed to be  
14 looked at as a result of this item. I will characterize  
15 it as the final Phase 2 evaluation. What I had referred  
16 to earlier is that the engineering mechanics division  
17 and the pipe support design people at Stone and Webster  
18 in Boston surveyed the population of the calculations.  
19 That is not to say that they evaluated each one  
20 specifically. That was the final confirmatory process.  
21 They were able to determine with some ease those that  
22 are more significant than others.

23 For instance, if in a particular type of  
24 support the judgment may have been made on the basis of  
25 a 12-inch change, another one may have been made on the

1 basis of a one-inch change, and if both those situations  
2 are similar geometrically, you obviously look at the one  
3 where you change something 12 inches, and the one where  
4 you changed it one inch you would not look at. And if  
5 the one that turned out to be a 12-inch change turned  
6 out to be okay, you would make the assumption that  
7 anything between one and 12, since it has the same  
8 effect, would not cause a problem.

9           So, it is in that context that I mentioned the  
10 engineers involved conducted a review of the situation.

11       Q     Is it fair to state, then, that there were  
12 approximately 1,800 calculations where changes had been  
13 made presumably in the field and had been made on the  
14 basis of judgment, and your later survey determined that  
15 those judgmental decisions should be supported by  
16 revised calculations?

17           (Whereupon, the witnesses conferred.)

18       A     (WITNESS MUSELER) The 1,800 number is the  
19 number that I was given as requiring evaluation, as  
20 requiring the calculations to be redone to ensure that  
21 they did in fact meet the required design margin. I  
22 have been using one example, which is a very common  
23 example of what would cause that. I don't mean to imply  
24 that there may not have been some other situations that  
25 required the same calculation to be redone, so I can

1 characterize them all as due to field changes. A large  
2 number of them were, but I wouldn't want to give you the  
3 impression that they were all due to the same exact  
4 situation.

5 Q I understand that, and I shouldn't have  
6 focused on field changes so much as changes at whatever  
7 stage which were made, but -- and which were made on the  
8 basis of engineering judgment at the time, and your  
9 subsequent review, or Stone and Webster's subsequent  
10 review determined that an analysis or a calculation  
11 should be performed to document that the exercise of  
12 that engineering judgment was correct.

13 (Whereupon, the witnesses conferred.)

14 A (WITNESS MUSELER) That is basically correct.

15 Q Now, these were all in the pipe support area  
16 or the pipe support calculation area? Is that correct?

17 A (WITNESS EIFERT) Yes, that's correct.

18 Q Did you perform a survey of calculation  
19 changes made in other areas to determine whether this  
20 problem existed there?

21 (Whereupon, the witnesses conferred.)

22 JUDGE BRENNER: Mr. Lanpher, I guess I don't  
23 know what you mean by other areas.

24 MR. LANPHER: For instance, structural  
25 calculations or changes made to other calculation

1 areas. We have been talking about different disciplines  
2 and activities in the calculation area, and apparently  
3 these 1,800 or approximately 1,800 all related to pipe  
4 support calculations. I am wondering whether their  
5 review tried to determine whether there were problems  
6 with judgment in other areas, or unsupported judgment.

7 (Whereupon, the witnesses conferred.)

8 WITNESS EIFERT: As I indicated earlier, Mr.  
9 Lanpher, our audits in disciplines look for consistency  
10 between the results of the analysis and the design. We  
11 audit that as a regular practice. The normal practice  
12 in all of our audits. This is the only discipline to my  
13 knowledge that we have identified this discrepancy via  
14 the engineering assurance audits. The corrective action  
15 is appropriately taken with respect to this area of work  
16 from the engineering assurance program's viewpoint,  
17 because it is limited and isolated in this discipline.

18 Audits in other disciplines have not found  
19 discrepancies, inconsistencies, if you will, between the  
20 results and conclusions of analyses and the design as  
21 originally released or as changed, and it is our  
22 practice to look for that in engineering assurance  
23 audits.

24 BY MR. LANPHER: (Resuming)

25 Q So, because your engineering assurance audits

1 had not identified this same kind of problem with  
2 respect to calculations in other disciplines, you have  
3 not made any specific analysis in connection with this  
4 problem of different disciplines?

5 MR. ELLIS: I still have a problem, Judge,  
6 with the same kind of problem. It is not clear to me  
7 that it translates all over the place one to another,  
8 from one discipline to another. And the question  
9 implies that without there being any testimony to that  
10 effect.

11 JUDGE BRENNER: I think the same kind of  
12 problem, I will state with some trepidation, fairly  
13 clearly, and Mr. Lanpher can tell me if I am wrong,  
14 after saying fairly clearly, relates to the situation  
15 where the dimensions of items in the plant, either as  
16 installed or as a result of changes in design in advance  
17 of being installed, are not different than the assumed  
18 dimensions in the calculations presently in effect as  
19 far as the engineering organization is concerned. Is  
20 that it, Mr. Lanpher?

21 MR. LANPHER: I wouldn't have limited it just  
22 to dimensions or calculations -- dimensions in the  
23 plant. So maybe I should ask --

24 JUDGE BRENNER: In that case, Mr. Ellis's  
25 point is a good one.



1           MR. LANPHER: Let me ask some further  
2 questions on this then.

3           BY MR. LANPHER: (Resuming)

4           Q     Mr. Eifert, the pipe support area is not the  
5 only area where field changes to design might have to be  
6 effected, correct?

7           A     (WITNESS EIFERT) No, it is not the only  
8 area.

9           Q     Could you tell us some of the other areas  
10 where EEDCR's, for instance, might have to be issued  
11 because there is an obstruction or a need to change the  
12 design when you get to installation?

13                     (Whereupon, the witnesses conferred.)

14           A     (WITNESS MUSELER) Mr. Lanpher, another  
15 example of that might be the electrical cable  
16 installation in the plant, where for various reasons,  
17 either a cable size or even in some cases the length of  
18 the cable because of routing might be different than the  
19 original design called for for various reasons, but  
20 that's an example of where the conditions in the plant  
21 in the final as built configuration might be different  
22 than what was originally called for. And it is also an  
23 example of where the normal process of how the engineers  
24 do business requires that that information be fed back  
25 and any significant or any calculations that use those

1 parameters, the size of the cable certainly, the length  
2 of the cable, would be fed back in, and if in the  
3 analysis that is appropriate to that particular  
4 installation, for instance, if it were a certain size  
5 cable hooked to a motor, the voltage drop in the current  
6 carrying characteristics, if they were affected by the  
7 physical parameters in the plant, the size and length of  
8 the cable, that analysis would also have to be  
9 re-evaluated in that light.

10           So, it is a somewhat analogous situation to  
11 the pipe supports we have been discussing.

12           Q     In that example that you gave in the  
13 electrical area, are there certain instances where the  
14 need for a change in the field might be identified and  
15 the engineer in the field would make a judgment that the  
16 calculation -- that the change didn't affect the  
17 original calculation? Is that one of the possible  
18 occurrences that might take place?

19           A     (WITNESS MUSELER) That might take place, that  
20 the engineer would make the judgment, have that judgment  
21 reviewed, and it might be issued and the field  
22 modification made. In that case, again, the types of  
23 parameters we are speaking of, if it were the  
24 characteristics of the motor, would have to be  
25 re-evaluated unless the change were extreme, you know,

1 again, a matter of engineering judgment.

2           We have not seen in the case of the electrical  
3 area where we have found a condition analogous to the  
4 particular pipe support condition we have been  
5 discussing where those judgments did require a look back  
6 at large numbers of calculations.

7           Q     You said that you have not seen, and I am not  
8 going to try to paraphrase you exactly, but you  
9 basically say you have not seen instances of the same  
10 kind of problem in the electrical area. I assume you  
11 mean since identification of this problem in the pipe  
12 support calculation area.

13                     (Whereupon, the witnesses conferred.)

14           A     (WITNESS EIFERT) Mr. Lanpher, I have  
15 indicated earlier that our audit program includes audit  
16 checks in our audits of calculations to ensure that the  
17 analysis is consistent with the design. That is an  
18 attribute that we have been auditing to for some time,  
19 not just since the fall of 1980, when we reported the  
20 concerns with the pipe supports. It is in that light  
21 that we are indicating that we have not found problems  
22 of the nature of what we have identified with respect to  
23 pipe supports in the other disciplines.

24                     I am confident that if those problems existed,  
25 that we would have identified those in the other

1 disciplines, reported those, and ensured corrective  
2 action, but we have not identified problems of this  
3 nature in other disciplines, and I am confident that  
4 this is a situation that is limited to the particular  
5 complexities, if you will, of the pipe support design  
6 and installation process.

7           A       (WITNESS MUSELER) Mr. Lanpher, in the  
8 particular area of the electrical installation which we  
9 were discussing, the major electrical tests which verify  
10 those calculations and in fact confirm whatever  
11 judgments were made were completed over the last six  
12 months, and those particular preoperational tests do  
13 verify by measurement the particular voltage drops and  
14 the various other electrical characteristics that are  
15 the output of the design process, and those tests have  
16 indicated that the design and the judgments were  
17 correct, so the entire program, if you will, I can say  
18 is being verified once again through a test program, and  
19 in the electrical area where both the AC and DC systems  
20 have gone through their major tests, all of those  
21 judgments that affect the kinds of things we have been  
22 discussing here have in fact been verified once again  
23 through actual tests.

24

25

1 Q Gentlemen, attachment 27 to your prefiled  
2 testimony is site engineering organization audit number  
3 12. I understand it is the entire audit package. I  
4 think that's the way you described the attachment. On  
5 pages numbered 702 in the top right-hand corner -- it's  
6 probably the last 15 or 18 pages of that attachment --  
7 is the audit plan for Shoreham site engineering office  
8 structural design calculations.

9 A (WITNESS MUSELER) Mr. Lanpher, can you give  
10 us that citation again?

11 Q This is attachment 27 to your prefiled  
12 testimony. My understanding is that this includes not  
13 just the audit report, but all the checklists and the  
14 responses. I want to go to the checklists for  
15 structural design calculations, and I think those are  
16 all on pages with the number 702 in the upper right-hand  
17 corner. It's toward the end of that attachment.

18 MR. ELLIS: Judge Brenner, if this is going to  
19 be a long examination, this might be an appropriate time  
20 to break. We didn't bring in our attachment 27. We  
21 brought in some other material.

22 JUDGE BRENNER: Okay. We have run past when  
23 we normally break for lunch. If it won't disrupt you  
24 too much, Mr. Lanpher, to break now, let's break for an  
25 hour and we'll come back at --

1           MR. LANPHER: Could I ask that we maybe take  
2 just a little longer than an hour? By the time you get  
3 food and also call the office and try to, being the one  
4 doing the cross-examining, to gather thoughts -- a  
5 little more time would be very much appreciated.

6           JUDGE BRENNER: Do you want an hour and 15?

7           MR. LANPHER: That would be great.

8           JUDGE BRENNER: Well, let's round it off and  
9 make it 2:00 o'clock.

10          MR. LANPHER: Thank you very much.

11          (Whereupon, at 12:40 p.m., the hearing in the  
12 above-entitled matter was recessed, to resume at 2:00  
13 p.m. the same day.)

14

15

16

17

18

19

20

21

22

23

24

25

## 1 AFTERNOON SESSION

2 (2:00 p.m.)

3 JUDGE BRENNER: Mr. Lanpher, we're going to  
4 have you continue your cross-examination. You tell us  
5 when you are finished with matters related to what  
6 started as audit report 34, and then we are going to  
7 jump in with some things.

8 MR. LANPHER: Okay.

9 Whereupon,

10 T. TRACY ARRINGTON,  
11 FREDERICK B. BALDWIN,  
12 ROBERT G. BURNS,  
13 WILLIAM M. EIFERT,  
14 T. FRANK GERECKE,  
15 JOSEPH M. KELLY,  
16 DONALD G. LONG, and  
17 WILLIAM J. MUSELER,

18 the witnesses on the stand at the time of recess, having  
19 been previously duly sworn, resumed the stand and were  
20 examined and testified further as follows:

21 CONTINUED CROSS EXAMINATION  
22 ON BEHALF OF SUFFOLK COUNTY

23 BY MR. LANPHER:

24 Q Mr. Eifert, after we went off the record I  
25 indicated that I wanted to come back to attachment 27 to

1 the prefiled LILCO testimony, particularly the checklist  
2 for Shoreham site engineering office structural design  
3 calculations. I don't have your exact words, but I  
4 believe you stated prior to the lunch break that the  
5 audit checks have to make sure that calculations are  
6 consistent with design.

7 Do you recall a statement to that effect?

8 A (WITNESS EIFERT) Yes, sir, I do.

9 Q Is this Shoreham SEO structural design  
10 calculation checklist generally representative of the  
11 kind of calculation checklist which is used on the  
12 Shoreham project, sir?

13 A (WITNESS EIFERT) Yes, it is.

14 Q Can you show me the kinds of checks which  
15 would ensure that the calculations are consistent with  
16 design?

17 (Panel of witnesses conferring.)

18 A (WITNESS EIFERT) Mr. Lanpher, if you will  
19 refer to page 1 of section C of the audit plan, which is  
20 the eighth page into the attachment.

21 Q Is that entitled "backup calculations," that  
22 page?

23 A (WITNESS EIFERT) Yes, sir, that is the  
24 correct page. And this page, what you are seeing is the  
25 instructions to the auditor while performing an audit of



1 calculations to additionally select some design  
2 documents and the parameters from specific parameters  
3 contained in those design documents and to determine  
4 whether required backup documents had been prepared for  
5 those.

6           The audit plan then goes on in section 2 at  
7 the bottom half of that page describing the process that  
8 the auditor goes through in looking at those  
9 calculations. So in addition to auditing a selection of  
10 calculations, the auditor also selects some specific  
11 parameters contained in design documents and audits back  
12 to see that they are appropriately supported by  
13 calculations or other documentation.

14           Now, I'd like to point out some other audit  
15 plans in addition to the audit plan for engineerings. I  
16 could do that now or --

17           Q     You piqued my interest. Go ahead.

18           A     (WITNESS EIFERT) If you go back to attachment  
19 24 of our testimony, the first audit plan in attachment  
20 24 is the audit plan for E&DCR's. Page 3 of that audit  
21 plan, attribute number 7 in the middle of page 3. This  
22 attribute is used by the auditors when auditing E&DCR's  
23 to document an evaluation based on their judgment of the  
24 technical adequacy of the response given on an E&DCR.

25           The way that attribute is applied by the

1 auditors includes determining if calculations are  
2 appropriate to support the decisions documented on the  
3 E&DCR.

4 Q Mr. Eifert, before lunch there had been some  
5 passing reference to E&DCR's in connection with the  
6 audit observation that we were discussing, the one that  
7 you termed as the serious one that you found in your  
8 review of all these audits.

9 Were there numerous E&DCR's which were issued  
10 to support the changes that were made to pipe supports?  
11 And it's not just field changes, but there were field  
12 changes as I understand it. We have 1800 calculations,  
13 approximately, that you eventually decided to redo. Are  
14 there a comparable number of E&DCR's that were issued  
15 for these?

16 (Panel of witnesses conferring.)

17 A (WITNESS EIFERT) I'm not familiar with the  
18 specific number of E&DCR's relating specifically to pipe  
19 supports. There are a large number. What that number  
20 is, I don't know.

21 Q Well, would each of the changes that were made  
22 in the field when a problem or an interference was found  
23 so you had to change from the original design, that  
24 would need to be documented in an E&DCR, would it not?

25 A (WITNESS EIFERT) Yes, sir.

1           Q       So whether or not there are 1800 E&DCR's or  
2 whether one or more E&DCR's covered more than one  
3 change, each of these exercises of judgment would have  
4 been covered by an E&DCR, isn't that correct?

5           A       (WITNESS EIFERT) As we discussed this  
6 morning, yes, that is generally correct.

7           A       (WITNESS MUSELER) Mr. Lanpher, it might also  
8 have been documented by a revision to the pipe support  
9 drawing, the BZ drawing that we discussed earlier. In  
10 other words, it could have been done on a revision to  
11 the drawing. E&DCR is the more common method, but I  
12 don't want to leave you with the impression that that is  
13 the only mechanism by which it might be documented.

14          Q       The problem that we were discussing this  
15 morning was originally identified in connection with an  
16 audit of calculations, not an audit of E&DCR's,  
17 correct?

18          A       (WITNESS EIFERT) Yes, it was.

19                   I'd like to point out another audit plan in  
20 addition to the E&DCR's, the audit plan with respect to  
21 project drawings, which is also a part of attachment  
22 24. Audit plan number 309-1, page 9 of that audit plan  
23 -- page 9 of that audit plan, at the top of the page  
24 item 3 provides the mechanism by which auditors select  
25 parameters from Stone & Webster drawings during an audit

1 and verify that calculations, if appropriate, have been  
2 developed to support that data.

3           So in response to your inquiries with respect  
4 to how the audit process checks the consistency between  
5 design and calculations in these attachments, the E&DCR  
6 auditing process, the drawing auditing process, as well  
7 as the calculation auditing process have as part of them  
8 attributes which look for that design consistency.

9           Q       Referring to that page 9 which you drew our  
10 attention to, sir, what criteria are implied for  
11 determining whether an item is satisfactory or  
12 unsatisfactory? I am looking at that last column on the  
13 right.

14                   (Panel of witnesses conferring.)

15           A       (WITNESS EIFERT) Mr. Lanpher, the process, if  
16 I can explain, the auditor would be auditing a drawing,  
17 indicate which drawing in the first column. He would  
18 select a parameter or parameters from that drawing which  
19 he is going to then verify that a calculation exists to  
20 support that.

21                   When he identifies the calculation, he notes  
22 that column and probably identifies the calculation  
23 number. The "sat" or unsat" is based on whether there  
24 is consistency between the information on the drawing  
25 and in the calculation.

1 Q Has Stone & Webster performed any analysis to  
2 determine why the problem with respect to the pipe  
3 support, with respect to pipe supports that we have been  
4 discussing this morning, was not discovered until  
5 September 1980, until that time frame?

6 (Panel of witnesses conferring.)

7 A (WITNESS EIFERT) I believe your question is,  
8 did we do any analysis with respect to why we hadn't  
9 identified the problem reported on audit observation 120  
10 in earlier audits.

11 Q Just so you understand the question, given the  
12 subsequent examination that we had this morning, it  
13 turns out that about 1800 calculations you eventually  
14 determined have to be looked at again. And I'm  
15 wondering why that wasn't found earlier. It seems like  
16 an awfully large number.

17 A (WITNESS EIFERT) Okay. First let me say that  
18 I didn't go back and do any analysis to determine  
19 specifically why we hadn't identified the problem in  
20 earlier audits. The situation, as I believe Mr. Museler  
21 discussed this morning, in the time frame of 1980, '79,  
22 '80, '81, is the time frame when a very large number of  
23 supports were in the process of being installed. This  
24 was the heaviest time of activity.

25 Therefore, there is basis for me to believe

1 that this was a situation that was not a long-standing  
2 problem in the particular calculations involved. The  
3 problem was identified in 1980 and we have taken full  
4 corrective action in recognition of the very important  
5 nature of the concerns identified.

6 I don't see any basis -- at the time I didn't  
7 see any basis, nor do I see a basis now, to go back and  
8 try to identify why or even if the problem existed and  
9 my auditors hadn't found it. The point is, my auditors  
10 did find it and corrective action is being taken.

11 Q Mr. Eifert, did you just say that it would not  
12 be relevant to -- it would not be important to you to  
13 determine whether your auditors should have found it  
14 earlier? Wouldn't that be relevant to judging the  
15 adequacy of your auditing process?

16 A (WITNESS EIFERT) The auditing process found  
17 the problem, Mr. Lanpher, in 1980. And I know my  
18 auditing process found the problem. But what I am  
19 saying is that, together with an understanding with  
20 respect to relative activity, is sufficient in my  
21 judgment that I'm not going to put a great deal of  
22 effort in going back.

23 My concern is with the effectiveness of the  
24 audit program and what we are doing in that audit and  
25 the next audit, and not in trying to track back to areas

1 where there is no clear indication that there is a  
2 reason to track back to.

3 Q Mr. Eifert, turning back to attachment 27.  
4 While we're looking at these attachments, I did have one  
5 other question on that. Under the page number 702, the  
6 first page of section D, which is entitled "Review and  
7 Approval" -- are you there, sir?

8 A (WITNESS EIFERT) Yes, I am.

9 Q Under the column titled "Independent Review,"  
10 the second item down, it says "Not applicable.  
11 Independent review requirements not applicable to  
12 Shoreham." Can you explain that, please?

13 (Pause.)

14 A (WITNESS EIFERT) Mr. Lanpher, the reference  
15 there -- in understanding that, let me first explain  
16 that our engineering assurance procedures that are in  
17 effect at Shoreham are standard corporate procedures for  
18 engineering design. They apply to all of our nuclear  
19 and many of our non-nuclear projects, for that matter.  
20 Those procedures are updated and changed in some cases  
21 to change our program and maintained as our standard  
22 procedures, but not necessarily in all cases do we apply  
23 or mandate that our standard practice be instituted on  
24 all of the projects.

25 One of the key factors in a decision on

1 whether a new corporate standard practice is adopted is  
2 the status of the project. In I believe 1976 or 1977,  
3 we revised our calculation procedure to adopt changes to  
4 our design review practices for calculations at a time  
5 when we were making other changes to our design  
6 verification programs for many of our engineering and  
7 design documents. These changes were primarily  
8 instituted to implement a new design verification  
9 program that we have described in the Stone & Webster  
10 topical report for quality assurance.

11           The Shoreham program, a decision was made not  
12 to upgrade the Shoreham quality assurance program to the  
13 latest standard Stone & Webster topical QA program and  
14 its later commitments. The indication that we see here  
15 that the independent review is not required is an  
16 indication that we did not make the new design  
17 verification program that we adopted for new plants  
18 applicable to Shoreham.

19           Shoreham's program remained in effect as  
20 committed in the specific project QA program that Stone  
21 & Webster had, and did not adopt this new practice of  
22 independent review.

23

24

25



1 Q Was it your belief that review of calculations  
2 was being performed satisfactorily with respect to the  
3 Shoreham project?

4 (Whereupon, the witnesses conferred.)

5 A (WITNESS EIFERT) Mr. Lanpher, the Shoreham  
6 calculations, as well as all the design, is subjected to  
7 design verification. The change in our program was in  
8 the method. The Shoreham program as well as all  
9 programs at Stone and Webster provide for design  
10 review. If you look at that --

11 Q Mr. Eifert, I was addressing review of  
12 calculations. I understand that is just a part of  
13 design review. I don't want you to misunderstand my  
14 question. You can go ahead and state whatever you want,  
15 but I was asking whether you believe that the review of  
16 calculations with respect to the Shoreham project was  
17 being conducted satisfactorily during the late 1970's.

18 A (WITNESS EIFERT) I believe that the review of  
19 the Shoreham project calculations was being done  
20 satisfactorily in the late 1970's and throughout the  
21 life of the project.

22 Q I cut you off before.

23 A (WITNESS EIFERT) I was going to refer back to  
24 the audit plan in Attachment 27. There is documentation  
25 there with respect to those calculations that the review

1 had been conducted. If you look at the headings of that  
2 table, there is a heading, Preparation Review  
3 Signatures, as well as the additional review that we  
4 discussed. The program was being implemented as it was  
5 required to be implemented on the Shoreham project.

6 Q Mr. Eifert, would you agree that the time  
7 period July, 1980 -- excuse me, July, 1978, through  
8 June, 1979, Stone and Webster determined that they were  
9 having continuing problems with respect to the  
10 preparation, review, and approval of calculations  
11 relating to the Shoreham project?

12 (Whereupon, the witnesses conferred.)

13 MR. LANPHER: Judge Brenner, while the  
14 witnesses are reviewing the document, I would like to  
15 have marked as Suffolk County Exhibit, I think it is 52,  
16 for identification an October 2 letter to Mr. Gerecke  
17 from Mr. Costa of Stone and Webster, October 2, 1979. I  
18 was referring to Page 6, the first paragraph, in my  
19 question.

20 (The document referred to  
21 was marked for  
22 identification as Suffolk  
23 County Exhibit Number  
24 52.)

25 BY MR. LANPHER: (Resuming)

1 Q Do you have any reason to disagree with that  
2 statement?

3 A (WITNESS EIFERT) Mr. Lanpher, I would like to  
4 characterize what this statement represents. Stone and  
5 Webster annually provides a report to LILCO indicating  
6 the status of the quality assurance program, and  
7 includes, as you reference here on Page 6, some analysis  
8 of the results of the implementation of the quality  
9 assurance program with respect to Shoreham.

10 This report is generated based on input in  
11 this case from the engineering assurance division, where  
12 we provide what is referred to as activity analysis with  
13 respect to our audits. We use this report as a way to  
14 provide some insight to LILCO, our client, for this  
15 station with respect to what the program, and in this  
16 case the audit program, has found in that time period.

17 What we see here is the information that was  
18 based on the engineering assurance audits. It is based  
19 on a review of the audits that we conduct in that time  
20 period, and a characterization of the relative  
21 importance of the problems that we had identified in  
22 that time period. What we see here is an example of  
23 calculations, including some required to support the  
24 required design. That referred specifically to an Audit  
25 Number 28, an Audit Observation 080, which were

1 discussed last week in this proceeding. The remainder,  
2 as you recall the situation with Audit Observation 080,  
3 was a situation where calcs in one particular discipline  
4 had been identified on the index, but they had not yet  
5 been checked.

6           The evidence there was clearly that there was  
7 evidence that it was not a situation where something had  
8 gotten through the system and a calc would have been  
9 left unchecked. We are confident that the particular  
10 discipline would have checked those calculations in due  
11 course, but it was the judgment of the auditors that  
12 they should have had them checked by the time of the  
13 audit.

14           The remainder of the findings that we are  
15 discussing here are characterized as lesser problems  
16 which fall into the general category of the important  
17 but administrative aspects of calculation control that  
18 we have been discussing today as well as last week.  
19 This is in terms of the engineering assurance audit  
20 activity for the prior year a characterization of what  
21 we are finding, comparing the audit, the findings of  
22 that year to one another.

23           A       (WITNESS MUSELER) Mr. Lanpher, the audit  
24 observation that resulted in comment on checking Audit  
25 Observation 080 that Mr. Eifert referred to, we have had

1 a chance to do some further research into that, to sort  
2 of close the loop, as you will, on it. The particular  
3 calculations that had not been checked at the time of  
4 the audit, even though we believe they would have been  
5 checked in the normal course of business, were reviewed  
6 and both the calculations themselves as well as the  
7 design based on those calculations was found to be  
8 adequate, so that no changes were required as a result  
9 of the situation, either to the calculations themselves  
10 or to the design that was based on those calculations.

11 Q Gentlemen, I would like to turn to Suffolk  
12 County Exhibit 52, the first paragraph on that page.  
13 Mr. Eifert, this represents a summation of the status of  
14 audit findings with respect to engineering assurance for  
15 the previous year or for the year that is identified.  
16 It is July 1, '78, through June 30, '79, correct?

17 A (WITNESS EIFERT) Yes, that's correct.

18 Q The conclusion was that there were continuing  
19 problems relating to preparation, review, and approval  
20 of calculations, correct?

21 MR. ELLIS: I object to the question. It is  
22 argumentative. The thing states what it says, and the  
23 witness has already explained the significance of it.  
24 Mr. Lanpher is just not satisfied with the explanation.

25 JUDGE BRENNER: I don't think it is at the

1 point of being fully argumentative yet. All cross  
2 examination, or almost all cross examination is somewhat  
3 argumentative, and he is allowed to follow up on the  
4 witness's previous answer, relating it to a particular  
5 incident to get the context of this as an overall review.

6 (Whereupon, the witnesses conferred.)

7 WITNESS EIFERT: I think I have characterized  
8 this report as those areas that we have identified in  
9 the program which we feel are of a nature that tell the  
10 story of what was uncovered by the engineering assurance  
11 audit in that prior year, and are of such a nature that  
12 provide a summary which we feel is useful for our client  
13 to recognize.

14 The reference to the continuing problems in  
15 that statement is specifically in reference to the types  
16 of administrative control problems that as we have  
17 discussed occurred because of Stone and Webster's strict  
18 requirements for the administration and processing of  
19 calculations, and are not in themselves directly  
20 relatable to any technical inadequacies or deficiencies  
21 in any way in design. The term "detrimental to quality  
22 if left uncorrected," to the best of my recollection,  
23 with respect to this particular report was referring  
24 specifically to the situation where we had uncovered a  
25 situation where calculations which had not been checked,

1 the results of those calculations had been used. We  
2 considered that a very important finding, the practice  
3 of which is not considered in accordance with Stone and  
4 Webster's design process of approving calculations prior  
5 to use of the results.

6 That particular finding is not something that  
7 is repetitive throughout the findings that we have  
8 issued on the Shoreham project. The investigation into  
9 it turned out that even if the situation had remained  
10 uncorrected, it would not have been detrimental to  
11 quality based on the information that Mr. Museler and I  
12 have been able to gather in going back and researching  
13 some of these specific items.

14 So, in the context of this report, this is a  
15 comparative assessment of the results of the engineering  
16 assurance audit program for the purpose of advising  
17 LILCO of the activity for that prior year, and are not  
18 in themselves an assessment of or an attempt to identify  
19 or distinguish, if you will, and only advise LILCO of  
20 major problems.

21 MR. LANPHER: Judge Brenner, I am going to  
22 have marked as Suffolk County Exhibit 53 for  
23 identification a document entitled Shoreham Site Audit  
24 Number 11 (Engineering Assurance), and it is on the  
25 first page entitled Interoffice Memorandum. It is

1 entitled Engineering Assurance Audit Report, Shoreham  
2 FEO Audit Number 11. It is dated May 5, 1981. And I am  
3 going to direct the witnesses' attention to Audit  
4 Observation Number 129.

5 (The document referred to  
6 was marked for  
7 identification as Suffolk  
8 County Exhibit Number  
9 53.)

10 JUDGE BRENNER: Okay, it is marked as 53.

11 WITNESS EIFERT: Mr. Lanpher, I would like a  
12 few moments to review this. I know you did advise us  
13 last night that you would be using this one, but I  
14 didn't really get a chance to look at it.

15 MR. LANPHER: Of course.

16 (Pause.)

17 BY MR. LANPHER: (Resuming)

18 Q Gentlemen, my first question is, referring  
19 back to Audit Observation 120, that concerned Shoreham  
20 project pipe support design calculations. Audit  
21 Observation 129 attached to Suffolk County Exhibit 53  
22 concerns Shoreham site engineering office pipe support  
23 calculations. I would appreciate it if you could  
24 briefly explain where the various pipe support  
25 calculations were being performed for the Shoreham



1 project and the interrelationship of where the site  
2 engineering office fits into this whole thing.

3           A       (WITNESS EIFERT) The pipe support  
4 calculations were being prepared both in this case in  
5 Boston as audited during the audit which resulted in  
6 Audit Observation 120 and being prepared at the site  
7 engineering office as audited and reported in Audit  
8 Observation 129. The Stone and Webster engineering  
9 assurance program provides for us to audit project  
10 activities performed in project headquarters normally  
11 separate from the activities being conducted at the site  
12 engineering office. The program is the same. The  
13 procedures that apply to the work are the same, but  
14 because of the different offices, physically separated,  
15 we schedule and conduct all audits separately.

16           Q       Well, Audit Finding 120, which we spent so  
17 much time on this morning, does that relate only to  
18 calculations being performed in Boston?

19                       (Whereupon, the witnesses conferred.)

20           A       (WITNESS MUSELER) The audit 120 covered only  
21 activities that were going on in Boston. The audit  
22 observation and the subsequent corrective action that  
23 was taken covered the pipe support design program, which  
24 is the same no matter what office it is, so the audit  
25 observation in 120 only applied to what they had looked

1 at in Boston, because that is the only place that audit  
2 was conducted. However, the observation was applicable  
3 to the entire program, including the FEO.

4 The site extension office is really no  
5 different than if it were on a different floor of the  
6 same building in Boston. It is the same engineering  
7 organization performing work under the same procedures.  
8 So the results of that audit, Audit Observation 120, are  
9 applicable to the site, and that was known at the time.  
10 The site activities were subjected to the same  
11 evaluation as the Boston activities.

12 Q Gentlemen, in Observation 129, Paragraph 1,  
13 there is reference to the STRUDL II program, II. Is  
14 that the same program as referenced in Observation 120?  
15 Is it a different version of it, or what?

16 (Whereupon, the witnesses conferred.)

17 A (WITNESS EIFERT) The STRUDL program is the  
18 same basic program. STRUDL II is a specific version of  
19 that program. Stone and Webster also has a version,  
20 referred to as STRUDL SW. The Audit Observation 120  
21 doesn't make a distinction. It would have been the  
22 version in use at that time. Analytically, they are the  
23 same, at least very similar, similar programs as far as  
24 finite element methodology.

25 Q What is meant in this observation that the

1 STRUDL II program is an unqualified computer program?

2 A (WITNESS EIFERT) The STRUDL program, STRUDL  
3 SW, was a next generation or version of that computer  
4 program, and when STRUDL SW was developed and documented  
5 and qualified, it met the latest Stone and Webster  
6 requirements for documentation and qualification.  
7 Documentation that goes beyond the technical aspect of  
8 ensuring that we have technically qualified and tested  
9 the program with respect to results. It also includes  
10 preparation of user documentation, for example, in  
11 programmers' documentation.

12 When STRUDL SW was prepared and fully  
13 qualified, the decision was made to go back and  
14 benchmark prior versions of STRUDL II to the newly  
15 developed STRUDL SW for comparison reasons. Until that  
16 was done, the Stone and Webster reporting mechanism on  
17 status of computer programs, which is a report issued by  
18 our computer department, was classifying STRUDL II as  
19 unqualified program. STRUDL II has been in use for a  
20 number of years at Stone and Webster and we have had  
21 test documentation which describes how that particular  
22 program was tested, but administratively, with the  
23 upgrading of our entire qualification and documentation  
24 program, a decision was made to classify STRUDL II as  
25 unqualified until it was benchmarked against the newly

1 developed and documented STRUDL SW.

2 Q And the personnel on the site -- it's called  
3 site extension office, is that right, or site  
4 engineering office?

5 A (WITNESS EIFERT) Site engineering office.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Q The personnel on the site is called site  
2 extension office, is that right, or site engineering  
3 office?

4 A (WITNESS EIFERT) Site engineering office.

5 Q The personnel in the site engineering office  
6 were incorrectly failing to mark the calculations  
7 resulting from STRUDL II as confirmation required,  
8 correct?

9 A (WITNESS EIFERT) As I indicated earlier, I  
10 didn't get a chance to go back and talk to anybody  
11 specifically on this audit observation. But the  
12 situation with STRUDL II was that because of the  
13 management decision with respect to the documentation  
14 and comparison to STRUDL SW, there was confusion by the  
15 people using it, who always considered STRUDL II a  
16 qualified program, which it had been.

17 They were using it without the understanding  
18 that management was now, in the process of tracking all  
19 its computer programs, considering this one unqualified  
20 until the documentation comparison caught up. So this  
21 was a situation, I think, which reflected the confusion  
22 by the users of that specific status. I know we have  
23 had this situation elsewhere and I am sure that was the  
24 same situation here.

25 The result has been that the comparisons

1 between STRUDL SW and STRUDL II have been made and  
2 STRUDL II is now considered a qualified program in Stone  
3 & Webster's overall system for tracking its computer  
4 programs. So there was no effect on the design, of any  
5 of our designs, using STRUDL II as the program.

6 Q Mr. Eifert, audit observation 120, which is  
7 part of engineering assurance project audit 34, that  
8 audit was issued November 17, 1980. Would the site  
9 engineering office personnel have been made aware of the  
10 results of that audit?

11 (Panel of witnesses conferring.)

12 A (WITNESS MUSELER) Mr. Lanpher, we will just  
13 take another minute to see if we can confirm our  
14 answer. We are looking at the distribution list very  
15 quickly. If we can't do it in a very short period of  
16 time --

17 Q Let me ask you a more general question and  
18 maybe we can speed this up. In the normal course of  
19 procedures at Stone & Webster, would the site  
20 engineering office personnel have been made aware of the  
21 findings of the auditor in audit observation 120  
22 relating to pipe support design calculations?

23 (Panel of witnesses conferring.)

24 A (WITNESS MUSELER) The answer to that question  
25 is yes.

1 Q Mr. Eifert, in audit observation 129, attached  
2 to Suffolk County Exhibit 53 for identification, the  
3 auditor reaches the conclusion that there is evidence  
4 that calculations are not being controlled in a  
5 satisfactory manner. These are pipe support  
6 calculations that they are referring to, correct?

7 (Panel of witnesses conferring.)

8 A (WITNESS EIFERT) Yes, this was an audit of  
9 pipe support calculations.

10 Q And the auditor did state that there is  
11 evidence that the calculations are not controlled in a  
12 satisfactory manner, correct, looking at the second  
13 paragraph on page 1, sir?

14 A (WITNESS EIFERT) That's correct.

15 Q And looking at paragraphs 1 and 3 of audit  
16 observation 129, the auditor identifies -- excuse me, 1,  
17 3 and 4. Let me start over.

18 Looking at paragraphs 1, 4 and 5 of audit  
19 observation 129, the auditor identifies problems that we  
20 have been calling the traceability problem, really.  
21 They have not identified calculations which are used in  
22 the program or there is not positive traceability, isn't  
23 that correct?

24 (Panel of witnesses conferring.)

25 A (WITNESS BALDWIN) Your question was 1, 4 and

1 5, Mr. Lanpher?

2 Q Yes.

3 A (WITNESS EIFERT) What I'd like to do, Mr.  
4 Lanpher, is discuss 1, 4 and 5 to characterize them as  
5 to what they actually are. Item 1 deals with the STRUDL  
6 II, the use of STRUDL II as a computer program, and we  
7 have discussed that as to what it is and what the  
8 background of that is.

9 Q Mr. Eifert, I am focusing on the first  
10 sentence, where it states, "The version and level of  
11 STRUDL II is not identified in the following  
12 calculations which used this program." It goes on to  
13 identify calculations.

14 Isn't that an example of the traceability  
15 problem that we have discussed earlier?

16 A (WITNESS EIFERT) That is an example where the  
17 engineering assurance procedures now require strict  
18 identification of the specific version and level of  
19 computer programs used in analysis. Prior to that  
20 strict requirement, the computer run number, which is a  
21 number which is identified, printed, I believe, on the  
22 computer output, was the basis for the traceability to  
23 the computer program that was indeed available for use  
24 and on the computer on that day.

25 We had a change in our program, I believe in



1 1977, to require that in addition to the run number  
2 information, that the specific version and level of the  
3 program be identified in the calculation.

4 Q So this requirement, which you have  
5 characterized as the strict newer program, had been in  
6 effect for approximately four years?

7 A (WITNESS EIFERT) I believe that is the case.  
8 In addition, since 1977 we have systematically gone  
9 through all of our computer programs used for  
10 engineering analysis to provide an automatic mechanism  
11 within the computer program to print out as part of the  
12 information on the computer printout the specific  
13 version and level of the program, as well as the linkage  
14 editor information, which I indicated last week gives us  
15 automatic traceability.

16 STRUDL II was, to the best of my recollection,  
17 one of the last programs to be modified to provide for  
18 the automatic traceability, to give us the detailed  
19 printout on the documentation for the ready traceability  
20 that we are looking for in all of our calculation  
21 documentation. I think that background keeps this  
22 particular item in perspective.

23 I also believe that they didn't modify STRUDL  
24 II to provide that automatic basis because they were in  
25 the process of developing STRUDL SW, which was going

1 into use.

2 Q Would you turn to item 4 on page 2. Is this  
3 an example? The first sentence says, "Specific  
4 references for information used in the pipe support  
5 design were not identified in the pipe support  
6 calculations. It goes on to give five examples.

7 Is this an example of failure to meet the  
8 traceability requirements of your procedures?

9 (Pause.)

10 A (WITNESS EIFERT) Mr. Lanpher, this item 4 of  
11 audit observation 129 contains examples where the  
12 calculation documentation do not provide the ready  
13 traceability that we require by our rather strict  
14 engineering assurance procedures. Item A discusses the  
15 problems with the formulas on design welds. I believe  
16 these are the same formulas that we have discussed  
17 earlier in audit observations with respect to the  
18 information to be found in the text, which has been  
19 referred to in calculations by author without the full  
20 definition of the text and its edition.

21 Item B, with respect to the sources of all the  
22 loads for standard pipe clamps, those standard pipe  
23 clamps are a manufactured item which is a supplied item  
24 to the plant, and that information is available in the  
25 vendor documentation with respect to those clamps. The

1 traceability is there. The engineers and designers who  
2 work on pipe supports know that they have to go to that  
3 documentation to get that. So a specific reference to  
4 the catalogue number is an example of providing the  
5 ready traceability and not any indication of lack of  
6 traceability.

7           The force of the dual loads, I believe -- and  
8 I am not specifically clear on that, but I believe that  
9 that is the standard source of loads for all pipe  
10 supports, and that is our stress summary, as is the  
11 situation with item E, the source of time history  
12 loads. The loads as input to the pipe supports are from  
13 the pipe stress summaries and we don't need specific  
14 reference to them in the calculation to have  
15 traceability, But we do want and look for specific  
16 reference to provide the ready traceability.

17           The source of the design criteria for load  
18 combinations not being identified, again I'm not  
19 positive on this particular situation, but I know that  
20 those loads are contained in the FSAR and in the design  
21 assessment report, and I suspect that the traceability  
22 is directly out of there for those loads. That has been  
23 the case in other observations relating to load  
24 combinations for the Shoreham project.

25           Q     You don't have any reason to disagree with the

1 finding, the basic finding in number 4, that specific  
2 reference to those sources of information was not  
3 provided in the calculations?

4 (Panel of witnesses conferring.)

5 A (WITNESS EIFERT) As with all audit  
6 observations, Mr. Lanpher, I've got no reason to doubt  
7 that the auditor wrote those words. To understand any  
8 of the audit observations, we have to look at the  
9 specific situation involving the observation and what  
10 its meaning is in the context of the specific  
11 calculations, in this case, that were audited.

12 My belief here is that it is a situation where  
13 we did not have the detailed specific references that we  
14 require, but there is traceability.

15 Q Item 5 on that same page, Mr. Eifert, is that  
16 another example of where the traceability requirements  
17 of your procedures were not satisfied?

18 (Panel of witnesses conferring.)

19 A (WITNESS EIFERT) Mr. Lanpher, our program  
20 requires traceability and I believe we have  
21 traceability, as clearly identified here. This does  
22 indicate that we didn't provide the details in the  
23 calculation to provide the ready traceability that our  
24 program demands.

25 Q Mr. Eifert, looking at item 7 at the bottom of

1 that page, the first sentence states that there appears  
2 to be a lack of coordination in the area of support  
3 calculation revisions in the offices that are assigned  
4 responsibility for the design of a support revision.

5 Are you familiar with this observation?

6 (Panel of witnesses conferring.)

7 A (WITNESS EIFERT) Mr. Lanpher, I am not  
8 familiar with the specific details of this aspect of the  
9 audit observation. As I indicated earlier, you advised  
10 us late yesterday that we would be using this, and I  
11 didn't have time. I was down here yesterday and didn't  
12 have time to contact anyone specifically.

13 What this is indicating is that, in addition  
14 to selecting a sample of calculations to audit, the  
15 auditors also look at the process of who is doing the  
16 work, how it's being controlled from a management  
17 viewpoint, from an exchange of information viewpoint, as  
18 this addresses work that is being done in Boston as well  
19 as the site engineering office and our Toronto office.

20 The audit reflects observations made by the  
21 auditor with respect to how those activities were being  
22 coordinated and identified from current concerns which  
23 in the auditor's judgment reflect the need for some  
24 improvement in that coordination.

25 MR. LANPHER: Judge Brenner, I'm going to go

1 on to something else, if the Board wants to pursue  
2 something.

3 JUDGE BRENNER: We're going to take a break  
4 first of 15 minutes, and then we'll come back and  
5 proceed. So we'll be back at 3:25.

6 (Whereupon, at 3:10 p.m., the hearing was  
7 recessed, to reconvene at 3:25 p.m. the same day.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25







STONE & WEBSTER QUALITY ASSURANCE PROGRAM  
STATUS REPORT NO. 6  
SHOREHAM NUCLEAR POWER STATION - UNIT 1

The following report covers quality assurance activities for the Shoreham Nuclear Power Station - Unit 1 Project for the period July 1, 1978 through June 30, 1979 as delineated in the Final Safety Analysis Report and the Project Quality Assurance Program Manual.

A. MAJOR ACTIVITIES

1. Engineering Assurance Division (EA)

- a. The Project received from the Services Section, 29 problem reports, all of which required action responses. One Problem Report had not been satisfactorily responded to at the end of the reporting period.

In addition:

- 97 "CR Memos" were issued to inform S&W personnel of power industry construction and operating problems.
  - 112 "50,000 - series CR Memos" were issued relating information on problems encountered by S&W personnel on other projects. The "50,000 - series CR Memos" now also include the distribution of NRC IE Bulletins, Notices, and Circulars.
- b. The Services Section, Education Group presented 7 instruction lectures on 4 EAP's to project personnel; instruction on preparation of calculations was given three times. Instruction on calculation preparation, the E&DCR system, and the N&D system was conducted at the site with SEO and LILCO personnel in attendance.
- c. The Services Section, Engineering Services Group performed the following activities:
- Reviewed 4 Engineering Services Scopes of Work
  - Reviewed 4 Engineering Services Purchase Requisitions.

- Conducted 2 Surveys, reviewed 4 Quality Assurance Programs, performed 2 corrective action audits of Engineering Services Suppliers, and performed 2 corrective action reviews of responses to EA engineering and design audit findings on hardware vendors.
- d. The Auditing Section performed 4 project audits at headquarters and 2 at the Site Engineering Office. A special review of the large bore isometric program at the site was also conducted.

At the beginning of the reporting period, Engineering Management policy was issued requiring that corrective action for all audit observations be completed within 60 days of the audit report issue date or an extension be specifically requested. At the end of the period, two observations were open with approved extensions. These were pipe stress design calculations and structural mechanics calculations.

- e. Continuous project support was furnished by an Engineering Assurance Engineer, who was assigned to the project at the beginning of the reporting period. In addition to coordinating Engineering Assurance activities on the project, he assisted in audits, conducted unofficial reviews in problem areas and assisted in instructing project personnel on Engineering Assurance and project procedures. Divisional support was also given in clarification of procedures, program manual review, including ASME III sections, and preparation of budgets and estimates.

## 2. Quality Systems Division

- a. Specifications reviewed by the Systems Support Section included 37 new/revised specifications and 23 addenda for a total of 60.
- b. Systems Services continuing education activity consisted of 9 sponsored presentations with a total of 258 attendees.

- c. Quality Assurance procedures issued by the Systems Development Section totaled 27, including new issues, revisions, changes and cancellations.
- d. Reports Group activity consisted of the monthly production of N&D Status Reports for both field and shop. Also, the inspection reporting system for PQA activities continues.

3. Procurement Quality Assurance Division

- a. PQA activities included specification reviews with vendors, surveys of vendors and review of vendor shop quality assurance manuals.
- b. During the reporting period the following were issued: 382 inspection reports, 7 new purchase orders and 15 nonconformance and disposition reports of which 4 remain open. Also performed were 10 vendor surveys and 5 manual reviews. ✓

4. Field Quality Control Division (FQC)

- a. General site activity included 4895 receipt inspections and issue of 1440 new hold tags. The total number of hold tags cleared for this period was 1339, leaving 333 outstanding.
  - A total of 9302 electrical inspections were performed on cable pulls, raceways, terminations and equipment installations.
  - Sixteen hundred and ninety (1690) mechanical inspections were conducted including alignments, hydrostatic tests and equipment installations.
  - Structural erection of approximately (118) tons of steel was checked, and approximately 1600 linear feet of welding for tanks and vessels was inspected.
  - Forty-one hundred and twenty-seven (4127) cubic yards of concrete were placed with 98 cubic yards rejected or 2.4%.

- One hundred and eleven (111) surveillance inspections were performed and 115 surveillance inspection nonconformities issued; of which 16 remain open.
  - Out of 125 soil density tests performed, 8 were rejected or 6.4%.
  - During the reporting period, 539 non-conformance and disposition reports were issued, 421 N&D's were dispositioned and 398 N&D's were closed. As of August 24, 1979, 398 N&D's remain open.
- b. An annual audit by Stone & Webster's Quality Assurance Cost and Auditing Division (QACA) was performed to monitor compliance with the Company ASME III Program Manual; compliance was determined to be generally satisfactory. In addition, there were seventeen (17) audits performed by the NRC, 171 audits by Client personnel and 4 site audits by the QACA Division.

5. Nondestructive Test Division (NDT)

- a. The NDT Division continued to provide technical assistance through surveillance visits to the construction site to monitor, evaluate and review nondestructive testing activities to insure conformance to approved procedures. During the subject reporting period, a total of five surveillance visits were made to the construction site.
- b. NDT Division support activities included:
- Review of 40 vendor NDT procedures.
  - Performed a total of 12 calibrations of NDT equipment used by S&W personnel at the site.
  - Assisted PQA by participating in 5 radiographic film reviews at vendor's facilities.

- The Certification Section of the NDT Division continued to provide support for the Project through NDT training courses held in Boston and at the Project site.
- Technical assistance was provided to the Project through the assignment of Boston NDT personnel to control the QA activities of a private vendor at the vendor's office. (Six month assignment).
- Technical assistance was provided to the construction site through the assignment of Boston NDT personnel for the performance of Radiographic, Magnetic Particle, and Liquid Penetrant examinations.

6. Quality Assurance Cost and Auditing Division (QACA)

- a. The QA Cost and Auditing Division conducted Management Audits on the following Quality Assurance Department Divisions as part of the Quality Assurance Department Audit Program: Quality Systems Division, Field Quality Control Division, Nondestructive Test Division, Procurement Quality Assurance Division and the Engineering Department, Engineering Assurance Division.
- b. In addition to Management Audits, one audit was performed on the S&W Quality Assurance Program of the project, four audits of the Shoreham site which concerned Lilco approved QA Category I activities, and one audit of the Courter and Company, Inc. Quality Assurance Program. All of the findings were classified in accordance with the criteria of Appendix B 10CFR50, and then tabulated by the number of occurrences. Those criteria with the greatest number of occurrences were further reviewed to determine the causes of the infractions and to establish a basis for corrective and preventive actions.

## B. ACTIVITIES ANALYSIS

### 1. Engineering Assurance Division

- a. An analysis of audit findings revealed only one condition which would be detrimental to quality if left uncorrected. This condition concerns continuing problems with preparation, review and approval of calculations. Examples of these problems are: calculations not checked (including some required to support the current design); lesser problems with correct indexing, identification of superceded calculations, use of distribution sheets, identification of computer programs used and calculation page marking.
- b. In addition to corrective action, preventive action was initiated consisting of classroom instruction on the preparation of calculations. Recent calculations were reviewed for procedural conformance. Frequency of audit of Site Engineering Office prepared calculations was increased. Evidence indicates there has been a marked improvement in these areas.

### 2. Quality Systems Division

The ASME III Program interfaces between S&W and Courter & Company, Inc. were finalized and included in their respective QA Manuals. QSD worked closely with FQC, Project Engineering, LILCO's and Courter's Quality Assurance staff to identify, establish and finalize interfaces. This will ensure the code compliance of site work while minimizing overlapping activities.

### 3. Procurement Quality Assurance Division

A significant concern relating to the legibility of vendor documentation arriving at the construction site was identified. Procurement Quality Assurance has been actively working with LILCO personnel in reviewing the illegible documentation and obtaining clearer copies of the documentation from the vendors and/or their suppliers.

4. Field Quality Control Division

Courter & Company identified a significant deficiency with Code Class 1 attachments involving lack of penetration of weld at its root. This problem was reported on Courter Nonconformance Report No. 880 which remains open.

5. Nondestructive Test Division

The NDT Division continued to provide technical assistance to the Project, Engineering and PQA through participation at meetings held at Boston, Montreal, and the construction site to resolve problems concerning radiography of valve castings supplied to Velan by Manoir-Pompey. As part of the problem solution, Boston NDT personnel again supervised the radiography and witnessed the repair of questionable castings.

Code radiography of castings still continues to be a generic industry problem for all Projects. All clients are continually being appraised of any new developments, including corrective actions that are recommended by Stone & Webster.

6. Quality Assurance Cost and Auditing Division

- a. The Quality Assurance Cost and Auditing Division utilizes a system for the tabulation of attributive checks made during an audit to determine a quality performance indicator (QPI) as a general means of evaluating the quality assurance program. The QPI is the ratio of the number of satisfactory attributive checks to the total number of attributive checks times 100 resulting in an overall percentage of satisfactory attribute checks. The 1978-1979 QPI of 95.5 percent reflects a minor decrease from the previous year's QPI of 96.2. However, the current QPI is consistent with the QPI for other nuclear projects.
- b. A review of the findings of audits conducted by the Quality Assurance Cost and Auditing Division during the period, indicated that the majority of observations were related to the categories of:

b. Continued

Control of Special Processes; Handling, Storage and Shipping; Nonconforming Materials, Parts, or Components; and Control of Instructions, Procedures, and Drawings. Each finding contained recommendations for corrective/preventive action. The QA Cost and Auditing Division followed up each observation until such time as the item/activity was found to be satisfactory.

7. NRC Audits

The NRC conducted 17 audits during the reporting period. In six of these audits the NRC reported no items of noncompliance. However, the reports outlined unresolved items, items examined with no discrepancies and previously identified unresolved items. Corrective action was implemented for all violations.

8. ASME Audits

An ASME survey was conducted in October, 1978 and NA and NPT Certificates of Authorization were issued to Courter and Company, Inc. and an ASME N Certificate of Authorization to S&W for the Shoreham site.

9. Summary

The quality assurance program has continued to be effective in maintaining quality work as defined in the Final Safety Analysis Report and the Project Quality Assurance Program Manual. The audit findings and quality trends identified in this report have been brought to the attention of S&W management for appropriate action and problem areas continue to be monitored for compliance with the QA Program.



PREVENTIVE ACTION PROGRAM SUMMARY

JULY 1, 1978 THROUGH JUNE 30, 1979

P.A.F. NO.	DESCRIPTION	DISPOSITION	RECOMMENDED ACTION	IMPLEMENTATION STATUS
0001	N/A	Returned to originator - QA Category II	N/A	Closed
0002	N/A	Returned to originator - QA Category II	N/A	Closed
0003	Deficient Installation of Anchor Bolts	"As-Built" version of hanger identified on N&D 1310 was recalculated and found acceptable.	100% of all Category I Anchor Bolts be inspected for size, length and embedment	Sent to LILCO for Concurrence on 3/28/79
0004	Radiographs of Velan Valve Casting do not meet acceptance standards of ASME III	Unacceptable areas of valve have been ground and/or reradiographed and previously unacceptable areas are now acceptable.	Follow the requirement for radiographic examination of castings already established for Jamesport (refer to Attachment 1 to PAF Transmittal 0004.)	Pending transmittal to LILCO for concurrence
0005	N/A	Returned to Originator - QA Category II	N/A	Closed
0006	N/A	Returned to Originator - QA Category II	N/A	Closed
0007	N/A	Returned to Originator - Determined to be an isolated noncompliance.	N/A	Closed

P.A.F. NO.	DESCRIPTION	DISPOSITION	RECOMMENDED ACTION	IMPLEMENTATION STATUS
0008	Incorrect use of welding symbols on control drawings and incorrect use of weld technique sheets.	Unico to be advised of welding with the appropriate weld technique. The welds are acceptable as-is since the techniques and joint configurations are recognized as pre-qualified to AWS D1.1.	Provide an extensive training program to FQC and Construction personnel, and apprise all contractors of problem, emphasizing importance of the use of proper techniques and qualified welders.	Pending transmittal to LILCO for concurrence.
0009	Insufficient fillet weld sizes on the inside and/or outside of slip-on flanges	Welds of the type identified by N&D 1873 will be examined to determine if code (ASME III) and specification requirements are fulfilled. Those welds not meeting these requirements will be reworked.	Inform PQA and vendor of the problem to insure personnel are aware of the code requirement and to require fillet sizes be indicated on all future shop sketches.	Sent to LILCO for concurrence on 3/1/79.
0010	Deficient welds on the "Reactor Polar Crane" assembly	N&D 1925 awaiting disposition.	Inform and discuss problem with vendor and S&W PQA personnel. An instruction QAD for weld inspection is presently in the review cycle.	Pending transmittal to LILCO for concurrence.
0011	Deficient Pipe Support Designs	Bergen-Paterson and SEO have revised their drawings to show rework required. N&D 1364 remains open, as additional supports are reviewed and found deficient, N&D 1364 will be dated.	Awaiting response from responsible engineer.	Open

I.F.F. IO.	DESCRIPTION	DISPOSITION	RECOMMENDED ACTION	IMPLEMENTATION STATUS
0012	N/A	Returned to Originator - Determined to be isolated noncompliances.	N/A	Closed

insert 2

SC EX 53

# PROPRIETARY

"This audit was conducted on behalf of and under contractual agreement with LILCO the client. The information contained herein may not be divulged to any outside parties without the mutual agreement and consent of Stone & Webster and the client.

It should also be noted that the information contained herein is incomplete and preliminary pending detailed reviews and responses."

Document Subject: SACRAMENTO SITE AUDIT # 11 (EA)

---

---

---

Specific Handling Instructions: \_\_\_\_\_

---

---

---

# PROPRIETARY

INTEROFFICE MEMORANDUM

▲ 040.28

SUBJECT ENGINEERING ASSURANCE AUDIT REPORT  
SHOREHAM SEO AUDIT NO. 11

TO EJBrabazon  
JCarney (SEO)

81/337  
J.O. OR 11600.50  
W.O. NO.  
DATE May 5, 1981  
FROM DCShelton  
CC Dist. Attached  
CMoland:dad

PURPOSE

This audit was performed to evaluate the adequacy of, and compliance with, procedures applicable to management systems utilized to control various SEO activities and to compile an assessment of each audited subject for cognizant Project and Engineering Management review. The audit was conducted in accordance with EAP 18.1. The activities audited are identified on Attachment 1.


AUDIT RESULTS

The audit results indicate an overall satisfactory level of performance for work currently being performed by the SEO. However, there is evidence to suggest that the administrative controls for Pipe Support Calculations are inadequate and fail to fully implement all applicable procedures and guidelines. The controls to ensure changes to Interim Issue Drawings are properly incorporated are unsatisfactory. In addition, QA Records are not adequately protected against unauthorized access as described by Project Procedures.


The audit of SEO Originated Drawings was not conducted due to the lack of auditable material.

Details of the conditions are described on the attached Engineering Assurance Audit Observations (AOs) 11600-127, 128, and 129. The reply forms associated with these AOs have been previously provided. The forms should be completed and returned to EA by May 13, 1981.

A post audit conference was held April 8, 1981 at the SEO. Attendees are listed in Attachment 1.



C.M. Oland  
Audit Team Leader



D.C. Shelton  
Chief Engineer  
Engineering Assurance

Attachments

SHOREHAM SEO AUDIT NO. 11

SUMMARY OF ACTIVITIES AUDITED

<u>Activity</u>	<u>AO No</u>	<u>Projects</u>	<u>Participants</u> <u>EA</u>
✓ Collection and Retention of QA Records	11600-127	DGeoffrey	CMoland
✓ Interim Issue Drawings	11600-128	PCastrichini	RDGriffiths
✓ Large and Small Bore Pipe Support Calculations	11600-129	JCarney/ PCastrichini	EHunter/ DLopaus
✓ SEO Activities	---	JCarney/ RJJaquinto	CMoland

POST AUDIT CONFERENCE APRIL 8, 1981

ATTENDEES

JCarney	EFHunter
PGCastrichini	DPLOPAUS
RDGriffiths	CMoland
	RJJaquinto

STONE & WEBSTER ENGINEERING CORPORATION  
ENGINEERING ASSURANCE AUDIT OBSERVATION

AD No. 11600-127

Page 1 of 1

Organization Audited Shoreham SEO Audit Date 4/6-8/81  
Activity Audited Collection & Retention of QA Records Auditor CMoland  
Persons Representing Audited Organization DGeoffrey References PGI Addendum No. 69  
Required Reply Date May 13, 1981 Action Assigned JCarney

Description:

QA Records at the SEO are not adequately protected against unauthorized access.

DETAILS

Second record copies of Pipe Stress/Support Calculations, maintained on microfilm cassettes at the SEO, are not stored in locked cabinets as specified by Project General Instructions, para. 3.4.4.

STONE & WEBSTER ENGINEERING CORPORATION  
ENGINEERING ASSURANCE AUDIT OBSERVATION

AO No. 11600-128

Page 1 of 1

Organization Audited Shoreham SEO Audit Date 4/6-8/81  
Activity Audited Interim Issue Drawings Auditor RDGriffiths  
Persons Representing Audited Organization PCastrichini References SNPS PI 19  
DP-P-11.1-1, EDTP 6.2  
Required Reply Date May 13, 1981 Action Assigned JCarney

Description:

Interim Issue Drawings prepared since January 1980 were reviewed for compliance with above listed references. It appears that the SEO does not adequately review interim issue drawings to ensure revisions are properly incorporated. All drawings utilize a non-standard method of recording drawing change references.

Details

1. Project Procedure 19, para 2.5.c specifies changes to interim issue drawings be circled and identified with the current issue number followed by the next sequential alpha designation (e.g., 3B).  
  
A review of four Interim Issue Drawings revealed revisions are not always circled or do not otherwise identify the revised area.
2. E&DCR, N&D and MSK changes incorporated on the drawings were not always entered in the drawing change block (EDTP 6.2.) A separate block entitled "Interim Issue" does contain these references. However, the "Interim Issue" block information is not carried forward on subsequent interim issues. Therefore, the incorporation status is not maintained on the drawing. In addition there is no procedure describing the purpose or use of the "Interim Issue Block".
3. E&DCR's and N&D's are being referenced on Interim Issue drawings as having been incorporated when in fact the E&DCR's or N&D's did not change the drawing.
4. The revision number/letter of Interim Issue Drawing 11600.02 - BZ-44B-8 is incorrectly identified in the Description of Change Block. The latest issue of the drawing (as indicated in the Description Block) is 1 while the interim issue is numbered "2a" on sheet #1 and "2" on sheet #2 (SNPS PI 19 par 2.5 b).



STONE & WEBSTER ENGINEERING CORPORATION  
ENGINEERING ASSURANCE AUDIT OBSERVATION

AO No. 11600 - 129

Page 1 of 2

Organization Audited SHOREHAM SEO Audit Date April 6-April 8, 1981  
Activity Audited SEO Pipe Support Calculations Auditor EFHunter  
Persons Representing Audited Organization JCarney/PCastrichini References EAP 5.3, Project Procedure 3/, PGI-4.5  
Required Reply Date May 13, 1981 Action Assigned JCarney

Description:

Calculation title pages do not always include complete revision, cancellation, or distribution information. Some assumptions requiring confirmation at a later date, sources of input data, and computer programs used are not adequately identified.

In addition, there is evidence that calculations are not controlled in a satisfactory manner.

Details:

1. The Version and Level of STRUDL II was not identified in the following calculations which used this program (EAP 5.3, Attachment 1.4.): 1B21-PSA 531-3 and 1M41-PSS 105-2. In addition, since STRUDL II is an unqualified computer program these calculations must be marked "Confirmation Required" until the documentation for this program is complete.
2. The information shown on the title page of SEO Pipe Support Calculations is not always complete. Examples include:
  - A. The "Rev. No. or New Calc. No." block was not completed for Revision 2 of Calculation No. 1M41-PSS 105-2. In addition, the "Supersedes Calc. No. or Rev. No." Block for Revision 1 was not completed to indicate the superseded calculation number.
  - B. Calculation Number 1M41-PSA010-1 does not indicate the number of the superseded calculation, the "Supersedes Calc. No. or Rev. No". Block should be completed to indicate this fact.
  - C. The "Copy Sent" Block for the following calculations were not checked (✓) to indicate that they were transmitted to Boston for distribution: 1B21-PSA 531-3, 1E21-PSSP-0807, 1N11-PSSH-0166.
3. Assumptions made in Calculation number 1M41-PSA-010-1 are not specifically identified as requiring confirmation. The title page identifies the Calculation as requiring confirmation, however, it is not identifiable what information must be confirmed, as required by EAP 5.3, Attachment 1.4.

Description (Continued):

4. Specific references for information used in the Pipe Support Design were not identified in the Pipe Support Calculations, examples of typical items are noted below:
  - A. Sources of various formulae used were not identified (Examples: 1E11-PSSP 811-1, 1M141-PSS 105-2, 1M41-PSA 010-1, 1B21-PSA 531-3). Subject areas include the design of welds, base plate design, etc.
  - B. Sources of Allowable Loads for standard pipe clamps were not identified in Calculation No. 1M41-PSA 010-1.
  - C. Sources of Dual Loads were not identified in Calculation Numbers 1M41-PSA 010-1, 1M41PSS 105-2
  - D. Source of Design Criteria for load combination was not identified. (Examples: See 4.A. above)
  - E. Source of time history loads used in Calculations Numbers 1E11-PSSP 811-1 was not referenced.
5. Programs used in the Design of Pipe Supports were not specifically identified by S&W Computer Department Library Reference Number, and Version and Level in the Pipe Support Calculations as required by EAP 5.3, Attachment 1.4 (Examples - Calc. Numbers 1M41-PSA 010-1 and 1B21-PSA 531-3). Loads taken from the NUPIPE Stress Run were only referenced in the Calculations by Run Number and Date. Traceability to the Program Version and Level used is therefore not provided in the Calculations.
6. A Computer Log containing a listing of those runs used in the final calculation prepared according to the EMD Calculation Instruction Manual invoked by EMAG-41, was not included in the Pipe Support Calculation Package.
7. There appears to be a lack of coordination in the area of Support Calculation revisions and the office(s) that are assigned the responsibility of the design of a support revision. For example, Support Calculation Number 1B21-PSA 531-1 was sent to the Toronto office to be included in their responsibility. The Boston office controlled file shows this issue as their latest issue of the Calculation. The Toronto Office has processed issue 2 of the calculation and transmitted this issue to the PEO who, in turn, processed issue 3. In addition, there is no evidence to indicate that issue 2 and issue 3 were transmitted to Boston for their records.

DISTRIBUTION

RSCosta	4
EBFleming	5
JGCallagher	9
AEHechemy	4
GRHeine	4
PJHolden	4
DTKing	9
LSMaciejewski	6
CBMiczek	10
SMorss	4
JCRyan	10
WRSheridan	4
ALVanSickel	8
SJYerard	4
PAWild	10
EA Audit File/ DMLark	2 (5 copies)

1           MR. LANPHER: Judge Brenner, I would just like  
2 to wait until some convenient time along the way for  
3 moving things into evidence.

4           JUDGE BRENNER: Fine, and consistent with  
5 that, we are going to finalize what will be the  
6 agreement with the other parties after the ground rules  
7 of admitting all these documents into evidence  
8 consistent with the use which was made of them.

9           JUDGE MORRIS: Gentlemen, we have been  
10 focusing on trees and maybe some saplings, and I have  
11 kind of lost sight of the forest. I would like to spend  
12 a little time just trying to get some perspective on  
13 what we are talking about, so that we can relate these  
14 individual details that we have been focusing on to the  
15 overall picture.

16           Mr. Eifert, I understand you have been  
17 involved in this engineering assurance effort for some  
18 time with Stone and Webster.

19           WITNESS EIFERT: Yes, sir. I joined Stone and  
20 Webster in 1972 in the engineering assurance division.  
21 I have been involved since 1972.

22           JUDGE MORRIS: With all of the nuclear plants  
23 that Stone and Webster has been involved in? Are you  
24 familiar generally with the assurance programs for those  
25 programs?

1 WITNESS EIFERT: Yes, I am.

2 JUDGE MORRIS: So you are also familiar with  
3 some conventional power plants assurance programs?

4 WITNESS EIFERT: Yes, we apply our engineering  
5 assurance program to our non-nuclear business areas as  
6 well. We, for example, are applying right now our  
7 auditing program, structured slightly different, in  
8 scheduling, but the types of audits we do are basically  
9 the same, and we are applying that to contracts that the  
10 company has for designing coal-fired power plants.

11 JUDGE MORRIS: In all of these plants, I heard  
12 a very large number of pipe supports. That is not  
13 really quantified for us. We have been talking about  
14 these 1,800 that had a "problem", but roughly how many  
15 pipe supports are there in the nuclear plant?

16 WITNESS MUSELER: At the Shoreham plant, sir,  
17 there are approximately 11,000 large bore supports and  
18 approximately 15,000 small bore supports. The break is  
19 pipe supports for two and a half inches or larger pipe  
20 are large bore supports, where two inch and under are  
21 their small bore supports. So the total between the two  
22 is 26,000 pipe supports.

23 JUDGE MORRIS: And the kinds of problems that  
24 have been identified, I guess, in many of the cases  
25 where they have been identified relate to field

1 changes. Is that correct?

2 WITNESS MUSELER: The bulk of the discussion  
3 we have been having here is related to changes that were  
4 made as a result of installation. Yes, sir.

5 JUDGE MORRIS: In your opinion, is the number  
6 of such changes at the Shoreham plant comparable to  
7 those that occur at other plants?

8 (Whereupon, the witnesses conferred.)

9 WITNESS MUSELER: Sir, I believe the number of  
10 modifications made to the Shoreham plant is comparable  
11 to any nuclea plant that is of the same vintage and has  
12 been subjected to the same number of design changes  
13 through the years. In other words, ten years of  
14 construction of the plant, primarily the MARK II  
15 changes. I believe it is certainly comparable to any of  
16 the BWR's of Shoreham's vintage, and the reason the  
17 number may seem like a very large number in terms of the  
18 number of changes is just strictly because of the  
19 documentation requirements as a result of any change to  
20 a design component in the plant. Any change, even if it  
21 is based on a very clear engineering judgment, has to be  
22 documented.

23 JUDGE MORRIS: I am focusing only on the  
24 physical modifications, not the documentation, for a  
25 moment.

1           WITNESS MUSELER: I believe Shoreham is  
2 comparable to the other plants that it could be compared  
3 to at this point, BWR's of our vintage.

4           JUDGE MORRIS: So is it correct that your  
5 opinion is that the number that occurred is not  
6 surprising or unexpected?

7           WITNESS MUSELER: No, sir. In my opinion, it  
8 is not surprising or unexpected at all.

9           JUDGE MORRIS: And I guess there have been two  
10 kinds of things we have been talking about. One is the  
11 physical modification, and the other is the  
12 documentation of a change either in the design drawing  
13 or in the calculations, and I want to talk about each of  
14 those three. If we talk about just the physical  
15 modification, it is my understanding that that  
16 modification will be reflected either in a revision to a  
17 BZ drawing or an E&DCR? Is that correct?

18           WITNESS MUSELER: Sir, they will all be  
19 reflected finally in a revised drawing. Our drawing  
20 revision program calls for incorporating all the E&DCR's  
21 into a final as built drawing, so that it is all in one  
22 place rather than in one revision plus E&DCR's. At the  
23 present time, any configuration in the field is  
24 represented by the latest revision of the drawing plus  
25 any applicable E&DCR's. It is just two different ways

1 that it might be documented. In the end, it will all be  
2 documented in a revised as built drawing.

3 JUDGE MORRIS: What happens to previous  
4 revisions of those drawings?

5 (Whereupon, the witnesses conferred.)

6 WITNESS MUSELER: We have retrievability of  
7 all revisions of the drawings, but the drawing logs  
8 which indicate the latest applicable revisions would  
9 show that -- would show what the latest as built  
10 revision of the drawing is. Any superseded additions of  
11 that drawing are just kept for historical purposes, but  
12 they are available also. It is the latest as built  
13 drawing that is the one of most concern.

14 JUDGE MORRIS: And that is reflected in the  
15 current index as to what revision is currently  
16 applicable? Is that correct?

17 WITNESS MUSELER: Yes, sir. That is correct.  
18 And the index also indicates the latest revision and any  
19 applicable E&DCR's. In other words, if there are  
20 E&DCR's against a latest revision, that is indicated in  
21 the appropriate logs.

22 JUDGE MORRIS: Is a superseded drawing or an  
23 E&DCR identified in any way? Let me phrase it  
24 differently. If you go from Revision 10 to Revision 11,  
25 is there any marking put on Revision 10 to indicate that



1 it has been superseded?

2 (Whereupon, the witnesses conferred.)

3 WITNESS MUSELER: In the field, sir, we would  
4 remove the superseded drawing. Mr. Eifert advises that  
5 in Boston they would mark it as being superseded.

6 WITNESS EIFERT: I am indicating that the  
7 basic procedure is to remove the superseded drawing from  
8 the work area. If an engineer had some reason to retain  
9 a drawing he is allowed to retain if he clearly marks it  
10 to indicate that it is superseded.

11 JUDGE MORRIS: I guess such a process is not  
12 instantaneous. Can you give me a feeling for how  
13 quickly that might happen? The drawing that is  
14 superseded gets identified as being superseded?

15 (Whereupon, the witnesses conferred.)

16 WITNESS MUSELER: It is difficult to  
17 characterize exactly the time frame that this process  
18 takes. As a general matter, when a drawing reaches the  
19 site from Boston it gets logged in, gets reproduced, and  
20 gets distributed to the appropriate disciplines, and  
21 once it gets there, the process is to, if it is an  
22 E&DCR, put it in the appropriate location. If it is a  
23 drawing, change out the drawing. That can take  
24 typically a week or two at this point in the project.  
25 At various other times it has taken longer than that,

1 because of the volume and some other reasons.

2           Typically, today's drawing turnaround, it's a  
3 couple of weeks to process. I would note that if it is  
4 a matter of some urgency, in other words, if it were --  
5 if the particular drawings in question are holding up  
6 the inspection or a final -- whatever the final work  
7 that needs to be done is, that process gets expedited by  
8 hand carrying through, but the typical process is a  
9 couple of weeks on the site at the present time.

10           JUDGE MORRIS: So we will assume there is some  
11 kind of distribution in that couple of weeks, and it  
12 might be quite long in some cases. Did you understand  
13 what I was saying? In some cases, it might take a month  
14 or two? Is that possible?

15           (Whereupon, the witnesses conferred.)

16           WITNESS MUSELER: I believe you are correct,  
17 sir. There are over 105,000 documents that are  
18 controlled on the site, and that process, the tail of  
19 the process, as you characterize it, might in some  
20 isolated instances take longer than the standard time.

21           JUDGE MORRIS: Is there a mechanism to assure  
22 yourselves that that followup actually is taken, the  
23 superseded documents are so marked?

24           (Whereupon, the witnesses conferred.)

25           WITNESS MUSELER: Sir, there are several

1 mechanisms that form that followup function. One is  
2 that the transmittals of these documents require someone  
3 to acknowledge receipt, and they signify that he has  
4 received them, and also put them properly into the  
5 files. Secondly --

6 JUDGE MORRIS: That relates to the new  
7 document, right?

8 WITNESS MUSELER: That relates to the new  
9 document or changed documents. Secondly, there are two  
10 auditing organizations, Mr. Kelly's and Mr. Arrington's,  
11 which audit that process. They audit not just the  
12 distribution process, but they, I guess, audit the end  
13 products. They audit the various files in the various  
14 disciplines to ensure that the latest revisions of the  
15 documents are in those files.

16 In addition to that, in addition to just  
17 distributing the documents, the logs or the weekly log  
18 and the monthly log are distributed to the various  
19 organizations that have to maintain these design control  
20 documents. So, in addition to receiving the documents,  
21 they also receive a log which tells them what the latest  
22 status of their files should be. So those are a number  
23 of mechanisms that ensure that that process does in fact  
24 work, and there is a lot of continuous auditing to keep  
25 track of that process and make sure that it is performed

1 properly, and that the files in the various locations  
2 are maintained up to date.

3 JUDGE MORRIS: Well, we may hear more about  
4 that some time later, but when a change is made in a  
5 drawing of, let's say, a pipe support, which is  
6 something that needs to carry a load of some kind, the  
7 design is done as you described before, in conjunction  
8 with an analysis. For example, using one of the STRUDL  
9 codes, one of the STRUDL versions, I should say. Is  
10 there a mechanism which flags the fact that the field  
11 change has been made which could affect the input to the  
12 calculation done by STRUDL?

13 (Whereupon, the witnesses conferred.)

14 WITNESS MUSELER: The input to the pipe  
15 support calculation, the pipe support design is the load  
16 that the piping system stress analysis indicates is  
17 going to be imposed on that particular pipe support.  
18 So, the load would remain the same unless the pipe  
19 support were moved to a different location.

20 JUDGE MORRIS: I would include that in a  
21 modification.

22 WITNESS MUSELER: If a pipe support were moved  
23 beyond the tolerances that are called for, then that in  
24 the process of approving either the revised design or  
25 the E&DCR, that would flag the stress analysis branch

1 that they had to address that particular question, that  
2 the load might change and it might affect other things  
3 in the stress analysis.

4 JUDGE MORRIS: How is that communication  
5 made?

6 (Whereupon, the witnesses conferred.)

7 WITNESS MUSELER: Sir, in the case of those  
8 that would have an effect on the stress analysis, the  
9 approval of that, either revised drawing or E&DCR would  
10 have to be made by the stress analysis division in  
11 Boston. In other words, that kind of a change could not  
12 be made without being submitted to that particular group  
13 in Boston for analysis and approval. Changes to the --  
14 If you don't change the stress analysis, in other words,  
15 if the modification to the pipe support does not affect  
16 the stress of the line, and therefore the load on the  
17 pipe support, then that would be handled in the field  
18 generally by the site extension office.

19 JUDGE MORRIS: So someone at the site would  
20 make the judgment of whether or not there might be a  
21 significant change in the stress analysis were it made?

22 WITNESS MUSELER: There are specified  
23 tolerances within which the pipe support can be moved.  
24 It is a few inches. If you go outside of that tolerance  
25 band, it has to be approved by the Boston engineer.

1 (Whereupon, the witnesses conferred.)

2 JUDGE MORRIS: Did you want to add something?

3 WITNESS MUSELER: No, sir. I am sorry.

4 JUDGE MORRIS: Focusing now on the stress  
5 computer codes, the STRUDL series, they apparently get  
6 updated like most programs do. There is an initial  
7 STRUDL, a STRUDL II, and a STRUDL SW. When a change is  
8 made in that computer program, how is that documented?

9 WITNESS EIFERT: We have an engineering  
10 assurance procedure that describes our process for  
11 documentation of computer programs. The procedure  
12 provides for maintenance of a user's manual as well as  
13 qualification documentation for all of the computer  
14 codes used for engineering analysis. The changes that  
15 you referred to or any change to a computer code is  
16 documented in that support documentation of the  
17 qualification, as well as the source code itself. That  
18 is converted to machine readable language, and the  
19 qualification and user documentation upgraded to what is  
20 a new version of the program in effect.

21 So, any change to a computer program is given  
22 a new version or level. I might explain that we have  
23 been talking about STRUDL II, and there have been  
24 various versions and levels of STRUDL II applied,  
25 because each change comes out as either a new version or

1 a level. Version and level is a general  
2 characterization of -- well, it is significance of the  
3 change. Minor administrative aspects of the  
4 documentation, how the engineers input to the computer  
5 program, for example, I believe, would be indicated as a  
6 level change. If you were to add a significant new  
7 capability, analytical capability to a given program,  
8 that would be characterized as a version change.

9 STRUDL II has gone through several of those  
10 changes. I don't know how many, but they have gone  
11 through several of those. STRUDL SW is basically the  
12 same program, another version of STRUDL II. It was  
13 decided to name it STRUDL SW for reasons which are not  
14 exactly clear to me, but it was decided to put it in  
15 that terminology for the record and use purposes.

16 JUDGE MORRIS: If there is a change in the  
17 programming of this code that would result, for example,  
18 in calculating a different stress for a different  
19 component, how is it decided whether or not to redo the  
20 calculation?

21 (Whereupon, the witnesses conferred.)

22 WITNESS EIFERT: When the change is made to a  
23 computer code, as I indicated, the qualification  
24 document must be updated to be current with that  
25 change. The process of qualifying the new version or

1 level that includes the change provides for ensuring  
2 that the new method provides an adequate methodology and  
3 a program that will provide adequate results. The one  
4 practice that is used is a comparison of the output from  
5 the two versions in this case of the program.

6           The situation as you described it is not an  
7 expected, normal practice. If we were to identify in  
8 any way a concern with one of our computer codes, we  
9 have what is called a bug notice system whereby all the  
10 users of that computer code are advised that some  
11 concern has been identified and directed to evaluate the  
12 effect of that on any work that they have performed  
13 using that computer code. And that process in my  
14 experience with it has been used to identify such  
15 problems, but typically the problems have not been  
16 significant to any prior work, and if it did have an  
17 effect on prior work, the mechanism ensures that the  
18 design analyses that were used, that used those  
19 programs, were revised.

20           JUDGE MORRIS: Is there some feedback  
21 mechanism if this were the case to go from, say, STRUDL  
22 II Level I to Level II? Is there some feedback to the  
23 as built design drawing saying that the calculation has  
24 been updated or modified in any way?

25           (Whereupon, the witnesses conferred.)



1           WITNESS EIFERT: I am sorry. I am not sure I  
2 understand the question, Judge Morris.

3           JUDGE MORRIS: Well, let me turn it around.  
4 We discussed earlier, if there is a field change, that  
5 field change is reviewed to make a decision as to  
6 whether or not a new analysis is required, so if there  
7 is a change in the calculation that supports the field  
8 design, is the fact that there is a new calculation  
9 done, is that reflected back on the drawing?

10           (Whereupon, the witnesses conferred.)

11           WITNESS MUSELER: I think I can -- I believe I  
12 can answer your question. The drawing itself does not  
13 reflect the particular calculation, but the calculation  
14 does reflect the drawing, so if the calculation were  
15 redone, it would reflect whatever the latest state of  
16 the drawing was, either the drawing itself or the  
17 drawing plus an E&DCR.

18           JUDGE MORRIS: I am groping a little bit  
19 here. I am looking for this hypothetical case where  
20 supposing this process had taken place, you had been  
21 Level I to Level II within STRUDL II, and it changed the  
22 analysis of the particular component, but then there was  
23 another modification made to that component, and the  
24 field judgment was that it didn't need another analysis  
25 because it was unaware of the second analysis back in

1 Boston.

2           WITNESS EIFERT: I think that the existence of  
3 various computer codes, different versions and levels,  
4 and in this case from STRUDL II to STRUDL SW, is being  
5 confused with a particular analysis or the set of  
6 analyses that support calculations. When a support is  
7 designed, the analysis is performed and the drawing is  
8 produced using the latest accepted for use qualified  
9 computer program to do that type of analysis. The  
10 analysis provides traceability to that computer program  
11 via either specific reference or through the run number  
12 and date which was the old practice at Stone and Webster.

13           It is necessary to change a support design  
14 that results in a need to redo the analysis. The  
15 analysis may be performed with the same program that was  
16 used for the original analysis, or it may be performed  
17 using the latest available -- it would always be  
18 performed to the latest available, excuse me. It would  
19 be performed to the latest available STRUDL computer  
20 program. The link for design traceability purposes for  
21 a given pipe support design is to the analysis and to  
22 the computer program that was used.

23           Our program for documenting qualified computer  
24 programs provides methods to provide -- to maintain a  
25 bank of computer programs that are available for

1 engineers to use that are fully documented and  
2 qualified.

3 JUDGE MORRIS: I guess what you told me before  
4 applies, that what triggers notifying Boston of a  
5 potentially required new stress analysis is whether or  
6 not the modification went outside of predetermined  
7 tolerance levels.

8 WITNESS MUSELER: Yes, sir.

9 JUDGE MORRIS: Mr. Eifert, you described the  
10 situation with STRUDL II as having been used to perform  
11 certain calculations, and STRUDL SW was being  
12 qualified. Did I understand that STRUDL II also  
13 subsequently became qualified?

14 WITNESS EIFERT: Yes, sir. That is how I  
15 described it. But I qualified that response to indicate  
16 that STRUDL II had been a program that has been used  
17 extensively by Stone and Webster, and we have always  
18 maintained test documentation, comparison computer runs  
19 as evidence that STRUDL II was providing accurate  
20 results. In the change to STRUDL SW, we provided  
21 additional documentation and qualification records to  
22 the Stone and Webster standard engineering assurance  
23 procedures, and they made additional comparison runs  
24 between STRUDL SW in comparison to STRUDL II to be able  
25 to administratively link the qualification documentation

1 of STRUDL SW to the prior version of the program in  
2 terms of STRUDL II.

3 JUDGE MORRIS: Is STRUDL II still being used,  
4 or would you now use SW?

5 WITNESS EIFERT: As a general practice, STRUDL  
6 SW is the program that is used. I believe there are  
7 occasions yet where STRUDL II has been used.

8 JUDGE MORRIS: But in those cases it is  
9 considered qualified?

10 WITNESS EIFERT: Yes, sir.

11 JUDGE MORRIS: Were there any substantive  
12 changes in the code itself, not the documentation,  
13 before and after qualification of STRUDL II?

14 WITNESS EIFERT: I didn't perform that, or  
15 develop STRUDL SW, but my understanding in the  
16 involvement that the engineering assurance division has  
17 had in the development of STRUDL SW, at least in the  
18 static analysis area, which is applied to the pipe  
19 supports, is that there have been no substantive  
20 changes.

21 To be specific to your question I would have  
22 to get back in contact with the people responsible for  
23 that program and confirm that, however.

24 WITNESS MUSELER: Judge Morris, I discussed  
25 the same matter briefly with some of the structural

1 engineering personnel, and they indicated that there was  
2 very little substantive difference between the two  
3 versions of the code, and the main differences go to a  
4 usability and certain capabilities of ways to manipulate  
5 it, but in terms of the answer that you get for a  
6 structural member, that they are very much the same.  
7 There is no substantive difference between the two  
8 versions in the results.

9 JUDGE MORRIS: So the fact that STRUDL II was  
10 labeled unqualified at a given period in time really  
11 didn't affect the results obtained using that code  
12 either before or after?

13 WITNESS EIFERT: That's correct. It did not  
14 affect the results in any way.

15 JUDGE MORRIS: There was discussion about the  
16 delay and the auditors discovering the problems, and I  
17 think the problem was the time of discovery was the time  
18 of maximum activity, and this, I guess, came some time  
19 after Stone and Webster had changed its engineering  
20 assurance requirements in terms of becoming more strict,  
21 as you characterized it. Were these more or less  
22 coincident in time, or were there a couple of years in  
23 between?

24 (Whereupon, the witnesses conferred.)

25 WITNESS EIFERT: Judge Morris, our program has

1 undergone many changes at the detailed implementation  
2 instruction level over the years. In 1978, with respect  
3 to calculations, that was the first year that we became  
4 very specific with respect to such things as identifying  
5 the source by the page within the source that contains  
6 the information being used in the analysis. That year  
7 is early or just before, I guess, the heavy involvement  
8 with the installation of pipe supports at the field.  
9 But that, I think, is just coincidental. Without giving  
10 it some greater thought, I see no connection there  
11 specifically.

12 JUDGE MORRIS: In describing changes taking  
13 place over time in the engineering assurance program,  
14 was there, I won't call it a step function, but a rather  
15 pronounced change at some time or other in the  
16 strictness of the requirements and related to the  
17 calculation or documentation?

18 WITNESS EIFERT: I think there were several  
19 changes over the years that affected, if I will, the  
20 administrative controls, and the early engineering  
21 assurance procedures provided, for example, that we have  
22 traceability as necessary, or identify documents as  
23 necessary to provide traceability. Some time, I  
24 believe, in 1973, or thereabouts, we added to that a  
25 requirement that when you reference another calculation

1 in a calculation, identify it by number.

2 In 1978, then, we revised it and gave very  
3 specific instructions with respect to such things as  
4 identification of texts and the need for more than just  
5 the author. The procedure was changed again in 1979.  
6 The procedure format was changed, and the information  
7 was presented different, but the requirement of that  
8 detail in effect was the same.

9 I think what we have seen in discussion of the  
10 problems with input identification reflects those  
11 changing requirements, as well as the interepretation of  
12 those requirements by the engineers and by the  
13 auditors. The fact that we have changed those  
14 requirements and provided different interpretations and  
15 clearer interpretations is in one sense the cause of the  
16 many audit observations that have occurred on that  
17 subject over the years.

18 JUDGE MORRIS: And what you call ready  
19 traceability, I was going to test you on clear and  
20 complete documentation as a description.

21 (Pause.)

22 JUDGE MORRIS: Do you want to respond?

23 WITNESS EIFERT: I assume you want me to.  
24 When I think of the term "complete" with respect to a  
25 calculation I relate more to the technical completeness

1 of it as an analysis.

2 JUDGE MORRIS: I was relating to traceability,  
3 what you term now -- what previously was called, I  
4 guess, positive traceability. You have been using the  
5 expression "ready traceability." And I was just asking  
6 almost as an aside whether the words "clear and  
7 complete" fit your concept.

8 WITNESS EIFERT: I think "clear" does fit with  
9 mine. "Complete" does with respect to documentation,  
10 but as long as you don't use the term "complete" in any  
11 way to indicate that there was lack of traceability.

12 JUDGE MORRIS: During the period, say, '78 to  
13 '79, what was the attitude of the engineers to the  
14 additional requirements imposed by engineering  
15 assurance?

16 WITNESS EIFERT: That is a difficult question  
17 for me to answer. I did not in that time period conduct  
18 any audits myself. I think that I can characterize in  
19 general form that the engineers characterized some of  
20 the stringent requirements with respect to such things  
21 as traceability as excessive, and for that reason, we  
22 have revised our training programs on calculations to  
23 emphasize more of the basis for some of these management  
24 requirements, so that they understand why management has  
25 imposed these requirements as contrasted with training,



1 which simply identifies the fact of the requirement and  
2 what is expected.

3 I don't want to give the impression that the  
4 engineers in any way considered their responsibilities  
5 for assuring the technical adequacy of the work as being  
6 in any way excessive. Some of the administrative  
7 details that indeed they feel are more administrative  
8 and rightly the responsibility of the administrative  
9 staff is the requirements that I was referring to.

10 Currently at Stone and Webster what we are  
11 doing is working with just that, our administrative  
12 staff, the supervision and management of the division  
13 administrative staff, the people who staff the projects,  
14 the administrative people responsible for maintaining  
15 files and controlling distribution and maintaining  
16 records, with the intent being to see if we can allow  
17 them to assume more responsibilities for some of these  
18 administrative requirements, not only in calculations,  
19 but our discussions have been primarily with respect to  
20 calculations, to see if we can relieve the engineers of  
21 some of the responsibility for this detailed  
22 administrative control.

23 We haven't made any final conclusions there,  
24 but it looks like we will probably within the next year  
25 be changing the process somewhat to give that

1 responsibility to the administrative staff on the  
2 project.

3 JUDGE MORRIS: So you might characterize it as  
4 some resistance on the part of the engineers to spend a  
5 disproportionate amount of their time on administrative  
6 details as opposed to engineering?

7 WITNESS EIFERT: Yes, that is how I would  
8 characterize it exactly.

9 JUDGE MORRIS: And your group, the engineering  
10 assurance division, has attempted through training  
11 sessions to show the reasons why this is important, why  
12 management thinks it is important?

13 WITNESS EIFERT: That is correct.

14 JUDGE MORRIS: What sort of support do you get  
15 from management in this effort?

16 WITNESS EIFERT: Total support.

17 JUDGE MORRIS: Do they participate in some of  
18 these training sessions?

19

20

21

22

23

24

25

1           WITNESS MUSELER: Judge Morris, management  
2 does participate in some of these training sessions  
3 directly. But perhaps a more definitive example of how  
4 some of these requirements are promulgated can be made  
5 by stating that in certain cases -- and I can't name you  
6 the exact cases right now, but I do know that in some  
7 cases the Stone & Webster project engineer, if it were a  
8 particular discipline, would have the discipline  
9 engineers in that discipline on the project, get them  
10 together, and explain why the process needs to be done a  
11 certain way. So that hopefully that engenders some  
12 motivation that way.

13           But more importantly, perhaps, it tells the  
14 appropriate people that that's the way they are going to  
15 do business. Now, sometimes that has to be told several  
16 times before the condition gets to the point where it is  
17 deemed to be acceptable. But I know that process does  
18 go on and I know that the engineering management in  
19 Boston does enforce those requirements on the people who  
20 work on the project.

21           JUDGE MORRIS: I believe, Mr. Eifert, you  
22 referred to the fact that things are getting better.  
23 You split things one-third and two-thirds, I believe,  
24 before and after some period. Do you still see an  
25 improving trend or are things beginning to level out or

1 drop off exponentially?

2           WITNESS EIFERT: I would characterize it as  
3 still seeing an improving trend. I think that our  
4 efforts this year, if we're successful in relieving the  
5 engineers of some amount of the administrative  
6 responsibility, following that we will see greater  
7 degrees of improvement in the short term.

8           JUDGE MORRIS: Let me ask one final question.  
9 If there had been no engineering assurance audits, if  
10 that function didn't exist in Stone & Webster, would  
11 these differences between design and calculational  
12 support have been caught in the normal process of Stone  
13 & Webster's activities or LILCO's activities?

14           (Panel of witnesses conferring.)

15           JUDGE MORRIS: I recognize the answer has to  
16 be speculative because of the conditions I put on the  
17 question. But I am looking to see if there were  
18 mechanisms which would have been operative.

19           WITNESS MUSELER: Sir, all the ones we have  
20 reviewed, I believe that the vast majority, if not all  
21 of them, would have been picked up in the normal course  
22 of the engineering process. In the specific case of  
23 audit 120, that particular situation would have been the  
24 subject of review in the final stress reconciliation  
25 program which is going on at the present time.

1 I can't say that specific one would have been  
2 reviewed this way, but in the ones we have reviewed and  
3 in that particular one because of the stress  
4 reconciliation program, which is not mandated by  
5 engineering assurance, they would have been subjected to  
6 the kind of review that most probably would have  
7 determined the same things that the engineering  
8 assurance audit did.

9 JUDGE MORRIS: Can you describe that program  
10 in about two sentences?

11 WITNESS MUSELER: Well, I guess I'll try to  
12 use two examples, one being EA audit 120 and the other  
13 being one of the other examples that we used before, the  
14 first one being --

15 JUDGE MORRIS: I mean the stress  
16 reconciliation program.

17 WITNESS MUSELER: The stress reconciliation  
18 program, yes, sir. In the stress reconciliation  
19 program, it's really composed of two parts. One is  
20 getting the as-built condition of the piping and the  
21 pipe supports. The other part is getting all the other  
22 input data to that particular design problem, whether it  
23 be a line operating parameter, a system operating  
24 parameter, the latest earthquake loads, the latest Mark  
25 II loads, whatever the inputs to that particular design

1 are; making sure that the latest proper inputs are  
2 identified, compared with the latest as-built physical  
3 information, and then looking at the last time the  
4 analysis was done, and taking all these parameters, all  
5 the input parameters, as well as all the as-built  
6 parameters and saying, do these all match up, and if  
7 they don't match is there a need to redo the  
8 calculation?

9           Again, there is some judgment in that  
10 process. If something is an inch or two off here, the  
11 calculation would not be redone. But if there is  
12 anything substantive that would affect the output of the  
13 calculation, it would be redone at that point in time,  
14 and that would include such things as we talked about in  
15 audit 120, of a six-inch difference of a member between  
16 the as-built condition and the last as-stressed  
17 condition.

18           JUDGE MORRIS: What is the scope of  
19 applicability? Is it all systems, structures and  
20 components in some class or other?

21           WITNESS MUSELER: The stress reconciliation  
22 program covers all of the safety-related piping systems  
23 and pipe supports, and a large portion of the  
24 non-safety-related pipe supports and piping systems, the  
25 ones that are thermal, the ones that require seismic

1 analysis. There may be some domestic water systems, for  
2 instance, that would probably not fall into that  
3 category. But all of the power systems in the plant,  
4 the rad waste systems, and the ASME systems, would be  
5 included in that review.

6 JUDGE MORRIS: Thank you, gentlemen. I do  
7 think I have a better perspective on what we are talking  
8 about.

9 JUDGE BRENNER: Some of those questions were  
10 for my benefit, and I guess I still need some more  
11 help. Could you explain to me again, Mr. Eifert, what  
12 Stone & Webster has identified as the cause of the  
13 problem in audit observation 120?

14 WITNESS EIFERT: The primary cause is that the  
15 field changes that have been made and documented on the  
16 E&DCR's and the judgments that were made by the  
17 engineers with respect to the need for revising the  
18 analysis to support the revised design, the situation  
19 was that the engineers were making those judgments, as  
20 indicated by their approval of the E&DCR's, and  
21 indicating that the analysis was adequate as  
22 documented.

23 The judgment of the auditor was that the  
24 changes may be sufficiently different than the design  
25 that the analysis was based on that an analysis revision

1 was also necessary in addition to the design.

2 JUDGE BRENNER: The situation of engineering  
3 judgment being applied to whether field changes should  
4 result in redoing calculations is not unique to this  
5 pipe support area and the STRUDL code, as I believe you  
6 stated earlier today, am I right?

7 WITNESS EIFERT: That's correct.

8 JUDGE BRENNER: Yet you also stated that --  
9 and I am paraphrasing, and please correct me if I am  
10 doing it wrong. I believe you also stated that there  
11 were no other situations in which the calculations  
12 differed from the design, and I don't understand how  
13 that can be the case.

14 WITNESS EIFERT: I may have worded it that  
15 way. If it was, I didn't specifically mean it quite  
16 that strictly. What I intended to say was that in our  
17 audits -- and we have audited the other disciplines as  
18 well -- we have not had any findings, therefore any  
19 concerns, with respect to the calculations that support  
20 the design.

21 There may be situations, and I'm sure there  
22 are situations, where changes have been made and  
23 judgments made that the analysis did not need to be  
24 revised. When my auditors, if they looked at those  
25 areas -- and I'm sure we did in some cases -- we didn't



1 question the judgment as being less than 100 percent  
2 accurate.

3 In the case of pipe supports, it was the  
4 relative significance of the change with respect to the  
5 STRUDL model versus the design that the auditors  
6 questioned, whether or not it was reasonable to accept  
7 those changes based on judgment without the analysis.

8 JUDGE BRENNER: When a judgment is made that a  
9 calculation need not be rerun for a particular change,  
10 whether it be a field change or some modification in the  
11 design, but before it is actually built, is there any  
12 indication for the source of input to the calculation  
13 noting that there is this discrepancy, even though the  
14 calculation is not in fact rerun due to the engineering  
15 judgment that it need not be?

16 (Panel of witnesses conferring.)

17 WITNESS MUSELER: Judge Brenner, excuse me.  
18 Could you repeat your question, please?

19 JUDGE BRENNER: I will state it differently,  
20 if that helps. And if it doesn't, I'll go back to the  
21 original phraseology.

22 If the situation is that a calculation has not  
23 been rerun because an engineering judgment was made  
24 that, although there was some change in the design, it  
25 is not such as to require that the calculation be rerun,

1 would somebody referring to that calculation have a  
2 direct positive expressed indication that, although that  
3 is the last calculation that was run, it doesn't reflect  
4 the current design?

5 (Panel of witnesses conferring.)

6 JUDGE BRENNER: Maybe it doesn't reflect the  
7 current design. Maybe that's ambiguous. It doesn't  
8 include the same input as the calculation was run as the  
9 design condition currently existing.

10 WITNESS MUSELER: I think we understand your  
11 question.

12 (Panel of witnesses conferring.)

13 WITNESS EIFERT: Judge Brenner, before I  
14 forget, the first point is, a calculation is a basis for  
15 determining some conclusions that are the basis for  
16 design. So a change that is made to the design that is  
17 looked at back to the conclusions of the analysis is  
18 not, at least in our accepted terminology, considered as  
19 an input to that analysis.

20 Typically, when -- if we wanted to make a  
21 change to the detailed design, the inputs have remained  
22 the same, our procedures do not specifically require  
23 that each time an engineering judgment is made on a  
24 matter such as this that that be specifically documented  
25 in the analysis. Our procedures require that all design

1 changes be reviewed and approved, either by means of a  
2 drawing revision or an E&DCR, and in the case of  
3 drawings there are many such changes that would have to  
4 be made that would, I believe, be clearly within  
5 reasonable judgment without any specific documentation  
6 of the thought process.

7           In many cases -- and I'm really going back in  
8 my own memory now -- a conclusion from a calculation  
9 might, for example, give the minimum or provide the  
10 basis, at least, for the minimum dimensions or member  
11 sizes for structural steel. If there was a need -- the  
12 design then is based on that analysis and would pick  
13 some standard member size that would be acceptable  
14 within that calculation.

15           A field change that would change the member  
16 size would not have an effect on the analysis unless it  
17 was in some ways less than the sizes established in the  
18 analysis. So it would not be common practice or  
19 efficient practice in any way to expect for each  
20 judgment decision that is made in that case to go back  
21 and add what I believe in many cases would be confusing  
22 documentation to the analysis itself.

23           WITNESS MUSELER: Judge Brenner, I believe,  
24 though, that this is a case which sort of gets to one of  
25 the subjects we've been talking about, and that is

1 traceability versus ready traceability. I believe that  
2 it is possible for someone to look at the documentation  
3 that is available and determine whether or not the  
4 calculation did have a design change made to it without  
5 changing the calculation later on.

6           For example, if the original calculation were  
7 made only on the basis of the design drawing, the BZ  
8 drawing in the case of a pipe support, and that's the  
9 basis of the calculation, the calculation will say that  
10 it's based on drawing XYZ. If at a later point in time  
11 an engineer were to change that design and it were of  
12 such a nature that it was by engineering judgment  
13 determined that the calculation did not require any  
14 updating, the calculation sheet will remain unchanged.  
15 It will reflect only the original drawing number.

16           If someone wanted to know whether or not the  
17 final as-built condition of the drawing had any changes  
18 made to it subsequent to the calculation, that would be  
19 easy to determine by looking at drawing logs. If the  
20 calculation only indicated the base drawing number and  
21 the drawing log indicated that there were more E&DCR's  
22 against that, you could double check it by looking at  
23 the dates, but just the fact that there were E&DCR's  
24 listed and the calculation listed only the base drawing,  
25 that would indicate that there were changes made to that

1 design subsequent to the calculation.

2           So I believe this is a case where someone  
3 could find out whether those judgments were made. It  
4 would take a little doing to do that, but I believe that  
5 I've been sitting here and I can't think of a case where  
6 we would not be able to do that one way or the other.  
7 So it could be done, but it's not "readily doable."

8           JUDGE BRENNER: Is that in fact what the  
9 auditor did in audit observation 120, item 4? How did  
10 the auditor know about that discrepancy? I assume the  
11 auditor had to take the latest B2 and then go back to  
12 the calculations, since you've now told me that just by  
13 looking at the calculation the auditor would not have  
14 known that the calculation did not reflect the latest  
15 either design or as-built condition.

16           Am I understanding that right?

17           WITNESS EIFERT: I'm not sure which way the  
18 auditor approached the audit. The concerns reported in  
19 that audit could have been identified if the auditor was  
20 looking at a specific analysis and then went into the  
21 drawing file and established the latest design for that  
22 support as reflected in that analysis and identified the  
23 differences at that point.

24           The auditor may have selected some up to date  
25 drawings, the latest drawings, including any E&DCR's,

1 for a given support and then gone back into the  
2 calculation file to find the calculation of record, and  
3 then compared to see if there were any differences.  
4 Either way, he could have identified that type of  
5 problem if it existed.

6           JUDGE BRENNER: I want to go back, Mr. Eifert,  
7 to your straightening out my terminology on the use of  
8 the word "input" because it may reflect a  
9 misunderstanding on my part. The reason I used a  
10 description, something like the design input to the  
11 calculation -- and more directly, I was thinking of a  
12 design input into the STRUDL run -- was that I thought  
13 that was the problem in this audit observation, that the  
14 latest design condition is an input into the STRUDL run  
15 and that the run actually made did not have the up to  
16 date input.

17           So is that a wrong understanding of what  
18 happened?

19           WITNESS EIFERT: In that context, the design  
20 would be an input to the STRUDL model. If I can  
21 explain, the way I use the term "input," if I had the  
22 task of designing a pipe support I would have to obtain  
23 certain information before I can start, specifically  
24 what load the support will be required to carry. And I  
25 go to the pipe stress summaries for that, the material

1 properties and requirements, and I will go to the  
2 specification, the Stone & Webster specification, and  
3 find out what standard materials are being specified and  
4 used for pipe supports.

5 I have that basic design information. I then  
6 know that I have to put a support, and the stress  
7 summary also will indicate where the support is  
8 located. And I am then designing the support.

9 Finite element computer analysis requires that  
10 you do input the actual configurations. So I design  
11 that support conceptually, if you will, and then model  
12 it and analyze it by computer to see how well I did with  
13 my conceptual approach. In that sense it is an input to  
14 the analysis, and I think you have a proper  
15 understanding of that as you described it.

16 JUDGE BRENNER: Okay. The only reason I asked  
17 is not to split hairs on definitions, but to see if I'm  
18 conceptualizing this correctly.

19 WITNESS EIFERT: I think I confused that. I'm  
20 sorry.

21 JUDGE BRENNER: I want to see if there's a  
22 link between this problem in audit observation 120 and  
23 the traceability or ready traceability of calculations.  
24 And this morning you distinguished the two problems,  
25 particularly referencing, I guess it was, audit 30. You

1 don't need to look at the particulars of that, but you  
2 referenced that as a traceability problem to be  
3 distinguished from this problem.

4           As I understand, the reason why management and  
5 you are interested in traceability of calculations --  
6 and basically what you're trying to explain to the  
7 project engineers as to why they should assist you in  
8 this interest -- is that some years from now after the  
9 engineers, however good they are, have their memory  
10 somewhat dimmed, if you have to go back to look at that  
11 calculation, to see if some change is important, you  
12 want to be able to identify what went into the  
13 calculation in order to, I guess, see what the  
14 sensitivity of the result originally is to this latest  
15 problem or concern or whatever, five years from now. Is  
16 that essentially right?

17           WITNESS EIFERT: Yes, sir. That is an  
18 appropriate characterization of management's concern.  
19 The number of years that goes into designing a power  
20 plant, we do have some personnel changes and it makes  
21 our overall engineering process at Stone & Webster more  
22 efficient. In that sense, it makes us more competitive  
23 in the architect-engineering world.

24           In addition and almost more importantly, it  
25 provides a product to our clients that they can readily



1 use. For example, where our client is going to use his  
2 own engineering staff during the operating phase, the  
3 documentation that is readily usable by his people,  
4 without having to have a total and complete  
5 understanding of the Stone & Webster design process and  
6 documentation process that was originally used in the  
7 development of the Shoreham design.

8           JUDGE BRENNER: Just a few minutes ago in our  
9 dialogue, however, you told me you didn't think it was  
10 necessary for the calculation to -- and in this case we  
11 were talking about a calculation that includes a  
12 computer run, a STRUDL run -- you didn't think it was  
13 important, and therefore I infer not necessary, for this  
14 traceability concept for possible future use, for the  
15 calculation to include some notation that it was not,  
16 when last run, it was not run for the current as-built  
17 condition, because the engineering judgment was applied,  
18 and I am assuming validly, that the calculation, the  
19 results, would not have been changed and the calculation  
20 need not have been rerun.

21           WITNESS EIFERT: The difference in the two  
22 situations, the records that are being generated,  
23 including the records that will index the pipe support  
24 designs and the records that will index the  
25 calculations, will be available at a later date for the

1 people who are going to or who may need to modify the  
2 plant.

3           They will be able to identify the calcs and  
4 the drawings. In that sense, they have ready  
5 retrievability of the design information. If an  
6 experienced engineer, pipe support design engineer, then  
7 looks at the analysis and the support design, okay, he  
8 will be able to readily see any differences and apply  
9 his experience and judgment to understanding those  
10 differences.

11           So it's a different characterization with  
12 respect to how a design and a calculation would be used  
13 as compared to, if he needs to modify that analysis,  
14 being able to trace back to other documents that  
15 provided input data that the engineer used who was  
16 performing the analysis.

17           JUDGE BRENNER: Well, maybe this will help  
18 me. Maybe it will confuse you, and I'm sorry if it  
19 does, but feel free to tell me if it does. As a  
20 hypothetical situation, suppose in the future some error  
21 is discovered in either the STRUDL code itself or the  
22 way it was applied at power plants in general, including  
23 Shoreham, and therefore some review has to be made to  
24 check the effect by some sort of, I suppose,  
25 preliminarily a sensitivity analysis to what the

1 previous results were, to see if actual physical  
2 modifications are necessary or whether you still have  
3 enough margin and therefore no physical modifications  
4 are necessary.

5           In making that review, would the reviewers  
6 pull out the old calculational results and take a look  
7 at those results and say, oh well, there's plenty of  
8 room, this error won't amount to anything, in ignorance  
9 of the fact that those results were not actually run for  
10 the present as-built condition?

11           WITNESS MUSELER: No, they would not do it  
12 that way. What they would do would be to assemble a  
13 package of all the appropriate design documents, the  
14 latest calculation and the latest as-built design  
15 drawings of the plant. So they would have in front of  
16 them the as-built configuration and the as-analyzed  
17 condition, if it happened to be different because of an  
18 engineering judgment that had been made.

19           So if they reran it, they would -- if they had  
20 to rerun it because a glitch came up in the codes at  
21 some time in the future, they would rerun it the vast  
22 majority of the time, unless there was some specific  
23 reason why they would run it without using the as-built  
24 condition, they would run it with the as-built  
25 condition, because in fact that's the way the plant is

1 and that's what you would want to ensure is okay.

2           So they would not just review the  
3 calculation. They would review the calculation plus the  
4 latest as-built documents, as-built design drawings,  
5 and/or E&DCR's of the plant.

6           JUDGE BRENNER: Tell me again how they will  
7 fairly easily know that the last application of the  
8 calculation, which includes that STRUDL run, does not  
9 reflect the current as-built drawing?

10           WITNESS MUSELER: They would know because the  
11 package of as-built information, if it were -- and it  
12 would be the same drawing number. If the revision of  
13 the drawing listed on the calculation -- and the  
14 calculation would list the revision of the drawing that  
15 it was done to -- if the latest as-built information  
16 listed a different revision to the drawing or E&DCR's  
17 and any kind of change document that indicated that  
18 there was a change made from the drawing listed on the  
19 calculation, that would tell them that the as-analyzed  
20 condition was somewhat different than the final as-built  
21 condition, and they would take that into account.

22           JUDGE BRENNER: Okay. No longer on that  
23 hypothetical, but back in the present time frame, as I  
24 understand it there are therefore situations where it's  
25 perfectly acceptable for the drawing referenced as the

1 source of data for the calculation not to be the latest  
2 drawing, because the engineering judgment was reached  
3 that the calculation need not be run, correct?

4 WITNESS MUSELER: Yes, sir, that's true.

5 JUDGE BRENNER: How does auditing this  
6 situation distinguish such a situation from a situation  
7 where, through inadvertence or error of some sort, the  
8 latest as-built drawing was not encompassed in the  
9 calculation when it should have been, or else because it  
10 was not the result of a soundly reached engineering  
11 judgment not to do it? There are a lot of negatives in  
12 there and I can repeat it if you need it.

13 WITNESS EIFERT: I can speak with respect to  
14 our engineering assurance auditors. We have engineering  
15 assurance auditors who are qualified graduate engineers,  
16 who can understand the process and the judgments that  
17 people have to make and make their own judgments with  
18 respect to how well that process is being implemented.

19 In the case of many of the technical subjects,  
20 we have our auditors, who have attended special  
21 technical orientation and training programs with respect  
22 to how work is done in the industry, as well as  
23 specifically at Stone & Webster. So in some respects  
24 our auditor is doing the same function on an audit basis  
25 that the calculation preparer or the engineer who is

1 approving a design change is going through. He's going  
2 through the same engineering thought process in judging  
3 how well the engineers are making that judgment.

4 JUDGE BRENNER: Let me interrupt you and then  
5 if you want to come back to it I'll let you, because I  
6 probably didn't ask my question clearly. I'm not  
7 worried, for purposes of that question, as to whether or  
8 not the engineering judgment was reached correctly. I  
9 am contrasting a situation where no engineering judgment  
10 was applied to reach the conclusion that the calculation  
11 need not be rerun, but rather through some error it was  
12 never considered expressly as to whether the calculation  
13 should be rerun or not.

14 And I'm wondering how the auditor knows that,  
15 since the discrepancy will appear to be the same in both  
16 situations by looking at the calculation. Maybe it's a  
17 sideways way of asking.

18 Again, more precisely, how is the fact that  
19 the engineering judgment was made not to redo the  
20 calculation, how is that documented and where is that  
21 documented?

22 WITNESS EIFERT: I think, as we have  
23 indicated, in the case of audit observation 120, the BZ  
24 drawings that may have been revised or the E&DCR's that  
25 changed support designs were reviewed and approved as

1 those changes being acceptable. That is the  
2 documentation we have with respect to his process, that  
3 the judgments were made.

4 WITNESS MUSELER: Judge Brenner.

5 JUDGE BRENNER: Let me follow up on one  
6 point. In the course of that, does it state reasonably  
7 expressly that the calculation need not be rerun to  
8 support this or some thought to that effect, in the  
9 course of approving the E&DCR and ultimately the drawing  
10 change?

11 WITNESS EIFERT: I don't know, Your Honor.

12 JUDGE BRENNER: Mr. Museler, I didn't mean to  
13 cut you off forever, just for that second.

14 WITNESS MUSELER: What I was going to say,  
15 Judge Brenner, was that, as we discussed in audit  
16 observation 120, an auditor looking at that process is  
17 looking at items that are what I will characterize as  
18 small changes from the structural size of the members  
19 that were included in this, and he raised a question as  
20 to whether or not there was too much latitude being  
21 employed in engineering judgment.

22 In the course of finding a situation where a  
23 change was made that was a significant change and the  
24 judgment was not applied to it, what the auditor would  
25 be looking at is not evidence of whether the judgment

1 was made or not. What he would be looking at, a major  
2 change versus an as-analyzed condition that differed  
3 substantially from that change, and that's how he would  
4 determine that something had been done, and he wouldn't  
5 know at that point whether the judgment was incorrect or  
6 the judgment has been applied. But that's how he would  
7 surface the facts of the situation.

8 JUDGE BRENNER: Yes, I understand that. It  
9 occurred to me that an ostensibly small change might  
10 bear closer review by an auditor if there were the  
11 absence of a normally present indication that somebody  
12 had expressly considered whether to redo the calculation  
13 and had reached the judgment that it not be done. But  
14 not everything is written out in life, as we know.

15 On your last point, though, Mr. Museler or  
16 anybody else, that is the latitude in engineering  
17 judgment not to rerun the calculation, how did the  
18 situation come about in audit 120 where the auditor  
19 disagreed with the engineering judgment not to rerun the  
20 calculation, if there are these fairly clear guidelines  
21 that if it's more than a few inches it has to go to the  
22 Boston office for approval and is looked at then, and so  
23 on?

24 WITNESS MUSELER: Sir, the tolerances I was  
25 referring to are the tolerances on the location of the



1 pipe support relative to the piping systems. And the  
2 analysis that is affected by that parameter is the  
3 piping stress analysis, not the structural analysis of  
4 the support itself.

5           Those specific types of guidelines do not  
6 apply to the structural design and the structural  
7 analysis of the supports themselves. The supports  
8 themselves have a lot of members that all have a  
9 tolerance on the drawing, and there are a lot of ways to  
10 orient structural steel to take the same load from one  
11 pipe.

12           So in the particular case in audit 120, it's a  
13 much more judgmental situation than the case of the  
14 location of the pipe support along the piping line  
15 itself.

16           JUDGE MORRIS: Just as a matter of curiosity,  
17 Mr. Museler, what is "TS 4 by 5 by .5," if you know?

18           WITNESS MUSELER: I believe it is tube steel 4  
19 by 5 by a half-inch wall thickness. So it's a piece  
20 about this big in cross-section and a half-inch wall  
21 (Indicating).

22           JUDGE MORRIS: Thank you.

23           JUDGE BRENNER: I think I have your answer,  
24 but just to make sure, where there are some quantified  
25 margins on the engineering judgment before it has to be

1 reported to Boston relates to the actual pipe stress  
2 analysis, and you then have to look as to whether this  
3 change and where you are placing the support affects, I  
4 guess, the new pipe run in that case.

5 WITNESS MUSELER: That's correct, sir.

6 JUDGE BRENNER: I'm not going to worry today  
7 about which version of the NUPIPE they looked at.

8 That's all I have. Thank you very much for  
9 helping me.

10 JUDGE CARPENTER: I would just like to ask a  
11 couple of questions, also in the spirit of trying to see  
12 the forest, given the leaf of audit inspection 120. I  
13 think that's why we're having so much trouble, trying to  
14 see so far based on this tiny example.

15 As I understand your testimony today, seven  
16 percent of the pipe supports calculations have or are  
17 being redone; is that correct, or that seven percent  
18 that have been looked at, that's the 1800 out of the  
19 25,000?

20 WITNESS MUSELER: As a result of audit  
21 observation 120, 1800 of the pipe support engineerings  
22 were redone, that's my understanding of the situation.  
23 Many more of those calculations have been redone over  
24 the course of time for the normal process of changes  
25 that have occurred to the plant. But relative to this

1 particular situation, it is my understanding that 1800  
2 of the calculations were redone.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           JUDGE CARPENTER: Coming back to the  
2 contention in the sense that the design review needs to  
3 be done, can you give me crisply what criteria did you  
4 use for selecting the 1,800 out of the 26,000? Why not  
5 do the whole 26,000? What is the basis? Was it a  
6 numerical standard?

7           WITNESS MUSELER: It wasn't a sample, if that  
8 is what --

9           JUDGE CARPENTER: No, I say, was it a  
10 numerical standard?

11          WITNESS MUSELER: I am sorry. 16,000 of the  
12 pipe supports are small bore pipe supports, which are  
13 designed under a completely different method, so they  
14 are not applicable to this particular problem, so this  
15 particular problem was a large bore pipe support problem  
16 applicable to this type of situation only. Now, just  
17 give me a moment and I will see if I can come up with an  
18 answer that will make it clear.

19                   (Whereupon, the witnesses conferred.)

20          WITNESS MUSELER: Judge Carpenter, some of  
21 them wouldn't have required reanalysis because they were  
22 not -- because the actual physical situation was exactly  
23 the way the analysis was done. That is one class that  
24 would just not have been looked at. Another group would  
25 have been done at some point in time and not fall into

1 the same kind of problem. A number of them, when they  
2 were looked at, would have been judged to be within the  
3 bounds of engineering judgment.

4 For instance, if a number of them were found  
5 to have dimensional differences of an inch or two in  
6 clearly non-sensitive areas, those would not have been  
7 redone, and I don't have how many were in each one of  
8 those categories for you. What we were left with was  
9 the number that were judged to require recalculating  
10 because the numbers were judged to be potentially on the  
11 outside of that acceptable band, and it turned out that  
12 there was some small number that did fall outside the  
13 band, but it was very small. It was about 1 percent of  
14 the 1,800 that we judged we did need to take another  
15 look at.

16 Again, let me emphasize that through this  
17 program and the stress reconciliation program, all of  
18 the pipe support calculations have been looked at again  
19 subsequent to this point in time.

20 JUDGE CARPENTER: What do you mean, looked  
21 at?

22 WITNESS MUSELER: Either compared, either the  
23 calculations compared with the as built condition and  
24 any other changes that have come along and said that  
25 this does represent this because there is no reason to

1 redo the calculation or the calculations have been  
2 redone. Thrown into this particular situation is the  
3 fact that the stress analysis itself has been changing  
4 over the years, so the input parameters which obviously  
5 would also cause a change in the calculation have been  
6 changing. So that automatically triggers a redoing of  
7 the calculation with the latest as built conditions.

8 JUDGE CARPENTER: I hate to belabor it, but I  
9 am still having trouble with the testimony before lunch,  
10 which indicated that there was some surprise that out of  
11 this 11,000 supports there were some that needed to be  
12 looked at again. I would have thought in any big  
13 project like this one would expect that. Can you give  
14 me some -- I am trying to get a feel now for why this  
15 reaction.

16 WITNESS MUSELER: The reaction you may have  
17 observed was -- it is not a surprise that we have been  
18 continuously engaged in redoing pipe support design and  
19 pipe support calculations. That is not a surprise at  
20 all. And the number of calculation redos or the number  
21 of times we have repeated calculations and repeated  
22 stress analyses is large, and that is not surprising  
23 given the changes in the design criteria, the MARK II  
24 loads, earthquake loads over the years, and various  
25 system transients, and how transients in the plant are

1 defined. All of that affects the input parameters. So  
2 it is not surprising at all that we have redone the pipe  
3 support calculations the number of times we have.

4           It is surprising to me as an engineer -- well,  
5 let me say it is not surprising to me that this  
6 particular situation revealed what it did, that is, that  
7 we had some very small number of pipe supports that  
8 required a minor modification. That is what I would  
9 have expected. I would have expected that somewhere in  
10 the process of applying these engineering judgments that  
11 there might be a situation where we ate up the margin a  
12 little bit and had to make some small changes, but  
13 again, it would have been surprising to me if any of  
14 these affected the actual capability of the plant, and  
15 none of them did.

16           So, this particular situation doesn't surprise  
17 me. If we gave you that impression, the outcome of this  
18 doesn't surprise me. The fact that we had to do it in  
19 this particular case, I think, is just an example of the  
20 kind of added evaluations of the engineering process  
21 that goes on today, and it is a result of the  
22 engineering assurance program.

23           The outcome is not surprising. The outcome, I  
24 think, indicates that the judgments were really  
25 uniformly correct, that the plant was okay.

1                   JUDGE CARPENTER: Mr. Museler, I can't believe  
2 that you are going to have meetings with management  
3 about routine situations that you are not surprised  
4 about. I still don't have this thing in perspective.  
5 You see, I am looking at the leaf here when I am  
6 pointing to Audit 120, and I am trying to see the tree,  
7 which is not the whole forest of 11,000 pipe supports,  
8 but I get the feeling that the field judgments were on  
9 the edge for some period of time, perhaps associated  
10 with either administrative policies or individual that  
11 led to this review, and I can't get anybody to tell me  
12 that. I keep sitting here trying to guess that.

13                   WITNESS MUSELER: I would not say that the  
14 field judgments were on the edge. I think the field  
15 judgments as borne out by what the results of this show  
16 were on the conservative side. The judgments that were  
17 made that said, if I change this particular number, then  
18 I have over the required margin, I have 100 percent  
19 margin, and in addition to that that I might use up some  
20 amount of that, those judgments were not marginal  
21 judgments. They turned out to be 99 percent accurate  
22 judgments based on what this shows.

23                   In 99 percent of the cases we did not eat into  
24 the allowable margins. In 1 percent of the cases, we  
25 did eat into the allowable margins, but never got to the



1 point where we used up those margins, and I think that  
2 indicates that the judgments that were being made were  
3 not on the edge of being non-conservative. I think they  
4 were in the main conservative judgments.

5           JUDGE CARPENTER: Well, one last question,  
6 since it is late in the day. I keep seeing this  
7 reluctance of people to sign their names. You have  
8 tried for ten years to get people to sign instead of  
9 print their names. Is this an emotional characteristic  
10 of engineers? We are not supposed to look at the -- I  
11 mean, there are pages and pages of auditors hammering on  
12 people to sign their names. Is there something  
13 substantive that I am not aware of in terms of legal  
14 responsibility, that some people have illegible  
15 signatures and they insist on printing? What is this all  
16 about?

17           WITNESS MUSELER: Sir, I have been trying to  
18 think of a useful analogy for what is going on in this  
19 particular area in the ready documentation, as we have  
20 characterized it, of input source documentation. I  
21 think it is something like what happens when, if you  
22 build a house yourself, and you build the house, and you  
23 presumably have designed it correctly, and you build it,  
24 and you put it up, and you even paint it, and you get to  
25 near the end of it, and in the living room you have

1 finally exhausted all possible energy you may have, and  
2 you didn't put the trim up, the molding up in the living  
3 room.

4 I think that your wife will never let you  
5 forget that the molding isn't up there, and you will  
6 hear about that every day until the molding is up  
7 there. I don't mean to make light of the situation, but  
8 when you asked Mr. Eifert before as to how the engineers  
9 used this, I am afraid that that is in many cases how  
10 the engineers viewed it, and just as your wife will  
11 never let you forget that that has to be done, and it  
12 will get done, wives are better than Mr. Eifert's  
13 people, but they are persistent, and they will make sure  
14 that that molding gets up there, and I really believe  
15 that, and that is the kind of situation we have been  
16 talking about in the case of the ready traceability and  
17 the name printing instead of the name writing.

18 JUDGE CARPENTER: I am curious as to why  
19 either printing or regular signature isn't acceptable.

20 WITNESS MUSELER: So am I, sir.

21 JUDGE CARPENTER: Obviously, there is an  
22 administrative reason.

23 WITNESS EIFERT: I don't recall the reason.  
24 That was an early requirement in the program. I suspect  
25 somewhere along the line someone thought that for purity

1 of documentation, a signature has more weight than a  
2 hand lettered. I think hand lettered was what the  
3 procedures in the early days said, not just printed,  
4 thinking in terms of more drafting lettering as  
5 identification.

6 JUDGE CARPENTER: Going back to the county's  
7 contention of a pattern, certainly there is a pattern in  
8 the material we have been looking at in the last three  
9 days over ten years of failure to develop this, and I  
10 just wanted to be sure I was not missing the point if  
11 there was some very serious reason that you felt printed  
12 identification was not acceptable vis-a-vis a  
13 signature.

14 WITNESS EIFERT: No, sir. There isn't any  
15 serious -- I am confident, and I have been a part of  
16 discussion that we have had in interpreting regulations  
17 that what the regulations require is identification of  
18 who did the work, who reviewed the work, and certainly  
19 the printed would provide that identification and  
20 signatures would not be a significant difference in any  
21 way. That was a change very early in the program.

22 JUDGE CARPENTER: They do confuse the audit  
23 score sheet quite substantially.

24 Thank you very much.

25 JUDGE MORRIS: Judge Carpenter, for whatever

1 it is worth, when I visited Indonesia, I found my name  
2 in a visitor book at a reactor site. My host said, my  
3 goodness, I can read your signature. It is unheard of  
4 in Indonesia.

5 JUDGE BRENNER: I don't know what to say. I  
6 was thinking that Mr. Museler is a brave man with some  
7 of his analogies. I am sending a copy of this record  
8 home to everyone's house.

9 (General laughter.)

10 WITNESS EIFERT: I don't want one.

11 (General laughter.)

12 (Whereupon, the board conferred.)

13 JUDGE BRENNER: I know it is late, but I would  
14 like to ask some preliminary questions with respect to  
15 the status report on emergency planning Phase 1  
16 contentions dated today and provided jointly by the  
17 parties. And these are preliminary questions. Don't  
18 take them as an indication of any quick thought. I just  
19 thought the quick answers might help us in our  
20 deliberations.

21 As I recall the staff's final report of its  
22 on-site analysis is going to be out October 1st. Is  
23 that right, Mr. Black?

24 MR. BLACK: That's correct.

25 JUDGE BRENNER: All right. Received on that

1 date.

2 MR. BLACK: Yes, sir.

3 JUDGE BRENNER: With respect to the  
4 contentions listed in the report for which settlement is  
5 being pursued, there is no other date indicated. Do I  
6 infer that the parties are asking us to wait until  
7 October 12th, the present date of testimony, to find out  
8 if they are settled or not?

9 MR. REVELEY: We are proceeding on the  
10 assumption, Judge, that they will either be settled or  
11 we will file testimony on them, and that provides quite  
12 an incentive to get on with it, and we think the county  
13 should be equally inspired. Thus, you will either get  
14 testimony or settlements on the 12th, so far as we  
15 know.

16 JUDGE BRENNER: That is acceptable, with one  
17 footnote. For example, Contention 7, I believe, and  
18 maybe one other in the order -- I haven't reread our  
19 order in the last few days, the order admitting the  
20 contentions -- required also by September 21st that we  
21 receive a further specification of the contention, and  
22 the reason for that was that if the contention is not in  
23 fact settled, we imposed the requirements for the  
24 reasons expressed in the order that parties get some  
25 further specification prior to having to finally

1 complete their testimony and file it on a subject.

2           So, I hope the parties are alert to that  
3 little footnote. That is, it sounds like you are  
4 proceeding okay, and I am willing to let it go, but  
5 protect yourself and also our interests as expressed in  
6 the order against running into a situation where a  
7 contention, and I can think of at least one, but I think  
8 there is another, where we have required further  
9 specification suddenly is neither settled or specified,  
10 and the date for filing testimony is upon is.

11           MR. REVELEY: That is a problem on more than  
12 simply Contention 7. There has not been progress on  
13 that front as yet. We are thinking about sending the  
14 county some written questions to see if that can spur  
15 the process. It remains something of a dilemma at the  
16 moment.

17           JUDGE BRENNER: Well, Mr. Lanpher, as far as  
18 we are concerned, we opposed today as a deadline for  
19 those. I know you are not deeply into emergency  
20 planning, but you are somewhat cognizant, and that  
21 deadline is today, and we have received no requests for  
22 extension.

23           MR. LANPHER: Judge Brenner, I am going to  
24 have to just find out if that slips through the cracks  
25 or what.

1           JUDGE BRENNER: All right. On the other hand,  
2 I am reluctant to say you are late, get it here  
3 tomorrow, if you are on the edge of settling the  
4 contention. There could be give either way, but I guess  
5 I want another very tight interim date for those, so  
6 that the matter doesn't drift until the time for filing  
7 testimony. So, if you could consider that, and then the  
8 parties talk among themselves.

9           MR. REVELEY: It might be fruitful, Judge, if  
10 there were an interim date set by which the parties were  
11 told either to settle or let the board know that  
12 settlement was not going to occur.

13           JUDGE BRENNER: Today was the date we set, so  
14 come back and propose another date.

15           MR. REVELEY: We will do that.

16           JUDGE BRENNER: And no later than the 28th  
17 sounds reasonable, unless the parties jointly believe  
18 they are so close to settling it that we should not  
19 impose that date. We will wait to hear from you, and as  
20 I say, we will come back later this week on emergency  
21 planning in general.

22           The board can use a copy of the final staff  
23 draft report. I neglected to bring mine with me. I did  
24 receive it in the office last week, and I hope somebody  
25 has a copy available up here that we can get first thing

1 tomorrow morning.

2 MR. BLACK: That shouldn't be labeled as a  
3 draft report. It is the final confirmatory action  
4 letter.

5 JUDGE BRENNER: Okay. Thank you.

6 MR. BLACK: I do not have a copy of that with  
7 me.

8 MR. REVELEY: I think I have got one. I will  
9 check and see. If I do, I will provide it.

10 JUDGE BRENNER: All right. If the cleaned up  
11 version is not available, I will go with a marked up  
12 one, if anyone has that here.

13 MR. REVELEY: I am pretty sure I have one.

14 JUDGE BRENNER: Judge Morris says he thinks he  
15 has a copy of that earlier one.

16 MR. LANPHER: Judge Brenner, could I inquire?  
17 The board said you were going to address emergency  
18 planning in further detail later this week. Is this  
19 something that I should ask for my colleagues to be here  
20 for? I would be happy to do that, but just for planning  
21 purposes, I would like to know.

22 JUDGE BRENNER: Are they going to be in these  
23 parts anyway?

24 MR. LANPHER: I never know where my colleagues  
25 are. They were up here today on matters, and



1 yesterday.

2           JUDGE BRENNER: I think it would be useful if  
3 they are going to be here anyway, but the discussion is  
4 not going to be so extensive, and I think my comments  
5 here will tip you off. Basically, we have to rule on  
6 whether to extend the date for the filing of testimony  
7 on the contentions which the county claims have  
8 reasonable potential to be affected materially by the  
9 staff's on-site review, and therefore by the final  
10 report. I think that is the only thing before us  
11 immediately.

12           MR. REVELEY: It was not my understanding that  
13 the county meant by that reference to suggest that at  
14 least three of the four, and I believe there are four,  
15 or five, might not settle. I think the county was  
16 reserving its rights, as I understand it, to argue  
17 whatever it wanted to, but that the settlement process  
18 continues on all of those except, I believe, 14-C.

19           JUDGE BRENNER: You have anticipated my next  
20 question. It wasn't clear to me whether the county was  
21 asking for a later date for the filing of testimony, and  
22 I perceived some anomaly between that possible request,  
23 which was not expressly in here, and the fact that  
24 settlement will either take place or not take place by  
25 October 12th.

1           MR. REVELEY: This is all hearsay, of course,  
2 but I asked exactly that question this morning when I  
3 read this thing. What does "wrong with two" mean? And  
4 the answer I got, not directly from the county, was that  
5 it did not mean that settlement was not likely,  
6 feasible, et cetera, as to all of them, except 14-C, but  
7 obviously the county will have to speak for itself.

8           JUDGE BRENNER: All right, Mr. Lanpher. Maybe  
9 we can save your co-counsel a trip unless they are here  
10 anyway. I guess the question comes down to whether the  
11 county is asking for an extension of the filing date for  
12 testimony for 14-C. And if so, how much later, assuming  
13 the staff report is received as scheduled on October  
14 1st? If I am wrongly limiting the question only to that  
15 contention, feel free to tell me, but I think when you  
16 look at the report you will see why I am limiting it to  
17 that contention.

18           So, right now, with the exception of that  
19 contention, unless we hear arguments to the contrary  
20 that we have misunderstood the situation, October 12th  
21 is the receipt date for the Phase 1 emergency planning  
22 testimony other than those that are, of course, settled,  
23 and we also need to hear about an interim date for  
24 specification which we had required be done by today,  
25 the idea of the interim date being that if there is no

1 settlement there would still be enough time between that  
2 specification and the filing of testimony, and we  
3 thought that three weeks would be about the right amount  
4 of time, which would be today. So now it is going to  
5 get compressed, and we are willing to adjust. I would  
6 have preferred a request for extension.

7 I won't go beyond that. We say a couple of  
8 things about the time period in the discovery order  
9 also. All right, if we could get the answers to those  
10 questions tomorrow or early Thursday, that would give us  
11 a chance to contemplate matters if we need to issue a  
12 ruling, and by that time we will have reviewed the  
13 staff's status report and the Contention 14-C and decide  
14 what to do about that. Now, if there is agreement on a  
15 date for filing 14-C, we will be happy to hear about  
16 that sooner rather than later also.

17 Okay. It has been a long day. I guess I told  
18 the witnesses they could go, but I am sure they have  
19 been fascinated by the last 15 minutes. We do thank you  
20 for a long day. It has been warm in here for all of us,  
21 and probably particularly for the witnesses.

22 We will be back in this room at 9:00 o'clock  
23 tomorrow morning.

24 (Whereupon, at 5:25 p.m., the board was  
25 recessed, to reconvene at 9:00 a.m. of the following

1 day.)

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

ATOMIC SAFETY AND LICENSING BOARD

in the matter of: LONG ISLAND LIGHTING COMPANY (Shoreham Nuclear Power  
Station)

Date of Proceeding: September 21, 1982

Docket Number: 50-322-OL

Place of Proceeding: Hauppauge, New York

were held as herein appears, and that this is the original transcript  
thereof for the file of the Commission.

Susan A. Harris

Official Reporter (Typed)

*Susan A. Harris*

(SIGNATURE OF REPORTER)