

PDA

# OFFICIAL TRANSCRIPT OF PROCEEDINGS

**Agency:** U.S. Nuclear Regulatory Commission

**Title:** NATIONAL STATE LIAISON OFFICERS'S MEETING

**Docket No.**

**LOCATION:** Rockville, Maryland

**DATE:** Tuesday, September 11, 1990 **PAGES:** 1 - 234

**ANN RILEY & ASSOCIATES, LTD.**  
1612 K St. N.W., Suite 300  
Washington, D.C. 20006  
(202) 293-3950

9009240060 900911  
PDR STPRG ESGGEN  
PDC

DF02  
011

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

\*\*\*

NATIONAL STATE LIAISON OFFICERS' MEETING

\*\*\*

Holiday Inn-Crowne Plaza  
The Regency Room  
1750 Rockville Pike  
Rockville, Maryland

Tuesday, September 11, 1990

The meeting commenced at 8:30 O'clock a.m.,  
pursuant to notice, Frederick Combs, Assistant Director, for  
State, Local, and Indian Relations, U.S. Nuclear Regulatory  
Commission, presiding.

## 1 PARTICIPANTS:

2

3

KENNETH CARR, Chairman, NRC

4

JAMES CURTISS, Commissioner, NRC

5

FREDERICK COMBS, Assistant Director, SP/GPA/NRC

6

CARLTON KAMMERER, Director, SP/GPA/NRC

7

ROBERT BERNERO, Director, NMSS/NRC

8

HAROLD DENTON, Director, GPA/NRC

9

TIM MARTIN, Regional Administrator, Region I/NRC

10

JAMES TAYLOR, EDO/NRC

11

SHELDON SCHWARTZ, Deputy Director, GPA

12

THOMAS MURLEY, Director, NRR/NRC

13

HOLMES BROWN, Afton Associates

14

GERALD W. ALLEN, Kansas

15

THOMAS ANAMIZU, Hawaii

16

LARRY ANDERSON, Utah

17

GORDON APPEL, Illinois

18

BOB AVANT, Texas

19

STEPHEN BROWN, Iowa

20

RON CALLEN, Washington, D.C.

21

LEROY CONNER, JR., Wisconsin

22

DAVID CRISP, North Carolina

23

GRETA DICUS, Arkansas

24

WILLIAM DORNSIFE, Pennsylvania

25

## 1 PARTICIPANTS (Continued):

2

3

JACK ELLVINGER, New Mexico

4

STEPHEN ENGLAND, Illinois

5

JOHN A. EURE, Iowa

6

WILLIAM FLOYD, New Mexico

7

HOWARD FROMER, New York

8

GLEN GIBIAN, Kentucky

9

EUGENE GLEASON, New York

10

AUBREY GODWIN, Alabama

11

ANDREW GRANDJEAN, Ohio

12

ADRIAN C. HOWE, Montana

13

DONALD NOXIE, Maine

14

CHARLES IMBRECHT, California

15

GEORGE IVERSON, New Hampshire

16

LEE JAGER, Michigan

17

REUBEN JUNKERT, California

18

WAYNE KERR, Illinois

19

RONALD KILLINS, SR., Pennsylvania

20

JOSEPH L. LaFLEUR, Pennsylvania

21

THOMAS LAMBERSON, Nebraska

22

TOM LANGE, Missouri

23

STANLEY R. MARSHALL, Nevada

24

KEVIN T. McCARTHY, Connecticut

25

1 PARTICIPANTS (Continued):

2

3

J. DALE McHARD, Oklahoma

4

GLENN MILLER, Alaska

5

J. DANIEL NASH, Florida

6

THOMAS A. ORTCIGER, Illinois

7

HARRY OTTO, Delaware

8

JIM PALMER, Mississippi

9

GERALD S. PARKER, Massachusetts

10

ROBERT QUILLIN, Colorado

11

DONNA ROSS, New York

12

JANE SABES, Wyoming

13

JAMES SETSER, Georgia

14

HEYWARD G. SHEALY, South Carolina

15

NONA SHEPARD, Washington, D.C.

16

WILLIAM SHERMAN, Vermont

17

DEBRA SHULTS, Tennessee

18

DAN SILVER, Washington

19

ADDISON E. SLAYTON, JR., Virginia

20

WILLIAM H. SPELL, Louisiana

21

ROBERT J. STERN, New Jersey

22

DAVID STEWART-SMITH, Oregon

23

CHARLES F. TEDFORD, Arizona

24

RAYMOND W. THRON, Minnesota

25

## 1 PARTICIPANTS (Continued):

2

3 KENT TOSCH, New Jersey

4 RICHARD TUCK, New Hampshire

5 GEORGE URQUHART, Virginia

6 LAWRENCE M. WARD, Maryland

7 ROY R. WIGHT, Illinois

8 JAMES WILLIAMS, Ohio

9 EDWARD E. WROBLEWSKI, Indiana

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## P R O C E E D I N G S

[8:30 a.m.]

1  
2  
3 MR. COMBS: Good morning. My name is Frederick  
4 Combs. I am Assistant Director for State, Local, and Indian  
5 Relations at the Nuclear Regulatory Commission. And I would  
6 like to welcome you to the Nuclear Regulatory Commission's  
7 National State Liaison Officers' Meeting.

8 Just a few notes of housekeeping. Those of you  
9 from Wisconsin and Illinois will notice that your flags are  
10 missing. We will attempt to rectify the situation as soon  
11 as we can.

12 For those of you who are not State Liaison  
13 Officers, I would like to talk a bit about the program  
14 before we start.

15 State Liaison Officers are individuals from states  
16 appointed by the Governor of that state to serve as a  
17 liaison with the Nuclear Regulatory Commission. The program  
18 was started in 1976 at the suggestion of a number of state  
19 organizations, including the National Governors Association.

20 The suggestion came as the result of a perceived  
21 need to provide a useful working relationship in siting and  
22 environmental matters. The program has worked so  
23 successfully that we are now shifting the emphasis from  
24 construction to include other areas that affect states, such  
25 as observation and participation in NRC inspections of power

1 plants, transportation of radioactive materials,  
2 decommissioning, high and low-level waste disposal, and  
3 emergency preparedness activities.

4 There are a few notes I would like to start with  
5 before I introduce our welcoming speaker.

6 As each speaker speaks, we would welcome questions  
7 from the audience. Feel free to speak up, and please use  
8 the microphone, in order to aid the stenographer.

9 As you rise to speak, please identify yourselves,  
10 your state, and your organization. And all are welcome to  
11 enter into our discussions.

12 Kenneth Carr became Chairman of the Nuclear  
13 Regulatory Commission on July 1, 1989. He has been a member  
14 of the Commission since August 14, 1986. He retired from  
15 the Navy as a Vice Admiral on May 1, 1985, last serving as  
16 Deputy and Chief of Staff to the Commander in Chief,  
17 Atlantic Command and Commander in Chief of the U.S. Atlantic  
18 Fleet.

19 Chairman Carr is a member of the Naval Academy  
20 Class of 1949. In 1950, he entered Submarine School in New  
21 London, Connecticut; and in 1953, he was assigned to the  
22 Pre-Commissioning detail of the nuclear submarine USS  
23 Nautilus.

24 Among my Chairman's honors are the Defense and  
25 Navy Distinguished Service Medals, the Legion of Merit, the



1 Presidential Unit Commendation, and the Defense Superior  
2 Service Medals.

3 It is my honor to introduce to you the Honorable  
4 Kenneth M. Carr, Chairman of the Nuclear Regulatory  
5 Commission.

6 [Applause.]

7 CHAIRMAN CARR: Thanks, Fred. I realize I've been  
8 here too long, because most of you I know by sight, now.  
9 And that's an indication of something or other. And most of  
10 you have heard some of these comments before. But I feel  
11 like I need to make them.

12 I appreciate you all being here. Good morning,  
13 ladies and gentlemen. Welcome to the NRC's National State  
14 Liaison Officer's Meeting.

15 As your Governor's top appointed official in  
16 keeping track of nuclear safety issues, you are the key  
17 communication link to the NRC for your state. I know the  
18 important role you have in keeping your other state  
19 officials informed on nuclear regulatory matters. I want to  
20 express, on behalf of the Commission, appreciation for your  
21 exceptional cooperation with the NRC over the years in the  
22 regulation of the uses of nuclear materials in our country.

23 The NRC and the States share the responsibility  
24 for preserving and strengthening the regulatory partnership.  
25 States have considerable front-line experience in regulating

1 nuclear materials and in developing emergency preparedness.  
2 We at the NRC greatly value your perspective. We must  
3 continue to incorporate this valuable insight into the  
4 Federal regulatory process by getting the States involved  
5 early, when we develop or change our regulations. We must  
6 also listen closely when the States offer us suggestion  
7 about things we can do more effectively to protect the  
8 public health and safety, and the environment.

9           Whether you represent an Agreement State or are a  
10 State in which licensees are regulated by the NRC directly,  
11 effective communication and cooperation are a necessity in  
12 order for this Federal-State relationship to continue and to  
13 flourish. Such communication and cooperation will be  
14 particularly valuable in any implementation of NRC's  
15 recently announced below regulatory concern policy and the  
16 soon-to-be-published revisions to Part 20, which are NRC's  
17 radiation protection regulations. Communication has also  
18 proven very useful in the recent NRC pilot program on  
19 medical quality assurance. I'd like to briefly touch on the  
20 importance of these three topics this morning.

21           Medical misadministrations, I've found, are often  
22 the result of simple errors, many of which could be  
23 prevented by a reasonable medical quality assurance program.  
24 In January 1990, NRC published a proposed rule that would  
25 require medical licensees to establish a performance-based

1 medical QA program. The NRC staff is now in the final  
2 stages of a pilot program, which is designed to provide a  
3 real-world test of the proposed QA rule. The pilot program  
4 included voluntary participation by 72 Agreement State and  
5 NRC licensees. The NRC will use the experience from this  
6 pilot program as the basis for developing the final rule and  
7 the accompanying licensing and inspection guidance.

8           From two recent visits I've had to hospitals, I  
9 have found that some participants in the pilot program say  
10 the QA procedures are not a significant burden on them.  
11 However, the participants did suggest ways to further reduce  
12 the burden, and we will take these into consideration in  
13 formulating the final rule. We appreciate the cooperation  
14 of all the volunteers in this program. It has proven very  
15 useful to the NRC and represents a good example of effective  
16 communication and cooperation before we develop the final  
17 rule.

18           I am pleased to report, again, that the final  
19 revisions to the Commission's Radiation Protection Standards  
20 in 10 CFR Part 20 were recently approved by the Commission.  
21 The long-awaited changes need only to be affirmed by the  
22 Commission in a public meeting, which should take place at  
23 the end of this month.

24           The changes to Part 20 are needed to bring the  
25 Commission's comprehensive radiation protection standards up

1 to date with the modern conceptual framework for radiation  
2 protection. As most of you are aware, the current framework  
3 in Part 20 has been in place since the late 1950s. We look  
4 forward to strong cooperation with the States in  
5 implementing these new revisions, including developing the  
6 regulatory guidance and training needed for the new Part 20.  
7 In fact, in response to comments from the Organization of  
8 Agreement States, the Conference of Radiation Control  
9 Program Directors and others, the staff is preparing a  
10 recommendation to the Commission to extend the effective  
11 date of the rule to allow time for a thorough understanding  
12 of the implementing guidance.

13 A final area where effective communication will  
14 provide a better understanding and help to clarify  
15 misperceptions is related to the Commission's recently-  
16 announced policy on below regulatory concern, or BRC. The  
17 Commission appreciates the support from the States and  
18 organizations such as the Conference of Radiation Control  
19 Program Directors who realize the need for such a policy in  
20 effectively regulating the beneficial uses of nuclear  
21 materials.

22 I would like to highlight why the Commission's BRC  
23 policy is beneficial to the public, to the States, to our  
24 licensees, and to the Commission, and clarify some  
25 misperceptions about the policy. This policy will provide

1 the basis for NRC's decisions on "how safe is safe enough"  
2 in the use and cleanup of radioactive materials. The BRC  
3 policy will enable us to consider this question in the  
4 context of our overall radiation protection  
5 responsibilities.

6 For the past 30 years, the NRC and its predecessor  
7 agency have made decisions to exempt very low levels of  
8 radioactive material on a case-by-case basis. Such case-by-  
9 case exemption decision have resulted in differing levels of  
10 public protection from radiation hazards. The BRC policy  
11 now provides a framework to ensure a consistent level of  
12 safety in making future exemption decisions.

13 Implementation of the BRC policy will benefit the  
14 public living in areas around nuclear sites by establishing  
15 consistent cleanup levels for restoring these sites to  
16 condition suitable for release to unrestricted use. These  
17 cleanup levels must be established so ,that funding  
18 requirements can be accurately determined. This is an  
19 important step towards ensuring that sufficient funding will  
20 be set aside for the eventual cleanup of all commercial  
21 nuclear facilities. For consumer products, such as smoke  
22 detectors, the public will benefit by knowing every product  
23 that is exempted will be safe for use and that costs will  
24 not be needlessly inflated because of excessive regulatory  
25 requirements.

1 I'd like to clarify some common misperceptions I  
2 have heard about the Commission's BRC policy. First,  
3 exempted materials will not be, quote, "uncontrolled."  
4 Before any material is transferred to an exempt status,  
5 those applying for such exemptions will be required to  
6 satisfy appropriate constraints. The NRC will establish the  
7 needed constraints through rulemaking proceedings or  
8 licensing actions, which include a comprehensive technical  
9 analysis of the potential effects of the proposed exempted  
10 practice by NRC's experienced professional staff.

11 Second, the policy is not intended to discourage  
12 good health physics practices or the application of improved  
13 technology for radiation protection. Such improved  
14 technology will be invaluable in the decontamination and  
15 decommissioning of commercial nuclear facilities.

16 Third, the policy will not permit excessive doses  
17 to the public as a result of multiple practices or from the  
18 accumulation of exempted wastes at a single facility such as  
19 a landfill or an incinerator. By carefully analyzing  
20 proposed exemptions, the Commission will ensure that the  
21 potential exposure from any single practice is small and  
22 that the total impact on public health and safety of all  
23 practices is acceptably low.

24 Fourth, the policy is not self-implementing.  
25 Recently, there has been a lot said on the issues of Federal

1 pre-emption and State compatibility, as they relate to BRC.  
2 I want to emphasize these discussions are premature. The  
3 BRC policy is just that, a policy. It is not a regulation.  
4 NRC rulemakings and licensing actions over the next several  
5 years will be required to implement the policy.

6 I want to also stress that any new NRC regulations  
7 implementing the below regulatory concern policy will be  
8 established only after soliciting and considering public  
9 comments on the proposed exemptions. At that time, full  
10 consideration will be given to the need for state  
11 compatibility. States will have ample opportunities to  
12 express their views. Of course, NRC regulations exempting  
13 BRC wastes will not affect the authority of State or local  
14 agencies to regulate BRC wastes for purposes other than  
15 radiation protection.

16 Consistent with this point, the policy statement  
17 does not by itself require Agreement States to adopt the  
18 dose criteria in the policy. I believe too much emphasis is  
19 being placed on the desire of the Federal Government to pre-  
20 empt or supercede decisions that some argue would be better  
21 made by State or local jurisdictions. In my view, there has  
22 not been enough emphasis on the benefits of a uniform and  
23 consistent risk framework in which to make exemption  
24 decisions.

25 Under the Atomic Energy Act of 1954, as amended,

1 Congress intended that there be uniformity between the NRC  
2 and Agreement States on basic radiation protection  
3 standards. The potential for problems from conflicting  
4 standards was identified by the Joint Committee on Atomic  
5 Energy in 1959. In comments on the legislation and Section  
6 274 of the Atomic Energy Act, the Committee stated that it  
7 "...recognizes the importance of the testimony before it by  
8 numerous witnesses of the dangers of conflicting,  
9 overlapping, and inconsistent standards in different  
10 jurisdictions, to the hindrance of industry and jeopardy of  
11 public safety."

12 Historically, the notion of degrees of  
13 compatibility has always been implicit in compatibility  
14 determinations. NRC has established criteria within its  
15 State Agreements Program for defining compatibility. Four  
16 categories were defined according to the degree of  
17 uniformity necessary between NRC and Agreement State  
18 requirements.

19 Division 1 Rules encompass certain NRC regulations  
20 that States must adopt, essentially verbatim, into their  
21 regulations. These include technical definition and basic  
22 radiation protection dose limits. Division 2 Rules include  
23 principles of radiation safety such as generally applicable  
24 safety requirements, which must be addressed in Agreement  
25 State regulation in a similar, but not identical manner.



1 States may adopt requirements more restrictive than these  
2 NRC rules.

3 Division 3 Rules include a number of  
4 administrative and technical provisions in NRC regulations  
5 that would be appropriate for the States to adopt, but which  
6 do not require any degree of uniformity between NRC and  
7 States' rules. Division 4 Rules include certain regulatory  
8 functions that are reserved for the NRC under the Atomic  
9 Energy Act and 10 CFR Part 150. These include reactor  
10 regulation, distribution of consumer products, exports and  
11 imports, and high-level waste disposal. State regulations  
12 should not address these Division 4 areas. Commissioner  
13 Curtiss will have more to say on compatibility issues in his  
14 remarks this afternoon.

15 In some areas, the need for uniform national  
16 standards is apparent. For example, it's very easy to see  
17 that different definitions of "rem" state-by-state would  
18 lead to unacceptable confusion, and that different  
19 requirements on the sale and distribution of consumer  
20 products such as smoke detectors would undercut any effort  
21 to market the products in interstate commerce.

22 In other areas the difficulties require some  
23 thought but the case for uniform national standards is also  
24 strong. Let me take one NRC area as an example. Suppose  
25 each State or (or county) set different criteria for the

1 maximum level of residual radioactive contamination in soils  
2 and building material that would be allowed for disposal in  
3 an unlicensed facility. This would mean that any State  
4 attempting to ensure that adequate funds are set aside by  
5 its licensees for decommissioning a nuclear site will need  
6 to take a multitude of different standards and corresponding  
7 costs into account, unless the State can somehow assure  
8 itself that it knows where the waste will eventually be  
9 disposed of and estimate costs accordingly. Confusion from  
10 such conflicting standards could mean delays in clean up of  
11 contaminated sites and resultant public concern. Do we want  
12 to encourage or discourage interstate transportation of  
13 waste. If States set different standards, then there will  
14 be the tendency to ship waste across State lines to those  
15 States with the least onerous requirements.

16 I believe that the NRC should continue to  
17 establish basic radiation standards, including the  
18 classification of materials that are below regulatory  
19 concern. This is important to ensure a proper, uniform and  
20 consistent level of protection for the public and the  
21 environment. This is also essential for the effective use  
22 of limited resources within both the States and the Federal  
23 Government.

24 Let me conclude my remarks by emphasizing how much  
25 we value your input. Your thoughts and concerns are

1 critical in maintaining the strong Federal-State partnership  
2 and the regulation of radioactive material. Only through  
3 continued cooperation and candid communication can we attain  
4 our mutual objective of protecting the public health and  
5 safety through efficient use of taxpayer dollars. Working  
6 together, we can further build compatible regulatory  
7 programs that will continue to ensure the safe uses of  
8 nuclear material in this country.

9 I am pleased so many of you could participate in  
10 the State Liaison Officers Meeting today and tomorrow. I  
11 see our State Programs Office has an interesting and varied  
12 agenda planned. Feel free to ask tough questions of our  
13 speakers over the next couple of days. Give us your  
14 suggestions for improving protection of the public and the  
15 environment. We need to know your concerns and are  
16 committed to work with you in resolving them. I wish you a  
17 successful meeting, and thank you very much for your time.

18 [Applause.]

19 CHAIRMAN CARR: Well, you get to throw the first  
20 questions at me, I understand. If they get too tough, I've  
21 got to run out, because I'm on short time today.

22 Who's first? If you don't have anything --

23 MR. KAMMERER: You told them this is a bright  
24 group. Let's get with it.

25 CHAIRMAN CARR: If you don't have anything, I'm

if you aren't waked up yet, that's good too.

MR. JAGER: I'll go.

CHAIRMAN CARR: Yes, sir. Lee?

MR. JAGER: Lee Jager from Michigan. The BRC  
is one that's getting a lot of play in our state.

CHAIRMAN CARR: I've noticed that.

MR. JAGER: And one of the issues that seems to  
come up repeatedly is the concern over the apparent  
acceptable risk levels, associated with the BRC policy, as  
compared to the risk levels that we have in other  
environmental programs, such as our permitting of air  
pollution sources and so on. Could you provide some  
analysis and rationale as to the relative risk level that  
was used and the reasons for it.

CHAIRMAN CARR: Let me leave that for Mr. Bernero.  
don't want to steal his thunder, and besides, that's all  
I've got to talk about, I think.

Okay? You'll remember that question.

MR. JAGER: I'll never forget it.

CHAIRMAN CARR: Yes, we can answer that for you.  
Sir, sir?

MR. STERN: Bob Stern from New Jersey. You  
mentioned that the opportunity for the States to input to  
BRC decisions. Does that mean that the NRC will provide  
the opportunity to -- to comment or be involved in

1 happy, and if you aren't waked up yet, that's good too.

2 MR. JAGER: I'll go.

3 CHAIRMAN CARR: Yes, sir. Lee?

4 MR. JAGER: Lee Jager from Michigan. The BRC  
5 issue is one that's getting a lot of play in our state.

6 CHAIRMAN CARR: I've noticed that.

7 MR. JAGER: And one of the issues that seems to  
8 come up repeatedly is the concern over the apparent  
9 acceptable risk levels, associated with the BRC policy, as  
10 compared to the risk levels that we have in other  
11 environmental programs, such as our permitting of air  
12 pollution sources and so on. Could you provide some  
13 analysis and rationale as to the relative risk level that  
14 was used and the reasons for it.

15 CHAIRMAN CARR: Let me leave that for Mr. Bernero.  
16 I don't want to steal his thunder, and besides, that's all  
17 he's got to talk about, I think.

18 Okay? You'll remember that question.

19 MR. JAGER: I'll never forget it.

20 CHAIRMAN CARR: Yes, we can answer that for you.

21 Sir, sir?

22 MR. STERN: Bob Stern from New Jersey. You  
23 mentioned that the opportunity for the States to input to  
24 the BRC decisions. Does that mean that the NRC will provide  
25 the state the opportunity to -- to comment or be involved in

1 a licensing action, as opposed to a regulatory action I  
2 understand they'll be involved there; but under the  
3 particular licensing action, it might be approving or  
4 disapproving of the BRC application. How will the states be  
5 involved in that process?

6 CHAIRMAN CARR: I don't know how they'll be  
7 involved, but I can assure you we'll give them a chance to  
8 be involved.

9 MR. MOBLEY: Mr. Chairman?

10 CHAIRMAN CARR: Yes, sir.

11 MR. MOBLEY: Two issues -- one of --

12 THE REPORTER: Could you identify yourself please

13 MR. MOBLEY: Mike Mobley from Tennessee. You  
14 mentioned BRC and in previous discussions of RRC, it's been  
15 noted that you had reviewed previous determinations that you  
16 noted had been made on a case-by-case basis. We're very  
17 interested in seeing that done under a number of situations  
18 where we feel like that maybe some decisions were made that  
19 certainly wouldn't within the BRC policy. And I wanted to  
20 make sure that what I was hearing this morning was not a new  
21 direction -- that you weren't going to go back and review  
22 that.

23 CHAIRMAN CARR: You did not hear a new direction.

24 MR. MOBLEY: Second you mentioned compatibility.  
25 Certainly we think that is an important issue, and we feel

1 like in the states that, to some extent, the Federal  
2 agencies are batting us back and forth and there's not quite  
3 compatibility of agreement between the EPA and the NRC --

4 CHAIRMAN CARR: I noticed that too.

5 MR. MOBLEY: We would like to see some  
6 compatibility at the Federal level.

7 CHAIRMAN CARR: So would we.

8 MR. MOBLEY: Thank you.

9 CHAIRMAN CARR: Yes, sir -- Chuck?

10 MR. TEDFORD: Mr. Chairman, in the interest of the  
11 candidate of which --

12 THE REPORTER: Can you identify yourself into the  
13 mike?

14 MR. TEDFORD: Charles Tedford, Arizona. I was  
15 under the impression that you would accommodate the remarks  
16 to the table, since you had it done for the rest of the  
17 people, but I did hear the request to come to the microphone  
18 and I'm here. Chuck Tedford from Arizona.

19 In the interest of candidness. The statement has  
20 been made that if we're to go with below regulatory concern,  
21 that we reduce the volume of low level waste sites to about  
22 30 percent. And that's a 10 MR level. If we were to go  
23 with one MR per level, the volumes might be considerably  
24 greater. And I only mention this because I think it will be  
25 cast at you in the future, and will give you a chance to

1 post your thoughts on the process.

2 If that is the case, will the cost be reduced for  
3 the remaining waste that go into low level waste sites?  
4 There are those that say that it would not; that you have  
5 fixed costs per low-level waste and so, therefore, the cost  
6 would merely go up and we would not have a savings and that  
7 is not even taken into consideration the public perception  
8 question. In other words, a question on economics -- how,  
9 what are your thoughts on how BRC will save us economically?

10 CHAIRMAN CARR: I think it was Michigan that wrote  
11 a letter the other day and said that they -- that they might  
12 regulate it economically, and not from a radioactive  
13 standpoint. You heard the comment, I guess, that said, if  
14 you want to regulate it for some other reason than radiation  
15 safety, you've got every right to do that. We won't get in  
16 your act for that. If it's going to make your low-level  
17 waste disposal site valuable to forcing them to put it in  
18 there for economic reasons, rather than for radiation  
19 protection, that's not my business. And that's the way I  
20 think we interpret it here. I'm sure the staff will correct  
21 me if I'm wrong, but -- any other questions?

22 [No response.]

23 CHAIRMAN CARR: Well, once again, let me thank you  
24 all for coming and I'll see you later on this evening. I  
25 find that I'm in the office four days this month. So,



1 they're trying to get all my work done in four days that I  
2 normally would do in six.

3 [Applause.]

4 MR. COMBS: Thank you very much. Carl Kammerer,  
5 as you may well know, is Director of State Programs, having  
6 achieved that position in April of 1987. Prior to being  
7 Director, Carl directed the NRC's Congressional Affairs and  
8 Congressional Affairs for Action.

9 Mr. Kammerer is a graduate of the University of  
10 Pacific. His graduate studies were at San Francisco State  
11 College. After graduating from college, Mr. Kammerer took a  
12 first job with the San Francisco 49'ers and then the  
13 Washington Redskins.

14 Currently, Mr. Kammerer plans and directs the  
15 NRC's program of cooperation and liaison with the states,  
16 local governments and interstate and tribal organizations.  
17 At this time, I bring to you, Carl Kammerer.

18 [Applause.]

19 MR. KAMMERER: My fellow Americans, it's great to  
20 be here this morning, and I have, more or less, just  
21 welcoming remarks. Fred has stolen all of my speech and the  
22 Chairman said it best when we're talking about a two way  
23 street here in the communications that go on between the NRC  
24 and this talented group that's sitting right out here.  
25 Every one of you who have your flags are officially here and

1 for the two states that don't have your flags, you can't  
2 talk until later.

3 As the Chairman said, we give high priority to the  
4 state activities and the NRC has earned the good working  
5 relationship with you all. We expect this mutual  
6 cooperation to continue.

7 Many of you state liaison officers have been here  
8 for years. As I look around the table here, it's just about  
9 everybody we know here. It's an interesting group of  
10 diverse folks. You come from all kinds of backgrounds; some  
11 scientific and some other.

12 I wanted to mention that the scope of the program  
13 has greatly expanded since the beginning times in 1975 and  
14 1976. The areas of interest now include low level and high  
15 level waste management, reactor activities, transportation,  
16 materials regulation, emergency preparedness and other  
17 things. All the Governors participate and appoint each of  
18 you, and they wanted you to know that the Radiation Control  
19 Agencies -- that's some of you here -- public utilities  
20 commissions -- there are some of you who represent public  
21 utilities commissions -- health departments, emergency  
22 preparedness and energy advisors to the governors -- this  
23 diversity is welcome and beneficial.

24 There are so many new emerging issues which are of  
25 interest to the states that only by discussing them in

1 forums like this and being frank and earnest -- you can be  
2 Frank and I'll be Ernest -- are we able to get any kind of  
3 progress and good dialogue going. The NRC's training  
4 program which benefits the states is something that I'm  
5 going to brag on just a tad here.

6 In addition to the ongoing technical training  
7 program for agreement states, we will be presenting a  
8 workshop on dose assessment tools, including the RASCAL  
9 code. This is the RASCAL here for severe reactor accidents,  
10 later on this month. Those of you who are attending already  
11 have your invitations.

12 The training program for the NRC in training state  
13 personnel has improved to a point where there are 350 folks  
14 that have been trained through our programs this past year.  
15 It's about a 40 percent increase. Back to the SLO program:

16 Our expectations, of course, are that the program  
17 is a two way street and that we're here to continue on the  
18 dialogue. The unfortunate thing is that for budgetary  
19 reasons, we get to see one another as a group like this only  
20 every three years. But we have the Regional meetings as  
21 well during the interim.

22 I'm just going to skip through all the rest of  
23 that stuff, since Fred's going to cover it later. I wanted  
24 to bring out a couple of positive outcomes here recently by  
25 being involved with the Governors. Chairman Carr had

1 written to a couple of Governors and given them great pats  
2 on the back, as it were, for having programs that are  
3 adequate and compatible. That doesn't really do justice to  
4 the finding, but it is the best that an agreement state can  
5 get.

6 The state of Rhode Island was recently  
7 congratulated by the Chairman as having ten consecutive  
8 years of being both adequate and compatible, and that's a  
9 big deal. In the state of -- Governor Orr was also  
10 congratulated for changing around some problems that  
11 occurred in the state and doing it effectively and  
12 efficiently and quickly and with great authority.

13 So, having Governors get involved is a super idea.  
14 Most incidents occur at the local level. Therefore, we are  
15 concerned about communications filtering to the people most  
16 affected. You, as the state officials, are closer to the  
17 localities than we, and we count on you to get the necessary  
18 information to them.

19 NRC's crack record in dealing with local officials  
20 -- with your help of the SLO's, of course -- is a good one.  
21 At this point, I want to introduce the main contacts for you  
22 all out in the states, and I'm confident that most of you  
23 know them. If you don't, you need to chat with these folks.  
24 Let me have them stand up as I do call their names. In  
25 Region I, Marie Miller. There's Marie.

1           By the way, Marie achieved last year an award  
2 given to her for her outstanding accomplishments. There is  
3 Bob Trojanowski from Region II. There's Bob, and Roland  
4 Lickus from Region III. Charles Hackney is at Regio.. IV and  
5 Dean Kunihiro is at Region V.

6           They're all here at the meeting today and  
7 tomorrow, so if you haven't seen them and gotten acquainted  
8 with them, please do so. We're here as a team. The  
9 headquarters and field staff just introduced, so if you have  
10 any problems, questions or information to pass along, go  
11 ahead and get on them. Fred Combs, I'm happy to report,  
12 recently achieved a notable success in the Nuclear  
13 Regulatory Commission of being elevated to Senior Executive  
14 Service Status and I'm tickled to have that occur for Fred,  
15 for me, for the agency and for the country.

16           Obviously, sharing information requires and extra  
17 effort on both our parts, but in the end, the public health  
18 and safety and their concerns justify the effort. Along  
19 with our goals regarding cooperation with individual states  
20 and state agencies involved with nuclear activities, we  
21 consider the regional and national organizations of state  
22 and local officials to be a part of our constituency.

23           We regularly participate in the NCSL meetings and  
24 are kept informed through them of legislative actions that  
25 involved nuclear issues in your states. The cooperation has

1       been our most valuable asset in opening dialogues with state  
2       legislatures.    The National Governors Association long has  
3       been an organization with collectively influences and  
4       develops the national policy.

5                The Conference of Radiation Control Program  
6       Directors -- several of you out in the audience are  
7       directors of your various programs -- and also the agreement  
8       state programs and there are quite a few of you here for  
9       that, too, are additional constituents of our office.  
10      Actively participating in their meetings and keeping abreast  
11      of their policy positions on nuclear issues is key.

12               We also regularly track activities of other  
13      national, state, local and Indian tribal organizations  
14      through our contacts and we're kept well informed of  
15      activities in the real world, out where the rubber hits the  
16      road where you are.    We hard and devote a lot of time to  
17      maintaining our contacts.

18               Effective communication with the states is our  
19      business, both on the technical and non-technical level.  
20      Over the next day and a half, we expect to learn your views  
21      on emerging issues and discuss those issues with you.    If  
22      you've looked at the agenda, it's a solid one.    It's one  
23      which has the NRC folks on it, and, of course, the real  
24      experts, the state folks.

25               We're looking forward to a great dialogue here.

1 Now, just a kind of an observation here I'd like to make  
2 from time to time: as I look around this group, I'm  
3 startled to see that it is so male and so caucasian. Maybe  
4 you can go back to your Governors and recommend a different  
5 kind of a policy.

6 With that, let me conclude and see if there are  
7 any remarks that you make right now, or any questions that  
8 you might have. All right, let's hit it.

9 MR. COMBS: I would like for the members of the  
10 next panel to come up: Bob Bernero, Raymond Thron, Robert  
11 Quillen and Gerald Parker. In keeping with the NRC's  
12 history of being fairly low key and noncontroversial, our  
13 first topic will be a discussion of the NRC's policy on  
14 below regulatory concern.

15 Robert Bernero was named Deputy Director of the  
16 Office of Nuclear Materials Safety and Safeguards in April  
17 of 1987. He had previously served as Director of Boiling  
18 Reactor Licensing in the Office of Nuclear Reactor  
19 Regulation, and before that, as Director of the Division of  
20 Systems Integration. Mr. Bernero joined the Atomic Energy  
21 Commission in 1972 as a Licensing Project Manager.

22 Prior to joining the AEC, Mr. Bernero worked as a  
23 fluid systems design engineer and later as a construction  
24 and test engineer for the General Electric Knolls Atomic  
25 Power Laboratory. He has also worked in the GE Space

1 Division as a Project Manager and a Section Manager for the  
2 study and development of space nuclear powered devices.

3 Our next speaker, Raymond Thron, is currently  
4 Director of the Division of Environmental Health for the  
5 Minnesota Department of Health. Dr. Thron has a BS in Civil  
6 Engineering and a Ph.D. in Environmental Engineering from  
7 the University of Minnesota. He's a registered Professional  
8 Engineer. His current major work efforts include  
9 implementing the state's water supply protection program and  
10 preparing health assessment in Super Fund waste sites in  
11 Minnesota.

12 Robert N. Quillen is currently Director of the  
13 Radiation Control Division of the Colorado Department of  
14 Health. He's a certified Health Physicist and a member of  
15 the board of directors of the Health Physics Society.  
16 Previously, he was Ohio's Commissioner to the Midwest  
17 Interstate Low Level Radioactive Waste Compact and Ohio's  
18 Radiological Health Program Administrator.

19 Mr. Quillen's resume indicates that he has, quote,  
20 "too many years of health physics problems and experience."  
21 I'd like for Dr. Bernero to begin. Bob?

22 MR. BERNERO: Good morning. First of all, I would  
23 like to correct the introducing speaker. I'm not a PhD, not  
24 a doctor. I've tried to give out grants and any other thing  
25 to get a PhD, but they never come out, and that's really



1 embarrassing.

2 [Laughter.]

3 MR. BERNERO: The other thing is, is my resume is  
4 an older one that was used, and I did have the good fortune  
5 to get rid of my office director about a year and a half  
6 ago. I tried to sign a letter of resignation in his behalf  
7 every time Hugh Thompson left the office. That didn't work,  
8 so I applied for another job on his behalf, and he got it.

9 [Laughter.]

10 MR. BERNERO: So I'm the director of NMSS now.

11 I'd like to say a few words. The chairman spoke  
12 earlier about the BRC, or what I prefer to call the  
13 exemption policy. We've had a big argument in the NRC on  
14 that point.

15 BRC is a phrase used in the Low-Level Radioactive  
16 Waste Policy Amendments Act, and many of us feel that it  
17 doesn't accurately reflect the scope of what the policy  
18 covers. This is really based on a sound principle. That  
19 principle is practiced in our society that anything that is  
20 dangerous can have a level so low that either the  
21 concentration or the amount is small enough that it no  
22 longer warrants regulatory control or concern.

23 Now, in the case of radioactive material, you all  
24 know that there are two truths. One, we operate on the  
25 principle that all exposure to radiation is dangerous, the

1 linear hypothesis it's often called. We don't know of any  
2 clear threshold below which there is no damage. But there  
3 is another factor, too. We live in an environment that is  
4 rather strongly radioactive. We live with a lot of  
5 radioactive material and radiation around us.

6 So this principle was codified back when the  
7 Atomic Energy Act was written that there are circumstances  
8 whereby radioactive material may be exempt from regulatory  
9 control provided there is no undue risk to the health and  
10 safety of the public.

11 Now that established principle -- the Chairman  
12 referred to it as 30 years now -- we have operated f  
13 between 20 and 30 years, depending on which milestone you  
14 look back on, but we have granted exemptions for  
15 concentrations or quantities of radioactivity in certain  
16 circumstances, exemptions from further regulatory control.

17 Some of the examples: consumer products -- the  
18 Chairman mentioned one -- it's probably the most widely  
19 known one -- it's the ionization smoke detector found in so  
20 many homes; a small wafer of radioactivity, an alpha emitter  
21 that ionizes the air so that a small, inexpensive battery  
22 can power the detector.

23 In another arena, we have, for probably ten years  
24 now, one of our regulations that exempts animal waste. That  
25 is, an animal carcass, experimental animal carcasses that

1 have radioactive tracers in them. They're used in medical  
2 research or examination, and they can be disposed of as  
3 animal carcasses rather than radioactive waste provided that  
4 the radio isotopes involved, which happen to be tritium and  
5 Carbon 14, don't exceed certain quantities or  
6 concentrations.

7 Lastly, we have a whole table or a set of tables  
8 in the regulations in Part 30 which list the concentrations  
9 or the quantities of radioactive material which are exempt  
10 from regulatory control.

11 Now, Congress reminded us in the Low-Level  
12 Radioactive Waste Policy Amendments Act in 1985 of their  
13 concern about the disposal of low-level waste in this  
14 country and setting up the compact system, you know, the  
15 intricate system we have today. The Congress put in that  
16 act the mandate and the phrase "Below regulatory concern."

17 It admonished the NRC to develop policy and  
18 procedures for exempting certain radioactive wastes where  
19 warranted, where the amounts or the concentrations were low  
20 enough to be below regulatory concern or low enough to be  
21 exempt from regulation.

22 Now, the Congress gave us that admonition, and  
23 only one year later, in 1986, the NRC published a policy, a  
24 BRC policy, and I'm surprised we didn't get a great deal of  
25 attention on it. That policy, in 1986, laid out procedures

1 by which interested parties could petition the agency for  
2 the regulatory action to exempt wastes.

3 Now, that focused only on waste, and it spoke in  
4 that policy statement of 1986 of waste streams that would  
5 involve exposures on the order of a few millirem per year.  
6 Let's keep that number "a few." Those of you that have a  
7 technical background, you know, people sometimes have almost  
8 theological arguments as to how many are a few, and it's  
9 exactly three to seven. It's no more and no less.

10 [Laughter.]

11 MR. BERNERO: But that policy said a few millirem  
12 per year, and then in 1990, this more recent policy came  
13 out.

14 But the Commission did something very important.  
15 They looked at the issues and recognized that their new Part  
16 20 was coming out of the chute virtually coincident with  
17 this, our new radiation protection regulation, and they  
18 decided to expand this policy beyond waste. That's a very  
19 important point.

20 The BRC policy -- and this is why many of us tried  
21 to get them to call it the exemption policy and not the BRC  
22 policy -- it covers all of the regulatory activities wherein  
23 this principle prevails that something is low enough to be  
24 exempt from further regulatory control. Decommissioning. A  
25 stationary site, nuclear facility of some sort no longer in

1 use, you want to have unrestricted release.

2 How do you judge how clean is clean enough?

3 That's a basis for exemption: the cleanliness standard for  
4 that site release.

5 Consumer products. If you're going to distribute  
6 something in the marketplace and presumably see it lost into  
7 casual disposal -- when a smoke detector comes off the wall  
8 -- I just discarded one myself just the other day. It won't  
9 accept any battery anymore; the electrical circuit just  
10 warns me the battery's no good no matter what I put in it.  
11 So I got a new one, and the old one, into the trash.

12 Waste disposal -- we talked about that. Waste  
13 disposal is an area where exemption might be practiced; and  
14 lastly, an area that is little seen now, but may be seen  
15 more in the future, recycle. That is where some material  
16 which has value in the nuclear processes may have a  
17 justification for recycled use.

18 The simplest of that is some valuable metal alloy.  
19 If you have a valuable metal alloy and melt it down after it  
20 has been in nuclear use, it might have a virtually  
21 unremovable minor concentration of radioactivity, and you  
22 can make a decision, Is that material exempt from further  
23 regulatory control? Can it be recycled into commercial use.

24 Other examples: chemicals that could be for  
25 fertilizer, or for steel-making, or something, some

1 industrial process.

2 Now, the defined levels of below regulatory  
3 concern, or of exemption, that the Commission set out in the  
4 recent policy statement are not particularly different from  
5 what we think we were doing in past practice -- although I  
6 can identify some cases where old regulations don't seem to  
7 match it -- and they do not appear -- at least to me, their  
8 central elements are not substantially different from what  
9 might be called an international consensus. Let me amplify  
10 on that, and I hope to answer Chuck Tedford's question in  
11 the process.

12 If you look at the Commission policy statement and  
13 all of the long words, and discussions, and risk  
14 coefficients, and all of this stuff, it is in essence what  
15 we call in radiation health and safety a de minimis  
16 standard.

17 It's really saying, When I look at background  
18 risk, I'm going to choose a risk level that is so low that I  
19 don't notice it in background risk. I'm not doing a cost  
20 benefit analysis; I'm not counting how many person rem cost  
21 how much to avert to clean it up a little bit more; I'm just  
22 talking about risk levels that are so low that I can't  
23 discern them in the variations of every-day life.

24 The focal point of the policy is the individual  
25 dose depending on the type of practice. There are two

1 numbers in the policy. The big number, the infamous ten  
2 millirem per year, is assessed or assigned to a practice  
3 that involves a limited number of people, and the Commission  
4 says, We want to take a broad view of practice, and,  
5 therefore, a broad view of how many people are involved.

6 The other number is an order of magnitude lower.  
7 It is one millirem per year individual exposure and it is  
8 for any practice involving a large number of people. Now in  
9 simple terms, I like to put it this way. For a stationary,  
10 a decommissioning, where a limited number of people, either  
11 a family that might be resident there or the workers in a  
12 factory if the facility became a factory or a farm or  
13 something like that, then it would be reasonable to talk  
14 about 10 millirem per year.

15 Something that moves out into commerce, consumer  
16 products, multiple waste streams -- by multiple I mean waste  
17 streams that go out to -- let's say medical wastes. If a  
18 hospital has animal carcasses that go to a landfill you bet  
19 your bottom dollar some other hospital also sends animal  
20 carcasses to the same landfill.

21 Those practices evidently we would focus on one  
22 millirem a year.

23 That is the focal point of the Commission's policy  
24 statement -- 10 millirem a year individual dose for limited  
25 numbers of people or 1 millirem for larger numbers of

1 people. Now how does that compare to other risk levels?

2 Well, the Commission's new Part 20 adopts what I  
3 think is fairly called an international consensus safety  
4 limit. The safety limit for radiation exposure to a member  
5 of the public is 100 millirem per year.

6 Now with the Commission's choice of 10 for a few  
7 people, 1 for many people, you see it is going to be pretty  
8 hard to conjure up combinations whereby any member of the  
9 public would be threatened by an accumulation that  
10 approaches or exceeds 100.

11 Another thing for comparison, we have got a long-  
12 standing regulation on the books. We call it 10 CFR 50,  
13 Appendix I. It is for the gaseous emissions from nuclear  
14 reactors. It is a rather intricate code. It's an older  
15 regulation about 15 years old but in round numbers you can  
16 say it's about 5 millirem a year. It's in the bracket.  
17 It's in the few range.

18 Another point of comparison for comparative risk,  
19 you all know about the Clean Air Act and the EPA proposal  
20 for emissions and all the big fight we're having about, you  
21 know, should there be an exemption of NRC licensees from the  
22 Clean Air Act and so forth. That is in the EPA 40 CFR 61 is  
23 10 millirem a year for emissions from a nuclear facility.

24 Another point of comparison is the EPA Clean Water  
25 number, which appears in everything EPA does -- 4 millirem a



1 year, so you can get the sense in this context that what the  
2 Commission has done, it has gone down into the range of  
3 debate which in round numbers is 1 to 10 for risk levels  
4 associated with things like this and put out this policy.

5 Now we do have to go back and review all of the  
6 older materials. Our focus right now in the staff is we are  
7 working very hard on the decommissioning criteria. That is,  
8 how many microcuries of what per gram of soil or per square  
9 centimeter of wall are tolerable in clean-up standards and  
10 when we have that we will have a good technical base to go  
11 evaluate all the other exemptions that we have.

12 We feel very strongly we have to do that. There  
13 are some of them -- I'll tell you right now -- technically  
14 it's not really an exemption. It's a general license but my  
15 non-favorite regulation is 10 CFR 40-22, which allows you to  
16 go out and get a sack full of uranium and do things with it  
17 without answering for it and it's very tolerant and it was a  
18 regulation written some time early in the stone age and I  
19 think for sure we'll change that one.

20 So basically I just want to sum up my remarks by  
21 saying the Commission is trying to codify not only its own  
22 past practice but an evident principle of setting a standard  
23 where something is low enough to be tolerated and it has  
24 chosen values for those levels that are reasonable and  
25 consistent with other proposals or other activities and the

1 Commission with this policy want to now proceed on two  
2 fronts, one, implementing practices with this common  
3 standard and reviewing the past exemptions and past  
4 practices to see which do or do not comport with this risk  
5 standard.

6 Thank you.

7 [Applause.]

8 MR. THRON: Thank you, Bob. I don't want to dwell  
9 too long on my comments. I hope we can leave time for  
10 questions. I think none of us should be necessarily  
11 perceived as having the answers to all of these questions or  
12 necessarily as the experts and I certainly don't view myself  
13 in that regard.

14 I think this issue of BRC does indeed require a  
15 lot of dialogue and questions and I think the upcoming  
16 meetings this fall -- they are going to take place this  
17 fall? I believe there's going to be -- the five meetings  
18 throughout U.S. on this policy will be exceptionally  
19 important.

20 I want to give you three main comments that I want  
21 to make, comments from my state specifically, from the state  
22 of Minnesota, a perspective from that state, a few comments  
23 about what some of the opposition in our state is saying.

24 I don't just say "opposition" but also include in  
25 that body of people, people that have many concerns about

1 the issue and then some general comments about the NRC  
2 policy itself.

3           During our last legislative session in Minnesota  
4 our state legislation passed a law that effectively did not  
5 allow for a BRC policy to be implemented in the state of  
6 Minnesota. Essentially it was a law that bans low level  
7 radwaste disposal in any facility in a state unless it is  
8 otherwise duly licensed, which we have no such facility in  
9 the state.

10           When this was proposed and this was proposed by a  
11 number of environmental groups, principally the Minnesota  
12 Public Interest Research Group, there was a lot of sympathy  
13 and support by a number of legislators on this issue.

14           We as state agencies had to decide whether we  
15 wanted to at that point actively go in and debate that issue  
16 and to perhaps oppose that issue if that is where we were  
17 coming down or exactly what we ought to do about that.

18           What we did decide to do at the point was not to  
19 take on this battle at that point in time but rather to  
20 require a sun-setting of the moratorium on BRC in the state,  
21 so in effect the law did pass in our state but with a few  
22 caveats.

23           The law that did pass did require the state to  
24 convene a committee to look at the costs and benefits of  
25 deregulation, both the health and environmental effects,

1 both the dollar and the non-dollar impacts that would occur  
2 in our state.

3 A recommendation was required to be submitted to  
4 the legislature by January 1st, 1994, at which time we also  
5 will have to make a recommendation as to the continuation of  
6 the moratorium.

7 I think even though it was hard to have a bill  
8 like this pass because I think many of us felt that by and  
9 large perhaps NRC policy was correct, yet on the other hand  
10 many of us, you know, didn't have that absolute certainty or  
11 convincing arguments that we could give to our legislature  
12 or the public as a whole.

13 I think the hearings hopefully that NRC will have  
14 this coming fall will be helpful not only to themselves but  
15 to us as state agencies that have to deal with these issues.

16 Let me now comment on some of the issues that our  
17 opposition and concerned people have been saying about BRC.

18 One of the concerns, of course, for BRC is that we  
19 ought not to spend a lot of dollars on these low-level rad  
20 wastes when there are more important areas to spend those  
21 dollars.

22 The opposition essentially says that these are a  
23 lot of illusionary costs, that in fact we won't be saving  
24 cost by not regulating these wastes.

25 Secondly, the opposition is saying that background

1 levels of radiation are neither safe nor unalterable, and  
2 they put the levels that NRC is considering for BRC in that  
3 category, and they cite numerous examples of naturally-  
4 occurring radiation, such as radon, where we can, in fact,  
5 do something about it.

6 They are also saying that this NRC policy is a  
7 shift from a safety standard to an acceptable risk, an  
8 acceptable risk which at present, is defined by NRC as much  
9 too high, and some of the opposition goes on to talk about  
10 an acceptable cancer risk that should be based on 1 in a  
11 million, something that probably would translate to much  
12 less than 1 millirem per year.

13 One of the main issues that has come forth is the  
14 difficulty in siting waste-disposal facilities. Now, we are  
15 in the process, in our State, building incinerators for  
16 municipal waste and infectious waste and, also, looking for  
17 land disposal facilities. The question invariably arises as  
18 to whether low-level rad waste or this BRC-type waste would  
19 be accepted here, and there is nothing to incite passion or  
20 panic in the public than the words "radiation" or "rad  
21 waste." It does make it difficult.

22 In fact, I was at a hearing for an infectious-  
23 waste incinerator just 2 weeks ago, and a number of  
24 questions had arose on this. I'm sure you're aware that  
25 many hospitals and clinics would probably have waste of this

1 type.

2 Another concern that the opposition is raising,  
3 and our legislators, as well, is the issue of lack of state  
4 control. I think one of the principal concerns here is the  
5 importation of waste from a state that essentially  
6 subscribes to the BRC policy and shipping that waste to a  
7 state that does not subscribe to that policy. So, the  
8 concern here is about not knowing that there are BRC types  
9 of waste that would be coming in.

10 Lastly, let me just make a few comments about the  
11 NRC BRC policy itself.

12 As I read through the materials, I do believe that  
13 it appears to be well-based, at least the intentions of NRC,  
14 the intentions to establish safe cleanup levels at sites,  
15 the intentions to have levels that can be used as guidelines  
16 regarding decommissioning and levels that would be  
17 applicable to products that are sold for public use.

18 I think the issue, as we all know, is the standard  
19 itself that we would subscribe to it.

20 I am involved with several other programs, namely  
21 the Safe Drinking-Water Program in our State, and we have a  
22 lot of interactions with the Environmental Protection Agency  
23 in that regard, and it's interesting to note that even in  
24 the safe drinking water programs, we deal with low-level  
25 contaminants, many of which are carcinogens and many of

1 which cannot be reduced to zero.

2 It's interesting to note that in the Safe Drinking  
3 Water Program at EPA, they set a maximum contaminant level  
4 goal of zero for any contaminant that is, in fact, a  
5 carcinogen. They don't call it a below regulatory concern,  
6 and I'm beginning to wonder if the terminology, BRC, is  
7 maybe not such a good terminology, because it imparts to the  
8 public the issue of you don't care about something if it's  
9 at this level or below this level.

10 I think if you look at what EPA is doing, they are  
11 attempting, at least, not to use that terminology. They  
12 are, in fact, establishing as a goal, at least for  
13 carcinogens, of zero; realizing fully, however, that that  
14 probably is not achievable, and for those of you that are  
15 familiar with the Safe Drinking-Water Program, you will know  
16 that EPA has also established the MCLs, or the maximum  
17 contaminant levels, which are not necessarily, at all times,  
18 health-based but do take into account economic and other  
19 considerations.

20 So, with that, I will close, and I think after the  
21 next speaker, we'll open for questions.

22 [Applause.]

23 MR. QUILLIN: Good morning. I'm real happy to be  
24 here today.

25 I want to thank the Nuclear Regulatory Commission

1 for its recognition of Colorado's existence. For those of  
2 you who took the time to leaf through the 1989 NRC Annual  
3 Report, you will notice a map in there which does not  
4 include Colorado in the United States.

5 [Laughter.]

6 MR. QUILLIN: That goes along with that cartoon  
7 strip they ran last week -- I don't know that it ran in the  
8 local newspapers -- which had a group of high school  
9 students who couldn't identify geographic features on a map,  
10 but in the Nuclear Regulatory Commission there is now  
11 evidently an East Kansas and a West Kansas.

12 [Laughter.]

13 MR. QUILLIN: With respect to BRC, I'd like to  
14 give you a story about how BRC is really being implemented  
15 today, without the state input or the Nuclear Regulatory  
16 Commission input.

17 In Colorado, we have a major landfill operator who  
18 has, on his own, installed a monitor by which all the waste  
19 which comes in is checked. This monitor is set to read --  
20 or I should say alarm at 400 counts per minute above  
21 background, which is roughly about 5 percent above their  
22 normal operating background.

23 Two weeks ago, the monitor alarmed as a dumpster,  
24 a large dumpster, passed by. They checked the dumpster  
25 again and verified the number and just sent the dumpster



1 back to the generator. They didn't accuse them of anything  
2 and just said they would not accept that dumpster of  
3 material.

4 The generator called in their experts, who sorted  
5 through and, at the bottom of the dumpster, found multiple  
6 sacks containing uranium. The generator doesn't know where  
7 this uranium came from. They don't think they had it in  
8 their warehouses, but somehow it ended up in the dumpster.

9 So, we have a BRC policy which is being  
10 implemented without, as I say, NRC's input and without, as a  
11 matter of fact, my input either, or the Colorado Department  
12 of Health's input.

13 I'd like to look at this from a slightly different  
14 perspective than the previous speakers.

15 Colorado is going through the same solid-waste  
16 disposal problems that other states are experiencing today.  
17 I am told that the more than 100 solid-waste landfills that  
18 are in existence today in Colorado will shrink to about 30  
19 in not too many years. Development of new landfills will be  
20 controversial, time-consuming, and expensive.

21 As an example, let's look at this county that  
22 we're in today, Montgomery County, Maryland. In the '70s  
23 and early '80s, Montgomery County attempted to site a new  
24 landfill. I don't know exactly how many years it took for  
25 them, from beginning to end, to do this; it was quite a few.

1 But I do remember that when it was all finished, the  
2 Washington Post reported that it cost over \$50 million to  
3 site the landfill in this County.

4 In Colorado, landfills must possess a Certificate  
5 of Designation to operate. This Certificate is issued by  
6 another division of the Colorado Department of Health. I  
7 really cannot see, in the future, a Certificate including  
8 the site knowingly accepting radioactive waste by any name  
9 above or below regulatory concern.

10 Back in the 1970s the NRC created another class of  
11 BRC, the carbon-14 and tritium biomedical waste. I was a  
12 generator of waste back then and I can remember the problems  
13 we had when the NRC implemented their new policy.

14 The low level waste site that we had previously  
15 shipped carbon-14 and tritium waste to would no longer  
16 accept the waste, as the waste material firms would not  
17 accept the waste. However, the NRC had solved the BRC  
18 problem with biomedical waste generators. We had the waste.  
19 We had nowhere to dispose of it.

20 I'm afraid that the NRC has now solved the waste  
21 problems for another set of generators. I think the BRC  
22 concept is a good idea but what has happened, it's been  
23 given a bad connotation by a number of groups out there in  
24 the public.

25 The NRC has won the battle. They issued a BRC

1 policy but we will have to wait to see whether they have won  
2 the war -- public opinion and public support.

3 I was asked to address what is Colorado doing  
4 about BRC and I will say at this time we are doing nothing.  
5 We are waiting for the smoke to clear to see how all of this  
6 falls out.

7 Thank you.

8 [Applause.]

9 MR. COMBS: Our final speaker is Gerald S. Parker.

10 Mr. Parker graduated from Northeastern University  
11 in 1953 with a degree in Biology. In 1955 he took an S.M.  
12 in Sanitary Engineering from Harvard University and in 1965,  
13 an S.M. in Radiological Health from the Harvard School of  
14 Public Health.

15 Currently Mr. Parker is Assistant Commissioner,  
16 Bureau of Environmental Health Services for the  
17 Massachusetts Department of Public Health. One area under  
18 Mr. Parker's cognizance is the Radiation Control Program  
19 which is responsible for protecting the public from both  
20 ionizing and non-ionizing radiation including discharges  
21 from nuclear power plants, X-ray units at doctors' offices  
22 and hospitals and radons in houses.

23 Mr. Parker is a member of the American Public  
24 Health Association, the Conference of Radiation Control  
25 Program Directors, and the New York Academy of Sciences, the

1 Massachusetts Health Officers Association, and the American  
2 Academy of Environmental Engineers.

3 He is the past President of the New England  
4 chapter of Health Physics Society, also the past Chairman of  
5 the Conference of Radiation Control Program Directors and  
6 was the Chairman of the United States Health and Human  
7 Services Technical and Electronic Product Radiation Safety  
8 Standards Committee from 1987 until this year.

9 At this point I would like to introduce to you  
10 Gerald S. Parker.

11 [Applause.]

12 MR. PARKER: It's always nice to be late because  
13 you don't know what people said before you so you can say  
14 whatever you want, and that's what I'll try and do, although  
15 I'll have to agree with our colleague from Colorado that  
16 very little is being done in Massachusetts.

17 When the Nuclear Regulatory Commission put out  
18 their policy statement and listed four typical practices  
19 that they would take a look that would be subject perhaps  
20 for exemption -- disposal of very low level radwaste,  
21 release of lands and structures, consumer products, recycle  
22 and reuse of materials and equipment.

23 The activists out there jumped on the first one,  
24 the low level radwaste. We don't hear anything about the  
25 others. From a scientific point of view, both the Director

1 of the Radiation Control Program, myself and even our  
2 Department, we feel it's a great idea. The question is are  
3 we going to be able to sell this in light of the fact that  
4 you get these things in the mail -- "lethal landfills -- how  
5 radioactive waste could end up in your community's  
6 landfill."

7 In addition, in Massachusetts we have a board  
8 called the Low Level Radioactive Waste Management Board and  
9 they appeared at the seminar that was held in Chicago on  
10 August 28th by the NRC. Let me explain a little bit what  
11 this board is supposed to do.

12 This board is supposed to fulfill the mandates of  
13 Federal law P.L. 99-240, the Low Level Radioactive Waste  
14 Management Act.

15 A law was passed in Massachusetts, Chapter 111-H,  
16 which is in the Department of Public Health, by the way.  
17 That contains several provisions allowing the state to  
18 manage materials and practices of all waste currently  
19 regulated as low level waste, including waste which may be  
20 declared BRC in the future.

21 These provisions of Chapter 111-H are founded on  
22 the principles of managing low level waste on the basis of  
23 the state's economic concerns, such as matters of facility  
24 utilization and allocation and on the basis of guarding  
25 against the potential liability of the Commonwealth for

1 personal injury : property damage.

2 The board does agree 100 percent that to entrust  
3 this new policy upon the states at a time when states are  
4 trying to accomplish the goals and fulfill the mandates of  
5 Public Law 99-240 adds unnecessary complications to an  
6 already extremely complicated issue. Other state low-level  
7 waste boards, agencies and authorities share this opinion.  
8 That's the opinion of that board; that is not the opinion  
9 of our Department.

10 They gave three reasons at their conference in  
11 Chicago in August. I would just like to focus on one of  
12 them.

13 The BRC issue has generated significant confusion  
14 and misunderstanding among the public. The public is  
15 confused and perplexed. This confusion is causing greater  
16 distrust of the NRC and misunderstanding, anxiety and  
17 distrust of management board activities. Increased  
18 negativism on the part of the public will complicate the  
19 board's ability to meet the objectives of P.L. 99-240,  
20 especially in the extremely difficult phase of facility  
21 siting.

22 That is one view from an official, independent  
23 board in the Commonwealth.

24 Let me turn for a minute to an organization called  
25 Massachusetts Citizens for Safe Energy. They are the group

1 that put out this "lethal landfill" -- and they are getting  
2 lots of publicity in the Commonwealth. In fact, we think we  
3 have 20 communities already that have passed local ordinance  
4 which will not allow BRC material in their landfills.

5           According to this Massachusetts Citizens for Safe  
6 Energy -- their office, by the way, is in the same building  
7 as Mass PERG -- "Up to 60 percent of the low level  
8 radioactive waste produced by nuclear power plants could be  
9 exempted from regulation under the proposed BRC policy.  
10 This would equal about 790,000 cubic feet and about 7800  
11 cubic feet in Massachusetts. As other waste generators  
12 apply for similar exemptions, up to 30,000 cubic feet of  
13 radioactive waste could be deregulated every year. When  
14 Pilgrim and Yankee Rowe are decommissioned the volume of  
15 radioactive waste going to municipal landfills could  
16 increase significantly."

17           I would echo what the last speaker said. This is  
18 a great idea, this BRC policy, but I am wondering whether  
19 the timing was absolutely the right timing to take this up  
20 when we are all facing that 1992 deadline of getting rid of  
21 our low level waste, so again from a scientific point of  
22 view I think this is the correct procedure. We should go  
23 forward with it. However, we should consider what the  
24 political ramifications are of trying to solve the problem  
25 of low level radioactive waste disposal on the one hand and

1 to reduce the amount of waste that has to be put into the  
2 low level waste things.

3 Thank you very much.

4 [Applause.]

5 MR. COMBS: We are now prepared to take questions  
6 for the panel, if you will rise and come to the microphone.

7 MR. GODWIN: Aubrey Godwin of Alabama. I would  
8 like to raise the issue that I failed to raise on the  
9 previous BRC edition, the tritium and the carbon. Will the  
10 Department of Transportation adjust their regulations so  
11 that things that are going to be determined to be BRC will not  
12 have to be transported as radioactive materials even though  
13 they are not subject to our respective regulatory things?

14 I mean that was one of the key problems we ran  
15 into with the tritium and carbon as I recall. A lot of  
16 times you would have to mark it as radioactive just for  
17 transportation purposes.

18 MR. BERNERO: We have in Part 71 two nanocuries  
19 per gram, whatever that is in Becquerels.

20 I don't recall any discussions in recent vintage  
21 with the Department of Transportation on this and I am  
22 looking at the faces of Staff in the back. If they have  
23 anything to add to that?

24 I just don't know. It's a good point.

25 MR. SJOBLOOM: Glenn Sjobloom, NRC/NMSS.



1           It is the case that we haven't had any discussions  
2 with Transportation. If you look however at carbon-14 and  
3 tritium, you will find that they have fairly low  
4 radiotoxicities compared to other isotopes and so that their  
5 concentrations for limits for example in 10 CFR 20 in the  
6 tables are fairly high and therefore concentrations which  
7 would have little import radiologically for those could be  
8 above 2 nanocuries per gram.

9           For most of the other isotopes, cobalt-60 and so  
10 forth, you probably are going to end up with not  
11 deregulating things like that. That's just a guess however.  
12 That would remain to be developed.

13           MR. BERNERO: I think the point you made, Aubrey,  
14 was that anything in excess of 2 nanocuries per gram would  
15 end up being placarded and shipped as radioactive material.

16           MR. DORNSIFE: Bill Dornsife, Pennsylvania.

17           I have a question for you. I guess it may be  
18 partially a comment, too.

19           You mentioned the exempt concentrations and exempt  
20 quantities that are in Part 30. But I think you need to  
21 recognize that most of those exempt concentrations and  
22 exempt quantities only apply to the fairly short-lived  
23 isotopes. And I think that is one of the problem, in that  
24 most of the disposal issues we deal with are the longer-  
25 lived isotopes. And maybe the best solution is to develop,

1 extend that list of exempt concentrations and exempt  
2 quantities for something that is really useful to licensees,  
3 using the 1 millirem number.

4 Because the problems . find in the States, are  
5 things that fall outside of the regulatory structure, like  
6 sewage sludge, is slightly contaminated. If there were  
7 limits established that were really exempt limits recognized  
8 by regulations and across the board, I think that would be a  
9 more useful way to spend your resources in terms of the BRC.

10 MR. BERNERO: Yes, Bill, I recognize that. That  
11 table in Part 30 has the dual deficiency. One, it is based  
12 on very, very old calculations and models, and we're not too  
13 sure how good all of those isotopes are. But it does fall  
14 short. It doesn't cover all the isotopes. And that's why  
15 we're focusing in the decommissioning cleanup on all the  
16 isotopes, particularly the long-lived, and then we hope to  
17 take those analyses and translate them to suit, into Part  
18 30.

19 MR. COMBS: Are there other questions or comments?

20 MR. BERNERO: I would just like to add a comment  
21 on the anecdotes about the BRC of the landfill operator in  
22 Colorado.

23 One of the things that we're finding out is that  
24 there are widespread in the United States places that are  
25 monitoring radioactivity for its ingress into non-

1 radiological circumstances. Many of you know some years ago  
2 there was an incident with Cobalt 60 in scrap iron coming  
3 out of Mexico, rebar, table legs, things like that. And  
4 there was a great deal of attention to track that down,  
5 because we had some fairly high levels of contamination.  
6 And since that time, many scrap yards in the United States  
7 have portal monitors to detect, at least at some reasonable  
8 threshold, the presence of radioactive material in the scrap  
9 coming in for salvage or remelt.

10 At this time, landfill operators, and very many  
11 areas are doing it, and we know of one national company,  
12 Browning Ferris Industries, and I presume that's who was the  
13 operator of the landfill, they have a national policy of all  
14 the places they operate to have portal monitors set at that  
15 level, four to five hundred counts per minute above  
16 background radiation using shielded sodium iodide weld  
17 detectors, one on each side of the truck. And we are in  
18 dialogue with them.

19 It is also done in California. I know in Los  
20 Angeles County, all the landfill waste is monitored. So  
21 it's a widespread practice in the United States.

22 MR. PARKER: In Massachusetts, at our regional  
23 incinerators, we require the same thing. There are  
24 detectors when the trucks come in. If the alarm goes off,  
25 the truck is turned away until somebody from either the

1 hospital comes, somebody has to come and take a look and  
2 find out what is in there, and dispose of it in the proper  
3 manner. Then the truck is allowed to dispose of it.

4 But we found that a lot of hospitals,  
5 inadvertently or advertently, it doesn't make any  
6 difference, were putting stuff in the regular trash just to  
7 get rid of it.

8 MR. SCHWARTZ: I'm Shelly Schwartz with the  
9 Nuclear Regulatory Commission.

10 Fred, I thought it might be useful to recount  
11 where the next four workshops are and the dates. I don't  
12 know them off the top of my head, but maybe someone does, so  
13 that everybody knows in the audience where they are and when  
14 they are going to be.

15 MR. KERR: Wayne Kerr from Illinois.

16 Bob, when the Chairman first started this morning,  
17 he focused principally on the consumer products and the  
18 decommissioning part of the BRC Rule. You hit it somewhat  
19 more directly, as did many of the speakers.

20 But in view of the recent Congressional interest  
21 and the kind of reception at the Chicago meeting on BRC,  
22 where do you think the waste part of it is going to go?

23 MR. BERNERO: Well, first of all, let me just  
24 cite, I don't see a representative from California here, but  
25 I've read the California law on BRC. And it is a criminal

1 offense to dispose of radioactive material that isn't  
2 authorized by their regulations, which are basically like  
3 our regulations, and therefore, they recognize exempt  
4 quantities, or concentrations.

5 There are many other laws that have been passed --  
6 the State of Pennsylvania comes to mind, and the State of  
7 Maine -- that freeze exemptions, or BRC, at January 1, 1989,  
8 or some date like that, and say anything that was exempt  
9 before then is acceptable but nothing in the future.

10 And that is pretty tough, to figure out a way to  
11 do that reasonably, or to have exemption in some states but  
12 not in others.

13 The idea of notification. If a generator in one  
14 state has exempt material, is the state to be notified  
15 before disposing of the exempt material, let's say a waste  
16 stream, or if it is to be disposed of across the river in an  
17 adjacent state, should that state be notified? Some very  
18 cloudy things.

19 I would just point out, the nuclear power  
20 industry, which seems to be the focus of all of the public  
21 outcry in the low-level waste arena, rather than the other  
22 arenas of BRC or exemption policy, has not come forward with  
23 the generic petition, I suspect may not come forward with  
24 the generic petition. And I certainly see other trends in  
25 the management of low-level waste that minimize or virtually

1 eliminate the wastes that are potentially exemptible, at  
2 least until the end of the trail, when the plant is  
3 decommissioned.

4 We had a conference in Florida recently, and a  
5 number of people here were at that conference. I heard a  
6 lot of discussion about compaction, other forms of  
7 processing, and also the fact that in implementing low-  
8 level waste act, that is, the compact disposal site process,  
9 that the costs have to be paid. It's a very high overhead  
10 to develop all these sites. And the principal generators,  
11 the nuclear reactors, they are going to pay for the cost one  
12 way or the other.

13 I heard Bill Dornsife enunciate a possible price  
14 scale for Pennsylvania that virtually eliminates any  
15 monetary advantage of trying to exempt Class A reactor  
16 waste. And rightly so.

17 You know, they dominate, they being the power  
18 reactors, dominate the curies and the volume in most places  
19 of the low-level wastes to be disposed of, and they are  
20 going to get stuck with the bill, one way or the other.

21 So what I see coming in BRC is exemptions on  
22 decommissioning of sites, exemptions for various, perhaps  
23 medical wastes, further; we have a petition from Rockefeller  
24 University and others on it now. I see that kind of  
25 activity, and perhaps a recycled use here or there. But I

1 don't see much in the way of reactor waste streams, at all.

2 MR. COOL: Donald Cool with NRC.

3 Shelly Schwartz had asked a minute ago what the  
4 dates were. For those who don't have those on their  
5 calendars, the other four meetings will be held over the  
6 next three weeks, on the 18th in King of Prussia,  
7 Pennsylvania; on the 20th in Atlanta, Georgia; and the other  
8 two are the following week, the 25th in Arlington Texas and  
9 the 27th in Oakland, California.

10 MR. OWENS: Bob Owens, State of Ohio.

11 I'd like to convey a concern for the Midwest  
12 Compact as Deputy Commissioner to that group, to the NRC.  
13 Basically, more of the economic impact of BRC upon the  
14 disposal of LLRW. And I would like to quote from the BRC  
15 policy statement on Page 5, which says that: "Together with  
16 the 1986 policy, the new BRC policy is needed now to help  
17 resolve issues associated with low-level waste management in  
18 order to minimize impacts on low-level waste disposal  
19 facilities in the States."

20 I would like to emphasize the word "minimize."  
21 One of the concerns of, I think, all Compact States, is the  
22 now common knowledge that BRC will not only not minimize,  
23 but in all actuality will maximize impact from the economic  
24 standpoint upon those states. It will greatly accelerate  
25 the cost of LLRW for disposal at those sites. And, as just

1 mentioned by the gentlemen from NRC, and also from the State  
2 of Massachusetts, that is it is certainly recognized that  
3 expense will be borne by generators within those States.

4 This is a concern to us that it will make siting  
5 of such facilities just totally out of reach from an  
6 economic standpoint. We don't know what concerns NRC has  
7 placed upon this, or what actions they plan in accordance  
8 with their statement in the BRC policy itself. But we would  
9 like to convey that concern to them, and any response is  
10 certainly welcome.

11 MR. BERNERO: I think that we appreciate that the  
12 economic cost of what looks like now perhaps 12 or 15 low-  
13 level waste disposal sites in the U.S. is quite high, and a  
14 large programmatic difficulty.

15 It is my personal opinion that the legislators who  
16 passed that Act in 1985 expected there to be more  
17 coalescence and fewer sites, more states getting together  
18 with fewer disposal sites. But that hasn't come to pass,  
19 and that is a very substantial cost.

20 But unless the states join and pool their  
21 resources and therefore pool on a single site, those costs  
22 are going to be high on the generators in the states that  
23 have very small volumes of waste for a site.

24 MR. DORNSIFE: Bill Dornsife, Pennsylvania.

25 I think few of us technically disagree with the



1 need for a BRC policy. But obviously, the biggest problem  
2 is implementing one, and the public acceptance of such a  
3 policy.

4 And I think the way NRC had gone about their  
5 public involvement program and implementing it is just not  
6 the right way it should have been done. They should have  
7 taken some lessons from some of the problems that the states  
8 have had in implementing a low-level waste program.

9 For example, you know, you don't have a public  
10 workshop after you have adopted a policy. You have your  
11 workshops in the process of developing a policy. Having  
12 workshops now will just annoy people even more. It's just a  
13 bitch session. They all complain, and it has little if any  
14 impact on the policy.

15 So I think it might be worthwhile to take a look  
16 at what some of the low-level waste programs are doing in  
17 the states in terms of getting public involvement, and  
18 taking some lessons from that.

19 MR. COMBS: Are there other comments?

20 Dr. Parker.

21 MR. PARKER: Yes. I would like to follow up on  
22 the comment of the gentleman from Ohio.

23 I think what is going to be happening here is, we  
24 are going to find a number of states absolutely prohibiting  
25 BRC waste from going into landfills. And if the states

1 don't do it, the local communities will do it.

2 I would like to read from a letter from  
3 Commissioner Carr to the Chairman of the Low-Level  
4 Radioactive Waste Management Board.

5 "The Commission acknowledges the fact that many  
6 state and local laws and resolutions prohibit any BRC waste  
7 from being disposed of in local landfills." And I'm going  
8 to skip a few lines. "The need for uniformity of basic  
9 radiation protection standards, however, does not affect a  
10 state or locality's ability to regulate radioactive  
11 materials for purposes other than radiological protection or  
12 to choose a site or technology when acting in a non-  
13 regulatory proprietary capacity."

14 My concern is, if we go ahead with this now, what  
15 we are going to do is drive the costs up even further than  
16 they already are. And I think we ought to take careful  
17 consideration whether we should go ahead with that aspect of  
18 BRC waste, the stuff going into the landfills.

19 MR. COMBS: Are there other comments?

20 [No response.]

21 MR. COMBS: I'd like to thank the BRC panel, and  
22 at this particular point would like to take care of a number  
23 of administrative details.

24 There are evaluation forms in your packets. You  
25 can fill those out at your convenience and send them in at a

1 later date, perhaps with your vouchers in the included  
2 envelopes. Your input and feedback is very important to our  
3 assurance of continued success of the program.

4 There is also an information sheet in your packet  
5 on details such as where to eat lunch and dinner and how to  
6 be reached by telephone while you are at the meeting.

7 There are two staff persons who can serve as  
8 resources from our office:

9 Mindy Landau. Mindy, if you would stand please.  
10 Mindy manages the State Liaison Program from Headquarters,  
11 and she can answer questions or help you out with problems  
12 regarding this meeting.

13 Brenda Hill, at our registration desk, can help  
14 you out with travel questions.

15 There is also a packet with instructions in  
16 filling out vouchers. But Brenda can help you with all of  
17 that, with that information, too.

18 We appear to be slightly ahead of schedule. And  
19 what I would like to go ahead and do is take advantage of  
20 that and take our 10:15 break early, to reconvene at 10:30.

21 Prior to reconvening, I would like to see the  
22 other pre-luncheon speakers for a few moments.

23 Thank you.

24 [Applause.]

25 [Brief recess.]

1 MR. COMBS: I think we are at a point where we can  
2 reconvene. Prior to our next speaker, I would like to note  
3 that here at NRC, we do hold the State Liaison Program in  
4 high regard, and we have a number of NRC employees who are  
5 here and I'd like to just introduce at this moment.

6 Sheldon Schwartz is Deputy Director of our Office  
7 of Governmental and Public Affairs.

8 [Applause.]

9 MR. COMBS: John Grieves is Deputy Director of the  
10 Division of Low Level Waste Management.

11 [Applause.]

12 MR. COMES: Glen Sjobloom, Deputy Director of  
13 Materials on Regulations in NMSS.

14 [Applause.]

15 MR. COMBS: And Martin Malsch, our Deputy General  
16 Counsel. I guess he's doing counsel things at the moment.

17 [Laughter.]

18 MR. COMBS: But during the meeting, these  
19 individuals and other NRC employees are available to talk to  
20 you on issues, and please feel free to contact you. If  
21 there are people that you don't see whom you'd like to talk  
22 to, would you let me or my staff know, and we'll make sure  
23 you have someone to talk to.

24 Harold Denton is Director of the Nuclear  
25 Regulatory Commission's Office of Governmental and Public

1       Affairs. This office has incorporated the former offices of  
2       Congressional Affairs, Public Affairs, International  
3       Programs and State Programs.

4               GPA is responsible for establishing and  
5       maintaining good communications and working relationships  
6       between the NRC and other Governmental and public  
7       constituents.

8               Mr. Denton was formally director of the NRC's  
9       Office of Nuclear Reactor Regulation, and held that position  
10      from 1978 until 1987. He is a 1958 graduate of North  
11      Carolina State College, with a Bachelor of Science degree in  
12      nuclear engineering.

13              He joined the Regulatory staff of the US Atomic  
14      Energy Commission in 1963 as a reactor physicist, and has  
15      held a variety of management positions in Nuclear Reactor  
16      Regulation.

17              In 1977, Mr. Denton was awarded the NRC's  
18      Meritorious Service Award, and in 1980, he was presented  
19      with NRC's Distinguished Service Award. Also, in 1980, he  
20      was one of the first senior Federal executives to be honored  
21      with the Presidential Distinguished Executive Award.

22              I now introduce to you Harold R. Denton.

23                      [Applause.]

24              MR. DENTON: Like the Chairman said, it's a  
25      pleasure to see so many familiar faces out here in the

1 audience. I think I managed to visit many of you in your  
2 home states, and I find that's probably the best place to  
3 talk to you about your local problems.

4 I thought, before I hit my perception of the major  
5 issues, I would at least tell one story, and look back at  
6 how countries have faced energy crises before, and the time  
7 I've picked here is Britain's energy crisis and the year is  
8 1500 to 1700, just to give you a little historical  
9 perspective on the kind of problems we face today.

10 I found it fascinating to discover that back in  
11 that time of 1500, they were running out of firewood. Big  
12 problems were developing every year. There was firewood  
13 inflation; the population was growing; they were burning  
14 more firewood. There was deforestation occurring on the  
15 island.

16 It got so bad that they had to invent several new  
17 crimes. One of them was called hedge tearer, and anyone  
18 seen tearing hedges to burn, they would put them in the  
19 stocks. As the crisis deepened, the parents of any children  
20 seen carrying axes were also put in stocks because they were  
21 suspected of encroaching on someone's firewood.

22 Finding scapegoats became very popular. One of  
23 the first targets back then were brewers because they used a  
24 lot of wood. Bakers also became suspect. They began to ban  
25 brewers and bakers.

1           Coal was around, but no one really liked coal at  
2 the time. There was a lot of aversion to coal. In the  
3 Royal houses, no one would be caught burning coal in their  
4 fireplace. But as time wore on, firewood got so scarce in  
5 the country they eventually started using coal. The king  
6 even began to burn a little coal in his fireplace. They  
7 began to make bricks, and the crisis resolved itself. But  
8 it took 200 years, and maybe there's a lesson somewhere in  
9 that history that we can think about as we look at the  
10 problems we're looking at today.

11           I sure can't look ahead 200 years, but I think  
12 maybe I can look ahead 60 days, and that's what I'll do in  
13 my time today, is talk about what I perceive as the major  
14 issues confronting the NRC state as a cooperative effort  
15 here.

16           I've lumped them into two classes. The first one  
17 I want to talk about are what I call emerging state issues,  
18 and some of them, you're going to hear a lot about, some of  
19 them, you may not hear anything about this issue. But I did  
20 want to give you a context of what I think are the most  
21 important issues that we're liable to run into in the short  
22 term. So if we could have the first slide.

23           [Slide.]

24           MR. DENTON: Let me start first with  
25 compatibility. I think this is going to be an increasingly

1 important issue to look into. Ms. Dicus and other agreement  
2 state heads have identified this as a key issue to look  
3 into. Several states are also adopting regulations that  
4 differ slightly from NRC regulations. Pennsylvania has a  
5 few words different in their regulations; Illinois has some  
6 different regulations.

7 This prompted us to do a survey. Shelly Schwartz  
8 and Beth Hayden did talk to a number of you during the  
9 summer to identify what you thought should be encompassed in  
10 a real survey of compatibility issues, and we got a lot of  
11 useful ideas from you.

12 The Commission is considering this paper, and I  
13 think we'll be directed by the Commission to launch a major  
14 effort trying to identify what does compatibility really  
15 mean, and should we make any changes in the way we review  
16 compatibility between Federal and state statutes or  
17 practices.

18 I just wanted to identify this one. Commissioner  
19 Curtiss will be talking about it in great detail I think,  
20 and he'd be a good one to ask the policy questions about  
21 where it might head.

22 The next one is a new area that's just emerging,  
23 and it involves the Public Utility Commissions. I don't know  
24 if any PUC reps are here or not, but in several areas, the  
25 Commission has become concerned that the incentive plans



1 that some PCUs write have too many sharp edges, and that may  
2 have disincentives to safety in them. You know, a simple  
3 case would be that if the plan gives the plant manager a  
4 million-dollar bonus for running a day more, and takes away  
5 his salary if he runs a day less, he might just ignore some  
6 critical developing leak in the plant and try to run the day  
7 more.

8 So there are certain types of incentive plans that  
9 the Commission has gotten concerned about. They asked the  
10 staff for a draft policy statement to identify those  
11 undesirable features from our standpoint. We have given the  
12 Commission a draft staff paper on this, and I think you  
13 should anticipate the Commission will be sending something  
14 out in draft for everyone to comment on, trying to address  
15 this area, and I would think your PUCs would be very  
16 interested in that paper.

17 Another one that's taking a lot of time is one  
18 that some speaker identified this morning, and that's our  
19 interfaces with EPA. Talking about compatibility at the  
20 state level, compatibility at the Federal level may be no  
21 better.

22 I've made up a list of where we in EPA disagree,  
23 or at least have some differences in approaches, and I  
24 stopped around ten just for simplification.

25 The Commission's taking a hard look at why do we

1 at EPA seem to bump into each other so often these days?

2 Well, one area is increasing Congressional direction. There  
3 are lots of new bills that are coming up in Congress, and  
4 EPA gets a lot of direction from Congress to go do things.  
5 So there's the jurisdictional question that often arises.  
6 Court decisions also force EPA to take a lot of the views  
7 that they do.

8 Sometimes, there are true scientific differences  
9 between ourselves and EPA, and we are working on those. EPA  
10 also has a different approach for risk management than the  
11 historical approach that the NRC has taken.

12 All these things have led to our bumping into each  
13 other, and lack of progress. We're trying to resolve that  
14 by getting together at a high level with EPA and agreeing to  
15 work through these things, and either solve them or go to  
16 Congress, but it's a very difficult -- it appears to be a  
17 very difficult chore to do.

18 Let me just list some things which we can just  
19 name right off the bat where EPA and we have different  
20 approaches. The emission standards under the Clean Air Act  
21 -- this is being debated right now in Congress. That could  
22 have significant implications for some of the facilities in  
23 your areas. I guess my own opinion is that most of the  
24 reactors probably meet the Clean Air Act standards, but  
25 there are a lot of other licensees that may or may not

approach.

level waste standards. We've had Part 61 on for some time. EPA is in the process of issuing standards for low level waste, and I think a lot of us are awaiting those standards to see exactly how they differ.

Uranium mill tailings -- that's another area where we differ. BRC -- they've indicated they would prefer some different values in BRC than the ones the Commission selected. They've indicated they would prefer some different values in BRC than the ones the Commission selected.

Mixed waste. We've been talking to the EPA about to handle mixed waste. That's a problem that seems to be going away in that no one can admit that they have mixed waste. Apparently, if you've got it, you've only got 60 days to dispose of it. Since there's no way to dispose of it, you can't admit that you've got it. So if you make a decision that you don't find a single licensee having any mixed waste, the problem seems to be going underground.

Protective action guidelines, you know, with emergency planning. We've long used 5 rem/1 rem per year as guides. I think all the plans out there are based on that kind of numbers. I think EPA would like to see them as the new protective action guidelines.

1 because of their approach.

2 Low level waste standards. We've had Part 61 on  
3 the street for some time. EPA is in the process of issuing  
4 general standards for low level waste, and I think a lot of  
5 people are awaiting those standards to see exactly how they  
6 might differ.

7 Uranium mill tailings -- that's another area where  
8 we differ. BRC -- they've indicated they would prefer some  
9 different values in BRC than the ones the Commission  
10 selected. They've indicated they would prefer some  
11 different values in BRC than the ones the Commission  
12 selected.

13 Mixed waste. We've been talking to the EPA about  
14 how to handle mixed waste. That's a problem that seems to  
15 be going away in that no one can admit that they have mixed  
16 waste. Apparently, if you've got it, you've only got 60  
17 days to dispose of it. Since there's no way to dispose of  
18 it, you can't admit that you've got it. So if you make a  
19 survey, you don't find a single licensee having any mixed  
20 waste. The problem seems to be going underground.

21 Protective action guidelines, you know, with  
22 regard to emergency planning. We've long used 5 rem/1 rem  
23 sort of action guides. I think all the plans out there are  
24 based on those kind of numbers. I think EPA would like to  
25 see 1 and .5 rem as the new protective action guidelines.

1 Well, that would throw another recycle into what everyone's  
2 doing in this area.

3 I mention these just as areas in which, somehow,  
4 due to these different directives from Congress and court  
5 decisions, we are slightly different. Normally, we differ  
6 by about a factor of two to five, it seems, hardly enough to  
7 quarrel over from a technical point of view, but just enough  
8 to make havoc in terms of trying to have a common regulatory  
9 approach.

10 We are working on that with EPA, and I'm hoping  
11 that we can solve them and work on them.

12 Another one that is an emerging issue is plant  
13 license extension. We've proposed a way to extend the  
14 license for those utilities who want to operate beyond the  
15 present license condition of 40 years. That's out for  
16 public comment.

17 I think Fred sent you all copies of the Federal  
18 Register Notice. I think the comment period is still open,  
19 as I remember. I think it closes soon. And that outlines  
20 how the Commission would propose to extend the license for  
21 anyone. You are going to hear more on this topic from Tom  
22 Murley later in the day.

23 Let me go next -- and these are the four that I  
24 think really are emerging in which they are not fully set,  
25 and they are subject to change, and a lot is going on in the

1 policy development area.

2 [Slide.]

3 MR. DENTON: The next slide, I wanted to hit what  
4 I considered the most significant ongoing activities.

5 Low-level waste, we have all heard lots about.  
6 You are going to hear a lot more about it as soon as I quit.

7 I've tried to get to a number of the low-level  
8 waste sites. I've been very impressed by what California  
9 and Texas are doing, also impressed by those isolated sites  
10 they have out West where you can stand there and not see a  
11 soul in all directions as far as the eye can see. Coming  
12 from the East, I'm not quite used to such wide-open vistas.

13 But this area is going to take a lot of  
14 attention. And some people are getting pessimistic about  
15 the ability of the Eastern states to find sites and overcome  
16 public acceptance. Other people are plugging away. But I  
17 think it has got to be a major focus of our combined  
18 efforts.

19 Our policy on state accompaniment of inspectors at  
20 nuclear power plants. This is a policy statement that the  
21 Commission has issued. A few states are taking us up on  
22 that. I think mainly Illinois, perhaps Oregon, Maine. So  
23 far it has not been widely adopted. But that does provide  
24 the vehicle for state involvement in power plant inspection  
25 activities.

1           Emergency planning. I put this up because I  
2 thought that issue was probably behind us. It was ten years  
3 ago, 11 years ago, that TMI happened. FEMA has been hard at  
4 work all this time. I was surprised to find that over 25  
5 percent of the states with nuclear power plants still don't  
6 have final FEMA approval. And I think that could well come  
7 to be a problem.

8           It is somewhat surprising how so many states still  
9 don't have final FEMA approval. And it probably differs  
10 among the states. But I would think someday that could get  
11 to be a real problem, and that new issues could arise, and  
12 if you don't have a final FEMA signoff, it is always subject  
13 to reopening again and not being able to close that issue.  
14 I congratulate the 75 states that have managed to close it.

15           You are going to hear from a panel, I think, on  
16 the emergency planning. That would be a place to raise your  
17 questions in that area.

18           Something else going on in emergency planning that  
19 is fairly important is the recent Commission decision to  
20 require electronic data transmission from the plant  
21 computers. I think it is called the ERDS system, emergency  
22 response data. And that will be using modems and sending  
23 back to here the 30 or so critical parameters taken right  
24 off the plant computer, so we don't have to rely on the  
25 telephone in case of emergency to know what pressures and

1 temperatures and flows are. And I think there are some  
2 states that do those sort of things to one degree or another  
3 already.

4 Another very important ongoing activity I want to  
5 be sure you are sensitive to are health studies. There have  
6 been a number of epidemiological studies started in the U.S.  
7 several years ago that are just now coming out. You  
8 probably read about the one that came out recently on TMI.  
9 That was published in the Journal of Epidemiology last week,  
10 and you can get copies of that from Fred if you want to see  
11 it.

12 The one I wanted to call your attention to is the  
13 one coming out next week by NIH. This will be a major  
14 effort where they have looked at the cancer incidence around  
15 nuclear facilities in the U.S. It is the most thorough  
16 study I'm aware of of this type ever made in the U.S.

17 I have left in the back of the room some  
18 background material that NIH has provided, and you should  
19 just be aware of this forthcoming study next week. The  
20 results are all embargoed until they actually release the  
21 study. But you will find yourself mentioned in there if you  
22 have any NRC or DOE facilities.

23 Finally, I wanted to talk about the importance of  
24 the medical quality assurance program the Commission has  
25 going. The Chairman mentioned that. I think there are 72



1 institutions throughout the country that are participating  
2 in this power program, trying to reduce the likelihood of  
3 misadministration in hospitals. And we are now getting  
4 feedback from the clinics, private practitioners, and  
5 hospitals about this QA program, and will be no doubt moving  
6 to implement some new programs in that area down the road.

7           These two slides are at least one person's view of  
8 what is coming down the road. And I wanted to sensitize you  
9 to them and open the floor for questions. In some of these  
10 areas, you hear a lot more. And that would be the place to  
11 bring up details. But if you've got areas that you think we  
12 should add to the list, or want to ask about any of these  
13 dozen or so issues, I would be happy to answer them.

14           No takers?

15           Yes.

16           MR. PARKER: Gerald Parker, Massachusetts.

17           Regarding the NIH health studies, if I remember  
18 correctly, that is based on fatality records, not on the  
19 cancer incidence. And that is not a good way to see whether  
20 there is any disease or not. We will be releasing our study  
21 around the Pilgrim Nuclear Power Plant on the 27th, which  
22 would be based on cancer incidence, and not on fatalities.

23           MR. DENTON: Thank you.

24           Maybe I should say a few more words about this  
25 study.

1           They did identify all the counties, I think,  
2       within a 10-mile radius of either NRC or DOE facility, and  
3       they were the counties that would be the affected counties.  
4       Then they looked for counties in the same region that had  
5       the same epidemiological mix. And apparently, this is a  
6       standard epidemiological treatment by NIH. It's their full-  
7       blown, standard, high-class epidemiological study, they say.  
8       It's the same way they identified asbestos hazards in the  
9       U.S. and other kinds of hazards. And I'll let them defend  
10      that, since I'm not an epidemiologist.

11           Then they looked for 16 different types of cancer.  
12      They looked at age, sex, income levels, and these kinds of  
13      things. And I think the study is about that thick.

14           So you can all look in there and draw your own  
15      conclusions. It's going to have reams and reams of data in  
16      it.

17           They only looked at, I think one reason they  
18      looked at the data on just mortality is they felt the health  
19      data for their purpose was better in that regard and they  
20      looked at 35 years of health data in these counties. So  
21      they used the local health data from the counties that are  
22      named. And I think they say they've done some 25,000 total  
23      comparisons by the time they looked at all the counties and  
24      the types of cancers and the age levels and this sort of  
25      thing.

1           They had, there is very limited use in their of  
2 cancer incidence. And where they felt the data was  
3 available, I guess, or warranted it, they did use cancer  
4 incidence in addition to mortality. But basically, it's a  
5 mortality study.

6           What date would your study be released?

7           MR. PARKER: December 27.

8           MR. DENTON: So it's going to be one right  
9 following the next one. I think the 19th is the target date  
10 for NIH, if they can hold to that publication date.

11          Other questions?

12          [No response.]

13          MR. DENTON: No topics you want to add or take  
14 off? I want to be sure we treat what's on your mind.

15          [No response.]

16          MR. DENTON: Well, thank you very much.

17          [Applause.]

18          MR. COMBS: Thanks a lot, Harold.

19          Continuing our sortie into non-controversial  
20 subjects, we will now hear presentations on low-level waste.

21          Our first speaker is perhaps the man who's dabbled  
22 more in low level waste in the past ten years than most of  
23 us others have, Holmes Brown.

24          Holmes is currently Director of State and Federal  
25 Programs for Afton Associates where he serves as a

1 Coordinator for the Low Level Radioactive Waste Forum.

2 Prior to this task Holmes was a consultant to the  
3 NGA on nuclear waste issues where he planned and conducted  
4 negotiations to develop a consensus among states on revised  
5 low level waste legislation.

6 He did successfully lobby the Congress to  
7 incorporate the state positions in the Low Level Waste  
8 Policy Act Amendments of 1985.

9 Mr. Brown is a graduate of Oberlin College with a  
10 degree in English Literature and has done further graduate  
11 studies at the University of Virginia. Now it is my  
12 pleasure and my honor to introduce to you Holmes Brown.

13 [Applause.]

14 MR. BROWN: Thanks. When I walked in I saw the  
15 folks in the back worrying because they say I am always late  
16 and I pointed out that I was here with two minutes to spare,  
17 which is pretty good, especially for living here in town.  
18 All the rest of you have been here for a good long time.

19 What I have been asked to talk about this morning  
20 is the current status of the development of low level waste  
21 sites and waste management efforts by states in relation to  
22 the Federal legislation.

23 I thought what I would do is run through briefly  
24 what's happening around the country. It's always kind of a  
25 risky proposition, especially when there are representatives

1 of each of the states and the regions in the audience so you  
2 can feel free to -- if you would be polite enough to wait  
3 until I am through, like Kevin is itching already -- you can  
4 correct me after I'm finished, but I thought I would like to  
5 run through what is happening around the country and then  
6 talk about what I view as some of the issues that you all  
7 may be particularly occupied with over the next couple  
8 years.

9 Then we are going to have more detailed  
10 information from representatives of individual states and  
11 regions.

12 I always start out West in the Northwest compact  
13 with Washington state because that's usually the easiest to  
14 describe and as you know, as things get more complicated, we  
15 kind of loop around the country and end up in the Northeast.

16 I probably ought to go the other direction because  
17 you end on perhaps a more optimistic note but somehow I've  
18 always started with Washington so I do it again today the  
19 same way.

20 You know, Washington state is the current host  
21 state for the Northwest compact and intends to continue to  
22 serve in that capacity. I think the state legislature and  
23 Governor have made quite clear that at the moment at least  
24 they intend to serve just as the host state for the  
25 Northwest compact. The only change in that policy is some

1 legislation that was adopted earlier this year in which the  
2 State legislature approved the commencement of negotiations  
3 with the Rocky Mountain compact and the Northwest compact  
4 and Rocky Mountain compact are currently engaged in  
5 discussions which would result in the Northwest compact  
6 taking Rocky Mountain compact waste.

7 As you may know, Colorado was the designated host  
8 state for the Rocky Mountain compact but that compact  
9 generates very little waste. I think it's averaged  
10 somewhere around 1,000 cubic feet a year.

11 There will be some additional waste I think  
12 generated as the result of decommissioning of the Fort St.  
13 Vrain plant but over the long term it's a very small amount  
14 of waste.

15 The Northwest compact had indicated in the past  
16 they were willing to entertain accepting waste from  
17 contiguous compacts and states as long as it was a  
18 relatively small amount of waste and that seems to be the  
19 policy at this point.

20 Moving then to the South, California and the  
21 Southwest compact, California was the only state that  
22 satisfied the 1990 milestone by the submission of a license  
23 application. Their license application addressed all the  
24 low level waste in the Southwest compact except mixed waste  
25 and they submitted a supplemental, a Governor's

1 certification to deal with mixed waste.

2 California is clearly in the lead in terms of  
3 developing sites and they are currently reviewing the  
4 license application. I guess Reuben will fill us in further  
5 on the progress there.

6 There has been some speculation about whether the  
7 Southwest compact and California might take waste from some  
8 other regions. The response California has given up to this  
9 point is that their Southwest compact commission has not  
10 been constituted yet and they aren't really in a position to  
11 say yea or nay on this issue, so that is an open question.

12 That position contrasts with some other states and  
13 compacts that have been approached generally through letters  
14 by other Governors where the answer has been a definitive  
15 no. Anyway, California is clearly going to be the first  
16 state I think, first compact to get a site on-line.

17 We have a representative of Texas. Bob will be  
18 filing you in further on what's going on in Texas but Texas  
19 is an unaffiliated state. They have chosen some years ago  
20 to develop their own site and established an authority.

21 They have a preferred site chosen. At the moment  
22 I understand that Texas is delayed through litigation. I  
23 think Bob will probably fill us in on that. I believe that  
24 the trial got underway, was it last week? There had been  
25 several continuances by the judge but I think that trial is

1 finally underway and Bob can give us an idea of the  
2 chronology on that.

3 I think it is worth keeping an eye of Texas in  
4 terms of how long this sort of litigation works. I am not a  
5 lawyer so I can speak freely about the merits of the case,  
6 but you know I think there is a general feeling that the  
7 Texas authority has been challenged before. They have gone  
8 to court. They have won. This is yet another round of  
9 litigation, yet the delays may be several years and the  
10 authority I think is fairly confident of ultimately winning  
11 but this may be a warning to a lot of people out there that  
12 even though you are making progress on the technical side of  
13 things and getting your license application prepared,  
14 litigation is a real wild card in all this.

15 If certain folks are willing to spend the money to  
16 take you to court it can result in substantial delays even  
17 though the state and the license applicant are quite  
18 confident that things are in order.

19 Moving then to the Central compact, which has  
20 Nebraska as the host state, this is the second location in  
21 which a license application has been submitted and the state  
22 of Nebraska is currently engaged in reviewing the license  
23 application.

24 The hope is that a site will be on-line prior to  
25 1993 I believe in the Central states and if the question



1 comes up about whether the Central states would accept waste  
2 from outside the region, the response from the political  
3 leadership in that state has been pretty uniform that they  
4 are constructing a site for their state and their region but  
5 not for anyone else.

6 Next we get to the Central Midwest compact, which  
7 is composed of Illinois and Kentucky. Some years in the  
8 past I think there's a feeling that Illinois might be the  
9 second state to receive a license application. However,  
10 there have been considerable opposition within the two  
11 counties that Illinois has been reviewing for consideration  
12 and the end result has been that Illinois state legislature  
13 this year revised the signing process and has introduced new  
14 elements, including a review panel headed by a former  
15 Justice on the Supreme Court.

16 This panel is going to be reviewing the technical  
17 merit of the sites and then following IDNS review of the  
18 license application is going to be going back over that  
19 again to provide assurances to the public.

20 The state of Illinois feels that they are back on  
21 track. There have been predictions that this revision in  
22 the legislation is going to result in a substantial delay in  
23 Illinois. I think when you talk to the representatives of  
24 IDNS they feel that the legislation is fairly tightly  
25 constructed and that you are not looking at an inordinate

1 delay. I think it is something on the order of a year or  
2 perhaps two.

3 I think another interesting aspect to the Illinois  
4 legislation was that at the time when they adopted the  
5 review panel they also adopted provisions that limited the  
6 ability of legal challenges to the site.

7 I think particularly given the experience in Texas  
8 that that may be something that other states want to look  
9 at. Personally I was surprised that at this late date in the  
10 process that a state legislature was willing to entertain  
11 and adopt legislation that put some restrictions on the  
12 ability to raise issues and to have legal challenges, but I  
13 think that that might be a point well taken for some of the  
14 other states.

15 Turning now to the Midwest Compact and Michigan,  
16 which is the host's state. This is a compact which has  
17 probably received more publicity around the country than any  
18 other.

19 I can simply give you a quick summary of the last  
20 meeting of the Midwest Compact and they're -- if there are  
21 representatives here from that region, you may want to  
22 supplement what I have to say.

23 The Midwest Compact has been providing money to  
24 Michigan to carry out their siting activities and waste  
25 management activities. I think, to date, it's been

1 something like \$9 million. The State of Michigan has been  
2 engaged in the process of reviewing potentially acceptable  
3 sites. They've been doing so, however, with siting criteria  
4 that was adopted by the Michigan State Legislature, which is  
5 more stringent than Federal siting criteria.

6 The end result has been that thus far, Michigan  
7 has not been able to locate any area within the state that  
8 is deemed acceptable under their criteria. They had done  
9 some initial screening, and I believe come up with 81 areas  
10 that they wanted to consider further. They then selected  
11 three of the largest areas for further consideration, and  
12 found that none of them passed muster.

13 At this point, what they want to do is go back to  
14 the remaining, 79 areas and do a rough screening of them to  
15 find if any of them are acceptable under the Michigan  
16 criteria. The -- and Michigan requested additional money to  
17 do that from the Midwest Compact.

18 Simultaneous with the Michigan signing process,  
19 the Compact and the state have been engaged in discussions  
20 about how to guarantee the return of money from Michigan, if  
21 Michigan ended up not providing a site for the Midwest  
22 Compact. And that's the current impasse between the Midwest  
23 Compact and the state.

24 Michigan has asked for money to conduct a review.  
25 The Midwest Compact has refused to provide the money. And

1 there has been some speculation on both sides, about the  
2 continued viability of the compact. The state and the  
3 compact are continuing discussions. And I think that's --  
4 that's current situation. And it's difficult to predict  
5 what will happen.

6 I should add, parenthetically, that because of the  
7 results of the Michigan siting process, the sited states  
8 have notified the State of Michigan that by mid-November, if  
9 the state hasn't altered some of their legislation or made  
10 progress on selecting a facility, that the State of Michigan  
11 will be -- or the generators in Michigan will be -- lose  
12 access to the currently operating facilities in Barnwell, in  
13 Washington, and in Nevada.

14 So, there's a lot of factors at play in the  
15 Midwest Compact, and obviously that's an area you're going  
16 to want to keep an eye on. The State Legislature, I think  
17 is reconvening in a week or so. And the sited states'  
18 deadline is mid-November.

19 Turning now to the Southeast Compact, the compact  
20 with the largest amount of waste, somewhere around 30  
21 percent of the waste. North Carolina has been selected as  
22 the successor host state. South Carolina continues to serve  
23 as a facility accepting waste throughout the country, until  
24 the end of 1992.

25 Recently, the State of North Carolina has

1 conducted a review of their siting process and has concluded  
2 that they will not have a site ready by the end of 1992.  
3 That had been the deadline everybody was aiming at. And the  
4 State of South Carolina had announced that they would be  
5 closing their -- their doors at that point.

6 The Southeast Compact is currently in discussions  
7 as to how to handle that. The -- the -- also, the cost of  
8 the site in North Carolina -- the cost estimates have risen  
9 somewhat as well, and I think, at the last compact meeting,  
10 there were discussions on how to fund that and there are  
11 currently discussions underway as to how to deal with waste  
12 in the Southeast, following 1992.

13 As you probably know, most states have said, in  
14 their Governor Certifications that they would ask generators  
15 to store on-site, to bridge the gap between the termination  
16 of access to facilities and the opening of new sites. And  
17 that is one of the options that's under discussion in the  
18 Southeast.

19 Moving then to Pennsylvania, the Appalachian  
20 Compact. Pennsylvania, to this point, has conducted  
21 extensive reviews of -- I'm sorry, the technology -- but are  
22 just beginning in the process of locating potentially  
23 acceptable candidate areas. It will be interesting to see,  
24 given the extensive public participation that Pennsylvania  
25 conducted in selecting a technology as to whether that sort

1 of cooperation among many of the interested parties will  
2 carry over into the -- into the siting process.

3 Moving on to New York, another unaffiliated state,  
4 and the state which has had considerable opposition  
5 generated in the areas that they had been looking at for --  
6 as potentially acceptable sites. New York State, like  
7 Illinois, has gone back and revised their siting  
8 legislation, expanding the advisory board, which had been  
9 created in their initial legislation, lengthening the  
10 process and introducing many more elements of public  
11 participation. Again, this is delaying the process in New  
12 York. And New York is looking at, I think of even greater  
13 interest, the issues of longer-term storage. And I think  
14 Gene can fill us in on the details in New York.

15 Connecticut and New Jersey are the two members of  
16 the Northeast Compact. It is difficult to get a majority  
17 vote in that compact; they keep having one-to-one ties as to  
18 who is going to be the host state. I think everybody was  
19 pointing at the other person. So, in the spirit of mutual  
20 cooperation, they both decided to be host states. And  
21 Connecticut and New Jersey are now both involved in the  
22 process of coming up with siting criteria, looking at other  
23 technology criteria and moving ahead with waste management.

24 Massachusetts, another unaffiliate, has stayed in  
25 the Northeast. They've named their advisory board, they've

1 hired an executive director, and like other states in the  
2 Northeast, are in the process of putting together the  
3 documents and the information necessary to embark on both  
4 technology selection and the actual site selection.

5 Finally we come to Maine, a state which has, over  
6 time, expressed a preference to be part of a compact, or to  
7 contract with someone, but also a state that has put  
8 together an advisory committee and a group to also  
9 investigate the possibility of opening up the site.

10 The -- I guess I should finally mention Vermont,  
11 which for -- well, actually it was out of compliance for  
12 several years, and had not adopted legislation. Vermont has  
13 recently adopted legislation that, while the preference  
14 would be to be a member of a Compact or a contract their  
15 waste elsewhere, is now beginning to look at the possibility  
16 of a site in Vermont. The preferred option is to have their  
17 waste located near the Vermont Yankee Plant. And, in fact,  
18 I understand there's been a voter referendum in the  
19 community that's near the plant, and that there was fairly  
20 widespread acceptance of that possibility.

21 Finally, we have New Hampshire, Rhode Island and  
22 Puerto Rico, states and entities which have expressed their  
23 preference for contracting and, at this point, don't have  
24 anything in the way of real siting legislation.

25 I should mention before running through some of

1 the issues that I think people will be addressing that there  
2 have been three Constitutional challenges to the Low-Level  
3 Waste Policy Act, one filed by the State of New York and  
4 Gene, I don't know if you are going to cover that or not.  
5 You may want to talk about that. The State of Michigan also  
6 filed a Constitutional challenge. And finally, Concerned  
7 Citizens of Nebraska have filed a Constitutional challenge.

8 Those have been filed, various responses and so on  
9 have been, have also been submitted. I don't know that any  
10 trial dates are set for any of them. I haven't heard the  
11 latest on New York. Gene may have something new on that.

12 Just by way of closing, I thought I would mention  
13 a couple of issues that I think will require considerable  
14 attention over the next couple of years, in light of the  
15 status of siting and opening new facilities around the  
16 country.

17 You have talked about BRC already. And I think  
18 that that is going to remain an issue of considerable public  
19 interest, and we may have some Congressional action on it.  
20 Storage is obviously an issue. It looks to me like  
21 practically everybody is going to be storing. Well,  
22 California, probably, and Nebraska may have sites up and  
23 running. But a lot of other states are going to be looking  
24 at storage from two, maybe four or five years. So there are  
25 a lot of questions involved in storage, not the least of



1       which is I think they are going to get quite a few requests  
2       for changes in licenses. That's going to be a lot of  
3       paperwork. And there are questions about, for instance,  
4       involving treatment.

5                If a facility intends to store, but wants to ship  
6       their waste offsite for treatment and then bring it back  
7       for storage, at least in 1993, you are going to have to  
8       start contending with the issues of the import and export  
9       controls that I expect most compacts are going to have  
10      instituted by that point.

11              Another issue that is going to be difficult is the  
12      question of when is something a material and when is  
13      something a waste? That is an important issue, because the  
14      import and export controls I think are pretty clearly  
15      oriented towards waste. And you may find some people trying  
16      to get in and out of regions around these restrictions on  
17      the part of compacts by trying to designate things materials  
18      rather than waste. And that may be an issue, where some  
19      tighter definitions are going to be required.

20              I think finally, driving so much of this process  
21      is the matter of just public opposition and litigation.  
22      These are highly unpredictable. Here, up to this point,  
23      where there has been intense opposition, it has resulted in  
24      changes in legislation on the part of the states, and when  
25      you go to court, considerable delays in the process.

1           So I think all of those are things that we are  
2 going to have to be discussing and attempting to resolve  
3 over the next couple of years.

4           So let me end at that point. I guess we'll go on  
5 to the panel, and then we can entertain questions.

6           Thanks a lot.

7           [Applause.]

8           MR. COMBS: Thanks, Holmes.

9           Our next three speakers will speak from the  
10 perspective of their states in the siting of low-level  
11 waste.

12           Gene Gleason is Deputy Commissioner for Operations  
13 at the New York State Energy Office. He was designated as  
14 the State Liaison Officer by Governor Cuomo on February 1st.

15           For the past 16 years, Gene has served in various  
16 energy policy and planning positions with the New York State  
17 Government. He has been a senior policy analyst with the  
18 Northeast Legislative Leaders Energy Project and the State  
19 Energy Office as well as Director of Planning at the Energy  
20 Office.

21           Prior to entering New York State Government  
22 service, Mr. Gleason was a faculty member at the Rockefeller  
23 College of Public Affairs.

24           In addition to his other duties, Gene currently  
25 serves as Governor Cuomo's designee to the Low-Level Waste

1 Forum.

2 Bob Avant is Deputy General Manager of the Texas  
3 Low-Level Radioactive Waste Disposal Authority. Mr. Avant  
4 has 15 years Government and private sector experience in  
5 hazardous materials, energy, and environmental programs.

6 Mr. Avant has B.S. and M.S. degrees in  
7 agricultural engineering from Texas A&M University. He is a  
8 member of eight engineering and scientific honor societies.  
9 He manages the Operations Branch of the Authority, including  
10 technical, engineering, construction, and site activities.

11 Reuben Junkert of California has a Bachelor of  
12 Science Degree in Civil Engineering from North Dakota State  
13 University. He is a Registered Professional Civil Engineer  
14 with the State of California. He has a 26-year career with  
15 the State of California, beginning with the Department of  
16 Water Resources, as a design engineer on the State Water  
17 Projects.

18 The most recent 19-plus years has been with the  
19 Department of Health Services, Environmental Management  
20 Branch and Administrative Division.

21 He was appointed Project Director of the Low-Level  
22 Radioactive Waste Project in 1986.

23 I now give you Gene Gleason.

24 [Applause.]

25 MR. GLEASON: Thanks, Fred. Good morning. It's

1 my pleasure to be here today and I thank the NRC for  
2 inviting me to participate on this panel.

3 As you may be aware, as Holmes mentioned, last  
4 February New York initiated a lawsuit seeking to have  
5 portions of the Low Level Radwaste Policy Act declared  
6 unconstitutional.

7 The suit focuses primarily on two provisions of  
8 the federal act. The first provision is the one requiring  
9 the states to take title to low level radioactive waste.  
10 And the second is the provision that the state be  
11 responsible for the disposal of what we consider highly  
12 radioactive Class C level waste.

13 Last Friday, the New York State Attorney General  
14 filed a motion seeking a summary judgment in the case. So  
15 the stage and oral arguments are scheduled for early October  
16 in that particular case.

17 Although the suit is pending, Governor Cuomo  
18 remains committed to implementing the present law. New York  
19 continues to strive towards siting a low level waste  
20 disposal facility within the state.

21 I'd like to take a moment to explain the  
22 organization of the responsibilities in the area of low  
23 level waste in New York. When the state legislature passed  
24 the original legislation in 1986, it delegated authority for  
25 the program to several state agencies, in addition to

1 creating a specific commission to site the facility, that  
2 being the Low Level Radioactive Waste Siting Commission.

3 The Siting Commission's principal objective, and  
4 certainly the main focus of the undertaking at this time, is  
5 to select the disposal methods and sites for the facility.  
6 It also must prepare the application for certification of  
7 the final method and site.

8 Once the Commission completes its work, the New  
9 York State Energy Research and Development Authority must  
10 then complete the facility design, acquire the land, and  
11 obtain the necessary licenses and permits to build and  
12 operate the facility.

13 Generally, the regulatory authority for licensing  
14 the facility in terms of establishing the terms and  
15 conditions for its siting and also for its operations, lies  
16 with our Department of Environmental Conservation and our  
17 Department of Labor.

18 The Department of Health within the state is  
19 charged with the development and implementation of a state-  
20 wide public information program on the public health and  
21 safety implications of low level radwaste management.

22 Finally, as Holmes mentioned earlier, the original  
23 act created an advisory committee to monitor New York's  
24 progress, ensure the interagency coordination in the  
25 process, help resolve interagency issues, and provide for

1 public access.

2 As you can see, many agencies support the low  
3 level waste management activity in New York. The low level  
4 radioactive waste management activities in New York are  
5 funded through an assessment on nuclear power plant  
6 licensees within the state.

7 Each year the agencies submit a budget to our  
8 Division of Budget within New York, where they try to figure  
9 out how much money they're going to need over the year, and  
10 then it's the responsibility of the Energy Research and  
11 Development Authority to mechanically extract the money from  
12 the licensees of operating nuclear power plants.

13 In implementing this mission, the Governor and the  
14 involved agencies have strived to be responsive to the  
15 public. We have worked closely with citizens groups  
16 from around the state, and particularly with those from the  
17 areas selected as candidates for a site.

18 This relationship helped forge changes in the  
19 process that ultimately led to an amendment of our law in  
20 June. On the 30th of July, the Governor signed into a law a  
21 bill that redirects the siting process, provides for  
22 increased public input, and calls for an independent  
23 scientific and technical review of the work done to date.

24 Specifically, the law changes the membership of  
25 the Siting Commission itself by increasing its size to

cial scientist and an environmentalist from  
nization have been added to the Commission.  
The Commission to choose a preferred  
before proceeding any further on choosing a  
the preferred method is selected, it will be  
to the Department of Environmental Conservation  
actual review.

The Siting Commission also is charged with  
paring a site-specific mitigation program to be submitted  
along with the certification application as part of the  
environmental impact statement. This will serve as an  
ditional measure to offset any perceived or actual adverse  
acts and serve as a form of compensation to the host  
community.

The Siting Commission was further directed to  
report on lands that have been excluded from  
ation for siting in the prior activity. Some lands  
cluded from consideration as a result of considera-  
the state constitution. A good part of New York  
example, is in what's called the Blue Line of the  
ark, and can't be developed for these types of  
rs, liked West Valley, were excluded by  
hibition. And other geographic areas of the  
ded as a result of the regulations and the

1 7 members. A social scientist and an environmentalist from  
2 a non-profit organization have been added to the Commission.  
3 It also directs the Commission to choose a preferred  
4 disposal method before proceeding any further on choosing a  
5 site. Once the preferred method is selected, it will be  
6 submitted to the Department of Environmental Conservation  
7 for conceptual review.

8 The Siting Commission also is charged with  
9 preparing a site-specific mitigation program to be submitted  
10 along with the certification application as part of the  
11 environmental impact statement. This will serve as an  
12 additional measure to offset any perceived or actual adverse  
13 impacts and serve as a form of compensation to the host  
14 community.

15 The Siting Commission was further directed to  
16 issue a report on lands that have been excluded from  
17 consideration for siting in the prior activity. Some lands  
18 were excluded from consideration as a result of considera-  
19 tions with the state constitution. A good part of New York  
20 state, for example, is in what's called the Blue Line of the  
21 Adirondack Park, and can't be developed for these types of  
22 purposes.

23 Others, liked West Valley, were excluded by  
24 legislative prohibition. And other geographic areas of the  
25 state were excluded as a result of the regulations and the



1 specific scoring criteria used by the Commission.

2 What this report is attempting to do is to lay out  
3 just what was excluded and why and possibly recommend  
4 further areas of geography within the state, although the  
5 final decision on whether the report will actually make any  
6 recommendations lies with the Siting Commission.

7 The report will be reviewed by a new Citizen  
8 Advisory Committee and an independent technical and  
9 scientific review panel. Further, the reporting  
10 requirements on the whole low level radwaste activity in the  
11 state have been strengthened, as well as the review powers  
12 of the Citizen Advisory Committee.

13 The site selection process to date will be  
14 reviewed by the Citizen Advisory Committee and a panel of  
15 independent technical and scientific experts. Further  
16 disposal method and site selection actions also be reviewed  
17 by both.

18 Finally, the law alters the role of the Advisory  
19 Committee, which is now called the Citizen Advisory  
20 Committee. Its membership, which previously included state  
21 agency representatives, has been changed to omit these  
22 officials and add four private citizens: an expert in  
23 agriculture production, a local public health services  
24 representative, and one elected government representative  
25 from each county that has a candidate site. These are

1 specific scoring criteria used by the Commission.

2           What this report is attempting to do is to lay out  
3 just what was excluded and why and possibly recommend  
4 further areas of geography within the state, although the  
5 final decision on whether the report will actually make any  
6 recommendations lies with the Siting Commission.

7           The report will be reviewed by a new Citizen  
8 Advisory Committee and an independent technical and  
9 scientific review panel. Further, the reporting  
10 requirements on the whole low level radwaste activity in the  
11 state have been strengthened, as well as the review powers  
12 of the Citizen Advisory Committee.

13           The site selection process to date will be  
14 reviewed by the Citizen Advisory Committee and a panel of  
15 independent technical and scientific experts. Further  
16 disposal method and site selection actions also be reviewed  
17 by both.

18           Finally, the law alters the role of the Advisory  
19 Committee, which is now called the Citizen Advisory  
20 Committee. Its membership, which previously included state  
21 agency representatives, has been changed to omit these  
22 officials and add four private citizens: an expert in  
23 agriculture production, a local public health services  
24 representative, and one elected government representative  
25 from each county that has a candidate site. These are

1 additional representatives in addition to the 7 members that  
2 are still on the Advisory Committee.

3 The Citizen Advisory Committee is now independent  
4 of the Siting Commission. Previously, the Siting Commission  
5 was responsible for all the administrative activities  
6 associated with the Advisory Committee.

7 The Advisory Committee is charged to facilitate  
8 the public review and comment process, as well as issue  
9 reports containing the comments and recommendations  
10 concerning candidate disposal method selection process, the  
11 site selection process, and all the other new activities and  
12 charges of the Commission in the Act.

13 As Holmes mentioned earlier, there are a couple of  
14 other things going on in New York. He mentioned the issue  
15 of storage. As part of the appropriation for this year's  
16 budget, the New York State Energy and Research Development  
17 Authority was given two new projects by the state  
18 legislature.

19 One is a study of all the economic, legal and  
20 technical dimensions of storing low level radioactive waste  
21 within the state of New York for a period of at least  
22 10 years. The Research and Development Authority has  
23 started the process to scope the study, started to involve  
24 the industry as well as interested public citizens' groups,  
25 and is about ready to hire a subcontractor to implement that

1 study.

2 The legislature also told the authority to  
3 transfer \$800,000 to the University of Buffalo's National  
4 Earthquake Center to study the issue of whether or not the  
5 dormant Clarendon-Lidden fault in Allegheny County, which is  
6 located about 4 miles from one of the candidate areas, could  
7 cause any particular problems with any potential disposal  
8 facility. The contract has been let and that study is  
9 underway.

10 As you can see, we've been kind of busy in New  
11 York in the last few months. Certainly, the refocusing of  
12 the siting activity has been a major undertaking by all  
13 those involved. We believe it will be successful.

14 One lesson we've learned throughout the whole  
15 thing, that in 1986, we were fully confident that the road  
16 we had chosen and the vehicle in which we were travelling  
17 were the right ones to take us towards our goal. Well on  
18 the way, we learned that it needed new shock absorbers and a  
19 realignment. Now that the necessary repairs have been made,  
20 we've hit the road again.

21 It is this flexibility and willingness to make the  
22 necessary repairs that keeps us headed towards our goal.  
23 It's something that we should all bear in mind as we  
24 encounter these issues.

25 Let me summarize by stressing that the low level

1 radwaste issue remains a high priority with the Governor and  
2 with the legislature. All of the changes that were made  
3 were negotiated totally with the legislature and passed  
4 unanimously within the state of New York.

5 Over the next few weeks and months, we will be  
6 implementing the changes affected by the law and we have  
7 every reason to believe that we will achieve our goal. And  
8 one of the goals that we think we may well be able to  
9 achieve by revising this process, is limiting the amount of  
10 future litigation through the direct involvement of public  
11 citizens within the state of New York.

12 Thank you very much.

13 [Applause.]

14 MR. AVANT: I, too, would like to express my  
15 appreciation to the NRC for inviting Texas to come give a  
16 status report on where we are in our whole process. And I'd  
17 like to maybe sum up my presentation before I ever get  
18 started, with three words. And that is, I think we're going  
19 to need persistence, restraint and commitment to get this  
20 job done. And I've heard the analogy of road being  
21 mentioned twice. Carlton mentioned rubber meeting the road,  
22 and Gene just did. And now I do think that is certainly  
23 time for the rubber to meet the road.

24 Back in 1982 when the authority was first created,  
25 we didn't think that it was going to be an easy or a fun

1 process then, and I think our perceptions were certainly  
2 correct. It's a challenge, it's a job that needs to be  
3 done, and we recognize that.

4 Bottomline on where we are today, as has been  
5 reported to you, when Holmes gave his talk, we are in a  
6 lawsuit. Technically, the site has passed muster. We've  
7 completed site evaluations. License application materials  
8 are in hand. It's simply a matter of proceeding with  
9 assembling that license application. We are convinced that  
10 this is a good site. It's a licensable site. Rick Jacoby  
11 likes to say this is the best site in the world. I'll  
12 settle for a licensable site. But, I think that certainly  
13 this site, when all of the hollering and shouting is over  
14 with, is going to meet muster.

15 All is not rosy though, because we've had some  
16 major opposition thrown at us that I'll report in a minute.  
17 I'll give you a little background on what the site looks  
18 like. And I think most of you have seen presentations, by  
19 me or by others, on what the site looks like. If you can  
20 envision what the California site looks like, with scrub  
21 brush about knee high and basically a desert terrain. We  
22 get about two more inches of rainfall in Texas than they do  
23 at the site in California. Our scrub brush is about waist  
24 high, and our mountains don't have tops on them, they're  
25 sort of flat.

1           So, other than that, the Texas site and the  
2 California site are quite similar in a number of features.  
3 We're about 40 miles each of El Paso, we're in a different  
4 county from El Paso County and a county called Hudspeth  
5 County. We're on a 65,000 acre state land. We have access  
6 to Interstate 10, you get about nine inches of rainfall, 73  
7 inches of evaporation, one/two percent slope. Our ground  
8 waters are 500 feet, sandy, silty, clay-type soil, stratas,  
9 it's on an alluvial plain and it's on a desert environment.

10           A word about our source term. As everybody has  
11 been experiencing because of BRC and better waste management  
12 techniques, we're down to about 50,000 cubic feet a year,  
13 projected waste stream. About 70 percent of that is from  
14 the reactors on a volume basis, about 90 plus percent on a  
15 curie count. The non-utility waste stream is the balance of  
16 that -- about 30 percent. And the mixed waste is about 100  
17 cubic feet a year, that is less than 2/10ths of one percent  
18 of the Texas waste stream.

19           And I'll submit to you now, that the mixed waste  
20 problem is a tail that's wagging its dog. And we need to  
21 get a handle on it because it -- it's a major impediment  
22 upon getting a low level license through agreement state  
23 process; especially in Texas because our law says that  
24 before we can operate a site, we have to have all other  
25 permits in place: clean air act permits, RCRA permits and

1 all the rest of the permits.

2 So, if we have to get a RCRA permit for our  
3 facility for .2 percent of the waste, it's a major problem.  
4 We think we've got that -- that handle through some storage  
5 scenarios. But again, I'd like to encourage whatever action  
6 needs to be taken nationwide, to stop the tail from wagging  
7 the dog.

8 Our facility is going to be located on about 3,000  
9 acres of that 6,500 acres. Actual disposal will take place  
10 on about 100 to 200 acres. It is a below grade type of  
11 design: concrete canisters filed with grout for all the  
12 waste; segregated disposal units for A, B, C waste and mixed  
13 waste, when we get into the mixed disposal mode, if we have  
14 to.

15 The cost of the facility is about \$27 million. We  
16 have done a performance assessment and looked at the most  
17 reasonable maximum doses, by pathway and have used a very  
18 conservative modeling program and have come up with the --  
19 the peak dose would be in a ground water source, a well, at  
20 the site boundary, and that dose is about 7 MR per year,  
21 which is an order of magnitude less than the -- than the 10  
22 CFR 61 requires. So, we feel quite confident, using a very  
23 conservative failure scenario that -- that will be an order  
24 of magnitude below the performance assessment in 10 CFR 61.

25 The total operational cost of our facility will be



1 about -- and life cycle cost will be about \$233 million. We  
2 will pay back the facility over 20 years -- 30 years life  
3 cycle. And we're projecting our cost, per cubic foot to be  
4 about \$100 to \$200 per cubic foot. Since I've got a moving  
5 target out there on some development problems, like this  
6 lawsuit, I'm hedging my bets, and I've got a fairly wide  
7 error band there. But, we feel like that if things happen  
8 right, we'll be at the low end of that error band, if things  
9 are prolonged and we have to go through a number of more  
10 detailed process, it could be toward the higher end of that  
11 error band.

12 As far as our schedule and where we are in that  
13 whole process, again, last Thursday, we entered into a major  
14 lawsuit. We were actually in trial today in El Paso County.  
15 Unfortunately, the way our law is written, this authority  
16 can sue and be sued in every county in the State of Texas.  
17 Most other state agencies can only be sued in Travis County,  
18 which is the state capitol. So it eliminates some of the  
19 demagoguery and the politics of local issues, when you can  
20 do that.

21 This is a unique problem to us and -- and there's  
22 been a substantial amount of demagoguery associated with our  
23 site selection process in El Paso County, the neighboring  
24 county, to the west of the siting county.

25 I can't recall very many major public works

1 projects, you can call this activity one of those, that has  
2 had \$2.5 million of taxpayer money thrown at it by an  
3 adversarial group.

4 El Paso County taxpayers, through the County  
5 Commissioner's Court, which is an administrative body in  
6 Texas, for each county, have spent about \$2.5 million in  
7 taxpayers' funds to go up against us for lawyers and  
8 technical experts. So it's -- and these experts are  
9 credible people, they're in the adversarial camp and they  
10 come up with many of the same types of objections you have  
11 seen when you see opponents going after nuclear reactors.  
12 In fact, they're trying to make us commit to nuclear reactor  
13 design specs and have criticized our process because we have  
14 not adopted some of the more extreme requirements for a  
15 nuclear power plant siting.

16 They have identified three major issues, that we  
17 call "the three F's," faults, fissures and flooding. Those  
18 are the quick kill issues that you can go after if you look  
19 at 10 CFR 61. Those are the areas that are called "fatal  
20 flaws." And so we are continuing with that.

21 Our experts say that these issues are non-issues,  
22 they need to be addressed, but they do not affect the siting  
23 and they certainly don't affect the performance assessment.  
24 Our experts, we have Dames and Moore helping us with --  
25 application and also litigation support. We, as you recall,

1 Dames and Moore helped us early on in our process on site  
2 selection. We have him back on board now to give us  
3 technical support, throughout the litigation and the  
4 licensing process.

5 We've called on most of the major institutions in  
6 Texas to do our site characterization work. The University  
7 of Texas, Bureau of Economic Geology, Texas A&M Meteorology  
8 Department, University of Texas, El Paso, Geophysical  
9 Department. These people are nationally recognized and  
10 respected and we feel very confident in their conclusions.

11 The flood plain issue is one that's been a major  
12 problem to us because we've had some -- some arguments about  
13 what constitutes an alluvial plain, an alluvial fan. Our  
14 Service Water Hydrologist is Larry Mays, he basically wrote  
15 the book on service water hydrology. He worked under Dr.  
16 Chow, at the University of Illinois; well respected surface  
17 water hydrology, and I'll hang my hat on his conclusions.

18 Having said all that, we've found some interesting  
19 things in discovery documents and some of the things that  
20 the opponents have said about the site. One of the leading  
21 experts representing the other side, has called this the  
22 worst site east of the San Andreas Fault. My retort to that  
23 is, this is probably the best site west of the New Madrid  
24 fault. So we'll play that game.

25 They've also said that this site will contaminate

1 the Rio Grande all the way to the Brownsville -- all the way  
2 to Brownsville, so that's something like 600 miles  
3 downstream. So you see the type of demagoguery we've been  
4 up against.

5 In a discovery document, we -- we saw -- we found  
6 some very interesting strategy that the opponents engaged in  
7 prior to ever evaluating the site. In their -- and it's a  
8 four-point plan of attack that they engaged in: Number one  
9 was to lobby the authority staff to convince them that this  
10 was a bad site. Having failed in that regard, then they  
11 would move on to the second step which would be to lobby the  
12 -- our regulatory agency, the Bureau of Radiation Control,  
13 the NRC, here in Washington and at the region, and  
14 also the various Compact Commissions.

15 Most of you have seen and received various  
16 correspondence from the opponents that spell out what a  
17 terrible site this is. We also have on record travel logs  
18 with meetings with various regulatory officials where they  
19 have been lobbied. And so it's been a massive campaign.

20 The third step is to lobby the politicians, the  
21 Texas legislature, and also Members of the Congress. That's  
22 been done, and there's been quite a bit of Congressional and  
23 Texas legislative attention paid to this process.

24 And finally, they have written a number of  
25 technical papers and published them in technical meetings,

1 criticizing this site.

2 Now, our response to that has been that the proof  
3 of our activities will be in our license application. We're  
4 not going to engage in the types of activities that I laid  
5 out for you, and the proof of our activity is going to be in  
6 our license application, and we'll speak through it when we  
7 get it submitted.

8 So where does that leave us on our license  
9 application?

10 I think I could have the thing assembled and ready  
11 to submit by the first of the year if I didn't have  
12 litigation underway. We are looking at various options as  
13 to how we might be able to go ahead and proceed with  
14 licensing in the midst of a trial. We are very concerned  
15 and our attorneys are very concerned that if we proceed with  
16 our statutory process of formally designating that site, we  
17 have it proposed as Holmes reported to you, we have to take  
18 another procedural step, holding a public hearing in Sierra  
19 Blanco, which is the county seat of Hudspeth County, and  
20 then have a Board Order designating that site, and then have  
21 a Board Order ordering me to prepare and submit a license  
22 application.

23 I have most of the materials waiting in the wings.  
24 I really have to basically punch the return button on my  
25 MacIntosh and spit out the license application. But until I

1 get an order doing that, I can't formally submit it to the  
2 Bureau of Radiation Control.

3 So if I have to wait until litigation is complete,  
4 we're predicting two years in litigation. We're in District  
5 Court again in El Paso County before a popularly-elected  
6 Judge in that county. That automatically guarantees an  
7 appeal.

8 We see that the process will go directly to the  
9 Supreme Court sometime either on appeal or maybe prior to  
10 that. I think the most reasonable scenario is we go through  
11 the District Court, we go to appeal, and we go to the  
12 Supreme Court. That whole process is going to take about  
13 two years.

14 There may be some ways of short-circuiting that  
15 through legislation that we are exploring now. I don't want  
16 to talk about that a whole lot more, but that may be an  
17 option that might be able to short-circuit some of that two  
18 years.

19 If all that happens, then, we would look to have a  
20 site operational sometime in the Summer of '96. If you  
21 subtract the two years for licensing, or for litigation, I  
22 could probably have one operational early in 1994. So that  
23 gives you an idea of what litigation can do to you and your  
24 whole process. It can easily take two years to wind its way  
25 through the District Court and appellate process and that's

1 only one lawsuit. If you have multiple lawsuits thrown at  
2 you to try to tie you up, you can just multiply that by the  
3 number of lawsuits.

4 And that does not include tests in Federal Court.  
5 I'm only talking about District Court. So if you are tested  
6 in Federal Court, then you throw another element of  
7 uncertainty in there.

8 I started off talking briefly about the three  
9 words I think we need to think of. And that is persistence,  
10 restraint, and commitment.

11 I think we are going to need to maintain some  
12 developer, developing entity persistence in this thing. We  
13 need to keep our eye on the target. We've been after it  
14 since 1982 and it certainly hasn't been easy and it hasn't  
15 been fun. Again, it's a job that needs to be done and I  
16 think that, as Gene just pointed out, the things in New York  
17 certainly haven't been fun or easy either, or most other  
18 states. Persistence and dedication are real important in  
19 getting this thing done. And it becomes frustrating  
20 sometimes, when you have people of a developmental mindset  
21 having to jump through all these hoops.

22 We need some political restraint in the process.  
23 In other words, if it isn't broke, don't fix it. And I  
24 think we're having a lot of tinkering with a process that  
25 just simply needs to be let run its course.

1           And finally, I think we need to maintain a  
2 regulatory commitment to solving this problem, both at a  
3 state and a national level. In other words, I would  
4 encourage and compel -- compel is probably not the right  
5 choice of words, but at least strongly encourage -- the  
6 regulatory community to be proactive in this area to the  
7 extent you can without making it look like you are in bed  
8 with the developers, which you certainly can't be for a fair  
9 outcome for everybody. But I think those things are a key  
10 to making this whole thing work.

11           And to wrap it up, I guess the worst thing that we  
12 can be up against is indecision and inaction. And that's on  
13 all parties, on the part of the developer, on the part of  
14 the politicians, and the policy makers, and on the part of  
15 regulators. We need to get on with it, and the rubber needs  
16 to meet the road.

17           Being an engineer, I like to burn diesel and turn  
18 dirt. And it does become a very frustrating process when I  
19 start dealing with policy makers and lawyers and politicians  
20 that basically are committed to the process and not  
21 committed to having the facility underway.

22           Thank you much.

23           [Applause.]

24           MR. JUNKERT: Good morning.

25           I think that's the beauty of being last. You get



1 some good speakers ahead, you've only got two minutes, and  
2 you wrap it up.

3 Boy, is this serious business. I'm looking around  
4 out there, and I thought of this lawyer joke. I think 1990  
5 ought to be the year of the lawyer jokes.

6 What's the difference between jumping on a  
7 trampoline and an attorney? Well, a trampoline doesn't  
8 scream.

9 [Laughter.]

10 MR. JUNKERT: It's a pleasure to be here this  
11 morning to report on California's progress to site and  
12 license a low-level radioactive waste disposal facility.

13 As is well-known by now, California determined  
14 that U.S. Ecology's application for a license was complete  
15 for detailed review, and that decision was made in December  
16 of last year.

17 Since that time, a lot of paper has been generated  
18 and trees have been dying, on a regular basis.

19 The application consists of 11 volumes, in excess  
20 of 7,000 pages. And I know some of the people that are here  
21 have seen it. It looks good in the binders. It really  
22 does. Very impressive when it sits in the cabinet, if I  
23 have room to put it in my cabinet.

24 The review process has resulted in two rounds of  
25 interrogatories by the Department and subsequent responses

1 by U.S. Ecology.

2 The second round of responses is now being  
3 evaluated. And the anticipation is there will be a third  
4 round to clean up the few remaining details.

5 The first two rounds of interrogatories and  
6 responses added about the equivalent of another six volumes,  
7 you know, four inches per volume, to the stack of paper.

8 About the time we get our Safety Evaluation Report  
9 complete, that is a minimum of two volumes, so it will fill  
10 out a pretty nice bookshelf, several shelves on the  
11 bookshelf, anyway.

12 Two items of the application have drawn  
13 considerable attention. One has resulted in the redesign of  
14 the EC-30 trench cap and the other is driving an expansion  
15 of the Vadose zone monitoring system.

16 Our goal is to make a licensing decision by the  
17 end of the year.

18 There are a couple of other issues that are on a  
19 separate but parallel track. And these deal with mitigation  
20 and compensation for impacts on the Desert Tortoise. That  
21 is an unresolved issue. And the appraisal of the land and  
22 transfer to the Department. That is moving slowly. It's  
23 not on the critical path. However, the issue of the Desert  
24 Tortoise is on the critical path. And essentially, it will  
25 hinge on the evaluation and biological opinion which is due

1 from the U.S. Fish and Wildlife Service and also the State  
2 Department of Fish and Game, if they were to declare  
3 jeopardy, and then that opens the door for other things to  
4 happen.

5 We have been told that that opinion is probably  
6 going to be available by the 1st of November, or at  
7 approximately that time.

8 We issued the EIR-EIS on June 15. The cutoff date  
9 for comments is September 30th. Comments have dealt with  
10 every conceivable item. Just a few: the impact on the  
11 Desert Tortoise, of course, is high; need for dual liner  
12 leachate collection systems; response to transportation  
13 accidents; public exposure to radiation; emergency response;  
14 waste floating down the Colorado River; alternative disposal  
15 methods -- some people thought we ought to just find an old  
16 mine shaft somewhere and stick it in there; creating a  
17 perched water table; the "not in my backyard" syndrome is  
18 showing up; and, of course, arguments about U.S. Ecology's  
19 track history, namely, at Maxiflats and Sheffield.

20 The EIR must be certified before the ownership of  
21 the land can be transferred. And that is going to be  
22 dovetailed very nicely with the issuing of a license,  
23 because by state law, once EIR is certified, we have 30 days  
24 to issue the license.

25 I guess we could always delay the certification of

1 the EIR and then have the license ready. So it is going to  
2 be hand-in-glove work with some of the other agencies.

3 We still expect a license to be issued in Spring  
4 of '91, maybe about April or May, and approximately a six-  
5 month construction period, and start operations by the end  
6 of 1991.

7 Now, this little brief sketch, I don't pretend  
8 that there is no opposition. The opposition group is  
9 fortunately small and also hopefully not growing.

10 We are going to be spending more time dealing with  
11 concerns of other state agencies than we are spending time  
12 in dealing with individual opponents. This, however, could  
13 change quite rapidly.

14 I was informed Friday that an opponent had filed a  
15 mining claim on the proposed site.

16 One of the issues that has been raised by two  
17 state agencies and one Federal agency is the need for a dual  
18 liner and a leachate collection system. This concern is  
19 forcing a strong look at the proposed Vadose zone  
20 monitoring. And I expect changes will be made to that  
21 proposal.

22 I've told U.S. Ecology not to put their eggs in  
23 one basket, but to take a serious look at a backup system  
24 for the Vadose zone monitoring. The hope is that the  
25 Regional Water Quality Control Board will accept the

comprehensive monitoring system as a basis for issuing the waste discharge requirements.

To summarize, I will say this. We are making progress, but it's not in the bag.

[Applause.]

MR. COMBS:

Thanks a lot, Reuben. What I would like to do now is to entertain questions for our last four speakers.

MR. STEWART-SMITH:

Dave Stewart-Smith, State of Oregon.

My question is for Bob Avant. Have you addressed the legal issue of how you are going to be able to exclude waste as a Code 1 State Compact?

It's an issue that I've heard asked before, but I haven't heard an answer from somebody from Texas. I'm wondering how you are planning to address that.

MR. AVANT:

We have entertained that issue a number of times. To be honest with you, right now we are more worried about draining swamps and getting the alligators

at. I think what is going to happen, the first site I think will be a truck pull up with two people in it, and there will be a driver and the other is going to be one is going to be a driver and the other is going to be So I see that being a potential for litigation,

1 intensive monitoring system as a basis for issuing the waste  
2 discharge requirements.

3 To summarize, I will say this. We are making  
4 progress, but it's not in the bag.

5 [Applause.]

6 MR. COMBS: Thanks a lot, Reuben.

7 What I would like to do now is to entertain  
8 questions four our last four speakers.

9 MR. STEWART-SMITH: Dave Stewart-Smith, State of  
10 Oregon.

11 My question is for Bob Avant.

12 Have you addressed the legal issue of how you are  
13 going to be able to exclude waste as a Code 1 State Compact?  
14 It's an issue that I've heard asked before, but I haven't  
15 heard an answer from somebody from Texas. I'm wondering how  
16 you are planning to address that.

17 MR. AVANT: We have entertained that issue a  
18 number of times.

19 To be honest with you, right now we are more  
20 worried about draining swamps and getting the alligators  
21 out. I think what is going to happen, the first site  
22 opened, there will be a truck pull up with two people in it,  
23 and one is going to be a driver and the other is going to be  
24 a lawyer. So I see that being a potential for litigation,  
25 too.

1           In the whole scheme of things, I see that issue  
2 being a very minor one in the context of trying to get a  
3 site developed, though, and especially in light of what  
4 happened in Alabama with that Alabama case being overturned.

5           The Alabama case gave us a little bit of  
6 consolation there, until it got overturned. I don't know  
7 what's going to happen to it in the Supreme Court. But  
8 that's an issue out there, but I don't consider it a major  
9 one.

10           MR. OWENS: Bob Owens, State of Ohio.

11           I would just like to talk to Holmes' presentation  
12 on the update of the low-level waste compacts, for the  
13 Midwest Compact. We had a meeting in August, and basically  
14 we significantly reduced funds to the State of Michigan for  
15 pursuit of that endeavor, primarily because of the lack of  
16 progress by the State of Michigan, and also from pressures  
17 put on the Compact by the sited states.

18           The funding that was provided to Michigan was also  
19 contingent upon accomplishment of several milestones,  
20 namely, that the existing Michigan criteria needs to be  
21 considerably relaxed and can be done by October 1st, and  
22 also that the three candidate, potential sites, should be  
23 selected by April 1st, and if that is not done, that even  
24 the existing funds will be reduced by one-twelfth per month  
25 until that is accomplished.

1           Even before the funding was reduced, Jim Cleary,  
2 for the State of Michigan, indicated that the time frame for  
3 establishing an operating site has been postponed until  
4 March 1, 1997, which is about a 70-month delay from the  
5 original plan.

6           Given that, Jim Cleary, the Commissioner for the  
7 Michigan Authority, has reported in various newspaper  
8 reports, as saying that Michigan is about 70 percent on its  
9 way out of the compact, and if the Michigan Commission, or  
10 rather, the Compact Commission, does not relax its funding  
11 criteria basically and come around with additional funds,  
12 that may well see Michigan out of the compact very shortly.

13           MR. COMBS: Any further questions or comments?

14           Yes, Aubrey?

15           MR. GODWIN: I would like to say that there are  
16 some differences between the case of Alabama and the case  
17 that may arise in Texas, one of which is the operator in  
18 Alabama is a private entity as opposed to a state agency.  
19 Secondly, it was related a taxing problem.

20           That part still has not been decided but the  
21 exclusion part has, at least with the first level so I think  
22 there will be some differences if you are looking at a  
23 state-operated entity versus a private entity.

24           You are operating for your own citizens as opposed  
25 to a commercial entity so there may be some significant



1 differences.

2 MR. AVANT: Thank you. I have a question for  
3 Holmes Brown.

4 I wonder if you would speculate as to the future.

5 MR. DENTON: There could be several courses.

6 One, we could always delay -- concur -- there  
7 would be more onsite storage and in addition everyone would  
8 find a site in their existing compacts and so forth.

9 Another approach might be the states who were  
10 successful would end up taking waste from other compacts and  
11 the amount of pressures would drive you towards some  
12 utilization of whatever was available.

13 What do you think is going to happen if -- where  
14 will we be two, three, four, five years from now?

15 MR. BROWN: I think the question should probably  
16 be declared out of order.

17 [Laughter.]

18 MR. BROWN: I talked to reporters off the record  
19 but that's a little harder -- let me take my name tag down  
20 here and say a few things.

21 MR. DENTON: We are all one family.

22 MR. BROWN: Oh, sure.

23 [Laughter.]

24 MR. BROWN: No, I think you're right. I mean  
25 those are several things that could happen.

1 I think that one area that is least likely to  
2 happen and people do speculate about this is that you are  
3 going to go back to Congress -- periodically there's an  
4 enthusiasm for going back to Congress when certain folks say  
5 introduce legislation and they stand up and say, well, we  
6 are going to get this revised, and I think it is always  
7 salutary to hear from the staff members of the members of  
8 Congress.

9 That is the one area where I think you are not  
10 really going to get much relief.

11 They have got larger nuclear issues to deal with  
12 and I think from their point of view when they look at the  
13 high level waste program, Defense waste cleanup for the  
14 WIPPS site and New Mexico, that the low level waste law is  
15 working better than many others and they are not likely to  
16 come up back to it.

17 The question is given the dynamics of the Low  
18 Level Waste Act, the pace at which people are moving the  
19 economics, what's going to happen.

20 I think it is significant to look at the responses  
21 that various states have given when letters have been sent  
22 around by various Governors asking whether you are going to  
23 take our waste or not.

24 Generally states have said no but there are some  
25 exceptions to that and I think even in some of the states

1 that said no you had some, say, ambivalent sentiments  
2 expressed.

3 For instance, in Washington state a couple years  
4 ago the former and the present Chairman of the Energy  
5 Committee in the Washington state legislature circulated a  
6 position paper saying we have been accepting waste from  
7 outside the region for a decade or more. It's been a major  
8 source of income. We at least ought to examine the options  
9 of whether we take waste from outside the region. We can  
10 either take it just from the region. We could be selective  
11 in taking waste or we could decide to become a national  
12 site.

13 While the Governor and the rest of the legislature  
14 haven't gone off on that, you do have two long-time members  
15 of the legislative leadership in Washington state that have  
16 suggested that so I am not predicting anything but the point  
17 is that you don't always have a uniform approach.

18 I think again, I alluded earlier to California,  
19 California didn't say no point blank.

20 Now they may have simply been deferring a negative  
21 response until they actually had -- their commission is in  
22 order, but they haven't said no.

23 I think similarly the Texas state legislature took  
24 a look at the issue of whether to join a compact a couple of  
25 years ago and as I recall the language of the authorizations

1 of the authority to look at -- I think the phrase they used  
2 was to investigate the benefits of joining a compact. Now  
3 the authority did submit a report to the legislature.

4 The response of the legislature was that they  
5 weren't interested at this time. I believe that they talked  
6 about economic incentives, of substantial economic payments  
7 to the state of Texas to cover the cost of construction and  
8 operation.

9 There was actually a hearing at which I think  
10 Maine and Vermont I believe sent representatives who  
11 testified before the state legislature. Maine proposed a  
12 surf-and-turf compact at that time -- but the amount of  
13 money involved I think was about 10 million dollars. I  
14 guess that doesn't talk turkey in Texas.

15 I guess you need to up the ante but the point is  
16 that even in states that have generally said no there has  
17 been some ambivalence or some interest.

18 The amount of money that sites are costing now and  
19 I think \$27 may be the lowest -- well, I don't know what the  
20 California site -- what are you folks running at?

21 Do you know how much your site is going to be  
22 costing?

23 MR. JUNKERT: We get varying estimates.

24 It depends on if we're forced we can do a double  
25 liner leachate collection system. It is probably going to

1 be minimum of in the low thirties and probably as high as  
2 the upper thirties.

3 MR. BROWN: But when you talk to the states in the  
4 Northeast, the people are looking at forty, fifty, in that  
5 range, and you know, if you multiply all the states in the  
6 Northeast, and this was an issue that was discussed at the  
7 forum, if there were a collective offer out of some of the  
8 states in the Northeast who may be pursuing signing  
9 initiatives but may not be particularly anxious to site a  
10 facility, you could generate like half a billion dollar  
11 offer out of the Northeast.

12 That hasn't happened yet but it would interest me  
13 to see how some of the states that may be in the lead might  
14 respond to that so I think it's really too early to tell.

15 Generally what you are getting is negative offers  
16 or I'm sorry, negative responses.

17 On the other hand, nobody has ever walked up cash  
18 in hand with that amount of money and I think that some  
19 states might find that fairly attractive and you could sell  
20 it to the public by saying this is basically the  
21 environmental fund.

22 Now we have a gold-plated facility that we're  
23 convinced is absolutely safe and by taking waste from some  
24 other states we can generate on the order of a quarter to  
25 half a billion dollars so we can go elsewhere in the state

1 and really clean this place up.

2 That is the sort of pitch that could be made.  
3 It's really I think too early to tell how people would  
4 respond but the potential is there. Nobody has done it but  
5 I think that something like that might work in the next  
6 three or four years.

7 MR. JUNKERT: I would like to make another comment  
8 regarding cost.

9 One of the factors is how soon can you get it  
10 going?

11 Every day that we delay and we're almost there  
12 will add 15,000 dollars a day in interest charges, so you do  
13 that for a year and it changes the picture dramatically.

14 MR. AVANT: One other comment on cost. You have  
15 to look at what's the numbers for reporting -- \$27 or \$28  
16 million that I referred to is strictly for the actual  
17 facility itself. It does not include any upcoming  
18 licensing.

19 Today we are at about \$14 million that we have  
20 spent toward our site and if I'm not mistaken, California  
21 has probably spent \$17 million just to get their license  
22 application into you all, so we'll be about \$17 million for  
23 us to get our license application in and then you add the  
24 \$27 million on, so to get a site licensed and under  
25 operation I would say the low end of it is going to be \$40

1 million.

2 MR. COMBS: Do we have other questions or  
3 comments?

4 [No response.]

5 MR. COMBS: I would like to thank all our morning  
6 speakers and go as scheduled and adjourn for lunch, to  
7 return at 1:30.

8 Thank you very much.

9 [Applause.]

10 [Whereupon, at 12:15 p.m., the hearing recessed  
11 for lunch, to reconvene this same day at 1:30 p.m.]

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## AFTERNOON SESSION

[1:35 p.m.]

1  
2  
3 MR. COMBS: If I can have your attention. We will  
4 being our afternoon session with an issue that's perhaps  
5 critical to one area of federal-state relations, that of  
6 Agreement State Compatibility. James R. Curtiss was sworn  
7 in as a member of the Nuclear Regulatory Commission on  
8 October 20, 1988, to serve a term ending June 30, 1993.

9 Before his nomination by President Reagan, and  
10 confirmation by the Senate, Mr. Curtiss served as an  
11 associate counsel for the Senate Committee on Environment  
12 and Public Works. He joined the staff of the Committee in  
13 early 1981 as an assistant counsel.

14 Previously, he started his law career with the  
15 Nuclear Regulatory Commission, serving from 1979 to 1981,  
16 first as an attorney with the Office of the Executive Legal  
17 Director, and later as a member of the then NRC  
18 Commissioner, Richard T. Kennedy's staff.

19 Mr. Curtiss was graduated from the University of  
20 Nebraska in 1976 with a Bachelor of Arts degree and received  
21 his law degree there in 1979. It is my honor to introduce  
22 to you James R. Curtiss.

23 [Applause.]

24 COMMISSIONER CURTISS: As rough as that  
25 introduction was and as short I thought my term was there



1 for a minute, I was reminded as Fred was going through that  
2 of one of the first introductions that I got when I came to  
3 the Commission in 1988 when I was speaking to one of our  
4 annual gatherings of SES employees, the senior agency staff,  
5 in the winter of 1988.

6 Vic Stello was our EDO at the time and this up at  
7 a hotel in Baltimore, and Vic got up and described my career  
8 and the fact that I had graduated from law school and went  
9 to work for the NRC and then went down to work for one of  
10 the committees on the Hill and came back then after 8 or 9  
11 years as an NRC commissioner. And after going through all  
12 of that, he turned to me and he said, it's my pleasure to  
13 introduce Commissioner Jim Asselstine.

14 [Laughter.]

15 COMMISSIONER CURTISS: Well the lines that you  
16 think of are always the ones that you think of on the way  
17 back to the office, the best lines, and when I got back to  
18 the office I told my staff that, and one of the fellows  
19 there said, and this is about the time when the presidential  
20 election was hot and heavy and right after the Quayle-  
21 Bentsen debates, and he said, you should have gotten up and  
22 said, you know, Vic, I knew Jim Asselstine, I worked for Jim  
23 Asselstine, and you know how the rest of it goes.

24 [Laughter.]

25 COMMISSIONER CURTISS: Let me welcome all of you.

1 I know the Chairman was here this morning and extended his  
2 hearty welcome to this group, and I won't expand much on  
3 that, but except to say that it's certainly a pleasure to  
4 see all of you here. This is an activity in an area, and as  
5 I'll get into shortly in my remarks, the subject of our  
6 relations with the states, and Agreement States included in  
7 that category, is one that, of course, since 1959 when the  
8 Agreement State Program was established, it's been an  
9 important area for the Commission.

10 But more importantly, and the subject of my  
11 remarks this afternoon, it promises during the upcoming  
12 decade of the 1990s to be an area, the question of state-  
13 federal relations, where I expect that we'll see an increase  
14 in degree of activity, for reasons that I'll get into in a  
15 minute, and some significant and important policy questions  
16 that will have a direct bearing on the way that we at the  
17 Commission do business, the way that you and the states do  
18 your business, and the way that the commercial nuclear  
19 industry, both the power industry and all the other  
20 licensees, carry out their activities over the course of the  
21 1990s and beyond.

22 In the spirit of keeping this session somewhat  
23 formal and in the interest of keeping on time here so that  
24 we'll have enough time at the end of the session for  
25 whatever questions you might have. I don't have any formal

1 prepared remarks that I'm going to deliver today, but I  
2 thought I would speak on a subject that I gather came up at  
3 some of the sessions this morning, certainly I think on the  
4 mind of the Commission as a whole and me as an individual  
5 Commissioner, and that is the issue of Agreement States  
6 Compatibility.

7           Somebody said a head of time that before I got  
8 here that you had a good deal of discussion on the  
9 compatibility question ~~this morning~~ in the context of BRC  
10 and the low level waste ~~initiative~~, and Harold Denton  
11 grabbed me a head of time and he said, you can set the  
12 record straight this afternoon.

13           If I were in the Commission majority, I would do  
14 that, but as some of you may know, I have some very strong  
15 views on Agreement State Compatibility, in particular in the  
16 context of the low level waste legislation that was passed  
17 in 1985, that I'd like to share with you this afternoon.

18           I would emphasize that in certain respects, my  
19 views differ from the majority of the Commission, and you  
20 ought to understand in some respects they are Jim Curtiss'  
21 views and not the views of a majority.

22           Having said that, I would like to talk about a  
23 couple of the areas where I think we've seen over the course  
24 of, let's say, the past year to eighteen months, important  
25 compatibility questions come up within the agency that posed

1 questions of first impression for us at the agency, the  
2 resolution of which, regardless of which side the Commission  
3 ultimately comes down, will establish important policy in  
4 the area of Agreement State Compatibility.

5           So for those of you have an interest in this,  
6 whether day-to-day or in the course of carrying your  
7 activities, I encourage you to become or continue to be  
8 actively involved in this issue, because it will have a  
9 direct bearing on the relationship between we at the federal  
10 level and those of you who carry out your most important  
11 responsibilities at the state level.

12           The Chairman's remarks, or at least if he  
13 delivered the remarks I read this morning, went through a  
14 good deal of the history of compatibility, and I don't  
15 propose to go back and talk about much of that. I would  
16 like to, just looking back at where we've been with  
17 compatibility, highlight two or three significant  
18 legislative milestones that have a bearing on where we are  
19 today and where we're going in the future.

20           As I mentioned, the Agreement State scheme and the  
21 concept of compatibility, of course, first was enacted in  
22 Section 274 of the Atomic Energy Act in 1959, five years  
23 after the commercial nuclear power industry was set up in the  
24 1954 Atomic Energy Act.

25           I'm going to skip over a lot history, but let me

1 say that from 1959 on through to this very date, in fact,  
2 the concept of compatibility, which I think is an important  
3 one and central to the implementation of the 274 provision,  
4 is one that has grown by and large by what I call accretion.

5 The body of compatibility case law, if you will,  
6 or administrative precedent has grown up over the years and  
7 it's reflected in a body of Commission decisions. In some  
8 respects, it's reflected in formal guidance that the agency  
9 has issued on how it's going to approach compatibility.

10 But the important policy questions in this area  
11 really weren't set out in 1959 in advance by the agency at  
12 the time, and as I look back at the history of this issue,  
13 really weren't the subject of a comprehensive Commission  
14 analysis in terms of what we're doing and we're trying  
15 to accomplish in this area.

16 As I say, the body of administrative precedent  
17 grew up as we addressed specific cases and continues to grow  
18 today as we come up against difficult cases that are  
19 currently before the agency.

20 I'm going to jump over a lot of history and talk  
21 about three pieces of legislation, the third of which I'm  
22 going to focus the bulk of my remarks on this afternoon.  
23 All three of which, however, have a direct bearing on the  
24 state role in matters nuclear.

25 The first, the 1977 Clean Air Act amendments, of

1 course, gave the states the authority to establish standards  
2 for emissions of radionuclides from, including but not  
3 limited to, NRC licensed facilities. Since the 1959  
4 legislation, it was the first time that the states were  
5 given this authority, and as we'll talk about in a minute,  
6 an authority to set more stringent standards than those  
7 established by the federal government and really a departure  
8 from the compatibility logic that had evolved in implementa-  
9 tion of the 1959 authority.

10 The second major statute that also has a bearing  
11 here is the 1978 Uranium Milltailings Radiation Control Act.  
12 For those of you who come from states where you've got  
13 uranium milltailings activities, you will know that that  
14 statute as well authorizes the states to go beyond what the  
15 federal government establishes as the health and safety  
16 standards, specifically in that act sets up the authority  
17 for the states to establish, should they so desire, more  
18 stringent standards than those established by the Commission  
19 in our 10 CFR Part 20 regulations.

20 Now the third piece of legislation is really the  
21 one that I want to talk about most extensively this  
22 afternoon, and that's really two pieces of legislation, the  
23 1980, and then more importantly, the 1985 Low Level  
24 Radioactive Waste Policy Act amendments, which, as you all  
25 know, set up the compacting process for the site development

1 that is currently underway, I trust to some degree or  
2 another, in all of your states.

3 It is that act which in my judgment has presented  
4 to the Commission challenging questions of compatibility,  
5 questions of first impression that we are currently dealing  
6 with.

7 In large measure, these questions, in my judgment,  
8 arise from what I think is a very clear intention on the  
9 part of the Congress in that 1985 statute, to turn over to  
10 the states really, for the first time in the nuclear arena,  
11 save for the 1977 Clean Air Act Amendments, but the first  
12 significant time, a health and safety responsibility.

13 Congress said that low-level waste is an activity  
14 that the states not only wanted, the states came to the  
15 Congress in the '80s, late '70s, requesting the authority to  
16 develop compact sites on their own but that the Congress  
17 was prepared to give to the states, to essentially say, the  
18 states, here, by contrast to what we are doing on the high-  
19 level waste program, have the technical capability, the  
20 interest, and they are best positioned to address the  
21 problem of low-level radioactive waste disposal.

22 Now, that philosophy that is reflected in that Act  
23 in turn raises the question that has come to the fore in a  
24 couple of compatibility issues that we have dealt with just  
25 recently, a question I guess that I will state in general

1 terms: to what extent should the states be able to take  
2 steps to establish requirements or take actions that may be  
3 more stringent than the Federal Government has taken in the  
4 context of its body of regulations.

5 There are two initiatives that I want to talk  
6 about here where in the context of the Low-Level Radioactive  
7 Waste Policy Act, we have had to consider that question.

8 First is what I will refer to as the "Illinois 1  
9 millirem" issue. Those of you from Illinois and perhaps  
10 some others will no doubt know what I am talking about. Let  
11 me explain it just briefly.

12 Illinois is an Agreement State, of course, and  
13 they are also one of the host states for the development of  
14 a facility, a low-level waste facility.

15 In the Illinois regulations, the state has  
16 established, depending upon how you interpret that standard,  
17 a requirement or an objective or a goal or a radiation  
18 protection standard that is more stringent than its 1  
19 millirem, more stringent than the standard established by  
20 the Commission in 10 CFR Part 61, the 25 millirem standard.

21 And in the context of reviewing that question, the  
22 issue has come up, should the state be able to establish a  
23 standard that is more stringent than the Federal Government,  
24 and specifically, this 1 millirem standard in the case of  
25 the Illinois program?



1           Now, whether you call that standard a radiation  
2 protection standard, an ALARA goal, a design objective, an  
3 objective, a goal, what have you, I have taken the position,  
4 and this is a minority position within the agency, that in  
5 my judgment, in view of the fabric of the Low Level Waste  
6 Act of 1985, a state can indeed do that, and even if the  
7 basis for doing that is radiological safety, as opposed  
8 the traditional economic issues that the Court, Supreme  
9 Court in PG&E said the states can rightfully address.

10           So that in a case where a state comes, and let's  
11 take the Illinois case and say we're going to establish this  
12 standard, it's a radiation protection standard. Let's just  
13 stipulate for the sake of discussion that that's what it is,  
14 although that's a subject of some discussion between the  
15 state and the NRC.

16           The view that I've expressed, and it's a minority  
17 view, as I say, is that a state ought to be able to do that.

18           What's the rationale for that, A; and B, does that  
19 threaten to unravel the compatibility scheme that has been  
20 carefully woven since 1959?

21           The rationale I've alluded to, in 1985, the states  
22 were given the authority to develop these sites and if you  
23 take a look at the Low-Level Waste Policy Act itself, in  
24 fact, the NRC was directed to develop guidance for states  
25 that wanted to pursue alternatives to shallow land burial,

1 shallow land burial being, of course, I guess, the principal  
2 disposal technology in 10 CFR Part 61.

3 And if a state wants to establish a requirement  
4 that is more stringent than the Federal Government, in an  
5 effort to either convince its public or its legislature or  
6 what have you, that it can safely and effectively develop  
7 low-level waste disposal capacity, Commissioner Curtiss  
8 doesn't have any problem with that. I'm not troubled by  
9 that.

10 Now, let me say that there is, I think, a fair  
11 concern that the majority of the Commission has expressed,  
12 that the minute you cross that line and say that a state has  
13 the authority to set radiation protection standards, that  
14 raises the question about whether we're going to unravel the  
15 fabric of the 1959 Authority and everything that has evolved  
16 since then.

17 And I think that is a fair concern to keep an eye  
18 on. I personally am of the view that the logic and the  
19 language of the 1985 Act is sufficiently distinct and the  
20 issues that the states have been called upon to address are  
21 sufficiently narrow that they can indeed be distinguished  
22 from a situation where the state might turn around and then  
23 say we want to establish a standard for a commercial nuclear  
24 power plant.

25 So that is the first issue that the Commission has

1 taken up or come to grips with in the context of its review  
2 of the Illinois 1 millirem issue.

3 We sent a letter to Illinois asking them  
4 specifically whether they interpret that standard as an  
5 ALARA objective or a radiation protection standard or  
6 somewhere in between. I think the communications are going  
7 back and forth, and in fact I understand that something has  
8 just come in recently. But that is an issue to keep an eye  
9 on.

10 I should say on that issue we will see a more  
11 direct and perhaps more difficult issue arise when the  
12 Pennsylvania agreement comes before the Commission, for two  
13 reasons.

14 Number one, my understanding is -- and this is for  
15 low-level waste -- the Pennsylvania agreement does indeed  
16 involve Division I, or Category I issues, where they have  
17 taken a more stringent approach. So it is quite clear that  
18 in the case of Pennsylvania, it is difficult to finesse that  
19 issue. You can't call the Pennsylvania approach a design  
20 objective or ALARA or what have you.

21 Secondly, procedurally, the Pennsylvania agreement  
22 involves a slightly different question, because Pennsylvania  
23 doesn't yet have its authority. We haven't turned the  
24 authority over to the State of Pennsylvania to regulate in  
25 the area of low-level waste.

1           So to the extent that the question is resolved  
2 differently for a state that already has the authority  
3 versus one where we are considering the grant of that  
4 authority, that is also an important procedural question to  
5 keep an eye on.

6           Let me turn quickly, and I don't want to spend too  
7 much time here, because I know you have discussed this issue  
8 this morning, to the second major area in which the  
9 compatibility issue has arisen. And that is the issue of  
10 "below regulatory concern."

11           For those of you who have had an opportunity to  
12 read the policy statement, and have waded through it and  
13 gotten clear over to the end, you will see a set of  
14 additional views that I filed and a response to those views  
15 that Chairman Carr has filed that, among other things,  
16 addressed the issue of Agreement State compatibility and how  
17 we will interpret the BRC policy statement from the  
18 standpoint of our compatibility responsibilities.  
19 Specifically the question, and I won't go into detail,  
20 because it is set out in my additional views, but the  
21 question that has arisen.

22           If the Commission adjudges a particular waste  
23 stream to be below regulatory concern, pursuant to this  
24 policy, in a subsequent rulemaking that would implement the  
25 policy, can a state, let's take an Agreement State here at

1 this point, to simplify the issue, can a state nevertheless  
2 say that that waste stream ought to be disposed of, in fact  
3 has to be disposed of in a low-level waste disposal facility  
4 licensed by let's say the Agreement State in this case?  
5 That's the policy question. And it's not just a policy  
6 question. It's been a hot political question, both within  
7 the Commission and down on the Hill, where we've gone to  
8 testify on this very issue.

9 I've taken the position, again on the ground that  
10 the states have been given the authority, and a great deal  
11 of latitude in the 1985 statute, that if a state, after we  
12 have made our best technical judgment that a particular  
13 waste stream ought to be adjudged below regulatory concern,  
14 if a state at that point wants to require that waste stream  
15 to go into its license disposal facility, that doesn't  
16 trouble me. That is something that I am less concerned  
17 about, because of the 1985 policy that the states are  
18 responsible for the development of disposal capacity.

19 Now, let me say it is very clear today, and I  
20 think the majority is all of one mind and the Commission is  
21 all of one mind on this issue, that today, a state can do  
22 that, and they can require a waste stream to go into a  
23 licensed low-level waste disposal facility for reasons other  
24 than radiological safety. And in fact, I gather that is the  
25 very premise of the Minnesota approach that has recently

1 come to our attention.

2 The question here is whether a state can do that  
3 for radiological reasons, reasons that have traditionally  
4 and historically fallen within the scope of the  
5 compatibility considerations and the 1959 authority.

6 As I say, I've taken the position that I think a  
7 state ought to be able to do that.

8 Question: what happens if a state either in  
9 implementing what I'll call the Illinois "1 millirem" issue  
10 or in their approach to BRC, makes it so difficult -- let's  
11 say they set a standard of no release whatsoever, that is  
12 technically impossible to meet -- don't we at the Federal  
13 Government have an interest in saying that that will  
14 effectively prevent a state from developing disposal  
15 capacity?

16 I think that is a fair question. But again, in  
17 view of the context of the '85 Act and in view specifically  
18 of the provision that says, for those states that fail to  
19 develop that capacity, come 1996, they either have to take  
20 title to the waste or pay the damages for the failure to  
21 provide disposal capacity, in my view the responsibility and  
22 the accountability for developing disposal capacity are  
23 vested with the states.

24 And so the failure to develop that disposal  
25 capacity, by setting a standard that is, let's say,

1 unachievable, zero millirem, will only inure to the  
2 disadvantage of the state, and the accountability for  
3 failure to develop a site will rest with the state.

4 Now, let me say on the BRC issue, I've explained  
5 my position, and it is set forth really in more detail. and  
6 I hope you find it more thoughtful, in the additional views.  
7 for those of you who are interested, you can find that  
8 discussion and the response of the Chairman, which I think  
9 also is a very thoughtful and focused discussion of this  
10 issue, at the end of the policy statement.

11 I must say that as we look at the BRC issue now  
12 and the attention that has been focused on that issue, in  
13 addition to what I think is a sound legal argument for that  
14 approach, I am troubled by the prospect that three things  
15 will come to pass that make it very difficult for us  
16 successfully to pursue the position that states ought to be  
17 required as a matter of compatibility to adhere to the  
18 Federal -- let's say a Federally adjudged BRC waste stream.

19 Number one: It's not clear to me, if a state  
20 says, We're going to require that this waste stream go into  
21 a low-level waste disposal facility and for radiological  
22 reasons, what we at the Commission would do in the face of  
23 that. I don't recall whether we've ever rescinded a state's  
24 authority.

25 We've done some arm-twisting, as all of you

1 probably know, where states do c have sufficient resources,  
2 or they've got standards that perhaps cross the line. But  
3 in this particular area, I find it difficult to envision  
4 that we would rescind the authority of a state.

5 We may well, but I find it difficult to imagine  
6 that for a state that wants to require a waste stream to go  
7 into a low-level waste disposal facility, that we've  
8 adjudged to be BRC, that we would take the authority of the  
9 state away. So the first question is, What's the remedy, if  
10 we come to a conflict over this issue?

11 The second concern I guess I have is that from a  
12 political standpoint -- and we'll find this out beginning  
13 tomorrow -- it is at least somewhat likely that in view of  
14 the reaction around the country and in the Congress, that  
15 legislative efforts may successfully moot the decision that  
16 the Commission I think has laid out in this policy  
17 statement.

18 That is to say, tomorrow, when the House Interior  
19 Committee marks up the bill introduced by Congressman  
20 Miller, which would, in fact, seek to nullify not only our  
21 policy statement, but the decision to make this a matter of  
22 compatibility, it may well be that we've lost the battle  
23 right there in the legislative context. Of course, that  
24 remains to be seen as the legislative context evolves.

25 The concern I guess I have there is not only that



1 we might loose on this particular issue, but as Congress has  
2 a wont to do, once a legislative vehicle gets going, it's  
3 difficult to control what areas it gets into, and it may  
4 well, in fact, lead to results in the BRC area or beyond  
5 that in the compatibility area generally that we find to be  
6 terribly unsatisfactory. So the risk that this approach on  
7 this policy statement will precipitate a negative  
8 legislative result, not just limited to this issue but that  
9 extends into other areas, is one that concerns me as well.

10 I will say that we do have some recent experience  
11 in Congress on where at least the Senate comes down on the  
12 question of a state's right to establish more stringent  
13 radiological standards.

14 As many of you may know, the Clean Air Act debate,  
15 when it came up in the Senate, was the vehicle for two  
16 amendments that were offered by Senator Simpson, the first  
17 of which would have taken EPA's 1977 authority altogether.

18 That lost by a vote of about 61 to 37 -- two to  
19 one -- in the Senate, primarily on the ground, I think, that  
20 the Senate was not prepared to take away the State's  
21 authority to regulate radionuclides.

22 In fact, that is confirmed by the outcome of the  
23 second Simpson amendment, which set aside the state issue,  
24 allowed that authority to continue to exist, and instead  
25 focused on the dual regulation of the Federal level. That

1 amendment passed by a vote of 57 to 33.

2 What's the upshot? I think there's a significant  
3 likelihood that if a question is put to a vote where a  
4 state's right is the issue, and it certainly is in the  
5 context of the way this issue in the BRC policy is  
6 understood, the outcome, in my judgment, is quite clear.

7 In any event, that's -- I've gone on longer than I  
8 planned on, and it looks like I'm getting over schedule  
9 here. Why don't I conclude with those remarks.

10 I would emphasize again that those views represent  
11 the views of one Commissioner. We've had a good healthy  
12 debate, we've discussed both of these issues, and I respect  
13 the views of my colleagues.

14 I think they make a well-reasoned, articulate  
15 defense of the approach that they're taking, both on the  
16 Illinois one millirems issue and on the BRC compatibility  
17 question. I must say that when I've examined those  
18 arguments carefully, though, I unfortunately have come down  
19 on the other side of those issues.

20 I expect that because of the interest here, and,  
21 in fact, the Commission has expressed a recent interest,  
22 that the time has come and the Commission would like to see  
23 a comprehensive review of the compatibility question.

24 I know Harold Denton's shop has done some recent  
25 surveys in which they've looked at the compatibility issue.

1 That's probably going to be the first step in a series of  
2 actions that the Commission will take, to go back now, and,  
3 perhaps because of the focus brought to this issue by the  
4 issues that I've discussed, take a comprehensive look at  
5 compatibility.

6 So for those of you who have an interest in either  
7 of these two issues or in the compatibility question  
8 generally, I encourage you to become active, participate and  
9 express your views. It's most helpful.

10 Let me conclude by thanking you, thanking Fred for  
11 the kind remarks. I will take questions if they are any and  
12 if we have time on the schedule, Fred, I'd be glad to throw  
13 open the floor for whatever questions people might have.  
14 Any questions?

15 MS. DICUS: Greta Dicus, Arkansas. I appreciate  
16 your comments, Commissioner, on compatibility. As you well  
17 know, it's not only an emerging issue, I think, with the  
18 agreement states, I think it's also a major one.

19 I'd like your comments, if you could, or your  
20 thoughts on this topic. The agreement states, as you know,  
21 have requested the establishment of criteria which could be  
22 used at least as a guideline in determining when a rule or  
23 what part of a rule would be a matter of compatibility, and  
24 what division of compatibility it would be. I'd appreciate  
25 your comments on those criteria.

1           COMMISSIONER CURTISS: Okay. I am familiar with  
2 the request. As I say, we have watched the compatibility  
3 issue grow up over the years, and the body of administrative  
4 precedent has grown as each decision has been rendered.  
5 Some of that philosophy is set forth in the guidance that  
6 we've got that defines what's a Division I matter of  
7 compatibility, and so forth.

8           I do think that -- and not just because of the Low  
9 Level Waste Act, but because it's been 30 years now since  
10 the 1959 authority, and because we are looking now the  
11 current generation of nuclear plants have been licensed, and  
12 that controversy is, I think, to a large extent behind us --  
13 this would be a good opportunity for us to take a look at  
14 what we've done in the past on compatibility. What are the  
15 standards?

16           The two issues that I've raised in the context of  
17 this discussion really go to what I think is a very  
18 fundamental question. Compatibility in my judgment ought to  
19 rest upon some sort of determination that from a health and  
20 safety perspective, uniform standards are required. Carried  
21 to the extreme, it's obvious that the Congress felt so  
22 strongly about that, that the states have no authority to  
23 regulate commercial nuclear power plants and the design of  
24 those plants. It's important for the design of those plants  
25 to be undertaken pursuant to a uniform set of Federal

1 standards.

2 It's less clear, I guess, and particularly in the  
3 context of issues that have come up in the Low Level Waste  
4 Act, what health and safety objective we're seeking to  
5 achieve. Let's take BRC for example.

6 What objective is it that, from a health and  
7 safety standpoint, and, hence, something that would provide  
8 a basis for making this a matter of compatibility, is  
9 achieved by saying that a waste stream that is adjudged to  
10 be BRC is something that a state cannot nevertheless require  
11 to go into a low level waste site.

12 You can, I think, posit some rationales for that.  
13 In fact, the policy statement endeavors to do this. You  
14 need to limit disposal capacity for the truly important  
15 Class A, B, and C waste. We need to have a uniform set of  
16 national standards. In my view, questions about capacity of  
17 the low level waste sites are matters that, under the Act,  
18 the states have been given the authority to address, first.

19 Secondly, we have, in fact, in some cases --  
20 Colorado is the best example that I can think of --  
21 authorized the states to dispose of non-Class A, B, and C  
22 waste in their facility, and in that case, the Denver  
23 radium, I think, is the example that comes to mind.

24 So it's not clear to me, as you get into some of  
25 these questions in the low level waste context, what the

1 health and safety nexus is for the compatibility position  
2 that we take.

3 I'm not providing you much of an immediate answer,  
4 but I would say that's an issue that I think the Commission  
5 is anxious -- or at least I am, I should say -- for the  
6 staff to take a look at in reviewing not only what we've  
7 done in the past, but then, in addition, telling us where  
8 should we go with compatibility under some of these newer  
9 statutes, like the Low Level Waste Act.

10 What is the basis for a compatibility position?  
11 Is it the same that we've always asserted since 1959 or does  
12 the 1985 Act give us a different view on a matter like that.  
13 I think it's a very important question that we need to get  
14 onto.

15 MR. GODWIN: Aubrey Godwin, Alabama.

16 I talked to a different attorney. That means, of  
17 course, I got a different opinion.

18 COMMISSIONER CURTISS: You probably got two  
19 opinions if you talked to one of us.

20 MR. GODWIN: Well, anyway, our attorneys and,  
21 indeed, I have even heard some prior attorneys with the  
22 Commission state that you had to be compatible at the time  
23 you signed your agreement. After that, compatibility was  
24 nice and good and well and high-sounding words, but point of  
25 fact, you had to protect the public health and safety, and

1 that may not be the same thing as compatibility.

2 In fact, our attorney looked at it and said that  
3 that's all we had to do, is maintain and protect the public  
4 health and safety and that compatibility was those nice,  
5 good-sounding words, and I think we all want to achieve  
6 that. That goes back to the '59 Act.

7 It was also equally clear that, even if we decided  
8 to set a lower discharge limit, we could not apply to any  
9 facility that you licensed --

10 COMMISSIONER CURTISS: That's correct.

11 MR. GODWIN: -- as the Nuclear Regulatory  
12 Commission. So, it was not really an issue of working on  
13 different standards, in that case.

14 Springing from that, the states, then, as I see  
15 it, have a couple of burning issues that come up relative to  
16 compatibility.

17 First of all, the first has already been alluded  
18 to; somewhat capricious, apparently, as we decide what's  
19 going to be compatible. That's what comes across to the  
20 states.

21 The second one is it doesn't seem to always work  
22 up as well as it works down and some things that the states  
23 would like you all to be compatible about. Some of the  
24 things in nuclear medicine we see, at least some of us -- I  
25 am not sure I would speak for a majority, but some of us see

1 some problems.

2 For example, in nuclear medicine, you are now  
3 looking at the diagnostic level, where the authorized  
4 physician doesn't know anything about the patient. Yet, you  
5 are still asking about his qualifications to patients and  
6 all this kind of stuff, and we wonder why, if you're not  
7 going to have him at least know something about the patient.  
8 Presumably, he is the only who has ever been trained to  
9 determine whether the patient needs the test. But that's no  
10 longer a requirement; you all have gone away at least from  
11 being compatible with Alabama, which requires the physician  
12 to be aware of the patient condition and to prescribe those  
13 kind of things, and this is somewhat of an issue with us.

14 The bottom line is we don't believe, at least in  
15 Alabama, that we have to be compatible, but we do have to  
16 protect the public health and safety, and we will do our  
17 best efforts, as our agreement calls for, to remain  
18 compatible.

19 COMMISSIONER CURTISS: You've covered a number of  
20 issues there. Let me touch just briefly on each one of  
21 them.

22 First, the question of different views by  
23 different attorneys: I do think you can look at the various  
24 statutes here and probably come to different and, I think,  
25 reasonable interpretations, particularly in the context of



1 the 1985 Low-Level Waste Act, about what authority we have,  
2 what our obligations are, what discretion we have in  
3 interpreting what ought to and ought not to be a matter of  
4 computability.

5 I disagree with the view that the 1985 Act does  
6 not -- that it requires us to adhere to the same  
7 computability approach that we have taken since 1959. In  
8 fact, I was looking back at the history this morning and  
9 recalled that when the '85 Act was being addressed, at the  
10 time we recognized that South Carolina, for example, was not  
11 disposing of some of the liquid freestanding waste and the  
12 plutonium waste. There is an example where they are more  
13 stringent than the Federal Government.

14 I tried to suggest that the question of whether  
15 you're compatible at the outset when you apply for an  
16 agreement and, after you get your agreement, whether you're  
17 compatible. That's an issue that, it seems to me, the  
18 Pennsylvania and Illinois agreements, in one respect or  
19 another, involve.

20 Pennsylvania doesn't have its agreement yet and  
21 question: Should there be a different standard at the  
22 outset, when the authority is turned over to a state, to  
23 judge computability, or does it make a difference that  
24 you've got the authority and now you're focusing on it in  
25 that context? That is an important question.

1 I am not sure that, in my view, I see a basis for  
2 distinguishing the two. Computability ought to have a  
3 public health and safety nexus, and if it has a public  
4 health and safety nexus, that ought to be equally important  
5 at the front-end of the agreement as long as throughout the  
6 duration of an agreement that the state has the authority.  
7 And for that reason, that's one of the issues that I'd like  
8 to see this inquiry look at: Is there a basis for saying  
9 that we ought to have a standard that differs in some  
10 respects when we turn the authority over versus evaluating  
11 the continuing compatibility of a state once it gets the  
12 authority.

13 I think you've raised fair questions there on the  
14 issue of -- I wasn't sure you were raising the question  
15 about whether we at the Federal level subject ourselves to  
16 the same kind of rigorous compatibility requirements that  
17 the states are subjected to or not, but if you were, let me  
18 say I think that's a good idea, too, and in fact, I think  
19 the Chairman recently suggested that we do exactly that and  
20 we take a look at our program to make sure that we're in the  
21 same kind of shape, from the standpoint of resources and so  
22 forth, as we require the states to be in, and I think that's  
23 a fair observation, as well.

24 Any other questions?

25 [No response.]

1                   COMMISSIONER CURTISS: Let me, since I am about 10  
2 minutes over the schedule and taking up most of your coffee  
3 break, thank you again, welcome you here to Rockville. I  
4 look forward to working with many of you. I know some of  
5 you from the days gone by on the Hill, but I look forward to  
6 working with many of you as we, in the '90s, seek to address  
7 some of these most difficult compatibility questions.

8                   [Applause.]

9                   MR. COMBS: I would like to call our next panel to  
10 discuss the issue of Federal-State cooperation at nuclear  
11 plants.

12                   Our first speaker will be Thomas T. Martin,  
13 Regional Administrator for the NRC Region I, covering the  
14 northeastern states. Mr. Martin joined Region I of the AEC  
15 in 1974 as a reactor inspector and was subsequently  
16 appointed to positions of greater responsibility.

17                   In January of 1987, Mr. Martin received NRC's  
18 Meritorious Service Award. In January of 1989, Mr. Martin  
19 received a Presidential Meritorious Executive Rank Award.  
20 Mr. Martin was appointed Deputy Regional Administrator of  
21 NRC Region I in August of 1989. I'm a little particular  
22 about dates here now. And finally, in February of 1990, Tim  
23 was appointed Regional Administrator of NRC Region I.

24                   Our next speaker is Kent Tosch. Kent is Bureau  
25 Chief of New Jersey's Bureau of Nuclear Engineering. Kent

1 has been in the Radiation Protection Program for 10 years, 7  
2 of which have been in nuclear engineering. His work  
3 experience has ranged from radiation materials inspection,  
4 contaminated site mitigation, nuclear emergency response,  
5 and nuclear power plant surveillance. His academic  
6 background is in health physics.

7 Our third speaker is David Stewart-Smith. Mr.  
8 Stewart-Smith is Administrator of the Oregon Nuclear Safety  
9 and Energy Facilities Division. In March of 1990, he was  
10 appointed to that position. Mr. Stewart-Smith oversees the  
11 department's program in radioactive materials management,  
12 defense waste cleanup at the Hanford Nuclear Reservation,  
13 reactor safety and the siting of non-nuclear emergency  
14 facilities. He serves on the Northwest Compact for Low-  
15 Level Radioactive Waste Management and is Governor  
16 Goldschmidt's liaison to the U.S. Nuclear Regulatory  
17 Commission.

18 Our final speaker will be Roy Wight of the  
19 Illinois Department of Nuclear Safety. Mr. Wight graduated  
20 from the Naval Academy in 1954 and has served in  
21 increasingly responsible assignments in surface ships and  
22 both diesel electric and nuclear submarines, including  
23 command for 4 years of what was then the latest nuclear  
24 attack submarine. Mr. Wight joined the Illinois Department  
25 of Nuclear Safety in 1986 and became manager of the Office

1 of Nuclear Facilities Safety in 1987. In this position, he  
2 supervises the development and execution of nuclear reactor  
3 safety programs.

4 Our first speaker is Tim Martin.

5 [Applause.]

6 MR. MARTIN: For those of you who don't know me, I  
7 like to be called Tim Martin.

8 States have been observing NRC region-based  
9 inspections practically as long as NRC has been conducting  
10 this important regulatory activity. I am pleased to address  
11 this audience, because I observed firsthand, as an  
12 inspector, as an inspection program manager, and now as a  
13 Regional Administrator, the benefits of sharing information,  
14 perspective, and response roles with the states on  
15 radiation-safety issues.

16 The role of NRC in regulatory nuclear power  
17 plants, fuel facilities, and in agreement or non-agreement  
18 states, the nuclear material users, necessarily limits the  
19 direct influence states have over these facilities. The NRC  
20 recognizes that this lack of authority does not relieve the  
21 states of the expectations of their citizens that they will  
22 handle the safety issues within their border.

23 In the event of an emergency or the development of  
24 a rumor causing concern to citizens, state representatives  
25 will be looked to for information and direction. Normally,

1 state and local agencies will be the first government  
2 entities to learn of a problem and the first to respond. As  
3 a result, the NRC recognizes our obligation to keep you  
4 inform and assist your efforts in communicating with your  
5 public and in protecting them.

6 Beyond the routine exchange of information,  
7 cooperation in establishing appropriate controls over  
8 nuclear materials that are loose in the environment, your  
9 effort to occasionally participation or observe an  
10 inspection with us can improve the comfort a governor,  
11 department head, citizens, and yourself perceive because of  
12 the Federal oversight of activities within your border.

13 Further, state activities performed in close  
14 cooperation with the NRC will improve efficiencies and  
15 communication and will provide a consistent understanding of  
16 regulatory issues.

17 We work with a variety of state agencies, from  
18 nuclear power plant siting, health, environment, resource  
19 agencies to public service, consumer advocates, and attorney  
20 general offices. We routinely inform a designated state  
21 representative of our inspection activities and generally  
22 allow observation of our inspections, as described in the  
23 NRC policy statement on cooperation with states, which was  
24 published in 1988.

25 In effect, your observer becomes part of the team.

1 Where states seek to perform their own inspections, NRC will  
2 consider proposals for MOUs to conduct inspections of NRC  
3 licensees where efforts will not be duplicative and certain  
4 provisions, such as the training and experience of your  
5 inspectors and the protocol for handling findings are  
6 maintained.

7 I understand that Illinois leads the Nation in  
8 terms of the number of agreements with NRC, including an  
9 overall MOU, the American Society of Mechanical Engineers  
10 and Low-Level Radioactive Waste sub-agreements and a  
11 Resident Inspector sub-agreement, which I understand is  
12 currently under review.

13 Roy Wight with the Illinois Department of Nuclear  
14 Safety will be discussing with you how their inspection  
15 programs are working.

16 The NRC and states get the most of inspection  
17 participation where state inspectors have been through our  
18 training and participated in all phases of an inspection  
19 program, including the inspection preparation, the entrance  
20 meeting, the implementation of the inspection program, the  
21 exit, documentation of the findings, and where necessary,  
22 where they have actually participated in the inspection,  
23 participation in the enforcement conference, if that's  
24 necessary.

25 The NRC staff enjoys the interest and support of

1 state inspectors and appreciates the opportunity to  
2 demonstrate our competence. We applaud your efforts to  
3 prepare for accompaniment in inspection activities by  
4 supporting additional training for your health physicists  
5 and nuclear engineers. The availability of well-trained  
6 state personnel facilitates the NRC and state mission by  
7 ensuring the ability to knowledgeable respond to and  
8 communicate with government and citizen organizations.

9 As an observer of the inspection process, state  
10 inspectors have the opportunity to comment on or disagree  
11 with our inspection findings and to communicate those  
12 observations to their management, allowing for better  
13 understanding of a particular NRC-licensed activity and how  
14 the NRC ha concluded that the facility is safe or isn't.

15 If there is disagreement with our findings, we  
16 expect to hear from you promptly. Any document that a state  
17 would develop in this regard, which is provided to us, would  
18 be added to the public record.

19 My experience in this area has shown that if there  
20 is disagreement, after a meeting and thorough discussion,  
21 the issues can usually be reconciled. These differences  
22 usually occur when soft areas, such as administrative  
23 initiatives or management practices, are not in line with  
24 the expectations of outstanding performance.

25 This type of interaction is healthy; we appreciate



1 the constructive criticism.

2 Pennsylvania, which has one of the larger  
3 radiation-safety staff in Region I, has been actively  
4 involved in the NRC inspection process for both byproduct  
5 materials and nuclear power plants. Pennsylvania, this  
6 year, implemented the low-level waste sub-agreement for  
7 performing inspections and on behalf of the NRC in  
8 radioactive waste packaging and transportation area.

9 I am told that other states in the Region will be  
10 seeking similar agreements, as they seek to meet the sited  
11 state's guidance and ensure proper radioactive waste  
12 management practices for packages that would go to a  
13 consolidated storage area and disposal facilities.

14 New Jersey has frequently accompanied NRC  
15 inspectors. Further, the State recently submitted a draft  
16 MOU that would provide the New Jersey Department of  
17 Environmental Protection with firsthand information on how  
18 radioactive material is being processed and stored during  
19 the interim period while their disposal facility is being  
20 sited and prepared.

21 Vermont was the first state in Region I to sign an  
22 inspection accompaniment protocol and has also been an  
23 active observer of NRC activities in both the byproduct and  
24 nuclear power reactor area. Both the Department of Public  
25 Service and the Department of Health have agreements with

1 NRC for inspection observation.

2 New Hampshire, Maryland, New York, Massachusetts,  
3 and New Jersey have also entered into inspection protocol  
4 agreements since the last National State Liaison Officer  
5 meeting in 1987. These efforts have served to broad our  
6 exchange of information and to improve the public  
7 understanding of some specific issues, like the Seabrook  
8 pre-operational test program, the Calvert Cliffs management  
9 performance, the Nine Mile Point and Pilgrim restart plan  
10 implementation, and Oyster Creek operational issues.

11 I want to thank the states who participated in our  
12 inspection programs for problem nuclear facilities, those  
13 designated by our senior managers to fall in that category.  
14 State representatives who observed our inspection programs  
15 and commented on the restart and improvement plans follow  
16 the established protocols.

17 I believe that states who monitor problem  
18 facilities by working closely with NRC received timely  
19 information as to what the NRC concerns were. Their  
20 communications of concerns and comments to us, in a  
21 collective and thorough manner, were, in turn, a substantial  
22 asset in our deliberations.

23 Working together as partners, we can accomplish  
24 the common goal of maintaining public health and safety.

25 An important outcome of routinely exchanging

1 information and participation in inspections of NRC-licensed  
2 facilities has been an enhanced state understanding of what  
3 may be a potential violation of NRC requirements. This year  
4 alone there was a number of important radiation-safety  
5 issues brought to us by New Jersey, New York, Connecticut,  
6 and New Hampshire representatives, where necessary  
7 enforcement action has since been taken or been developed.

8 The NRC may not have otherwise known or have not  
9 been aware of these issues as promptly had we not been  
10 partners in the regulation of radioactive materials users.

11 It is essential that we continue to work together,  
12 and this is most evident in the area of uncontrolled  
13 radioactive material in the environment. As you can attest,  
14 uncontrolled material because of transportation problems,  
15 poor licensee practices, and illegal activities is a routine  
16 problem that you must respond to. Local and state agencies,  
17 in particular, bear this burden.

18 The examples of cooperative state and NRC response  
19 to nuclear material problems during any particular year are  
20 too numerous to visit, or to list. However, the following  
21 examples from Region I states are worth mentioning:

22 Pennsylvania Department of Environmental Resources  
23 personnel, in the middle of the night, responded to cordon  
24 off an airplane and to survey for contamination from a  
25 "leaking package; multiple examples of New York agency

1 followup of missing or damaged packages containing  
2 unspecified amounts of radiation at JFK Airport and other  
3 ports of entry; the New Jersey Department of Environmental  
4 Protection monitoring system around the Oyster Creek plant  
5 identifying an apparent lack of control of an unrestricted  
6 area by a field radiographer; Connecticut Department of  
7 Environmental Protection tracking improperly-discarded waste  
8 to an NRC licensee and performing initial surveys; Vermont  
9 communicating to NRC allegations regarding a nuclear power  
10 plant's safety; and Maryland closing a major tunnel to take  
11 smears of a brown liquid from a truck with a radiation  
12 label.

13           Perhaps the following actual scenario best  
14 summarizes the complementary capability and roles of the NRC  
15 and states:

16           Massachusetts accompanied NRC inspectors during a  
17 reactor inspection in response to a discovery of a 3-curie  
18 radioactive source in a box supposed to be empty that was  
19 transported from Korea and stored and received in  
20 Massachusetts without ever being handled as if it was  
21 radioactive.

22           NRC inspections were conducted across the country  
23 to determine the impact, confirm that there were no  
24 additional loose sources or that there was no personal  
25 injury, and to initiate generic actions to prevent

1 recurrence.

2 NRC then completed its inspection and documented  
3 its findings.

4 However, it was the Commonwealth of Massachusetts  
5 who was there to allay the concerns of Customs officials and  
6 warehouse workers in Massachusetts after NRC had completed  
7 its activities. One week of effort was expended by  
8 Massachusetts to perform additional confirmatory surveys and  
9 to discuss the survey results with the people.

10 The Commonwealth, at the request of NRC, had  
11 responded to lingering concerns for personnel safety. Their  
12 efforts reassured State citizens of their safety.

13 Clearly, this example illustrates we need the  
14 support of states and appreciate that it would be difficult  
15 to do our job would it not be for this interaction and  
16 cooperation.

17 Thank you.

18 [Applause.]

19 MR. TOSCH: Good afternoon.

20 Thank you, Tim, Fred, and I'd like to thank the  
21 NRC for inviting New Jersey to talk about its nuclear power  
22 plant surveillance program.

23 [Slide.]

24 MR. TOSCH: The State of New Jersey's Department  
25 of Environmental Protection performs those State-level

1 functions mandated by the New Jersey Radiation Accident  
2 Response Act. Many of those activities have been designated  
3 to the Bureau of Nuclear Engineering.

4 I have Dr. Robert Stern, in the back; he is of the  
5 Bureau of Environmental Radiation. Mary DiStefano could not  
6 attend today.

7 The primary objective of the BNE is to execute  
8 those State-level functions necessary to verify the safe  
9 operation of New Jersey's nuclear power plants.

10 [Slide.]

11 MR. TOSCH: To accomplish this, the BNE evaluates  
12 the licensing criteria, operational safety, environmental  
13 impact, and is one of the lead agencies for emergency  
14 preparedness functions.

15 Through this process, the BNE can analyze and make  
16 decisions necessary to mitigate potential and actual hazards  
17 that might impact public health and safety.

18 New Jersey has taken the approach of preventive  
19 nuclear emergency response, which is accomplished through an  
20 umbrella agreement with the Nuclear Regulatory Commission.  
21 This agreement allows the BNE to attend NRC meetings with  
22 the licensees relative to licensees' performance, including  
23 enforcement conferences, plant inspections, and licensing  
24 actions.

25 The NRC agreed that the BNE staff may accompany

1 the NRC inspectors to observe inspections, and to the extent  
2 possible, the NRC will advise the State sufficiently in  
3 advance of inspections, so our staff can represent us.

4 Marie Miller of Region I has provided us with a 6-  
5 month inspection schedule, which has been extremely helpful  
6 in this process.

7 Additionally, the NRC and the BNE exchange  
8 information regarding plant conditions or events that have  
9 potential for or are of safety significance.

10 [Slide.]

11 MR. TOSCH: The BNE evaluates the licensing  
12 criteria through Public Law 97-415 for the review and the  
13 approval of operating licensing change requests. The  
14 important element of New Jersey's programs are as follows:

15 There is a BNE staff engineer assigned as a no-  
16 significant-hazard contact, who reviews all incoming  
17 licensing change requests, significant NRC bulletins and  
18 NUREGs, performs detailed technical analysis on proposed  
19 license amendments, and identifies significant hazards to  
20 the nuclear reactor regulations.

21 [Slide.]

22 MR. TOSCH: Operational safety: The BNE evaluates  
23 operational safety through root-cause analysis and safety  
24 review. This is accomplished through a document-review  
25 process and an inspection participation.

1           The staff reviews all documents transmitted  
2 between the NRC and a licensee, such as non-emergency  
3 reports -- 5072s, licensee event reports, monthly reports,  
4 and inspection reports, etcetera. The staff also reviews  
5 guidance documents published by the NRC, such as LUREGs,  
6 generic letters, and other industry reports.

7           These publications provide a broader framework for  
8 the plant-specific engineer to assess plant performance.  
9 Reviews on accident assessment, unresolved safety issues,  
10 source term, plant life extension, decommissioning all begin  
11 with the BNE's review of these generic documentations.

12           The BNE has presented many of its evaluations to  
13 the licensee and the NRC for resolution.

14           Document review involves plant-specific  
15 information, such as non-emergency reports, license event  
16 reports, inspection reports, which provide the basis for the  
17 BNE's evaluation for root-cause analysis. The BNE has  
18 memoranda of understanding with the two utilities operating  
19 in New Jersey.

20           The BNE evaluates these reports for symptomatic  
21 problems. The tracking of these reports provide a record of  
22 performance for the reliability of the safety-related  
23 systems. The BNE evaluates the licensee's root-cause  
24 analysis and subsequent mitigating actions through this  
25 report review.



1           Ultimately, the document-review process focuses a  
2 plant-specific engineer on his evaluation for potential  
3 weaknesses in safety-related systems or operational  
4 performance problems. All the document-review information  
5 is available to the plant-specific engineer prior to  
6 participating in the NRC licensing inspections.

7           [Slide.]

8           MR. TOSCH: On February 22, 1989, the NRC  
9 published a policy statement concerning cooperation with  
10 states at commercial nuclear power plants and other nuclear  
11 facilities. In this policy statement, the NRC stated that  
12 the policy was to cooperate fully with the state governments  
13 as they seek to respond to the expectations of their  
14 citizens, that their health and safety be protected, and  
15 that there be an minimum impact on the environment as a  
16 result of activities licensed by the NRC.

17           The policy statement acknowledged the potential  
18 safety benefit from state involvement. However, the policy  
19 lessened the independence of the state's representative  
20 through regulatory restrictions.

21           For example, a state representative could not put  
22 an undue burden on either the NRC or the licensee, and any  
23 findings of the state representatives would have to be  
24 transmitted to the NRC for disposition.

25           Direct participation in the NRC inspection program

1 is not always the most effective method for the State of New  
2 Jersey to evaluate operational performance. Additional  
3 oversight increases nuclear safety; however, it should not  
4 be assumed that additional inspection presence necessarily  
5 increases nuclear safety.

6 For example, an inspector inside the plant may  
7 become too concerned with the daily operations of the plant,  
8 while losing sight of the overall nuclear safety.

9 Therefore, the State of New Jersey has chosen not to take  
10 part directly in the NRC-sponsored inspection program and  
11 has pursued an independent-observe role, which is outlined  
12 in our agreement with the NRC Region.

13 [Slide.]

14 MR. TOSCH: The document-review process is also  
15 helpful in prioritizing the inspections which the BNE plans  
16 to attend. In general, the BNE attends most special team  
17 inspections and regional initiative reactive inspections.  
18 The BNE is less likely to attend the fundamental inspection  
19 program.

20 This selective approach to inspection has proven  
21 to be effective in allocating staff time and investigating  
22 safety issues.

23 At special or fundamental inspections, the BNE  
24 representatives always observe and will not interact with a  
25 licensee directly during the inspection. The BNE

1 representative always attends the entrance and exit meetings  
2 and follows the NRC guidelines.

3 When the conclusions and observations of the BNE  
4 are substantially different than those of the NRC  
5 inspectors, the BNE will make their observations available,  
6 in writing, to the NRC. It is understood that these  
7 communications will become available publicly, along with  
8 the NRC inspection reports.

9 The inspection evaluation process involves  
10 observations of plant activity, in-depth technical review,  
11 observation of employees interviewed, hardware walkdowns,  
12 programmatic reviews in functional areas like maintenance,  
13 surveillance testing, corrective actions, emergency  
14 response, plant modifications, etcetera.

15 Both the document review and the inspection  
16 participation fulfill the Bureau's objective to perform  
17 safety reviews and root-cause analysis. As the BNE and  
18 plant review evolves, independent performance indicators  
19 will be tracked, and an assessment report will be generated.

20 [Slide.]

21 MR. TOSCH: Environmental impact: The BNE  
22 maintains an aggressive environmental surveillance program  
23 which monitors and reports the environmental effluent  
24 release from the operation of the two nuclear power plant  
25 sites. The purpose is to reduce the risk to the public

1 associated with normal nuclear power plant operations. This  
2 is accomplished by monitoring the offsite radioactive  
3 effluent released from New Jersey's power plant and by data  
4 supplied by the licensee for their effluent-discharge  
5 systems. We report these findings to the NRC.

6 The BNE monitors and verifies the radioactive  
7 materials released to the environment through a  
8 comprehensive monitoring program. This program verifies the  
9 concentrations of radioactive materials in the power plant  
10 effluent discharge and assures that they are kept below  
11 Federal and State standards. It also determines if there is  
12 an increase in the inventory of any radionuclides in the  
13 environment as a result of nuclear power plant operations  
14 and if there is any significant increase in the  
15 concentrations of radionuclides in the critical exposure  
16 pathways.

17 Finally, the BNE determines the adequacy of waste  
18 treatment methods and effluent control at each power plant.  
19 In 1989, the operating plants in the New Jersey met all  
20 Federal and State standards for effluent control and waste  
21 treatment, with no significant exposure to the public.

22 [Slide.]

23 MR. TOSCH: BNE executes goals and objectives  
24 through contract with the NRC and through support from our  
25 State Radiological Laboratory. In 1989, 1,400 samples --

1 air, water, biological samples -- were collected and  
2 analyzed. The direct radiation exposures measured through  
3 our -- in our environmental thermoluminescent dosimetry  
4 program, and we use continuous radiological environmental  
5 surveillance telemetry system, or the CREST system, I'll  
6 call it from now on. Tim mentioned it earlier on our  
7 radiographer that we had detected out in the environs around  
8 Oyster Creek.

9 The CREST system is currently comprised of 10  
10 pressurized ion chambers. Five PICs currently ring each  
11 nuclear power plant. In 1990, 18 PICs will be added to the  
12 system. Additionally, all 28 PICs will activate an air-  
13 monitoring station whenever airborne radioactive effluent is  
14 detected. All data is transmitted to the State office on a  
15 minute basis.

16 Several airborne effluent events for New Jersey  
17 power plants have been detected by our system. These  
18 events, along with the routine surveillance, have been  
19 documented in our annual environmental report. I'll talk  
20 about that particular item with a licensee.

21 Our CREST system detected an elevated radiation  
22 reading that was not generated by our power plants. A  
23 licensed handler of pipe irradiation was using a radiography  
24 device in close proximity to one of our monitoring sites.

25 The BNE informed the Region of the occurrence, and

1 they dispatched inspectors to the vicinity. The inspection  
2 team found several violations and partially revoked the  
3 license of that user.

4 [Slide.]

5 MR. TOSCH: Nuclear emergency response: The State  
6 of New Jersey maintains a comprehensive nuclear emergency  
7 response organization. New Jersey was one of the first  
8 states to take an in-plant defense-in-depth approach to  
9 nuclear emergency response. The BNE is the lead State  
10 agency for accident assessment in the event of an incident  
11 affecting the State.

12 The BNE utilizes personnel from other bureaus in  
13 the Radiation Protection Program and from within the  
14 Environmental Protection staff, approximately 50 emergency-  
15 response positions.

16 Additionally, the BNE maintains a presence at each  
17 utility's emergency operating facility to interface with  
18 utility personnel, collect plant data, and produce  
19 protective action recommendations.

20 In 1988, the BNE successfully conducted a 3-day  
21 ingestion pathway exercise. It was one of the first  
22 ingestion pathway exercises in the northeast.

23 The BNE is in the process of automated their  
24 emergency response through the Emergency Information System,  
25 EIS; so we will be networking with our emergency sites.

1           The EIS, along with the CREST system, provides  
2 independent, real-time information for offsite response.

3           The BNE is also currently evaluating the NRC's  
4 Emergency Response Data System, ERDS. If compatible with  
5 the New Jersey current planning basis, an agreement with the  
6 NRC will be drafted to establish a link for the State.

7           In conclusion, the State of New Jersey has a  
8 legislative mandate requiring nuclear emergency response for  
9 the Bureau of Nuclear Engineering. The BNE has developed a  
10 surveillance program which focuses on plant performance and  
11 accident prevention. This approach provides the baseline  
12 for an accurate, site-specific, engineering-based emergency  
13 response.

14           Finally, the BNE has been reviewing risk-based  
15 emergency planning, which incorporates site-specific,  
16 probabilistic risk assessments as a more appropriate tool  
17 for our State's response. The BNE will be discussing this  
18 concept with the NRC in the near future.

19           Thank you very much.

20           [Applause.]

21           MR. STEWART-SMITH: Good afternoon.

22           The State of Oregon, through its Energy Facility  
23 Siting Council and its Oregon Department of Energy, has had  
24 the authority to participate as a State regulatory agency  
25 over the Trojan nuclear power plant since the plant achieved

1 commercial operation in 1975. Since 1980, or 10 years now,  
2 we have had a resident inspector program at the Trojan  
3 facility.

4 I guess the best way to describe our program in a  
5 nutshell is to say that we complement the NRC; we don't, by  
6 any means, replace it. We look at many of the same  
7 activities, and like the NRC, our most valuable job is in  
8 the direct observation of work in progress. But since we  
9 are not tied to a very specific set of statutory  
10 regulations, like the NRC, we can focus on broad issues. We  
11 tend to focus on things like good planning, good training,  
12 root cause of events, attention to detail, procedure  
13 adherence, and a prompt response to problems.

14 We take a more broad and big-picture view, and we  
15 see this as being very complementary to the NRC's program.

16 There are some important differences between the  
17 State of Oregon's program and the NRC.

18 The NRC is both helped and hindered by a large  
19 number of specific regulations that it must work with. They  
20 must see a clear violation of regulations in order to take  
21 enforcement action. If they don't have the smoking gun,  
22 their subjective comments don't always get the plant's  
23 attention.

24 For example, the Trojan nuclear plant in Oregon  
25 has had a less-than-effective corrective-actions program in



1 the past. The NRC had to wait for a repeat violation before  
2 they could turn this weakness into a violation. As the  
3 State agency, we were able to point out the obvious  
4 programmatic weaknesses without waiting for the clear  
5 violation or the smoking gun.

6 Trojan has subsequently and substantially changed  
7 its whole corrective-actions program, largely at our  
8 suggestion. Although the new system has some bugs, most  
9 observers from the plant management, NRC, and INPO agree  
10 that the new system is an improvement.

11 As long as we show good judgement, we are in a  
12 position to be more proactive than the NRC. This, again, is  
13 not in any way to play down the importance of NRC  
14 regulation. I believe the NRC, given its specific  
15 regulatory responsibilities, would not be able to take on  
16 the role that we have, nor would it be appropriate for them  
17 to try.

18 Portland General Electric's recent rate case --  
19 they are the operator, the majority owner and operator of  
20 the Trojan nuclear plant -- and our involvement in a current  
21 initiative petition, ballot-measure issue in Oregon, have  
22 shown that, as a State agency, we are not as isolated from  
23 economics, State political concerns, and public opinion as  
24 is the Federal agency. When Portland General Electric  
25 requested rate relief, the Public Utility Commission, before

1 whom this rate case is pending, turned to us, not the NRC,  
2 for technical guidance. They have a relationship with us.  
3 We have developed a good working relationship with the PUC,  
4 and we enjoy a high level of credibility with them.

5           Because we state our concerns in the form of big-  
6 picture expectations, rather than as violations, we have  
7 managed to avoid, for the most part, and adversarial  
8 relationship with the utility. We have found the plant is  
9 often more willing to respond to constructive criticism than  
10 to formal violations.

11           For example, Portland General Electric has  
12 improved their programs for procedure review, document  
13 control, material and tool control, as a result of  
14 suggestions by the Oregon Department of Energy. These  
15 improvements were not forced upon them by the NRC, and most  
16 plant personnel have agreed that the changes were an  
17 improvement and were a positive process.

18           We have found that many of our best suggestions  
19 come directly from plant personnel. In many cases, our  
20 suggestions catalyze the plant into making changes they had  
21 really wanted to make all along.

22           One of the most important differences between the  
23 Oregon Department of Energy and the NRC is our greater  
24 accessibility to the public and to the legislature. We are  
25 more open to the news media, because of our proximity to

1       them, and are frequently quoted in the newspapers.

2               The Oregon Department of Energy policy is that all  
3       our reports must be written in a style suitable for the  
4       general public. We have a readability standard in my  
5       Department, and any document that is a public document, that  
6       is produced for public distribution, must meet a readability  
7       standard reasonably equivalent to a newspaper article.

8               Some of the problems with State regulation:

9       Probably the biggest problem is one of technical expertise.  
10      Most of the real problems in nuclear safety are in fields  
11      that are highly specialized. The flaws are usually not  
12      obvious to a generalist. When the NRC resident has a  
13      problem with some narrow specialty, they can ask the Region  
14      to send teams of specialists.

15              We can often raise good questions about things  
16      which don't seem quite right, but if the discussions get too  
17      deeply involved in a narrow specialty, we would have to ask  
18      the Region for assistance, as well.

19              This was the case last June when an environmental  
20      qualification question about containment electrical splices  
21      arose and went well beyond our previous experience: a good  
22      example of a good constructive relationship with the NRC.

23              Increased requirements for documentation have  
24      forced us to increase resources. In the past, my Department  
25      didn't maintain a formal record of our regulatory

1 activities. This became a problem in 1989, when we were  
2 criticized that our regulatory program was not effective,  
3 criticized from within the State.

4 We were unable to show our track record on paper,  
5 and therefore, we now publish a bimonthly and an annual  
6 report showing the concerns raised by the resident  
7 inspector, and this takes considerable time and resources.

8 As a result of this and other pressures by the  
9 legislature and by my Department administration, we have  
10 added a second resident inspector position at the plant, to  
11 be filled this fall.

12 The Oregon Department of Energy's open  
13 relationship with the public and the press works in a couple  
14 of ways. It helps because we have an effect on public  
15 opinion, sometimes good or bad. We can help ensure that  
16 public opinion is more based on fact and less on rumor. Our  
17 influence with the utility is enhanced by the unofficial  
18 authority, if you will: our effect on public opinion.

19 On the other hand, we have to be very careful  
20 about what we say and how we say it. Our comments are  
21 frequently made in public forums, with media coverage, and  
22 this gives us a large level of visibility, but our remarks  
23 can and have been used out of context.

24 Our relationship with the NRC: In the past year,  
25 we have seen yet more cooperation than we have even in the

1 past. For example, we have made significant use of NRC  
2 inspection modules in doing our audits.

3 We have teamed up with NRC resident inspectors to  
4 cover some 24-hour events, like plant restart after a  
5 refueling outage and an integrated containment leak test.  
6 In these inspections, we try to coordinate our schedule with  
7 that of the NRC residents so as to provide maximum coverage.

8 Our policy toward suspected violations of Federal  
9 regulations is very simple: We report them to the NRC.

10 The Oregon Department of Energy has benefitted  
11 greatly from the NRC Technical Training Center in  
12 Chattanooga, Tennessee. By inviting us to take the same  
13 training courses as their own resident inspectors, the NRC  
14 is providing us with better training than we could provide  
15 ourselves.

16 The Oregon Department of Energy enjoys a  
17 cooperative relationship with Region V. In the lay-press,  
18 we hear a lot of rhetoric about how states need to regulate  
19 these plants because the Federal Government can't be trusted  
20 to do a good job. We have avoided that position and  
21 disagree with it, because we regard the NRC as a strong  
22 partner and an ally.

23 [Applause.]

24 [Slide.]

25 MR. WIGHT: Good afternoon.

1 I appreciate the ability to be here and the  
2 opportunity be here this afternoon to address the fellow  
3 delegates from the other states.

4 As Fred's introductory remarks mentioned, I, in  
5 the past years, have transitioned from the "Hunt for Red  
6 October" to the "Hunt for Rad Safety," and I find a lot of  
7 parallels. Both are a real challenge. They're exciting.  
8 They're frequently frustrating. And we know they are not  
9 without hazard.

10 Our mission is to protect the public from the  
11 potential hazards of nuclear facilities in the State of  
12 Illinois. We have 13 operating power plants and one plant  
13 that the utility is licensed to own but not operate,  
14 Dresden-1.

15 In addition, we have a GE Morris spent-fuel  
16 facility in Morris, Illinois; a uranium hexafluoride  
17 processing plant in southern Illinois; a training reactor at  
18 the University of Illinois; and several reactors at Argonne  
19 National Laboratory; and we have responsibilities for  
20 offsite protection at all of those facilities and are  
21 exercising them.

22 [Slide.]

23 MR. WIGHT: We have conveniently divided our  
24 responsibilities into two main areas: mitigative safety,  
25 which is the more traditional role of emergency preparedness

1 and protection of the offsite public; and more recently,  
2 turning our attention to preventive measures to enhance the  
3 safety that already exists.

4 I'd like to talk about both of these programs a  
5 little bit.

6 The initial legislation forming the Department  
7 swept all the radiation-protection functions of the State  
8 into a single agency and made its director a Cabinet  
9 officer. That legislation has been amended several times  
10 but essentially set up the fees that the utilities pay that  
11 fund our operation 100 percent.

12 We have also been given responsibilities to do  
13 independent monitoring of the environment in the vicinity of  
14 the plant, and that consists of a field monitoring program,  
15 similar to the one that was described at the two plants in  
16 New Jersey, for all of our plants; plus, we have some fixed  
17 facilities that are very much like the field monitors that  
18 were described.

19 We have 16 gross gamma encircling the plants at a  
20 nominal range of about 2 miles, and they report back every 8  
21 minutes by dedicated phone lines to our assessment facility  
22 in Springfield that's manned 24 hours a day, and readings  
23 are monitored. We also have devices that take a suction on  
24 the ventilation exhaust path, the engineered pathways, for  
25 gases from the plant and pump them down through a device

1 that automatically measures them for particulates  
2 identifying specific radioactive particulates and their  
3 concentrations -- radioiodines and the noble gases.

4 In addition to that, we are installing, this year,  
5 for the first time, gross gamma measuring devices in the  
6 circulating water discharge from the plants.

7 In addition to those devices, perhaps our most  
8 unique feature is a reactor data link, in which we pick off  
9 signals from the plant process computer, much as the ERDS  
10 system will do, and transmit those signals down, also via  
11 dedicated links, to our assessment center in Springfield,  
12 where our analysts have access to up to 1,750 individual  
13 parameters from each plant.

14 We have senior reactor operators onsite that are  
15 able to interpret that data. We have an automated system to  
16 surveil these parameters that we get and inform our  
17 dispatcher, who can then notify the proper person in the  
18 event that some signals may be out of the normal range for a  
19 given operating mode or that, perhaps, some of our  
20 monitoring equipment is down and inoperative, so we get on  
21 that right away and get it back to operation.

22 So, the mitigative safety program is very much as  
23 described by Kent and by David, offsite. We have a fairly  
24 large fleet of specially-equipped vehicles that we move to  
25 the vicinity of the plant, again about the same size offsite



1 response team. We have about 70 positions and several  
2 people to manage one of them, so we can sustain that  
3 operation for some period of time; two mobile radiochemistry  
4 laboratories -- a wet lab for preparation and one for  
5 accounting; a command vehicle, a radio vehicle, and a supply  
6 vehicle; plus the special teams that the radiation-  
7 monitoring teams use to get out in the field and measure for  
8 radiation and confirm our dose assessment, position of the  
9 plume.

10 [Slide.]

11 MR. WIGHT: The subject that we were going to  
12 concentrate on this afternoon was on-site inspections. So  
13 we need to look a little more in the area of preventive  
14 safety to look at those. I've listed some of the major  
15 elements of our Preventive Safety Program.

16 The first program is a Resident Engineer Program,  
17 and we have successfully negotiated a Memorandum of  
18 Understanding. It's through the staff and has been sent to  
19 the Commissioners with a staff paper recommending their  
20 approval for our resident program. That is patterned after  
21 the generic program that was described earlier today.

22 The program is a middle-of-the-road program  
23 between the two that you've just heard described. Our  
24 resident will be on-site continuously and will work within  
25 the framework of the inspection program that the NRC

1 conducts; will supplement their resources; and, will  
2 provide, we believe, a fresh look at the process.

3 We will have inputs to the monthly inspection  
4 plan. By focusing our attention without detracting from one  
5 single element of our responsibility, which is protection of  
6 the off-site public, we believe that viewing the same facts  
7 with a different set of colored glasses may show up things a  
8 little bit different, or at least an independent point of  
9 view.

10 We think that that will be strengthening. Our  
11 relationships with the NRC, both Headquarters and at the  
12 region level have been excellent. The things that Tim  
13 Martin said about cooperation in Region I weren't just  
14 workers. We've seen them in action in the past few months  
15 in Region III.

16 The staff people from the Regional Administrator  
17 down to the individual inspectors at the plant have gone out  
18 of their way to work with us and we expect to have two very  
19 strong programs; the Resident Engineer Program being one,  
20 and the ASME Code Compliance Program, which I'll develop  
21 more in detail because you're probably not quite as familiar  
22 with that as you might be with the Resident Engineer  
23 Program.

24 We have selected three resident engineers. All  
25 three are senior reactor operator certified at power plants.

1 They are all degreed engineers and they were all chosen, in  
2 great measure, in their human communications and relations  
3 skills. That's an important element, we believe, for our  
4 residents to have.

5 One is now complete. The second is now completing  
6 his certification this week in schooling, and the third  
7 engineer that we've selected will complete his training  
8 operations in January. Our program lasts about six months,  
9 consists of the basic and advanced courses in reactor  
10 technology at Chattanooga, followed by the simulator course,  
11 plus several other very good training courses offered by the  
12 NRC.

13 Additional training courses offered by other  
14 vendors and training organizations throughout the United  
15 States, plus a complete walk-down and notebook of the plant  
16 culminated in about a six-hour oral examination conducted by  
17 two other senior reactor operators.

18 We believe our inspectors will be well qualified  
19 and they're certified by our department to inspect either  
20 pressurized water reactors or boiling water reactors.

21 Some of the other programs that I'll discuss just  
22 briefly with you are the ASME Code Compliance Program. That  
23 MOU has been signed by both the Department and the Nuclear  
24 Regulatory Commission, and we are developing our regulations  
25 and reviewing those regulations now with both Headquarters

1 and regional staff, and have sent copies to both of the  
2 utilities in Illinois.

3 We also have a program of license amendment and  
4 licensee even report program review and trending, as David  
5 described in Oregon. We have hired some additional staff  
6 with thermal hydraulic experience and radiation reactor  
7 safety analysis expertise, and we have a PRA practitioner  
8 now on our staff.

9 We are going to follow the individual plant  
10 examinations and their PRAs. We believe that that will give  
11 us an important tool to provide input to the inspection  
12 program. It is a way of concentrating resources in areas  
13 which have the greatest payoff as far as risk is concerned.

14 We're excited about that. We know it's not the  
15 answer to the world, but it will help us focus our efforts.  
16 We have people in support of our residents who will help us  
17 do that. We're going to be working with the region and also  
18 with Headquarters personnel to make sure that all those  
19 programs are coordinated well and do not create a burden on  
20 the utility or the NRC.

21 We recognize that the NRC has moved to more on-  
22 site inspection, moving some of their inspection resources  
23 from the special augmented teams and special teams in favor  
24 of more on-site inspection. We believe that's very  
25 important. We have two aspects of the resident engineer

1 that we need to consider.

2 One is his ability to augment and coordinate  
3 efforts on-site with the monitoring and inspection of the  
4 licensees. But, secondly, he can provide a tremendous  
5 resource to the emergency protective action recommendations  
6 that we might make in the event of an accident.

7 Knowing the exact condition of the plant, being  
8 there available to talk to us and provide us a link will be  
9 particularly effective when we get into those situations  
10 that NUREG 1228 calls for where those recommendations may be  
11 based on reactor trends and reactor abnormal conditions.

12 So we know that that will be very important to us.  
13 We have people that go there now that are qualified, but  
14 they don't know the details of the plant and, secondly, in  
15 the case of Zion, it's a five-and-a-half hour drive to get  
16 to the plant. In a fast-moving accident, that's too long.  
17 So we'll have someone there within a half-hour.

18 We are also looking at such issues as containment  
19 venting, station blackout. We've taken a close look at both  
20 versions, the first and second draft of the reactor risk  
21 document. One of our Illinois plants was one of the model  
22 plants there, so we paid a lot of attention to that.

23 We're following decommissioning and plant aging  
24 and other issues that we think are important. We hope to  
25 fold the vulnerabilities that we find from these issues into

1 inspection and monitoring guidance as our input to the  
2 inspection process.

3 We have also taken the thermal hydraulic code and  
4 taken a recent license amendment. This is our first shot at  
5 that. At two of our plants, Byron and Braidwood, there has  
6 been a license amendment review to remove the high point  
7 vents from emergency cooling systems.

8 We have taken this and done an engineering  
9 analysis of it by dividing it up into small segments and  
10 running the outcome of that code with certain portions of  
11 that piping evacuated to see what the peak overpressure from  
12 the water hammer would be.

13 Those results we're analyzing now and we're going  
14 to send out to INEL for confirmation. But we found some  
15 interesting things that we didn't expect in our review of  
16 that and we think that will be helpful. We're going to be  
17 going over to Headquarters Thursday. A couple more people  
18 are joining me here from the state to brief the NRC on just  
19 exactly what we're doing, how we're going about it.

20 I will take just a few minutes and tell you a  
21 little bit about the ASME MOU.

22 [Slide.]

23 MR. WIGHT: Our Memorandum of Understanding was  
24 signed June this year and that allows us to conduct joint  
25 inspections with the NRC in the ASME-related areas;

1 basically Section 11 now since all our plants are built.

2 [Slide.]

3 MR. WIGHT: The Illinois Boiler and Pressure  
4 Vessel Safety Act provides the authority for state  
5 inspections of boiler and pressure vessels in accordance  
6 with the ASME code. These rules, as I mentioned, are being  
7 developed and we have two highly qualified individuals on  
8 our staff that are members of the national committees, ASME  
9 committees, code committees.

10 [Slide.]

11 MR. WIGHT: This Act gives us the authority now to  
12 take over the enforcement authority for the code at nuclear  
13 facilities in Illinois, and the State Fire Marshall, the  
14 traditional enforcement authority for the state, has the  
15 rest of the state.

16 [Slide.]

17 MR. WIGHT: The ASME program, as you know, ensures  
18 that the boilers and pressure vessels are constructed,  
19 operated and maintained in accordance with the code; that  
20 they're operated safely; and, that they are maintained  
21 properly. One of the key elements of this program at the  
22 nuclear power plants is the institution and execution of the  
23 in-service inspection plan which is a ten-year duration plan  
24 for each plant.

25 We have a database purchased, a relational

1 database purchased and we are loading those ISIs into that  
2 code, along with the certificate, pertinent data for the  
3 certificates, and we'll have a very complete database that  
4 will show when inspections are due, when they're conducted,  
5 what's going to be done next week, and if anything is  
6 missed.

7 [Slide.]

8 MR. WIGHT: We believe that compliance with the  
9 ASME code is a preventive safety measure.

10 [Slide.]

11 MR. WIGHT: We know that these systems must be  
12 inspected in accordance with Section 11 of this code.

13 [Slide.]

14 MR. WIGHT: There are elements of plant aging and  
15 life extension that fit directly into this program that make  
16 the compliance with that code extremely important both now  
17 and in the future, and we hope to be a significant part of  
18 that.

19 [Slide.]

20 MR. WIGHT: Every state that has nuclear power  
21 plants, except one, has adopted one or more sections of that  
22 code. So the enforcement authority is there and we think  
23 it's something that all states should take a look at and see  
24 if you're satisfied with the portion of it that applies to  
25 the power plants is being conducted to your satisfaction.



1 Thank you.

2 [Applause.]

3 MR. COMBS: The panel is now available for  
4 questions.

5 MR. DORNSIFE: Bill Dornsife, Pennsylvania. I  
6 would just like to mention a reactor-specific initiative  
7 that we've implemented that Tim did mention, that is the  
8 Peach Bottom agreement, which I think is a unique way of  
9 trying to enforce things that the state wants beyond what  
10 the NRC is willing to do.

11 Those who may be aware, Peach Bottom was shut down  
12 because of those safety violations a couple years ago and we  
13 participated very extensively in the restart evaluation  
14 which looked at some of the in-plant procedures and other  
15 things were necessary to allow that plant to restart.

16 We weren't necessarily happy with the conclusions  
17 that ANSI reached and wanted additional things implemented  
18 as far as that restart agreement. So we negotiated a  
19 separate agreement with the utility, with Philadelphia  
20 Electric, which included things such as having them adopt  
21 various tech specs which included oversight review  
22 committees, responsibilities for oversight review  
23 committees; adopting ANSI standards on an accelerated basis  
24 compared to what NRC was requiring.

25 They included additional people in the control

1 room. They included a lot of different initiatives and once  
2 that agreement was negotiated, the NRC basically, in a  
3 quasi-confirmatory action letter, essentially agreed to make  
4 sure it was being implemented.

5 So I think that's another option. If you're  
6 interested in the specific details, we can certainly talk.  
7 It's certainly an option that's open to you and it should be  
8 one considered if, indeed, you are not satisfied with what's  
9 going on.

10 MR. COMBS: Thank you. Bob?

11 MR. OWENS: Bob Owens, State of Ohio. I have a  
12 question for Tim with the State of New Jersey. How many  
13 nuclear power reactors do you have and what is the current  
14 staffing level of the total review with respect to the  
15 process?

16 MR. TOSCH: There are four nuclear power plants  
17 operating in New Jersey at two sites. We have a staff  
18 currently of about 20 people. We do have an additional  
19 seven staff in our laboratory, but mostly for the  
20 surveillance it's about 20 people.

21 MR. LICKUS: Roland Lickus, NRC Region III. I  
22 just wanted to make another comment since there are people  
23 from all the states in one room here, and that is the ASME  
24 code MOU issue. We have negotiated, as Roy says, a  
25 successful MOU in the State of Illinois. But in the course

1 of implementing that particular MOU, there's been a number  
2 of issues that have been raised that are jurisdictional  
3 issues that I think NRC is trying to grapple with.

4 I just would put you on notice that we may be  
5 coming to some other states in the very near future to get a  
6 better understanding of what other states are doing relative  
7 to implementing the ASME code in their states and trying to  
8 deal with this issue, because it may become one of those  
9 other significant issues that you've heard about this  
10 morning.

11 MR. COMBS: Are there other questions for the  
12 panel or comments?

13 [No response.]

14 MR. COMBS: At this time, we are about 15 minutes  
15 behind schedule. What I would like to do is, first, thank  
16 the panel for speaking.

17 [Applause.]

18 MR. COMBS: And propose that we take a ten-minute  
19 break and come back in order to hear the Executive Director  
20 for Operations. So if we can come back at approximately  
21 3:25, I'd appreciate it.

22 [Brief recess.]

23 MR. COMBS: If I could have your attention,  
24 please. Our final session today will focus essentially on  
25 the direction that the NRC is heading in nuclear reactor

1 regulation and in nuclear materials.

2 Our first speaker is our Executive Director for  
3 Operations, James Taylor. Mr. Taylor was named Executive  
4 Director for Operations of the NRC in December of 1989.  
5 Prior to this assignment, he had been Deputy Executive  
6 Director for Nuclear Reactor Regulation, Regional Operations  
7 and Research in January 1980.

8 Since April 1987, he had served as Deputy  
9 Executive Director for Regional Operations and Acting Deputy  
10 Executive Director for Operations. Mr. Taylor joined the  
11 Nuclear Regulatory Commission in May of 1980 and since then  
12 has served in positions of increasing responsibility,  
13 becoming Deputy Director of the Office of Inspection and  
14 Enforcement in October of 1983 and Director of that office  
15 in January of 1985.

16 In 1989, Mr. Taylor received the distinguished  
17 Senior Executive Award, the highest reward of the Federal  
18 Government's Senior Executive Service. Immediately prior to  
19 joining the NRC staff, Mr. Taylor served in the Office of  
20 Naval Reactors as Associate Director of the Department of  
21 Energy's High Speed Submarine projects.

22 Mr. Taylor is a 1956 graduate of the U.S. Naval  
23 Academy where he earned a Bachelor of Science degree. In  
24 1961, he earned a Master of Science and Engineer's degree  
25 from the Massachusetts Institute of Technology.

1           It's my honor to present to you James M. Taylor,  
2           our Executive Director for Operations.

3           [Applause.]

4           MR. TAYLOR: Thank you very much. You didn't have  
5           to tell them when I graduated from college. I like to keep  
6           that classified, if I can. Roy, I'm sure you're doing the  
7           same thing.

8           I'm pleased to be with you today and to talk to  
9           you about several very important reactor regulatory issues  
10          that we have in front of us. I note that Tom Murley will be  
11          talking to you about safety issues at currently operating  
12          reactors and, needless to say, the highest priority in this  
13          agency has been and will be to keep the current operating  
14          reactors safe.

15          I'm going to talk to you about two other areas  
16          which are very important areas and which will dominate the  
17          work of the NRC reactor staff certainly in this decade. The  
18          first one has to do with standardization and certification  
19          of new reactor designs. The second has to do with license  
20          renewal.

21          Of course, the first one is intended to pave the  
22          way and encourage the use of standardized reactor designs  
23          for any future generation of U.S. power reactors, if any are  
24          to be built here. This has led to our final adoption of a  
25          new procedural rule, 10 CFR 52, that, among other features,

1 provides for reactor design certification by rulemaking.  
2 That's first.

3 The plant designs would actually become codified  
4 through rulemaking. It's a key procedural device aimed at  
5 securing a high degree of standardization. Also, we expect  
6 standardization is aimed at bringing an enhanced level of  
7 nuclear plant safety in future plants.

8 The other parts of Part 52 are intended to make  
9 resolution at the earliest practical time of all technical  
10 and licensing issues. I'll have more to say on that.

11 The second initiative, license renewal, also  
12 involves rulemaking, but it's aimed, of course, at the  
13 current operating plants across the United States. A  
14 proposed license renewal rule, 10 CFR 54, sets forth the  
15 plan framework for license renewal and was issued just in  
16 July of this year for public comment. We are aiming at  
17 finalizing that particular rule in April 1991. I urge that  
18 to your attention.

19 Today, as many of you know, licensed nuclear  
20 plants provide approximately 20 percent of the electric  
21 power produced in the U.S., and by the terms of the Atomic  
22 Energy Act, each of the plants are granted an initial  
23 license for 40 years, but there is a renewal option.

24 Frankly, we in the NRC see no overriding legal  
25 and, most importantly, technical safety reasons as to why

1 license renewal is not in keeping with both the public and  
2 national interests.

3           Given the recent events in the Middle East, it may  
4 be of interest to consider the billions of gallons of oil  
5 that would be equivalent if the current output of nuclear  
6 plants were to be supplanted by oil.

7           Some estimates indicate that if we could extend  
8 the life of the current plants by 20 years this would be  
9 equivalent to two Alaskan North Slope oil fields and the  
10 energy benefit value of approximately \$350 billion current  
11 dollars.

12           As to whether there will be new plants in the  
13 future prospects of nuclear energy, these prospects are  
14 problematical. The future prospects will likely hinge on  
15 many things, such as our economic competitiveness, state and  
16 local support for nuclear plants, nuclear waste concerns,  
17 environmental concerns, and other factors.

18           But the degree to which we can take an untimely or  
19 cumbersome licensing process and change it is important in  
20 considering future plants. That's what we are attempting to  
21 do with the Part 52 changes.

22           I've seen forecasts of projected energy needs for  
23 the next decade or so and these make clear that the needs  
24 for electrical power may make utilities begin to order more  
25 plants, whether they are nuclear or not, to meet increasing

1 load demand in this decade of the 1990s.

2 Some forecasts indicate that an average of more  
3 than 30 new 600-megawatt base load units must be ordered  
4 each year in the mid part of this decade. It may be just by  
5 circumstance that some nuclear plant designers are looking  
6 at 600-megawatt passively cooled light water reactors and  
7 are attempting to have them ready to market in the mid-1990s  
8 timeframe.

9 I'd like to tell you a few more things about Part  
10 52. There are three really key features of Part 52. It  
11 provides for preapproval of sites based on a design envelope  
12 approach, independent of a specific plant design. That's  
13 the first key feature.

14 A second feature involves the provision for  
15 certification of the plant design by rulemaking, which I  
16 previously mentioned. This is a very important step. The  
17 third feature has engendered some controversy that some of  
18 you may have heard about, and this is the provision allowing  
19 the Commission to issue a combined license; that is, a  
20 construction permit and a conditional operating license.

21 Some have termed this third feature as "one-stop  
22 licensing" and some people have interpreted this as  
23 overturning the rights and opportunities for a second  
24 hearing prior to allowing the plant to actually begin  
25 operations. That is not precisely the case.



1           As the Commission has said quite clearly, the Part  
2 52 rule does not prevent the public from participating in  
3 the resolution of any operating licensing issue. It simply  
4 is intended to move the bulk of the issues up front in the  
5 licensing process to the design certification early site  
6 permit and combine licensed parts of the proceeding.

7           Part 52 does narrow the issues to be raised later  
8 on in potential litigation. The opportunity for hearings  
9 after construction ideally would be directed toward more  
10 limited issues relating to whether or not the plant was  
11 built in conformity with the combined license.

12           Currently there are under review in the staff two  
13 applications for design certification using our new Part 52  
14 rules. These are plant designs in what we call the  
15 evolutionary light water reactors. Principal effort  
16 currently in the staff has been toward certifying the  
17 evolutionary advanced boiling water reactor designed by GE,  
18 a 1300-megawatt reactor.

19           We are also reviewing the certification of a  
20 Combustion Engineering pressurized water reactor plant  
21 design, known as the CESSAR System 80-Plus, which is another  
22 1300-megawatt reactor. That is still in the early stages of  
23 review. In addition, the staff has been actively working on  
24 what is regarded as an umbrella requirements document being  
25 prepared under the sponsorship of EPRI, the Electric Power

1 Research Institute.

2 This document, known as the EPRI Advanced Light  
3 Water Requirements Document, contains what the utilities  
4 really expect to buy from plant suppliers if future orders  
5 are made. This umbrella EPRI document is a valuable  
6 industry initiative to foster early resolution of safety and  
7 licensing issues, and the staff has been spending  
8 considerable time and resources on the review of that  
9 document.

10 It also will help in the drive toward standardized  
11 designs for future U.S. plants. The Commission itself has  
12 taken a very strong leadership role and had an active  
13 involvement in resolution of significant policy and  
14 technical matters relating to future plants while the staff  
15 has been working on the issues not only of the GE and CE  
16 reactors, but the EPRI requirements documents issues.

17 The Commission is looking forward to EPRI's next  
18 piece of work, which was just submitted last week, which is  
19 the EPRI requirements document for passive reactors. That  
20 is a priority review issue in the staff in advance of  
21 submission of passive reactor designs by Westinghouse or by  
22 GE.

23 Most of this work will be going on currently and  
24 into the remainder of this decade. Whether anyone actually  
25 orders a reactor in the United States or not, the intention

1 is to proceed with certification of the mentioned designs  
2 and, as you may know, there is the potential for review of a  
3 CANDU reactor and PIUS reactor, both of whom have expressed  
4 interest of having the Canadians, PIUS through a CE Brown  
5 Boveri combine of having those designs reviewed and  
6 certified by the NRC.

7 I should tell you that the Commissions priority  
8 will really shift if any U.S. utility indicates a specific  
9 interest in ordering a type of plant, and what will happen,  
10 and the Commission has publicly stated this, that the  
11 indication of potential order will be a sufficient basis to  
12 reorder the priorities within the NRC staff such that that  
13 design moves to the top of the list.

14 Obviously to review passive design reactors is  
15 going to take a great deal of work within the staff, to be  
16 prepared to review, to pass on safety matters associated  
17 with that type of design, and those of you familiar with  
18 reactor technology ought to follow this very closely because  
19 it will introduce some very innovative and different  
20 approaches to safety.

21 Frankly, it's going to be an education for much of  
22 the staff because, like you, we're used to the current  
23 generation of light water reactors across the U.S., the BWRs  
24 and the PWRs.

25 A few quick words about license renewal because

1 that, as I mentioned, is a very important effort. I should  
2 tell you that during the time just after the Commission  
3 appointed me in December, I visited with all of the major  
4 committee staffs on the Hill for a couple of reasons so they  
5 could at least see me, and I had the opportunity to talk to  
6 them about some of the things that were high ticket items  
7 that I just talked to you about.

8 Most importantly I should mention to you that  
9 almost universally there seemed to be very strong support  
10 from most of the Hill staffs on the concept of license  
11 renewal. I think there's a realistic understanding that if  
12 we can keep reactors safe, not have accidents, that this  
13 concept of extending life another 20 years is a very  
14 important economic incentive to provide power across the  
15 country, to keep these plants running.

16 Frankly, we expect that by the year 2000 the eight  
17 operating licenses will expire and there will be another 40  
18 licenses expire by the year 2014. We are already looking  
19 forward, and based upon the proposed rule, looking forward  
20 to the utilities lining up well in advance of the time of  
21 need for life extension to begin to make submissions under  
22 the new rules currently in the proposed stage.

23 Our whole approach to review for license renewal  
24 has two key principles. First, and this is in the proposed  
25 rule, that with the exception of age-related issues, the

1 current licensing basis at the time of renewal will provide  
2 and will continue into the renewal period. So wherever the  
3 license stands, is modified, amended, and as commitments  
4 have been made, the concept is as you turn the 40th  
5 birthday, you'll carry all that forward.

6 In addition, there is a very important -- and that  
7 basis must be maintained in the renewal term. The second is  
8 to address age-related degradation issues as part and in  
9 preparation for the license renewal. That's a very large  
10 effort. We have been working with industry and within the  
11 staff to prepare all of the required technical bases the  
12 best we can to examine areas of the plant that have to be  
13 examined, reviewed and prepared for license renewal.

14 In some cases, it may be component replacement.  
15 In other places, it may be closer monitoring of the current  
16 equipment. There are a number of options. Or to provide  
17 special testing to try to attack degradation. Lots of  
18 issues will come up and these technical documents are now in  
19 the process of preparation and they will be, of course,  
20 public documents, and I'm sure you'll have some interest in  
21 them as they are completed.

22 The very first of them have been submitted for  
23 review and they should be out in this next year. There are  
24 two lead plants projected for and the two utilities have  
25 agreed and are participating as the lead plants for review,

1 and these are Monticello and Yankee-Rowe. We expect the  
2 applications within this next year from both those utilities  
3 and they will be the prototype for review by the staff, the  
4 preparation of the materials for extension of those  
5 licenses.

6 So we've laid the framework in place for this  
7 effort and I think it is one that, if it can be done, will  
8 be of great benefit to our energy mix, whether or not any  
9 new plants are ordered.

10 Quickly, those are two very key issues that the  
11 staff and the management in the agency will be occupied with  
12 back here in Washington, with lots of participation, we  
13 hope, by the public as we proceed. Frankly, we hope you'll  
14 become familiar with what we're doing, if you haven't  
15 already looked at it, in both those areas.

16 That concludes my remarks. I'm prepared, if I  
17 can, to handle any questions. I saved you a few minutes. I  
18 promised I would. Shelly has the jokes. I'm not very good  
19 at it. I hear good ones and I forget them just like that.  
20 It's the sign of a dim wit, I guess.

21 If you have any questions about the matters I  
22 mentioned, both of them are in the embryonic stages with a  
23 lot of work ahead, but they're very large programs and will  
24 dominate a significant segment of agency resources in this  
25 decade.

1 Any questions? I made it clear. Good. Yes, sir.

2 MR. BROWN: My name is Steve Brown from Iowa. I  
3 just wanted to ask you if, in your long range plans, are you  
4 considering developing load following capability in these  
5 plants? Are you considering the development of load  
6 following capability in the new designs?

7 MR. TAYLOR: Yes. I don't see why that wouldn't  
8 be a capability. I don't know the staff has specifically  
9 addressed that, but that is certainly a possibility. Why  
10 not make a formal comment and we'll make that comment.

11 MR. BROWN: I asked because if the country's coal  
12 plants are going to be restricted because of the clean air  
13 legislation, then the ability to follow loads would have to  
14 come from some other plant.

15 MR. TAYLOR: Good question. We'll put it to the  
16 designers. Any other questions?

17 [No response.]

18 MR. TAYLOR: Glad to be here. I'll see you and  
19 I've saved you some time. You owe me.

20 [Applause.]

21 MR. COMBS: Our next speaker, Sheldon A. Schwartz,  
22 has been involved in let's say external relations of the  
23 Nuclear Regulatory Commission for a number of years.  
24 Currently, Shelly is Deputy Director of Governmental and  
25 Public Affairs. Prior to that time, from 1987 to 1989,

1 Shelly was Deputy Director of State, Local and Indian Tribe  
2 Programs.

3 From 1983 to 1987, Shel was Deputy Director,  
4 Division of Emergency Preparedness. From January 1980 until  
5 October of 1980, Shel was on detail to FEMA to assist them  
6 in establishing their Radiological Emergency Preparedness  
7 Division. When Shel first came to the agency in 1972, he  
8 was a Special Assistant for State Liaison, who is  
9 responsible for establishing this program of state  
10 cooperative efforts.

11 Shel has a BS in Mechanical Engineering from  
12 Widener University in 1960. Shel, I only read what you told  
13 me to.

14 Without further ado, Sheldon A. Schwartz.

15 [Applause.]

16 MR. SCHWARTZ: Thanks very much, Fred. You need  
17 my glasses in order to read those numbers right. I'm really  
18 pleased to be with you all here today to participate in this  
19 meeting of the Government Appointed State Liaison Officers  
20 and to discuss with you how I believe -- these are my  
21 personal remarks -- how I believe the future direction of  
22 the NRC will influence future cooperation with the states.

23 As Fred mentioned, I have had some experience  
24 regarding the states' role in nuclear affairs. On October  
25 18, 1972, I organized and hosted the first meeting with



1 state representatives on regulatory matters, and have been  
2 involved either directly or indirectly in these issues since  
3 that time.

4 I mentioned this 1972 meeting because I believe it  
5 was the beginning of the expansion of the states' role in  
6 reactor regulatory issues. Since 1959, of course, the  
7 Agreement State Program had been authorized and in 1972  
8 there were 24 states regulating approximately one-half of  
9 the radioactive material licensees in the United States.

10 This meeting, the 1972 meeting was an interesting  
11 one since, for the first time, we, at that time we were the  
12 Atomic Energy Commission Regulation, attempted to articulate  
13 the beginnings of a coherent policy on expanded  
14 relationships with states.

15 At that time, the prognosis was that there would  
16 be an expansion in licensed reactors and, at the same time,  
17 states were defining their needs for more information about  
18 these facilities, as well as a greater participatory role in  
19 the regulatory activities.

20 Since the Federal Government retains the  
21 regulatory authority for safety and design, construction,  
22 and operation of these facilities, any arrangements with  
23 state participation would be on a collaborative basis rather  
24 than an independent basis where duplication, conflict,  
25 inefficiency and confusion could arise.

1           As a reference point, maybe some of you remember  
2 the agency, at that time, was just completing the  
3 implementation of NEPA reviews relating to applications for  
4 reactor licenses. During that period, there was a backlog  
5 of applications awaiting final agency action.

6           A review of the principal topics on the agenda of  
7 that 1972 meeting provides an insight as to how we viewed  
8 the future role of the states. Commissioner Doub and  
9 Manning Muncing, who was then Director of Regulation,  
10 touched on the theme of the need for increased cooperation  
11 with the states, recognizing that states have their own  
12 authorities which could compliment the Federal Government's  
13 exclusive authority over source, byproduct and special  
14 nuclear material.

15           A special emphasis was placed on states looking  
16 into becoming agreement states and joining the 24 that were  
17 running their own radioactive materials regulatory programs.  
18 Other subjects discussed were exchanging information,  
19 creation of the State Liaison Officer Program, state  
20 participation in nuclear facility hearings, siting  
21 legislation, the role of states outside Federal  
22 jurisdiction, and proposed collaborative programs dealing  
23 with radiological and non-radiological monitoring, and  
24 emergency preparedness planning.

25           The focus was clearly reactor licensing, with the

1 exception, of course, of the Agreement State Program. Some  
2 of these new initiatives were implemented while others  
3 received limited support. For example, your being here  
4 today is the direct result of those initiatives.

5 Also, we worked with the State of Maryland on a  
6 joint hearing for the proposed Douglas Point site. The  
7 legal and administrative protocols were established for the  
8 environmental portion of the construction permit hearing  
9 whereby each entity was used the common record in reaching  
10 decisions about the site.

11 The state had a mature siting program and also had  
12 authority for issuance of air and water quality permits. We  
13 had our radiological safety authority and were able to  
14 accommodate all of the parties in the proceeding. A joint  
15 record was established and we in the State of Maryland were  
16 able to carry out our responsibilities with this single  
17 proceeding, where two separate proceedings had been the  
18 norm. Douglas Point never did get built.

19 In addition, there are now 21 MOUs and sub-  
20 agreements in force with ten states covering a variety of  
21 collaborative activities, and you heard about a number of  
22 them from the preceding panel. These arrangements range  
23 from cooperation on ASME inspections, that Roy Wight  
24 discussed earlier, to inspection of low level waste  
25 packaging prior to his leaving the licensee site.

1 I think Tim Martin touched on the Pennsylvania  
2 program on that. Other examples of collaborative efforts  
3 are environmental monitoring and emergency preparedness. As  
4 part of the ongoing environmental monitoring program around  
5 nuclear power plants, we currently have contracts with 34  
6 states to retrieve and deploy dosimeters. These data are  
7 integrated with licensee data on a site-specific basis.

8 With respect to emergency preparedness, and I  
9 smile when I see Heyward Shealy sit in the audience and  
10 Aubrey Godwin, and I know we did an awful lot in the 1980s  
11 on working on the new emergency preparedness regulations.

12 We've progressed from the voluntary certification  
13 approval process to the mandatory program that was added to  
14 both the NRC and FEMA regulations after the Three Mile  
15 Island accident. This effort, in my view, is an excellent  
16 example whereby local governments, the states, and the  
17 Federal Government have worked together to implement a  
18 program with high public visibility and difficult technical  
19 standards.

20 I think we've come a very long way together over  
21 the last ten years on the emergency preparedness program.  
22 While the thrust of our cooperation with states seemed to  
23 have been related to reactor licensing, we have moved  
24 forward together in the radioactive materials area. Since  
25 that first meeting in 1972 when there were 24 agreement

1 states, there are now 29 agreement states regulating more  
2 than two-thirds of the licensees in the United States.

3 At the same time, we have become a full partner,  
4 and Carl talked about this this morning, at the same time we  
5 have become a full partner in support of the Conference of  
6 Radiation Control Program Directors, along with the  
7 Environmental Protection Agency, and the Food and Drug  
8 Administration.

9 For this organization we have collaborated on such  
10 programs as transportation surveillance, along with a number  
11 of individual states; training; instrumentation quality  
12 assurance; radiographer certification; waste management;  
13 NARM; and, a whole host of technical workshops and task  
14 forces. Most notably, we are staunch supporters of the  
15 suggested state regulations for control of radiation which I  
16 understand is about ready for their final revision and  
17 publishing.

18 Since I mentioned training, the growth of this  
19 program has been rather extensive for agreement states and  
20 prospective agreement state personnel. I need some new  
21 teeth. During this past year, we have provided over 300  
22 training slots in over 18 courses that have run from a  
23 period of a few days to five weeks. That's quite an upgrade  
24 over what we had formerly.

25 Since there have been no new applications for

1 reactor licenses, the Commission, as you heard Jim talk  
2 about, has increased its attention to operational safety,  
3 plant life extension, and preparing technically and  
4 administratively to handle future applications.

5 As such, it is no surprise that in the reactor  
6 area these are the subjects that are on this meeting's  
7 agenda. However, you will also note that there are  
8 significant discussions on other issues. In Chairman Carr's  
9 remarks this morning, he emphasized the importance of our  
10 partnership in implementation of the new Part 20.

11 The Commission's recently published BRC policy  
12 statement and the requirements relating to improvements in  
13 medical quality assurance. Also, low level waste is a  
14 subject that will receive considerable attention with  
15 respect to state-NRC cooperation.

16 The Commission has committed resources to provide  
17 technical assistance to the states in evaluating the  
18 suitability of candidate low level waste sites, particularly  
19 their ability to pass muster under the regulations contained  
20 in 10 CFR Part 61 and the associated guidance.

21 We believe that the underpinnings of successful  
22 implementation of the Congressional intent embodied in the  
23 Low Level Waste Policy Act Amendments is rooted in sound  
24 technical judgments. To this end, we have conducted  
25 training and workshops and provided on-site consultation

1 when requested. Additionally, we share a regulatory  
2 partnership with the agreement states and have paid special  
3 attention to the technical needs of the existing cited  
4 states and the new host states who will be faced with the  
5 processing of applications.

6 Special regulatory workshops have been conducted  
7 on technical and administrative matters. While there are  
8 vexing technical issues and public policy issues, my view is  
9 that we are making progress. We've come a long way since  
10 1972. The following are some of the benefits we have  
11 learned from our experiences.

12 We have a better understanding of each other's  
13 strengths and weaknesses and look for ways to cooperatively  
14 provide beneficial and effective public programs. Second,  
15 future collaboration is a mechanism for effectively using  
16 our limited technical resources to ensure protection of the  
17 public health and safety.

18 Lastly, information is the subject of ongoing public  
19 debate and cooperation. NRC cooperation is important to  
20 assuring that the information is reliable and understandable  
21 information is publicly available.

22 At NRC we rely principally on our State Liaison  
23 Officers, and they were introduced this morning; Marie  
24 Miller, Bob Trojanowski, Roland Lickus, Charles Hackney, and  
25 Dean Kunihiro; to bring the NRC nearer to state and local

1 when requested. Additionally, we share a regulatory  
2 partnership with the agreement states and have paid special  
3 attention to the technical needs of the existing cited  
4 states and the new host states who will be faced with the  
5 processing of applications.

6 Special regulatory workshops have been conducted  
7 on technical and administrative matters. While there are  
8 vexing technical issues and public policy issues, my view is  
9 that we are making progress. We've come a long way since  
10 1972. The following are some of the benefits we have  
11 learned from our experiences.

12 We have a better understanding of each other's  
13 strengths and weaknesses and look for ways to cooperatively  
14 provide beneficial and effective public programs. Second,  
15 future collaboration is a mechanism for effectively using  
16 our limited technical resources to ensure protection of the  
17 public health and safety.

18 Lastly, radiation is the subject of ongoing public  
19 debate and strong state-NRC cooperation is important to  
20 assuring that factual, reliable and understandable  
21 information is publicly available.

22 At NRC we rely principally on our State Liaison  
23 Officers, and they were introduced this morning; Marie  
24 Miller, Bob Trojanowski, Roland Lickus, Charles Hackney, and  
25 Dean Kunihiro; to bring the NRC nearer to state and local



1 governments and to enhance the role of the regional offices  
2 in representing the NRC in their areas collectively.

3 Our future success will be measured on how we deal  
4 with the issues being addressed during this meeting. I  
5 believe we are in a much better posture to meet these  
6 challenges because of our history of successful cooperation.

7 Thank you very much.

8 [Applause.]

9 MR. SCHWARTZ: Any questions? I think I left you  
10 plenty of time. Yes, Dale.

11 MR. McHARD: Dale McHard, Oklahoma. Shelly, I  
12 would like to bring up a question about availability of a  
13 piece of data having to do with the proposed new Part 20. I  
14 would like to know if the NRC is planning to provide the  
15 states, either directly or through the Conference Office,  
16 Headquarters Office, with either hard disk or floppy disk  
17 versions of the new proposed Part 20 so that we can start  
18 looking at those in our WordPerfect or IBM Display Writer or  
19 whatever kind of word processor we have to crunch words.

20 MR. SCHWARTZ: Dale, I understand -- and Andy  
21 could correct me if I'm wrong. I understand that the NRC  
22 will be providing hard disk or floppy, I'm not exactly sure  
23 what, something that is compatible with your machines, in  
24 advance of Part 20 being completed and in the suggested  
25 state regulations. So we're going to try to get that out to

1 you as soon as the Commission allows us to.

2 MR. MCHARD: When?

3 MR. SCHWARTZ: Whenever the Commission votes on  
4 it. You heard the Chairman this morning and I think he was  
5 talking about sometime by the end of this month.

6 MR. MCHARD: Fine.

7 MR. SCHWARTZ: Anything else?

8 [No response.]

9 MR. SCHWARTZ: I thank you all very much.

10 [Applause.]

11 MR. COMBS: Our final scheduled speaker for this  
12 afternoon is Dr. Thomas E. Murley. Dr. Murley became  
13 Director of the Office of Nuclear Reactor Regulation in  
14 1987. NRR is responsible for licensing and inspection  
15 activities associated with the construction and operation of  
16 nuclear power plants, research in test reactors, and for  
17 licensing reactor operators.

18 Previously, Dr. Murley had been Administrator of  
19 the Region I Office of King of Prussia, Pennsylvania.  
20 Earlier, Dr. Murley served as Director of the NRC's Regional  
21 Operations and Generic Requirements Staff in Bethesda,  
22 Director of the Division of Safety Technology in the Office  
23 of Nuclear Reactor Regulation, and Director of the Division  
24 of Reactor Safety Research in the Office of Nuclear  
25 Regulatory Research.

1           Dr. Murley joined the AEC's Division of Reactor  
2           Development and Technology in 1968 after serving as Senior  
3           Scientist with the Westinghouse Advanced Reactors Division.  
4           During the period from 1972 to 1974, he served as Technical  
5           Assistant to AEC Commissioner William O. Doub.

6           Dr. Murley received a BS degree in Engineering  
7           Mechanics from the University of Illinois in 1961 and a  
8           Doctorate degree in Nuclear Engineering from MIT in 1965.  
9           It's my honor to introduce Dr. Thomas Murley.

10           [Applause.]

11           MR. MURLEY: Fred, did you have go through all  
12           that? It's been a long day, I know. It's been a long day  
13           for us, too. We've had two alerts in our nuclear plants  
14           today, but thankfully it's gotten quiet now.

15           MR. SCHWARTZ: Where?

16           [Laughter.]

17           MR. MURLEY: Robinson and Sequoyah. I'm going to  
18           talk a bit about our emphasis on operational safety, human  
19           factors, and how we have come to focus attention on  
20           operational safety in the last few years, how the NRC staff  
21           evaluates the safety of plant operations, and finally what  
22           the results are; that is, are we improving, is safety  
23           improving.

24           By way of background, I think you are all  
25           familiar, of course, with the Three Mile Island accident in

1 March of 1979 and its aftermath. Before that time, we in  
2 NRC had mostly focused on hardware. There was a general  
3 belief among designers, and I think we probably shared it,  
4 that these plants were fail safe and, therefore, that we  
5 didn't need to spend as much attention on the human aspect  
6 of safe operation.

7 That's not to say we ignored it, but it never  
8 really received the same attention that the hardware did.  
9 But after that and, in fact, who would have dreamed that  
10 operators would deliberately turn off essential safety  
11 systems; that is, they would misdiagnose what was happening  
12 in the plant and actually shut off safety systems.

13 Well, we learned a lot of lessons from that, I  
14 think we all did, and we made many safety improvements,  
15 including operator qualifications and training, improved  
16 emergency operating procedures, and increased the number of  
17 operators in control rooms, a number of operational type  
18 improvements. In fact, in fact, we imposed millions of  
19 dollars, billions of dollars of improvements on the  
20 industry.

21 Yet, we still continue to see what we call near  
22 misses, I guess, in the early 1980s. There was one event  
23 that had, I would say, as profound an impact on the agency  
24 in the way we look at safety and the way we do business as  
25 TMI did. It was the June 1985 event at Davis-Besse in Ohio

1 where there was a transient, I'll briefly describe it, it's  
2 not terribly important, but they lost all feedwater.

3 The steam generators dried out. The reactor  
4 coolant began heating up, pressure began rising, and they  
5 came probably within a half-hour, maybe even closer of  
6 uncovering the core and damaging fuel at that point before  
7 the operators were able to restore the feedwater cooling.

8 So it caused some problems at the time at Davis-  
9 Besse. In fact, we sent a team in there to investigate it  
10 and the plant itself was shut down for a couple years to  
11 improve the plant and the operations.

12 Still, it didn't get anywhere near the notoriety  
13 because there was no fuel damage or no radioactivity  
14 released. But still it caused us to go through a very  
15 important introspective examination in the NRC staff of our  
16 approach to regulation because here it was six years after  
17 Three Mile Island, all these billions of dollars that we  
18 caused to be spent at nuclear plants, and we still had not  
19 gotten the increase in safety that we had desired.

20 We thought that at least part of it -- there were  
21 two aspects that came out of it, I think. One is that we  
22 needed to focus more on the way plants were being operated  
23 and the management of the plants. Second was the way we  
24 approach our own review of the plants. So I'll talk about  
25 each of those in turn.

1 [Slide.]

2 MR. MURLEY: There are some charts that will help  
3 illustrate my point. The chart here shows a very broad view  
4 of human factors, including, along the bottom, the  
5 traditional types of areas that human factors deal with,  
6 plant layouts, labeling, color coding of plants, the  
7 material condition of the plant itself.

8 The man-machine interface; that is the interaction  
9 between the people who have to run the plant and the  
10 hardware. That involves the control room design, the  
11 maintenance training facilities, diagnostic aids and  
12 procedures that operators have to have.

13 I mentioned the operators and the importance that  
14 we placed after TMI on their qualifications, their training,  
15 their motivation, and their continued ongoing training. But  
16 an area that we had not spent much time on and we realized  
17 after Davis-Besse that we had to put a lot more effort on  
18 was the management of the plant and the management of the  
19 company and the leadership.

20 These are like the Senior Nuclear Vice President  
21 at the plant and the Site Manager. These are the people who  
22 set the tone. They say either we're going to do it right,  
23 we're going to do it right the first time, we're going to do  
24 it safe with no shortcuts. Sometimes they don't send that  
25 message. Sometimes they send a message that it's more

1 important to produce kilowatt hours than it is to say shut  
2 the plant down and fix a piece of equipment that might be  
3 broken.

4 So the safety culture at the site, the attitudes,  
5 the resources that are applied to nuclear safety, and self-  
6 appraisal policy, that has to come from the very top, the  
7 main corporate officers of the company. Then there's a  
8 number of aspects that flow from that; namely, the  
9 management systems that the management at the top set in  
10 place.

11 Training programs, quality assurance programs,  
12 fitness for duty programs, the engineering support that the  
13 parent company gives to the plant itself, working  
14 conditions, labor relations, working hours, staffing levels,  
15 all these are important management systems that flow from  
16 the guidance that comes from the top.

17 We spend a lot of time dealing in these issues.  
18 They're very difficult to regulate. In fact, our  
19 regulations, you will find, don't really cover the areas  
20 I've mentioned at the top; the management leadership and the  
21 management systems. A few of the management systems are  
22 required by regulations, but very few.

23 We concluded after our introspective look after  
24 Davis-Besse that we ourselves had not been doing the kind of  
25 thorough review of these aspects of plant operations and

1 safety that we had to do. In particular, the region, in  
2 this case it was Region III in Chicago, the regional office  
3 knew some aspects about the way the plant was being operated  
4 that were not very well.

5 The office back in Bethesda here, my office, NRR,  
6 knew that there was a weakness in the design. They'd been  
7 arguing with the company for years and years to improve the  
8 design. The Office of Assessment and Evaluation of  
9 Operational Data, AEOD, knew that they were having equipment  
10 problems and maintenance problems from their evaluation of  
11 the data.

12 Yet, we were not putting those three things  
13 together very well. We concluded that we had to do that.  
14 We had to become more diagnostic, I guess, in our  
15 evaluations. So we've developed a system whereby we review  
16 the operation of each plant's safety performance twice a  
17 year, nominally every six months.

18 The regional staff and regional administrator come  
19 into Headquarters. We sit down and screen the performance  
20 of each plant. Then from those we select some plants that  
21 look like they may be slipping in performance or maybe they  
22 have not improved to the level we think they should.  
23 Typically, that's around a dozen, but perhaps sometimes up  
24 to 20 plants that we pick out for detailed analysis and  
25 detailed study.



1           We look over the inspection reports and results  
2 for the year. Our SALP results, I'm sure you know what that  
3 is, Systematic Assessment of Licensee Performance. We look  
4 over their performance indicators, their enforcement  
5 history. My staff sees if there are any particular aspects  
6 of their design that would increase their risk profile.

7           So in short, we take all the information that we  
8 can pull together in NRC that we know about that plant and  
9 we then prepare for a two-day senior managers' meeting where  
10 Mr. Taylor, the Executive Director for Operations, the  
11 Deputy Executive Director, the key office directors, all the  
12 regional administrators, and other key managers get away  
13 from the office for a couple days and we go through this  
14 information and try to evaluate it and make some sense out  
15 of it and come to some conclusions.

16           I think we have gotten where we're fairly good at  
17 it now, to the point where it's not to say that we can pick  
18 out poor performance all the time, but I think, by and  
19 large, we're doing a good job of it. The plants that seem  
20 to have fallen down in performance, we judge whether they  
21 should go on our watch list of problem plants. I think you  
22 know which ones those are.

23           Lately the plants have been coming off that list  
24 because they have been improving their performance, but  
25 typically it takes a couple years. Once they fall to that

1 level where we're of concern that it goes on the watch list,  
2 it takes a couple years to get off. But it has, I think, a  
3 very beneficial effect because Wall Street watches it very  
4 closely, you people watch it very closely, the public does,  
5 the media, and no utility manager wants his plant to get on  
6 the watch list.

7 They're very responsive to us if they think that  
8 their performance is down. That is assuming that their  
9 attitude is such that they want to improve, and generally  
10 that's the case. Sometimes where a plant's performance is  
11 decreasing but it hasn't reached the point where we think  
12 that we need to put it on the watch list, we will  
13 nonetheless sometimes call in utility management, usually  
14 the CEO and the senior nuclear managers, and discuss with  
15 them candidly what we see the performance and what the  
16 problems are and that if they don't improve they're headed  
17 for trouble.

18 So that's kind of a nutshell of how we have  
19 focused on operational safety. I think it's had a good  
20 effect and I'm going to show how we measure this  
21 effectiveness, if I can.

22 [Slide.]

23 MR. MURLEY: We have a program that's conducted  
24 out of AEOD called the Accident Sequence Precursor Study.  
25 It's done under contract to us at Oak Ridge. Briefly, we

1 look at all the operational events that take place at  
2 nuclear plants in the United States for a year.

3 There are typically some 3,000 or 4,000 licensee  
4 event reports. From those, they screen them out for the  
5 most significant ones and they pick out typically about 30  
6 show up to be most significant. They analyze those using  
7 risk assessment techniques to estimate how close in that  
8 event did they really come to a core damage event.

9 I can give you kind of a simple example. Suppose  
10 there is a lightening strike or something and off-site  
11 electrical power was lost at the plant. We have, as you  
12 know, requirements for two emergency diesel generators  
13 typically at each plant; one to pick up the loads, and if  
14 that fails, then another one is available as a spare.

15 Let's suppose that one of them doesn't start the  
16 way it should, but the second emergency diesel generator  
17 does start and it picks up the electrical loads and the  
18 emergency cooling and those sorts of things are adequately  
19 powered.

20 Well, nothing really happened, you might say. But  
21 still, in a way, that was a close call because if the second  
22 emergency diesel hadn't started, it could have led to core  
23 damage. So we take events like that and we estimate using  
24 risk techniques what were the chances that that particular  
25 event would have led to a serious accident.

1           So that's what this chart shows. Precursors are  
2 actual initiating events or equipment failures that, when  
3 coupled with other postulated events, could result in a  
4 plant condition with inadequate core cooling, and thereby  
5 result in a severe core damage accident.

6           We use PRA methods to estimate the conditional  
7 probability of potential severe core damage and this  
8 conditional probability, which I'll show in just a minute,  
9 this conditional probability can be considered a measure of  
10 the residual protection against severe core damage that was  
11 available during the actual precursor event.

12           In other words, it's a mathematical measure of how  
13 close we came during that event.

14           [Slide.]

15           MR. MURLEY: My final chart will show the results  
16 from this program just since 1985. The data actually go  
17 back to before TMI, but I wanted to show mainly the recent  
18 events. What one sees from 1985-86 through 1989 is a steady  
19 decline in this cumulative conditional probability of core  
20 damage.

21           The 1985 event that is shown in red was the Davis-  
22 Besse event. So it contributed. That single event  
23 contributed most of the risk during that year. That's not  
24 surprising to us, but it shows it here quite dramatically.  
25 The numbers along the ordinate, the Y axis, show in 1985 the

1 cumulative conditional probably of core damage was .018. So  
2 roughly during that year we estimate that we had about a two  
3 percent chance of -- one chance in 50 -- two percent chance  
4 of a core damage during that year.

5 It's been steadily going down. It's hard to make  
6 a one-for-one attribution, but I personally think that the  
7 attention that we're giving to operational safety and, I'll  
8 be candid, the bluntness that we're talking to these utility  
9 managers about the importance of improving their operations,  
10 has had an impact.

11 So now it's down the last two years, 1988 and  
12 1989, it's been down in the range of two parts in a  
13 thousand. If one were to -- for those of you who are  
14 mathematically inclined, if one were to say, well, we have  
15 100 reactor years of operation each year -- actually 113 now  
16 -- if you divide that two in a thousand by 100-and-some  
17 reactor years, you find that the average core damage  
18 frequency may be down in the range of two in a hundred  
19 thousand. That's quite low, indeed.

20 I'm not quite prepared to say that that's the  
21 number because my staff warns me that there is a lot of  
22 uncertainty in this data and the way it's analyzed. But  
23 still the trends, we believe, are true. We think that we're  
24 on the right path. We think this is a fairly good measure  
25 at least of the trends that we're seeing in operational

1 safety.

2 I guess that concludes my message. I think we are  
3 on the right track.

4 Thank you.

5 [Applause.]

6 MR. MURLEY: If there are any questions on this,  
7 I'll be glad to discuss them.

8 [No response.]

9 MR. COMBS: Thanks a lot, Tom. We do have one  
10 addition...1 event planned for today for you. The Chairman  
11 will be hosting a reception in your honor beginning at 5:00  
12 in the atrium.

13 This is the point of our schedule that we had  
14 established for a general discussion, which I take to mean  
15 are there any issues that we have not raised today that you  
16 would like to discuss or are there any points that you would  
17 like to make for the discussion.

18 MR. STEWART-SMITH: Yes. Dave Stewart-Smith,  
19 State of Oregon. I'd just like to make an observation  
20 covering pretty much the whole day. I think it's  
21 constructive and significant that we heard about several  
22 different areas where the states interact with the NRC.  
23 Those areas where both the states and the NRC have put a lot  
24 of effort into cooperating and making sure the issues are  
25 worked out well, we heard a lot of success stories.

1           The area where we have heard the most problem,  
2 BRC, is the area where we seem to be getting the message,  
3 that's an area where we're going to say huh-uh, that the NRC  
4 is considering a policy of no more strict regulations from  
5 the states than what the NRC does.

6           I think that's a significant conclusion drawn from  
7 our day's proceedings. I have failed to see the usefulness  
8 on any of our parts of the NRC precluding the states from  
9 following a course of action that the states feel is  
10 necessary. That policy, if carried out, in my case, in the  
11 State of Oregon, would put a regulation of my agency that  
12 has been adopted by state statute; therefore, locked in  
13 state law; in direct violation of BRC in some waste disposal  
14 areas if the NRC goes that far.

15           I'd like to not see that happen. I'm also not  
16 sure -- I haven't seen anything that convinces me that those  
17 kinds of considerations are fundamentally overruled by a  
18 need for coast-to-coast consistency.

19           I think there are some real significant  
20 conclusions to be drawn from what we've seen today, and  
21 that's one of them that I draw.

22           MR. COMBS: Thanks, Dave. One response I would  
23 like to make is that the Commission's policy doesn't  
24 essentially do anything. No more materials will go anywhere  
25 they aren't going now. What the Commission has stated,

1       however, is that rules or requests for exemptions that we  
2       receive, that we intend to evaluate under the policy will be  
3       made available to the public and the public will be allowed  
4       to input.

5               This includes, of course, state governments, local  
6       governments as well, and other Federal agencies. So we  
7       haven't really closed anything with the BRC policy. What we  
8       have now is a stage for discussion, I'll admit quite a  
9       controversial stage, but we are now in a position of where  
10      we can listen as we get requests for exemptions, as we get  
11      requests for rulemaking, to the input from the states and  
12      from other regulators.

13             One other thing that hasn't been determined, of  
14      course, is the degree of compatibility that any of those  
15      subsequent rules, what the determination the Commission  
16      would make on compatibility in those subsequent rules. We  
17      are a number of years away, I would think, from having a  
18      decision on that matter or that magnitude.

19             As such, we still have you involved. There is no  
20      intention of closing out anyone. However, the policy is as  
21      the Commission has stated and now we're ready to entertain  
22      requests for exemption.

23             Wayne?

24             MR. KERR: Wayne Kerr from Illinois. I think the  
25      BRC policy and the approach that the NRC took illustrates



1 something; that is, NRC is primarily a technical agency.  
2 Most technical people would agree that the BRC is not a  
3 problem.

4 But the NRC in terms of the public policy element  
5 there did not do a very good job and they're probably not  
6 set up to do a very good job in that area because they are  
7 so technical. I think that's part of what your problem is.

8 MR. COMBS: Are there other comments or questions?

9 [No response.]

10 MR. COMBS: Then I certainly look to see you all  
11 in the atrium at 5:00. Thank you very much for the day.

12 [Applause.]

13 [Whereupon, at 4:35 p.m., the meeting was  
14 adjourned.]

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission


in the matter of:

NAME OF PROCEEDING: National State Liaison  
Officers' Meeting

DOCKET NUMBER:

PLACE OF PROCEEDING: Rockville, Maryland

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.

  
\_\_\_\_\_

Official Reporter  
Ann Riley & Associates, Ltd.