

NUCLEAR REGULATORY COMMISSION

ORIGINAL

COMMISSION MEETING

In the Matter of: PUBLIC MEETING

DISCUSSION OF REACTOR VESSEL WATER LEVEL
INDICATOR PROGRAM

DATE: October 14, 1982

PAGES: 1 - 91

AT: Washington, D. C.

ALDERSON  REPORTING

400 Virginia Ave., S.W. Washington, D. C. 20024

Telephone: (202) 554-2345

8210210434 821015
PDR ADOCK 05000289
T PDR

DISCLAIMER

This is an unofficial transcript of a meeting of the United States Nuclear Regulatory Commission held on October 14, 1982 in the Commission's offices at 1717 H Street, N. W., Washington, D. C. The meeting was open to public attendance and observation. This transcript has not been reviewed, corrected, or edited, and it may contain inaccuracies.

The transcript is intended solely for general informational purposes. As provided by 10 CFR 9.103, it is not part of the formal or informal record of decision of the matters discussed. Expressions of opinion in this transcript do not necessarily reflect final determinations or beliefs. No pleading or other paper may be filed with the Commission in any proceeding as the result of or addressed to any statement or argument contained herein, except as the Commission may authorize.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

DISCUSSION OF REACTOR VESSEL WATER LEVEL
INDICATOR PROGRAM

PUBLIC MEETING

Room 1130
1717 H Street, N.W.
Washington, D.C.

Thursday, October 14, 1982

The Commission convened on the above-entitled
matter, pursuant to notice, at 10:02 a.m.

BEFORE:

- NUNZIO PALLADINO, Chairman
- VICTOR GILLINSKY, Commissioner
- JOHN AHEARNE, Commissioner
- THOMAS ROBERTS, Commissioner
- JOHN ASSELSTINE, Commission

STAFF PRESENTERS SEATED AT COMMISSION TABLE:

- JOHN E. ZERBE, OPE
- HAROLD DENTON, NRR
- ROGER MATTSON, NRR
- LARRY PHILLIPS, NRR
- CARL MICHELSON

P R O C E E D I N G S

1
2 CHAIRMAN PALLADINO: Good morning, ladies and
3 gentlemen.

4 This morning's meetings is on the subject of
5 additional instrumentation for detection of inadequate
6 core cooling. We last met with the staff on this matter
7 in January of this year. At that time, we also heard
8 from reactor vessel level instrument vendors, and
9 members of the ACRS.

10 We have recently received a paper from the
11 staff, which addresses the issue that remained after the
12 January meeting. The paper requests Commission approval
13 of the staff's final recommendation in regard to this
14 matter.

15 The purpose of this morning's meeting is to
16 allow the staff to discuss the resolution of the open
17 items from the last meeting and to answer any further
18 questions that the Commissioners may have.

19 Do any of my fellow Commissioners have any
20 opening remarks that they would like to make?

21 (No response.)

22 CHAIRMAN PALLADINO: Then I think, at this
23 time, I will turn the meeting over to Mr. Denton.

24 MR. DENTON: Thank you, Mr. Chairman.

25 We think we have resolved the questions that

1 were brought up in previous meetings. We have made a
2 lot of progress since those times. We have met with
3 industry. We had several meetings of the committee to
4 review requirements. We met with ACRS. We think we
5 have resolved the technical issues that were
6 outstanding.

7 We have done a lot of work on the cost/benefit
8 issues. We are prepared today to make a recommendation
9 that instrumentation for detection of inadequate core
10 cooling be installed in all facilities.

11 Roger Mattson will describe where we have come
12 out on this issue and the results of the studies I have
13 mentioned.

14 COMMISSIONER AHEARNE: Could I ask Roger to be
15 a little clearer than the paper is on where you come out
16 on B&W.

17 MR. MATTSON: Yes.

18 COMMISSIONER AHEARNE: It is not all that
19 clear.

20 MR. MATTSON: We will come to that as we get
21 through this. We will probably want to discuss it at
22 length.

23 With me today is Larry Phillips, the Section
24 Leader for the Thermal Hydraulic Section for the Core
25 Performance Branch. It was under Larry's direction that

1 work by the staff to review the vendors proposals and to
2 develop generically applicable criteria, and to monitor
3 the work of the contractor at Oakridge National
4 Laboratory that was involved with this. All that
5 occurred under Larry's direction.

6 (Commissioner Gilinsky joined the meeting.)

7 If I could have the first slide.

8 (Slide.)

9 This is just an introductory slide to put
10 something on the screen while I refresh our collective
11 memories of how we got here.

12 Shortly after the accident, it was fairly
13 clear to everybody in this business -- regulators and
14 regulated alike -- that there needed to be more direct
15 indication of what was happening with core cooling than
16 the operators at TMI had. The level indicator in the
17 pressurizer had not worked to anybody's satisfaction.
18 It was susceptible to failure for a range of accidents
19 that we now realized had a higher probability than we
20 appreciated before.

21 There were instruments, however, in this
22 system, core exit thermal couples, that had we
23 appreciated the value, we would have prepared operators
24 for using them better. So it was easy to move in the
25 short term to improving our reliance, and the ability to

1 rely on those core exit thermal couples. So that is
2 where the concentration was for the first year or so.

3 COMMISSIONER GILINSKY: Could I interrupt you
4 for a minute.

5 In the Lessons Learned Report, you said that
6 in retrospect the instrumentation was adequate to detect
7 core voiding. Is that what you had in mind, core exit
8 thermal couples?

9 MR. MATTSON: Your memory is better than mine,
10 Commissioners.

11 It was possible to tell from the core exit
12 thermal couples at TMI that there was voiding and
13 inadequate core cooling, yes, and that is essentially
14 what I am saying here today, too.

15 COMMISSIONER GILINSKY: In fact, I wondered if
16 that was a misprint. But it did say in the report that
17 in retrospect the instrumentation was sufficient to
18 detect inadequate cooling. Then you go on to say that
19 it would be useful to have more direct reading, and so
20 on.

21 MR. MATTSON: Let me talk for a couple more
22 minutes, because I think I am going to come to that
23 point.

24 The short term response was to use what was
25 there better. That is, make better use of the core exit

1 thermal couples, because we realized, just as you said,
2 that there was sufficient information for the operators
3 to know, if they had appreciated it, that the cooling
4 was inadequate and that damage would be occurring to the
5 core, and more had to be done to cool the core.

6 What we were uncertain of at the time we
7 issued requirements to improve the ability of the core
8 exit thermal couples and to install the sub-cooling
9 margin monitor in PWRs, back in the short-term after
10 TMI, was whether we needed more instrumentation to
11 detect the approach to inadequate core cooling, to give
12 more advance warning, and then, also to aid in the
13 recovery from inadequate core cooling, the
14 reestablishment of inventory or level in the primary
15 cooling system.

16 COMMISSIONER AHEARNE: Roger, don't you also,
17 though, need something which might not necessarily come
18 from the core thermal couples, and that is that at the
19 stages when the operators are taking action, you need
20 something to let them know their actions are helping or
21 harming.

22 MR. MATTSON: That is right.

23 See a year ago, if I could turn to the next
24 slide.

25 (Slide.)

1 A year ago, when the controversy was boiling
 2 between the ACRS, the staff, and the reactor vendors,
 3 the controversy, I think today, flowed mostly from what
 4 is the function we are trying to get this
 5 instrumentation to serve. Exactly what kinds of
 6 accidents, what periods in those accidents are we trying
 7 to cover with this instrumentation. There were
 8 differences of opinion as to what we were trying to
 9 achieve, and as a result there was controversy over
 10 ambiguity.

11 We kept insisting that we were after a level
 12 indicator. We wanted to know the level in the primary
 13 cooling system.

14 COMMISSIONER AHEARNE: But, in fact, there had
 15 been some words about unambiguous.

16 MR. MATTSON: Yes, and we were saying that we
 17 were going to make the world's best level indicator. We
 18 were going to make it unambiguous.

19 Then somebody said, "Wait a minute! What is
 20 going to happen when the pumps are running, the reactor
 21 coolant pumps. It isn't really level that you are
 22 measuring any more, at least not below the upper core
 23 support plant. It is some kind of inventory that you
 24 are monitoring." "Well, yes," we said, "it is some kind
 25 of inventory. It is level." "Why do you call it a

1 level indicator; won't that be ambiguous to the
2 operator?"

3 It was in that controversy that you all were
4 thrown last December and January, and had reactor
5 vendors sitting here at the table, and the ACRS sitting
6 here at the table, and a lot of confusion. You sent us
7 off to try to address this question of ambiguity, to try
8 to sharpen up exactly what is it that this instrument is
9 providing that the other instruments don't already
10 provide. And what are some of the costs and benefits,
11 and some of the other questions that go along with
12 that. But primarily it was this question of ambiguity
13 and sharpening the definition of the function that the
14 instrumentation was trying to provide.

15 We set forth an action plan for resolving that
16 controversy. That plan led to a number of meetings, and
17 they are shown on the third page of the package of
18 viewgraphs that you have.

19 The first step was to meet with the industry
20 and try to see if the misunderstanding among the various
21 parties was as great among the technologists as it had
22 seemed to be up here at the Commission table when the
23 various vendors --

24 COMMISSIONER GILINSKY: Let me go back a
25 little further, so that we start at the beginning.

1 We did ask all the companies to examine the
2 question and evaluate some means of arriving at an
3 indicator of water level. Did they all supply us with
4 an evaluation?

5 MR. DENTON: No, they differ considerably, and
6 Roger will come to, in a slide or two, where they stand
7 in terms of responsiveness.

8 COMMISSIONER GILINSKY: But this is way back
9 in 1980 that I am talking about.

10 MR. DENTON: They still differ today.

11 COMMISSIONER GILINSKY: I understand that.
12 This is 1982, isn't it.

13 MR. MATTSON: Let me refresh my memory for a
14 minute to make sure I don't misremember.

15 (Pause.)

16 MR. MATTSON: I think it is fair to simplify
17 the response back in the 1979-1980 period to say that
18 Westinghouse and Combustion, and their owners, responded
19 more positively to the question of: Is there a need for
20 additional instrumentation? The B&W owners and B&W
21 responded more negatively, that is, saying they didn't
22 think there was.

23 COMMISSIONER AHEARNE: This is somewhat
24 euphemistically described. The B&W gentleman sat here
25 and said that it wasn't needed and also was not

1 possible.

2 MR. MATTSON: I think that is too hard. There
3 are two B&W owners who have proposed specific systems.

4 COMMISSIONER AHEARNE: But Vic was going back
5 historically, and historically --

6 MR. MATTSON: But you are talking about a
7 meeting that occurred a year ago at which time two B&W
8 owners, at least, had proposed specific designs that we
9 had under review. They didn't have the design details.
10 They didn't have the engineering support. They didn't
11 have the integration from their supplier that
12 Westinghouse and Combustion had supplied for their
13 systems, but it is unfair to say that they were in total
14 opposition to this. There were at least two that said,
15 "Here is a system, what do you think of it."

16 MR. DENTON: It appears that it is going to
17 take orders to get B&W to install the kind of
18 instrumentation that we like, and we then intend later
19 in the presentation to show how we would accomplish
20 that.

21 COMMISSIONER GILINSKY: Do we get submissions
22 from each of the licensees agreeing or disagreeing with
23 us, perhaps, but --

24 MR. MATTSON: Yes. They were required to
25 submit us their views on what additional instrumentation

1 they thought was needed to complete an inadequate core
2 cooling package.

3 COMMISSIONER GILINSKY: As I understand it,
4 our view, or the view of the technical staff, was that
5 this sort of instrumentation was more important in the
6 case B&W reactors than in the case of the other PWRs.

7 MR. MATTSON: That is correct, yes.

8 CHAIRMAN PALLADINO: Are you going to take
9 some time to over again why you think the B&W proposal
10 is unworkable?

11 MR. MATTSON: Yes, we will come to that.

12 MR. DENTON: The status of the three suppliers
13 is a part of the talk, and it is just a slide or two
14 from where Roger is. If we could allow him, he will get
15 there.

16 MR. MATTSON: Or we could move there now. He
17 just wants to go over history.

18 COMMISSIONER GILINSKY: I guess the reason I
19 bring this up is because we seem in a way to have gotten
20 diverted.

21 The concern arose in the case of the B&W
22 reactor. That is where, as I understood it, it was most
23 important. B&W hung back on this for a number of
24 reasons, so we concentrated on the ones that were more
25 cooperative, but where the problem was not as severe.

1 It seemed to be more workable there.

2 MR. MATTSON: There is --

3 COMMISSIONER GILINSKY: They got caught up
4 because of our tendency not to make invidious
5 comparisons between reactors. We operate on a broad
6 front.

7 MR. DENTON: B&W has had, I think more than
8 the others, a "show me" attitude. They apparently are
9 not convinced that it is of value, and except for the
10 two efforts that Roger talked about, they have not been
11 as forthcoming.

12 COMMISSIONER AHEARNE: This may be an unfair
13 characterization because all I have is what I read in
14 the material that has been sent up, but I would say that
15 it is a lot more than a "show me" attitude, it is "I am
16 not going to do it unless you order it."

17 MR. DENTON: I would prefer to have them
18 characterize it in those words.

19 COMMISSIONER GILINSKY: However you
20 characterize it, Westinghouse and C-E got caught up in
21 this concern which really was initially brought up by
22 B&W.

23 MR. MATTSON: Caught up is not the right way
24 to say it. They believe this instrumentation should be
25 added to their machines.

1 COMMISSIONER GILINSKY: I believe that to be,
2 too, but the concern was greater in the case of the B&W
3 reactors.

4 MR. MATTSON: There is need for this
5 instrumentation in the other reactors, too. Sensitivity
6 of the B&W machine, the pulling of voids in the primary
7 coolant system is a more likely occurrence there, and
8 for that reason it is fair for you to say that the need
9 is probably greater in the B&W machines.

10 MR. DENTON: I think we are on the side that
11 says, we think that B&W plants need it, too. I don't
12 want to have any posture other than that.

13 COMMISSIONER AHEARNE: You said, you think
14 they need it, too.

15 MR. DENTON: I think they all three need it.

16 COMMISSIONER AHEARNE: Roger just said,
17 probably greater.

18 I know Vic and I have reached the conclusion
19 that it is greater and do need it and would need it
20 first. Do you disagree that the need is greater for
21 them?

22 MR. DENTON: No, I think so, too.

23 MR. MATTSON: We agree. The first will be
difficult since some Westinghouse plants already have it
tested and calibrated. The first is past already.

1 CHAIRMAN PALLADINO: You speak of need, but
2 you do use words, at least in the March 12 letter than
3 transmitted the report from the staff, that says: "This
4 report does not establish that reactor vessel level
5 measurement systems are necessary to plant safety." And
6 there are a couple of places where it says that it is
7 very highly desirable. Do you believe this statement,
8 or don't you believe it?

9 I gather, even though you speak of need, you
10 haven't established in your own mind that there is a
11 need, at least this important.

12 MR. DENTON: It depends on whether you are
13 talking about a legalistic need and are all the plants
14 in the U.S. deficient today because they don't have it.
15 I look at it in the sense that we have phased
16 implementation of improvements after TMI, and this is
17 one of the improvements that needs to be put in. But I
18 didn't want to get in the posture of saying that Plant A
19 out there that doesn't have it today, can't operate
20 safely without it, when we have stressed things like
21 thermal couples and procedures. But I am advocating
22 today that you approve a requirement that they put in
23 and installed in all PWRs.

24 COMMISSIONER GILINSKY: This is the difficulty
25 we face in the backfit rule.

1 MR. DENTON: It is that semantic use of that
2 word.

3 COMMISSIONER GILINSKY: I don't think it is
4 inconsistent to say that they are aided and it has to be
5 there for safety, but we don't have it today, we have
6 lived with it, and we will continue to live with it for
7 some time.

8 CHAIRMAN PALLADINO: Other places you say,
9 there is a benefit of unknown magnitude, or words to
10 that effect.

11 MR. MATTSON: They are a known benefit. Where
12 you are reading is, can you quantify that benefit the
13 way you quantify benefits with probabilistic risk
14 assessments and a lot of other ways. That is very
15 difficult to do, because the instrument, what it really
16 does is improve the operator reliability in responding
17 to fairly frequent events that can cause voiding in the
18 primary coolant system. If you improve his reliability
19 in responding to those events, he doesn't make mistakes
20 that lead to more failures, more compounding errors, and
21 turn them into core damaging events.

22 How do you quantify that with probabilistic
23 risk assessment? Stand back a minute, PRA only deals
24 with a melted core or an unmelted core. This slicing of
25 the bologna in a slightly degraded core versus an

1 undegraded core versus an arrested core melt, the PRA
2 assessments by which you quantify risk are not capable
3 of getting down to that level of detail.

4 So in the discussion in the paper that is the
5 point that we are trying to make, it's that it is
6 difficult to quantify. We know that it is a benefit to
7 increasing the reliability of the operator in responding
8 to frequent events of the steam generator tube rupture,
9 pump seal, too fast a cool down, those kinds of events
10 that occur with a frequency of one in ten, one in 100
11 years, that if there are compounding errors, or
12 compounding equipment failures, can turn into very
13 challenging events, and the operator reliability has to
14 be high.

15 This device significantly improves the
16 operator's reliability for those kinds of slow moving
17 events that pull voids in the primary coolant system,
18 give him assurance and reliability in dealing with those
19 voids, so that they don't confuse him and lead him to
20 make errors that we have seen or that there would be a
21 tendency for with those slow moving events.

22 CHAIRMAN PALLADINO: Why don't we let you go
23 on a little farther because eventually I do want to ask
24 some other questions that are not related to need.

25 MR. DENTON: We do have a slide on which we

1 have attempted to list all the uses of vessel inventory
2 information, and it is about a dozen of them that we
3 have identified. It is the very last slide, the
4 rear-end.

5 COMMISSIONER AHEARNE: Page 6.

6 MR. DENTON: The last page in the handout
7 lists the types of use that we think this
8 instrumentation --

9 CHAIRMAN PALLADINO: Why don't we let you go
10 on. I was not questioning the potential value of such a
11 system, but rather your words.

12 MR. DENTON: Really, our recommendation is
13 that you require the installation of these.

14 MR. MATTSON: If I could just then quickly
15 dash through this third page.

16 We met with the industry. We met with the
17 CRGR twice. We met with the ACRS in one tough meeting
18 back in April, at the subcommittee and committee level.
19 We rebriefed the ACRS this month to tell them where we
20 were and how the CRGR had come out.

21 Let me say what happened in the course of
22 those meetings. I think the bottom-line is that we drew
23 a consensus from that community of interest in
24 inadequate core cooling instrumentation. We had long
25 discussions of the events for which this instrumentation

1 would be useful. We had long discussions and concerns
2 with the problem of ambiguity.

3 We had good operator feedback, for example, at
4 the industry meeting. If I could characterize that in a
5 few lines it would be to the effect of the operator saying,
6 "You gave us a pressurizer level indicator once that we
7 thought we could rely on. Obviously you lied, we
8 couldn't rely on it. Don't give us another instrument
9 like that. Before you give it to us and make us rely on
10 it, assure yourselves as engineers, regulators,
11 designers, that the thing works and that it won't give
12 us misleading information."

13 COMMISSIONER CILINSKY: When you say
14 operators, do you mean licensed operators?

15 MR. MATTSON: Licensed operators and station
16 superintendents that were brought in by the owners
17 groups that we had invited to the two-day meeting in
18 February.

19 Another thing we learned, however, was that if
20 you do a good engineering job on this inventory trending
21 system, this thing that we used to call a "level
22 indicator," and you integrate it with procedures, you
23 integrate it with training, you integrate it with the
24 indicators on the panel in the control room. If you
25 spend some money and work hard at it, as Westinghouse

1 and Combustion-Engineering have done. If you provide
2 data to underpin the correlations that are used for
3 pressure drop calculation. If you provide tests and
4 facilities at Combustion Engineering, or in LOFT or in
5 SEMISCALE, or these systems, like have been conducted in
6 the course of the last two years. The ambiguity
7 questions that have been raised can be answered, and
8 they can be answered to the engineering and to the
9 operational people's satisfaction.

10 COMMISSIONER AHEARNE: To me, at least, you
11 very carefully excluded B&W from your list.

12 MR. MATTSON: B&W throughout this period has
13 done no new work. They came to the meeting in February,
14 both as an owners group and as a vendor, saying, "Here
15 are some conceptual proposals for how we could do it if
16 you insist on it. But we think it could be ambiguous,
17 and we think that it is very difficult to do right."
18 "Show me," as Harold has said, was more their attitude,
19 rather than --

20 COMMISSIONER GILINSKY: Is it tied to their
21 lawsuit?

22 MR. MATTSON: I haven't any idea.

23 CHAIRMAN PALLADINO: Didn't ACRS say some of
24 the same thing; at least some of the individual members
25 did.

1 MR. MATTSON: A year ago, yes. Now in the
2 meeting that occurred in April, in subcommittee and
3 committee, long discussions of the work that we had done
4 in the February meeting with industry, the first report
5 that we had written for the ACRS and for the CRGR, and
6 the CRGR review. Long discussions of the same issues --
7 ambiguity; failure modes and effects; how do you train
8 operators; how do you integrate it in the control room.

9 The ACRS agreed that the conditions that we
10 were placing upon the installation and training of the
11 operators for the Westinghouse and
12 Combustion-Engineering systems sounded good to them.
13 They said that we were on the right track, if I can
14 paraphrase their letter. I represent to you today that
15 the ACRS is in agreement with where we have come and the
16 recommendations that we are making to you.

17 CHAIRMAN PALLADINO: Does that include the two
18 people that took exception earlier?

19 MR. MATTSON: One of the two people spoke up
20 at the ACRS briefing that I gave last week, Mike
21 Bender. He said, "You will have to show me." That was
22 the state of his dissatisfaction at this point, he
23 didn't go on at length. I took that to mean that he
24 still is unconvinced that it can be done unambiguously,
25 but the committee has written a letter supporting what

1 we were doing and giving their endorsement.

2 COMMISSIONER ROBERTS: What about Harold
3 Lewis?

4 MR. MATTSON: Lewis was at the meeting, but he
5 didn't speak.

6 COMMISSIONER GILINSKY: Bender's view is that
7 we ought to fix the reactors rather than supply more
8 instrumentation, which is not an unreasonable view in
9 the long run at any rate.

10 MR. MATTSON: I share that.

11 CHAIRMAN PALLADINO: I think some of the
12 questions he raised, I would like to have time to
13 address this morning, because I still don't have quite
14 the confidence in the one system, the Westinghouse
15 system, that it is unambiguous and that you can feel
16 confident about the information you get. I would like
17 to be assured, and maybe we could do it this morning.

18 MR. MATTSON: Let me finish this slide and
19 move to the next, and I suspect that it will lead us to
20 those questions.

21 The focusing that needed to occur on what is
22 the function of this instrumentation, really occurred in
23 the process of these meetings, in preparing for CRGB and
24 ACRS, and in listening to the industry feedback.

25 If I could say what the function is in two

1 simple statements. First and foremost, it is to provide
2 coverage, provide information in a time period of
3 interest for slow moving events that lead to voiding in
4 the primary coolant system, where the coverage provided
5 by the sub-cooling margin monitor and the core exit
6 thermal couples is not complete.

7 That is, during a period that can be as long
8 as hours, three or four hours, for a thing like a
9 reactor coolant pump seal failure, a stuck open PORV, a
10 steam generator tube rupture, which we know can happen,
11 where you have lost sub-cooling and the sub-cooling
12 margin monitor says zero, there is saturation at the top
13 of the core, yet there is no heat up in the core yet.
14 The core exit thermal couples have not begun to rise in
15 temperature.

16 That dead span, if you will, in current
17 instrumentation, can be several hours long. During that
18 period, the operator is going to be taking actions. His
19 procedures don't say that you have to do this or that,
20 but he is in an event where the containment pressure is
21 rising, the radiation signals are showing, or there is
22 water flowing from the primary into the secondary
23 through a broken steam generator.

24 He is going to be making manipulations with
25 the emergency core cooling system. He is going to be

1 manipulating the secondary system to raise or lower
2 pressure, depending on what his procedures tell him. He
3 won't know whether that voiding that is occurring in the
4 primary coolant system is getting worse or getting
5 better.

6 Remember the Ginna steam generator tube
7 rupture. The operators, because of really a crude level
8 indicating system in Ginna, some thermal couples
9 distributed in the upper-head, knew they had a void up
10 there. They used those thermal couples to help assure
11 them that the actions they were taking, although they
12 were slow and deliberate, weren't causing that bubble to
13 get bigger in a way that it could begin to interfere
14 with the operation and the cooling of the plant. It is
15 the same thing here. You need to know during that dead
16 span whether the actions you are taking are aiding or
17 hurting the recovery of the plant.

18 Some operators will argue, "Wait a minute!
19 The procedures say, put all the water you can in
20 there." The procedures say, put all the water you can
21 in there and cool the core, yet real human beings in
22 real situations see contrary indications.
23 Things fail that you don't think are failing. Maybe a
24 generator didn't start. Maybe a pump didn't flow.
25 Maybe a valve didn't open. Maybe it was two steam

1 generator tubes instead of one. Maybe it was a leaking
2 steam generator on one hand, and another broken steam
3 generator. Maybe it was a stuck open safety in the
4 secondary, in addition to the steam generator tube
5 leak.

6 Those things are happening in plants. They
7 become confounding to the operator, and you can't really
8 sit at a table like this or at a design table and
9 anticipate all of them. So what you are trying to do is
10 increase the information during that dead span between
11 loss of sub-cooling and onset of super-heat. The
12 instruments that Westinghouse and Combustion have
13 designed in detail, and B&W has proposed in concept,
14 will significantly aid the operation of the plant.

15 There is a second place that the
16 instrumentation is useful and that we have focused its
17 design on. It is not quite as important as this one,
18 but it is an interesting one anyhow.

19 Remember at Three Mile Island, when we
20 recovered the core, when the level had been
21 reestablished and things were stabilized and cooling was
22 good, some thermal couples indicated super-heat and some
23 thermal couples indicated sub-cooling in the core.

24 At TMI that wasn't difficult to interpret
25 because the level had been restored in the pressurizer.

1 It is not hard to think of events where you might not
 2 restore level in the pressurizer. The level indicators
 3 might fail because of high radiation or flooding, they
 4 are not safety grade indicators after all. The break
 5 might have been in the pressurizer surge line, so you
 6 would not refill the pressurizer.

7 For an event where you think you have
 8 recovered the core, yet some thermal couple indicate
 9 high and some thermal couples indicate low, that is a
 10 completely unambiguous indication of core recovery, as
 11 the designers say, and this level indicator would help
 12 you -- this inventory indicator turned level indicator
 13 with the pumps off would help you interpret and
 14 understand that domain.

15 It is those domains principally that this
 16 inventory trending system is now targeted at and that
 17 there is general agreement on. The first one I should
 18 mention includes both operation with reactor coolant
 19 pumps running, and operation with the reactor coolant
 20 pumps off.

21 We are convinced now we can do that. The
 22 systems have been tested and analyzed and proven for
 23 those conditions, and we are convinced that the B&W
 24 system can be improved and designed in detail to satisfy
 25 those functions.

1 CHAIRMAN PALLADINO: You talk of tests, and
2 that is one of the things I wanted to ask you about.
3 Maybe you would rather go on and I will ask them later.
4 Were the tests dynamic in nature? Did they have change
5 of phase? Did they have voiding?

6 MR. MATTSON: Yes. I think if we turn to
7 slide four, you will see I have just summarized that
8 plant.

9 (Slide.)

10 While that is in front of you to prod your
11 memory is there are questions you want to ask on the
12 summary I just gave, while don't I ask Larry to
13 summarize the kinds of tests that Combustion did in
14 their two-phase facility in Connecticut, and
15 Westinghouse did in the LOFT and SEMISCALE facilities in
16 Idaho.

17 CHAIRMAN PALLADINO: While slide is this?

18 MR. MATTSON: You won't see it described on
19 this slide, but this may prompt your thinking about some
20 of the conditions for which the testing needs to be
21 applicable. There isn't a slide that goes to the
22 testing directly.

23 MR. PHILLIPS: For Combustion Engineering, we
24 had them install -- I am sorry, I meant to start with
25 Westinghouse. We had them install their level probe on

1 the SEMI-SCALE test facility, and piggyback on some
2 small break LOCA experiments that were being run there.
3 The system, of course, was well instrumented by other
4 instruments, including the DP systems that were there
5 for the SEMI-SCALE test instrumentation.

6 The tests were thoroughly analyzed and
7 performed essentially as predicted, at least with the
8 error band predicted.

9 MR. MATTSON: Wasn't there in one of the tests
10 some error in the design of the system that showed up,
11 and they went back and corrected for the test?

12 MR. PHILLIPS: Yes. The error was in the
13 design of the test, and it had to do with a pressure
14 drop between the core region and the upper-head region
15 where the tap was. It was non-characteristic of the
16 situation in the reactor, and the test was rerun with
17 the reactor more closely simulated. It was concluded
18 that the initial analysis of the reason for the problem
19 was correct, and that the system was behaving properly.

20 CHAIRMAN PALLADINO: It is the Westinghouse
21 system that gives me the most difficulty at the moment.
22 Is there a delta P that they can get that will
23 unambiguously give you some indication of the amount of
24 voids, or can you get that same delta P from a variety
25 of situations?

1 MR. PHILLIPS: No.

2 CHAIRMAN PALLADINO: No voiding and pumps
3 running, or voiding --

4 MR. MATTSON: The Westinghouse delta P system
5 uses different pressure taps depending on whether the
6 reactor coolant pumps are running or are off. The
7 system itself will detect whether the pumps are on or
8 off, and then the operator will be told which scale to
9 rely on.

10 With the pumps running, the differential
11 pressure that being measure is the pressure drop across
12 the reactor coolant pump --

13 CHAIRMAN PALLADINO: Across the reactor
14 coolant pump.

15 MR. MATTSON: -- across the reactor coolant
16 pump. How much pressure rise is provided by the pump
17 running and pumping the fluid. That differential
18 pressure is correlated to the amount of void in the
19 fluid that the pump is pumping. The correlation was
20 derived from testing by testing by Westinghouse in
21 France, using I believe a full-scale Westinghouse pump.

22 CHAIRMAN PALLADINO: How does that give you
23 any indication as to whether or not you have got voids
24 in the core? You may hav voids elsewhere in the
25 system.

1 MR. MATTSON: But if the pumps are running,
2 then the void is being mixed throughout the system, and
3 what you are measuring is the average void content of
4 the reactor coolant system. There may be slightly
5 higher voids in the core, but because of the circulation
6 it is being mixed by the pumping action.

7 CHAIRMAN PALLADINO: You can have a delta P
8 across some generator --

9 MR. MATTSON: But the delta P is a function,
10 Mr. Chairman, of the amount of void. As the void
11 changes, the delta P changes, and it is the change of
12 delta P that gives an indication of the trending of the
13 voids. As the delta P goes up, the voids are getting
14 higher. As the delta P goes down, the voids are getting
15 lower.

16 It is the correlation of the change in
17 pressure drop with the change in void that has been
18 measured in experimental facility for that pump, that is
19 input to the design of the system. It is all in the
20 electronics, that correlation is all built-in, and as
21 the sensed difference in pressure across the pump
22 changes, the instrument tells the operator that the void
23 content is either increasing or decreasing, depending
24 upon how the signal across the pump is changing.

25 COMMISSIONER AHEARNE: How much time lag is

1 there between the void coefficient and the actual void
2 in the system --

3 CHAIRMAN PALLADINO: I am sorry, I want to
4 hear the question.

5 MR. MATTSON: I am not sure.

6 COMMISSIONER AHEARNE: I wondered what kind of
7 a time lag there was between the void coefficient
8 measurement and the actual void in the system.

9 MR. MATTSON: Essentially none. There is no
10 power changing characteristic of the core other than a
11 slow decay in the shutdown mode, although there may be a
12 slightly higher void content in the core. In some
13 regions of the core, there is a power distribution
14 within the core.

15 In the outlet of the core, the voids are all
16 mixed uniformly and flow over through the pump, and that
17 indication is rapid -- seconds is the transit time of
18 the primary coolant system -- so it is a fairly rapid
19 picture of the current condition of the core. The
20 current void content of the reactor coolant system, it
21 is an instantaneous measurement.

22 COMMISSIONER AHEARNE: I guess you are talking
23 there about a mixture of voids through the core. What
24 in the case of a bubble above the core, which is now
25 forcing down.

1 MR. MATTSON: That bubble would be up in the
2 upper-head and would be out of the way of the flow. If
3 it is now out of the way of the flow, the water impinges
4 upon the bubble. It sweeps away steam, mixing it up
5 with the water, changes the void content, and that is
6 instantaneously recorded by the real time pressure
7 differential measurement across the pump and indicated
8 on the inventory trending system in the control room.

9 CHAIRMAN PALLADINO: I guess I would feel
10 better if I saw the tests.

11 COMMISSIONER GILINSKY: It sounds to me like
12 it wouldn't hurt to have a detailed briefing on this
13 subject.

14 MR. PHILLIPS: If I can clarify. The testing
15 that was done on the degraded part in the facility in
16 France was a pressure drop around the system. The void
17 distribution is rather uniform when the pumps are
18 running. The pressure measurement on the Westinghouse
19 system is from the bottom of the vessel to the top of
20 the vessel. So it is really the pressure drop across
21 the core that is being continuously monitored.

22 CHAIRMAN PALLADINO: Wait, what is the
23 Westinghouse going to be? You mentioned across the pump
24 in the test, and now you are mentioning delta P across
25 the core in the system.

1 MR. MATTSON: Mr. Chairman, there is some
2 disconnect in our communication because this is the way
3 flow is measured in flowing systems in all engineering
4 system. There is nothing mysterious about about this
5 system.

6 CHAIRMAN PALLADINO: But it is not. My
7 experience has been very sad on two-phase system, that
8 is why I keep wondering about it.

9 There was some disconnect also in what you are
10 proposing. You mentioned the delta P across the pump.
11 Is that what Westinghouse is proposing?

12 MR. PHILLIPS: No, it is across the reactor
13 vessel.

14 CHAIRMAN PALLADINO: That is what I thought,
15 and then you had two, in a sense.

16 MR. PHILLIPS: Which is a good fraction of the
17 delta P through the system.

18 CHAIRMAN PALLADINO: Was that tested under
19 dynamic conditions with voiding in process?

20 MR. PHILLIPS: No.

21 MR. MATTSON: The tests in SEMI-SCALE are
22 dynamic tests. Small break LOCA with voiding in the
23 system.

24 CHAIRMAN PALLADINO: And they got unambiguous
25 correlation on the system as proposed?

1 MR. PHILLIPS: The tests were done on small
2 break LOCA conditions.

3 MR. MATTSON: But this was with the pumps
4 off.

5 MR. PHILLIPS: This was with the pumps off,
6 right.

7 MR. MATTSON: I thought you were concerned
8 with the pumps on.

9 CHAIRMAN PALLADINO: I am concerned with any
10 time you are voiding.

11 MR. PHILLIPS: The pumps on data comes from
12 the French tests at the French facility. I think you
13 are referring probaby to the problems with two-phase
14 multipliers, and so forth. Actually what we are talking
15 about here is a decrease in mass flow through the
16 system, which is predominant. As your mass flow
17 decreases, your pressure drop will drop also. It goes
18 in the opposite direction if you are two-phase
19 multiplier, and it is a function of the mass and clearly
20 related to the degraded pump tests in France.

21 CHAIRMAN PALLADINO: My concern is that
22 whatever we measure is not going to mislead the
23 operator. I think this idea of having a good indication
24 is in concept the right one, but I somehow don't have
25 the same kind of feeling about this kind of a DP system

1 as perhaps I would with a hot junction thermal couple.

2 However, in that one, we are measuring
3 something different than we are in this one, and that is
4 another question I don't understand. We are not
5 measuring the same thing in the CE system as we are in
6 the Westinghouse system.

7 MR. MATTSON: We use a different method of
8 measuring inventory.

9 CHAIRMAN PALLADINO: You not only use a
10 different method of measuring, you come up with an
11 answer to a different question.

12 MR. MATTSON: I don't believe so. Not with
13 the pumps running you don't for sure.

14 CHAIRMAN PALLADINO: With the CE system, it
15 will tell you if it has voids above the core, and that
16 is it. With the Westinghouse system, it will tell you
17 whether you have voids in the core, perhaps.

18 MR. MATTSON: That part of the Westinghouse
19 system, we have said, we wouldn't require. It is there,
20 but we wouldn't require it. In fact, if you look at
21 what we say we would require of the B&W system, the
22 detection of level below the top of the core as provided
23 by the Westinghouse system, we say is unnecessary.

24 We would want them to be able to provide level
25 in the upper-head and level up and down the candy cane.

1 CHAIRMAN PALLADINO: Does the Westinghouse
2 system tell you whether you have got void in the
3 upper-head?

4 MR. PHILLIPS: Yes.

5 MR. MATTSON: Yes, because it has a pressure
6 tap at the upper-head.

7 CHAIRMAN PALLADINO: You mean between the top
8 of the core and the top of the head?

9 MR. MATTSON: Yes.

10 MR. PHILLIPS: Right. There is also one to
11 the hotleg, which gives a more precise reading.

12 COMMISSIONER GILINSKY: That would tell you
13 about a void whether or not the pump is running?

14 MR. PHILLIPS: The only delta P used for the
15 pumps running condition is what we call a wide range,
16 and it is between the top of the head and the bottom of
17 the vessel. Under dynamic conditions, of course, it is
18 about triple the pressure drop as when it is static.

19 CHAIRMAN PALLADINO: It is what?

20 MR. PHILLIPS: The delta P difference is about
21 three times the static DP difference.

22 CHAIRMAN PALLADINO: I am sorry, I lost you.
23 I thought you said you were going to rely on the
24 pressure drop between the top of the head and the top of
25 the core. Now you are saying they are really relying

1 between the bottom of the vessel to the top of the
2 vessel?

3 MR. PHILLIPS: The bottom of the vessel to the
4 top of the vessel --

5 COMMISSIONER AHEARNE: Could we ask Roger to
6 just sketch.

7 MR. MATTSON: I don't have the slides today,
8 but I can show you where the pressure taps are and try
9 to straighten this out. I don't know how to bring you
10 back out of these details to tell you that we have
11 covered these details, but we are not prepared to do it
12 today.

13 COMMISSIONER AHEARNE: Two basic
14 descriptions. We are talking about Westinghouse. In
15 the case of the pumps on, what are you measuring? In
16 the case of the pumps off, what are you measuring?

17 MR. PHILLIPS: In the case of the pumps on, we
18 are measuring between the taps at the bottom of the
19 vessel and the top of the vessel, and there is a wide
20 range transmitter between those two and there is a
21 narrow range transmitter. The wide range transmitter is
22 used for the case of pumps on.

23 In the case of pumps off, we use the narrow
24 range transmitter there, which is full range for quite a
25 lot less delta P, plus we use a tap from the top of the

1 head to each hotleg, two more pressure drops. All three
2 readings should be valid.

3 COMMISSIONER GILINSKY: How did we get into
4 this discussion of the pressure drop across the pump?

5 MR. MATTSON: I think the Chairman was
6 concerned over whether you can correlate pressure drop
7 with --

8 CHAIRMAN PALLADINO: Some indication of void.

9 MR. MATTSON: Void in a flowing system and in
10 a non-flowing system. For today's briefing, I thought
11 it would suffice to say that we have analyzed that
12 thoroughly, Westinhouse has analyzed it thoroughly.
13 Tests have been conducted of pumps for the Westinghouse
14 system in France. Tests have been conducted for the
15 Westinghouse system in SEMI-SCALE. All of the tests
16 involved voiding. Some of the tests involved pressure
17 ramps like blowdowns, small break LOCAs in SEMI-SCALE.
18 The system has been proven to be accurate for trending
19 the void in the primary under all of those conditions to
20 our satisfaction, to their owner's satisfaction, to
21 Oakridge National Laboratory's satisfaction, and to the
22 ACRS's satisfaction.

23 (General laughter.)

24 We have had pressure drop correlations on the
25 table. We have had, how great can the uncertainty be.

1 We have been through it, Mr. Chairman, many times. We
2 can go through it again for you, but we aren't prepared
3 to do it today.

4 CHAIRMAN PALLADINO: But have you examined
5 various kinds of circumstances because I could see where
6 you are having significant voiding in the core.

7 MR. MATTSON: Yes, sir. We have looked at
8 variable break sizes, break locations, pumps on, pumps
9 off. We have looked at those conditions with failures
10 in the instrumentation system. What if one tap fails
11 and the other tap works?

12 What if there is conflicting information
13 within the pressure monitoring system itself? We
14 required Westinghouse to do a failure modes and effects
15 analysis of that, worrying about ambiguous information
16 to the operator. It has been thoroughly scrubbed.

17 MR. DENTON: We honestly aren't prepared to
18 display that information today. Perhaps we should
19 reschedule it if you want to go through that.

20 CHAIRMAN PALLADINO: That depends on the
21 interest of the other Commissioners. I might want to
22 just get a little more detail of that because that is
23 the one system that concerned me.

24 MR. MATTSON: I appreciate the background you
25 are coming from. The measurement of two-phase level in

1 steam generators down through the years, using
2 differential pressure, has been a sticky problem. We
3 believe --

4 CHAIRMAN PALLADINO: This is a different
5 problem, though.

6 MR. MATTSON: Because it is transient, and
7 because there are different modes of operation that we
8 are worried about for the primary system.

9 CHAIRMAN PALLADINO: It is a more complicated
10 situation than just measuring the level and the steam
11 drum, for example.

12 MR. MATTSON: That is right.

13 CHAIRMAN PALLADINO: Because you have high
14 flow.

15 MR. MATTSON: That is why all the work that we
16 have done for the last two years testing these systems
17 and analyzing these systems, and understanding how they
18 really perform, that is why we have done it.

19 CHAIRMAN PALLADINO: You did clear up
20 something else that concerned me. I thought you were
21 measuring two different things. In the CE system, you
22 were measuring voids above the core, and I thought you
23 were using the Westinghouse system to measure voids in
24 the core. I was wondering if one approach is as good as
25 the other.

1 You are saying now that you are going to not
2 rely on the Westinghouse to tell you whether there are
3 voids in the core, but rather whether there are voids
4 above the core.

5 MR. MATTSON: No. The Westinghouse system
6 will tell you about voiding down into the core and even
7 beneath the core. It will give you a level with the
8 pumps off all the way down to the bottom of the vessel,
9 if you will. The CE system won't do that.

10 CHAIRMAN PALLADINO: That is right.

11 MR. MATTSON: We don't think that it is
12 necessary to do that.

13 CHAIRMAN PALLADINO: I guess that is what I
14 was thinking.

15 MR. MATTSON: The core exit thermal couples
16 are sufficient by themselves to tell you the core isn't
17 being cooled. By how far it isn't being cooled is
18 immaterial, we think, at that point.

19 CHAIRMAN PALLADINO: I thought that what you
20 wanted to know.

21 MR. MATTSON: It is the approach to and
22 recovery from a condition where the core exit thermal
23 couples are reading high. We want to know that it is
24 coming and confirm that it has ended.

25 COMMISSIONER JILINSKY: That is the way you

1 have set the thing up, but why wouldn't you want to know
2 the level below the top of the core?

3 MR. DENTON: Ideally, the level is what you
4 would like to know, because that is what the operator
5 can most directly influence by pumping more water in and
6 out. And it is these difficulties that have taken so
7 long to prove out the instrumentation that has been
8 proposed.

9 COMMISSIONER GILINSKY: It is just too messy
10 to get below there.

11 MR. MATTSON: With the CE system you can't, in
12 all likelihood, take the heated junction thermal couple
13 down into the core. It is too more of a difficulty to
14 design the system for the heat and the radiation
15 environment directly in the core.

16 CHAIRMAN PALLADINO: Are there any
17 circumstances under which either system could possibly
18 cause the operator to take a "wrong action"?

19 MR. MATTSON: We don't think so. You can
20 never make a completeness argument with 100 percent. It
21 is like saying that you have considered all accidents,
22 you can't do it.

23 CHAIRMAN PALLADINO: No.

24 MR. MATTSON: But we have tested a variety of
25 conditions that can lead to unusual two-phase

1 circumstances in the core, let me give you an example.
2 If the heated junction thermal couple has a guard tube,
3 which it does, it becomes a little pressurizer vessel
4 inside the reactor pressure vessel. What happens if we
5 have a large break, we asked, if this system is designed
6 for small breaks, and it depressurizes at the same rate
7 as the reactor coolant system?

8 What if there is a large break, and the level
9 indicator is slow in tracking the reactor pressure
10 vessel level; could that give the operator unwarranted
11 confidence that his system was full of water when, in
12 fact, it wasn't?

13 We looked at the ratio of the depressurization
14 rates for the small guard pipe on the heated junction
15 thermal couple system versus the reactor pressure vessel
16 for intermediate and large break LOCAs. We found out
17 that the difference in time was on a scale of seconds.
18 So the misleading that would occur would occur during a
19 time when so much else was changing, it was unlikely
20 anybody would even notice it, and it would quickly
21 correct itself and come back to a stable indicator of a
22 low level, which you would expect for those breaks.

23 Another interesting one was the question of
24 frothing. When you open a coke bottle at the top, after
25 you have shaken, and frothing occurs throughout the coke

1 bottle, what is the level that you see in the system.
2 It is very difficult to see, stuff is pouring out the
3 top.

4 The same kind of thing can happen to a reactor
5 pressure vessel. What if a control rod guide tube fails
6 and there is penetration in the upper-head, and there is
7 a rapid discharge of fluid out the upper-head. The
8 heated junction thermal couple comes through one of
9 those devices. How does the internals of the guard tube
10 or the shield tube on the heated junction thermal couple
11 assembly -- how does it behave? Does it just see a
12 frothing in there, so that there is no valid indication
13 of coolant inventory? Or, is there some separation of
14 the bubble from the level, so that the indication that
15 is given is valid.

16 That was one where there was enough
17 controversy among the theorists that it had to be
18 tested. Some proprietary design changes were made to
19 the separator tube to assure the separation of bubbles
20 from fluid, so that you had a true indication of
21 inventory by this system even for breaks in the
22 upper-head.

23 Those kinds of tests were made to the system,
24 along with failure modes and effects assessments, and
25 questions of how does it behave under these various

1 circumstances, as many as we could think of, as many as
2 CRGR could think of, and ACRS, and the operators, and
3 the utility design groups, and the vendor design
4 groups.

5 To the extent that we have thought of
6 everything we can think of, we are convinced that the
7 indication is valid and not ambiguous.

8 CHAIRMAN PALLADINO: You give me a little more
9 confidence based on your more extensive description of
10 the tests.

11 Can I ask another question. In all of these
12 now, you are assuming the instrument is working. Can it
13 presumably not work and thereby give you a false
14 indication? For example, you may think you have voids
15 when you don't have voids, and therefore you turn on the
16 ECCS and get thermal shock problems.

17 MR. MATTSON: That was one of the things we
18 got into when we got to discussing whether it was cost
19 beneficial to require that the single failure criterion
20 be applied to these systems. On the one hand, you could
21 save quite a lot of money if you said, let's only have
22 one set, instead of making it redundant. Why do we have
23 to have these things be safety grade, after all they are
24 not needed in order to justify plant operation. They
25 are just highly desirable to make the plant operation

1 more reliable.

2 On the trouble, if you remove redundancy, is
3 you lose the ability to auction one against the other.
4 If the one fails, then the likelihood is the other one
5 will still be working. If an operator sees that one is
6 giving one signal and the other one is giving another
7 signal, then his procedures can tell him how to resolve
8 the controversy. Or the instrument itself under some
9 conditions can have built-in auctioning principles that
10 choose one indication over the other. Choose the
11 prudent one rather than the unprudent one, for example.

12 There is another reason for making redundant
13 and that is, what happens if it is inoperative. Do you
14 require the plant to shut down and fix it? How long do
15 you allow it to operate before they can shut down and
16 fix it.

17 A number of operators expressed the view that
18 rather than face that question, if we have got to put
19 this thing on and we think that it is good for us to put
20 it on, let's put two of them on so we don't have to
21 worry about what happens if one of them is down.

22 CHAIRMAN PALLADINO: Even though you may say
23 that it is not absolutely necessary, once you put it in,
24 you rely on it.

25 MR. MATTSON: That is right.

1 CHAIRMAN PALLADINO: Then it is important.

2 COMMISSIONER GILINSKY: They are saying that
3 it is absolutely necessary. Once they are all in, they
4 will be absolutely necessary.

5 CHAIRMAN PALLADINO: That is true.

6 COMMISSIONER GILINSKY: They are not
7 absolutely necessary today. That is the way I
8 understand what they are saying.

9 COMMISSIONER AHEARNE: Roger, you have
10 described in a summary fashion all the tests that you
11 have done, all the analyses that you have done, which
12 have led you to have the confidence. Is it correct to
13 say that those are tests and analyses and reviews of CEs
14 and Westinghouse?

15 MR. MATTSON: Yes. In principle, the B&W
16 system ought to work much like the Westinghouse system.

17 COMMISSIONER AHEARNE: But you have just
18 finished telling us about all these tests and analysis.
19 You thought about all these things.

20 MR. MATTSON: None of that has been done on
21 the B&W system, either by them, by their owners, or by
22 us. There is a significant amount of work to do. I
23 don't want to kid you that that can be done overnight.
24 It has taken us two years to get to this point of
25 unanimity on Westinghouse and CE, and you can still see

1 there are residual questions today apparently.

2 CHAIRMAN PALLADINO: Roger, you asked level
3 indicator vendors what specific actions might be taken
4 by operators because of the level measurement that would
5 not otherwise be taken. I was wondering what their
6 response was, or what your response is, or both.

7 MR. MATTSON: I really gave an answer to that
8 question a few minutes ago when I described this window
9 between the loss of sub-cooling margin and the onset of
10 super-heat.

11 You can't say that an operator would do
12 anything specifically different. He wouldn't turn this
13 pump on or that pump off with or without the
14 instrumentation. All we can say is, whatever actions he
15 was taking suited to that situation would be inherently
16 more reliable if he knew they were helping or hurting
17 the situation he was in.

18 That situation can be changed by a number of
19 assumptions that I can make for you sitting here about
20 the performance of equipment, the performance of the
21 operator, or the situation that got him into the voiding
22 in the primary coolant system in the first place.

23 So the answer to the question is, a
24 significant increase in the reliability of operator
25 actions in that period of time.

1 CHAIRMAN PALLADINO: At least he will have
2 more confidence that what he is doing is done right.

3 MR. MATTSON: It might be time. Harold points
4 to this last sheet of the package of slides, which is
5 kind of a backup slide.

6 (Slide.)

7 It lists the kinds of things that you can use
8 inventory trending information for.

9 With the pumps running, you understand, there
10 is today in PWRs no real indication of voiding in the
11 primary coolant system. There are people who argue that
12 if you ran tests, you could do it on flow
13 instrumentation in the primary coolant system, and
14 primarily that is B&W. They may propose -- If we issue
15 orders and they have to supply this equipment, they may
16 propose, in fact, a correlation of flow measurement with
17 the pumps on to indicate inventory in the primary
18 coolant system.

19 COMMISSIONER AHEARNE: Isn't that were you
20 people came out in your recommendations to the CRGR?

21 MR. MATTSON: Yes.

22 MR. PHILLIPS: There was test in LOFT which
23 showed --

24 COMMISSIONER AHEARNE: I was just a little
25 confused.

1 MR. MATTSON: The difference is -- The reason
2 I hesitate is we said pump current, and that is what the
3 LOFT tests go to. B&W, in some discussions with me, may
4 in fact propose something other than pump current. They
5 may propose the flow instrument, which is a pressure
6 drop instrument.

7 In any event, today, in operating PWRs, there
8 is no indication of reactor coolant system void changes
9 with the reactor coolant pumps running. So this is not
10 only a unique indication, the one provided by the CE
11 system and the one provided by the Westinghouse system,
12 and be the only system, and we think that is important.

13 COMMISSIONER GILINSKY: Let's see, the
14 saturation meter doesn't work under those conditions?

15 MR. MATTSON: No. You are highly sub-cooled.
16 You are just pumping fluid that is increasing in void
17 content. It is getting more and more bubble. They form
18 in the core. They collapse as they are circulated
19 around the system and cooled in the steam generator, but
20 the mixed mean void content of the reactor coolant
21 system, for some reason or another, is continuing to
22 increase and the pumps are still running. That can
23 happen.

24 The pressure of the system may be coming down
25 very slowly, insufficient to get to the criterion for

1 tripping the reactor coolant pumps, and still you are
2 losing void. That something that would be nice to know
3 about the performance of the reactor coolant system. So
4 the first bullet here is an indication of reactor
5 coolant system liquid inventory, and clearly with the
6 pumps running.

7 CHAIRMAN PALLADINO: Does it matter whether it
8 is accumulating at the top of the core, or mixing in the
9 stream?

10 MR. MATTSON: As long as the pumps are on, it
11 is going to be mixing. It won't accumulate at the top
12 of the core. It could be accumulating in the
13 upper-head.

14 CHAIRMAN PALLADINO: That is what I meant, the
15 upper-head.

16 MR. MATTSON: With the pumps running -- Larry
17 watch me now -- if a void is collecting in the
18 upper-head, it won't be hurting anything. It will just
19 be collecting up there with the pumps running.

20 In the case of the CE system, the way you
21 measure the inventory increasing in the primary system
22 is by leakage flow into the upper-head where this fluid
23 is essentially stagnant. It is a one percent leakage
24 flow, and you detect a separated steam/liquid system in
25 that upper-head, and you can actually see the bubble

1 growing. You use the rate at which that bubble is
2 growing to tell the operator that down below the plate
3 -- What is the plate call up there?

4 MR. PHILLIPS: The guide tube support plate.

5 MR. MATTSON: Below that plate, where the pump
6 is mixing things, the inventory is trended upwards
7 because this bypass flow that then becomes stagnant in
8 the upper-head allow the steam to separate from the
9 liquid, and that bypass flow is telling the instrument
10 that the void is increasing, and that is a picture that
11 a 1 percent bypass flow rate of what is really going on
12 in the reactor coolant system.

13 In the case of the Westinghouse system --

14 CHAIRMAN PALLADINO: What do you do about
15 that, then? You have the pumps running, do you lower
16 the power?

17 MR. MATTSON: The procedures would tell the
18 operator whatever the procedures tell him to do for a
19 condition where he continues to lose inventory without a
20 large pressure decrease. If there is a large pressure
21 decrease, I probably am not in this situation because
22 the pumps have been turned off. So it is a narrow
23 window, and they would tell him, whatever your make-up
24 system is doing, it isn't cutting it.

25 CHAIRMAN PALLADINO: Does he always know that

1 he is in this narrow window, or might he be in some
2 other window where the observations give you different
3 conclusions?

4 MR. MATISON: The only way, if he is following
5 his procedures and the system is behaving as we
6 understand it to behave today, the only way that you can
7 lose inventory and not lose pressure is by a small leak
8 in the system.

9 The small leak may be right at the capability
10 of the normal make up system. It is just beyond the
11 capability of the charging system to make up the leak.
12 It is not a big enough leak to cause the high pressure
13 coolant injection portion of the emergency core cooling
14 system to turn on, and the pressure to decrease rapidly,
15 and the reactor coolant pump to be turned off. More his
16 inventory continues to go down for some reason. The
17 charging system isn't keeping up with it.

18 Today, the only indication you have of that in
19 a pressurized water reactor is some indirect measure in
20 containment. Maybe there was an iodine spiking going
21 on, and you get a radiation level. Maybe you were near
22 the tech spec limit with the primary coolant
23 radioactivity, and you would sense that. Humidity may
24 begin to increase in the containment, but the fan
25 coolers, the normal air conditioning system would

1 probably keep up with most of that.

2 So there wouldn't be anything other than some
3 nagging little indicators on the control room panel.
4 But if you had this instrument, it would be giving you a
5 clear indication that inventory is trending down for
6 some reason in the reactor coolant system. The pumps
7 are running, everything is going fine, but the inventory
8 is going down. The pressure drop is changing in the
9 case of the Westinghouse system --

10 CHAIRMAN PALLADINO: Would it be clear? Would
11 the procedures be clear enough to tell you what you
12 ought to do?

13 MR. MATTSON: Yes. We have looked at the
14 procedures. We have looked at the way --

15 CHAIRMAN PALLADINO: Just by example, what
16 kind of things would you do under those circumstances?

17 MR. MATTSON: I can turn to the Westinghouse
18 emergency procedure guidelines. Remember we are, at
19 this stage, reviewing guidelines, and not reviewing the
20 exact procedures.

21 CHAIRMAN PALLADINO: Yes.

22 MR. MATTSON: One of the things that we
23 recommend is that there be a two-step review of these
24 systems. One, the generic approval, which we are
25 prepared to give to the Westinghouse and

1 Combustion-Engineering systems; and then a plant
2 specific approval to make sure that the training and the
3 emergency procedure guidelines, and the control room
4 reviews have been done the way we think they should be
5 done before people turn this stuff.

6 So at the emergency guideline level of review,
7 the specific things that are in the Westinghouse
8 guidelines -- Let me see if I can turn and read them to
9 give you a feel: Symptoms for response to inadequate
10 core cooling. There are a bunch of instructions about
11 how to enter this step.

12 You go to FRC 1, response to inadequate core
13 cooling. When all symptoms, and any one of the
14 following symptom sets occur, the operator would have --
15 He has entered this, and being directed there from
16 someplace else in the procedures, and the first
17 parameter that is mentioned is thermal couples.

18 They say, there is a symptom set that if the
19 thermal couples are greater than 1200 degrees
20 Fahrenheit, he does one thing, and it directs him what
21 to do. If they are greater than 700 degrees Fahrenheit,
22 it directs him to do something else.

23 A containment condition, if he has got an
24 abnormal containment condition indicated on the console
25 in conjunction with a thermal couple greater than 700

1 degrees Fahrenheit, then that tells him something
2 specific to do.

3 It goes on to reactor coolant pump status. If
4 any of them are on. If all of them are off. The
5 combinations of that with these other indices.

6 CHAIRMAN PALLADINO: The simple answer to what
7 I was asking is "bring in more water," I presume.

8 MR. MATTSON: That is right.

9 (General laughter.)

10 CHAIRMAN PALLADINO: The question is, I
11 presume that is generally the right thing, unless you
12 have thermal shock problems.

13 MR. MATTSON: The how question is important to
14 the operator. Your question of, are there different
15 circumstances clearly ties to your question of what do
16 you do. You bring in more water, but under different
17 circumstances, by different routes.

18 MR. DENTON: Because of these complexities, we
19 envision that the implementation of these would require
20 development of procedure for how they would be used at
21 that particular plant, as Roger said, incorporation in
22 the training program, training of operators, do the job
23 task analysis to make sure that it all fits, then begin
24 to use it.

25 Rather than just stick it in and play with it,

1 we are proposing an approach in which it would be fully
2 understood by the operators before they started relying
3 on it, and they would incorporate it in their normal
4 procedures and they would train their people to use it.

5 MR. MATTSON: I have essentially covered all
6 the stuff in this package except the cost/benefit work
7 that we did for the CRGR, if you are interested, that is
8 at page 5. It would be a complete shift in emphasis, so
9 if you are not prepared --

10 COMMISSIONER GILINSKY: There is another slide
11 which covers the status of things.

12 MR. MATTSON: Yes, and I have not covered
13 that. I could turn to that next.

14 CHAIRMAN PALLADINO: If you want to continue
15 with the technical questions, I just have two more.

16 MR. MATTSON: Okay.

17 CHAIRMAN PALLADINO: What is the extent of
18 upgrading the core exist thermal couples that the staff
19 envisions as necessary if we approve this paper?

20 MR. MATTSON: The stuff that is in place
21 inside the vessel essentially stays unchanged. The
22 cables and transmitters between the vessel and the
23 containment would have to meet environmental
24 qualification and seismic requirements for a minimum
25 number, not all 50 thermal couples that are in most

1 plants. I think a number of 16 would have to meet the
2 environmental qualification and seismic design
3 specifications.

4 Outside, in the control room, for example, the
5 range of indication is much wider than it was before, so
6 they have to change out the reading instrument and that
7 kind of change.

8 CHAIRMAN PALLADINO: And it is well defined?

9 MR. MATTSON: Yes, those are all defined in
10 NUREG-0737, Appendix B, if I remember correctly.

11 CHAIRMAN PALLADINO: Then the other, I guess,
12 I would like to have a better understanding of why the
13 staff does not recommend approval of the B&W instrument
14 design, and what you would do to make it work -- What
15 you are going to force them to do, if you force them to
16 do something.

17 MR. MATTSON: There are a couple kinds of
18 problems between us and B&W and the B&W owners that
19 remain today. One problem we have already discussed.
20 They have not done the detailed engineering. They have
21 not done the detailed systems integration.

22 COMMISSIONER AHEARNE: Could I ask a
23 question?

24 Joe, you said, approved the B&W design.

25 CHAIRMAN PALLADINO: They had a concept,

1 excuse me.

2 COMMISSIONER AHEARNE: But did you have more
3 information?

4 CHAIRMAN PALLADINO: No, I was just
5 remembering the last time. They had a concept, and it
6 did not seem unreasonable.

7 MR. MATTSON: I think I am going to address
8 that.

9 CHAIRMAN PALLADINO: All right.

10 MR. MATTSON: The first point is that they
11 have not done the details. The second point is, the
12 conceptual design level, which they have shown to you a
13 year ago and which they have been showing to us, which
14 at least one B&W licensee has proposed for its plant, we
15 have a problem with the conceptual design, and that
16 problem has to do with where they measure inventory and
17 level.

18 Primarily, they do not propose, in the
19 operating plants at least -- one plant under
20 construction does, I guess, they don't propose to
21 measure levels in the upper-head, and we think that it
22 is essential that they measure in the upper-head. We
23 want the system to include that like it does for
24 Westinghouse and Combustion-Engineering.

25 COMMISSIONER AHEARNE: They insist on

1 measuring it just in the candycane?

2 MR. MATTSON: In the upper-regions of the
3 candycane.

4 There is a second difference we have with the
5 conceptual design, it wouldn't even go down to the
6 hotleg for the candycane.

7 COMMISSIONER GILINSKY: What is the last thing
8 we have told the owners of these plants to do, and have
9 they answered our request?

10 MR. MATTSON: The last thing is an indication
11 from the Commission meeting now nearly a year ago that
12 there was a lot of confusion in this area, that we had
13 set upon a course of rethinking the whole thing from the
14 ground up. They have participated as owners groups and
15 as vendors in helping us cost out the equipment and
16 tried to resolve this controversy.

17 They are waiting for your decision frankly at
18 the moment for Westinghouse and Combustion to proceed
19 with installation and turning on their systems. There
20 are plants that are installed, calibrated, and only
21 waiting for me to say, turn them on. At this point,
22 because of the uncertainty, I have not done that.

23 There is another group of plants, the B&W
24 plants, they haven't said this to me formally --

25 CHAIRMAN PALLADINO: You are getting too far

1 away from what I was trying to understand and I am
2 afraid we are going to lose it because it is crucial to
3 me.

4 I got your point that we were not doing the
5 top head. What else?

6 MR. MATTSON: That is all. The difference
7 over, we have not seen the details, and we would have to
8 see those before we would approve it. We want the
9 design concept to be expanded.

10 CHAIRMAN PALLADINO: Do they have a design
11 concept that would measure the voids in the upper part
12 of the head?

13 MR. MATTSON: I believe in the WPPSS plant now
14 under construction, we have on the docket for WPPSS a
15 conceptual level of design, no design details that say
16 they would include the upper-head in their system.

17 MR. PHILLIPS: One correction. They haven't
18 proposed formally anything that would measure the void
19 content with the pumps running, and that is the reason
20 we have said that we would accept pump current or pump
21 power. We have checked that out in LOFT, and we feel
22 that they could justify such a system to operate on
23 essentially the same principle as the Westinhouse
24 system. That has not been proposed formally, but they
25 have rather informally discussed it.

1 CHAIRMAN PALLADINO: What would we tell them,
2 if we say, go develop the system?

3 MR. MATTSON: The proposal is to issue orders
4 to all the B&W plants saying, in 90 days, tell us what
5 design you have chosen, confirm that it meets the
6 requirements that we have been discussing here -- It has
7 to be in the upper-head. It has to work with the pumps
8 on and the pumps off. It has to be over the full hotleg
9 -- confirm that it meets those. Tell us when you are
10 going to supply the design details, so that we can
11 review them, and tell us when you propose to install
12 them in your plant.

13 COMMISSIONER GILINSKY: Can they do that in 90
14 days?

15 MR. MATTSON: Absolutely.

16 COMMISSIONER ROBERTS: Is that a reasonable
17 time?

18 MR. MATTSON: Yes, it is reasonable time.

19 COMMISSIONER AHEARNE: Is it --

20 MR. MATTSON: All it is is a commitment to a
21 schedule.

22 CHAIRMAN PALLADINO: Except for one thing.
23 You said, confirm that that works.

24 MR. MATTSON: No. Let me say it again. The
25 idea -- It says January 1 in the paper, but it was

1 really 90 days which seemed to us to be a reasonable
2 time period for the B&W operators, the B&W owners, the
3 B&W licensees, to respond with: Here is the system we
4 have chosen. Here is when we will meet. Here is when
5 we will supply the design details. We agree to meet the
6 criteria that you have specified in the order you issued
7 to us. Here is when we will install this whole thing.

8 COMMISSIONER AHEARNE: In principle, is there
9 any reason they couldn't install either the Westinghouse
10 or the CE systems?

11 MR. MATTSON: No, they could do that. They
12 could purchase either system.

13 COMMISSIONER AHEARNE: So, Joe, as we pointed
14 out earlier, it is not unreasonable for us to order them
15 to do that because they have been absolutely adamantly
16 refusing. There are two other systems.

17 I am sure that B&W and its owners would prefer
18 to use a B&W system, but they have refused to develop
19 it. So I think at some stage, we could very well order
20 them to meet a deadline which would them to go and buy
21 the other systems.

22 CHAIRMAN PALLADINO: I wasn't against it. I
23 wanted to know what they were going to order them to
24 do.

25 MR. MATTSON: Require them to make up their

1 mind and tell us when they are going to get it
2 installed.

3 The one slight hooker in what you said and
4 what I said --

5 COMMISSIONER AHEARNE: You said it, I didn't.
6 I asked the question, you answered it.

7 MR. MATTSON: The Westinghouse system, we are
8 satisfied with for the Westinghouse pump. We would have
9 some questions about using the Westinghouse system with
10 the pumps running in the B&W plant. We may be able to
11 get over those questions. But the CE would clearly
12 work.

13 COMMISSIONER GILINSKY: Let me ask you this.
14 Are the B&W owners in compliance with the directives or
15 requests that we have made?

16 MR. MATTSON: Yes. We have never issued any
17 formal requirement whatsoever to install a level or
18 inventory tracking system.

19 COMMISSIONER GILINSKY: Or to supply a
20 design?

21 MR. MATTSON: The staff has taken a position
22 in some hearings, and in licensing new plants that we
23 think it is highly desirable and the stuff ought to be
24 added. But remember, the original requirement coming
25 out of Lessons Learned and the Action Plan, and those

1 places, was: Put the thermal couple improvements on.
2 Put the sub-cooling margin monitor on.

3 We are clear that is a requirement. Now study
4 and propose designs to fill in any holes in inadequate
5 core cooling that are left. It is the controversy over
6 what the holes are and how to fill them, and how to make
7 sure you are doing something good for safety, instead of
8 something bad for safety, that we have been embroiled in
9 in the last year, trying to agree finally on what are
10 the holes and how do you fill them.

11 CHAIRMAN PALLADINO: Okay.

12 COMMISSIONER AHEARNE: Could I ask a
13 question?

14 MR. MATTSON: Our proposal is clearly to make
15 it firm now that they are required, for those people who
16 haven't committed. That slide we had up, No. 6, says
17 that 32 plus 21 -- 53 people have committed to put
18 something in we think is acceptable, required or not.

19 COMMISSIONER GILINSKY: Every Westinghouse and
20 CE.

21 MR. MATTSON: Every Westinghouse and CE PWR.

22 COMMISSIONER AHEARNE: In fact, a large number
23 of them are in.

24 CHAIRMAN PALLADINO: There is only one thing
25 about a 90-day period. We may say, yes, the

1 Westinghouse system will work, or the CE system will
2 work. It might work with, perhaps, some other
3 modifications that we might overlook if we try to force
4 it too quickly.

5 MR. MATTSON: I am not writing an SER for the
6 staff today. I am saying, it can be made to work.
7 There would have to be a review.

8 CHAIRMAN PALLADINO: I don't want them to make
9 such a hasty commitment that we say, Oh my God, I wish
10 we had seen that.

11 COMMISSIONER ASSELSTINE: Roger, would the
12 time period that you are proposing for the B&W plants
13 --

14 MR. MATTSON: Hang on just a second, let me
15 tie a knot on this, so that we can clear up the
16 uncertainty.

17 The reason I am satisfied that that can happen
18 is because there are Westinghouse plants that have
19 bought CE systems. The CE system will work on other
20 designs. The reasons that they have done that are
21 complex. They have to know how many penetrations they
22 have, whether they have pressure taps, or whether they
23 have to cut holes in the primary system. Important
24 questions, and the design flexibility between the CE and
25 Westinghouse design is nice to have.

1 CHAIRMAN PALLADINO: But the people that
2 proposed that may have taken longer than 90-days to
3 reach that point, and that is all I am trying to say.

4 MR. MATTSON: I don't think it is fair to say
5 that the B&W owners have been sitting back doing nothing
6 in the last year. They have been watching this
7 controversy quite closely. They have had an opportunity
8 to watch this controversy very closely.

9 CHAIRMAN PALLADINO: Let's not be so arbitrary
10 that we wish we had given them more time to look at what
11 --

12 COMMISSIONER AHEARNE: We have given them --

13 COMMISSIONER GILINSKY: I must say that we
14 have given them an awful lot of time.

15 CHAIRMAN PALLADINO: No. The plants that have
16 come in and said, "We want to use -- The Westinghouse
17 plants that have come in and said, "We want to use a CE
18 device," we have given them much more thought than you
19 might have given in 90 days to reach that decision. I
20 am anxious to get where we want to go, but when I get
21 there I want to make sure that we have the whole family
22 with us.

23 COMMISSIONER ASSELSTINE: Does the 90-day time
24 period require in all cases the B&W plants will either
25 have to buy a Westinghouse or CE system?

1 MR. MATTSON: I don't believe so. I am
2 satisfied --

3 COMMISSIONER ASSELSTINE: So they have the
4 option for coming up with their own design.

5 MR. MATTSON: I am satisfied that B&W had done
6 the design work a year ago to meet his 90-day
7 commitment.

8 MR. DENTON: We really don't know what is
9 behind the scenes. Obviously, B&W has participated
10 fully in all the meetings and dialogue that we have
11 had. They may well have the capability to supply it
12 once it is required.

13 MR. MATTSON: For one thing, WPPSS bought such
14 a system from B&W already, and has put on the docket for
15 the WPPSS of application that they will put it in. So
16 somebody has done the work.

17 MR. PHILLIPS: B&W says that their system will
18 work. They say that it is not even a problem. They can
19 design a system that will work. Their question is the
20 cost/benefit of installation.

21 MR. DENTON: I think on the number of days,
22 there is nothing magic about the picking of 90. It
23 seemed consistent with our normal inquiry for
24 commitments. Any other number of days is as good as
25 another.

1 COMMISSIONER AHEARNE: Two minor questions, I
2 guess.

3 I have not seen an ACRS letter out of the most
4 recent meeting you had.

5 MR. MATTSON: I don't expect there will be
6 one. It was a 20-minute briefing of the full committee,
7 no significant objection to what they heard was going
8 on, and I don't expect them to write. Their last letter
9 said, "It looks like you are on the right course. We
10 will stay in touch."

11 COMMISSIONER AHEARNE: That was the letter in
12 April, I believe, and it said, "It looks like you are on
13 the right course," but it was a little more, I guess,
14 qualified. There was the one that also had --

15 MR. MATTSON: There were some qualifiers in
16 the letter, and that is why I took the opportunity to go
17 down there last week, to make sure that they had no pain
18 over our moving forward.

19 COMMISSIONER AHEARNE: It said, "We believe
20 the current approach of the NRC staff for dealing with
21 the problem has sufficient merit that it should continue
22 in proposed direction. We plan to continue our review
23 of this area as further developments occur." They were
24 agreeing with the following tentative conclusions of the
25 NRC staff.

1 MR. MATTSON: Commissioner, the only thing
2 that has really changed on the question of ambiguity,
3 and what are you trying to achieve, since they wrote
4 that letter -- the only thing that has changed is
5 cost/benefit.

6 COMMISSIONER AHEARNE: My question really was,
7 obviously, if you talked to them a week ago, or two
8 weeks ago, you were at that stage saying, "These are now
9 more than just tentative conclusions."

10 MR. MATTSON: Yes.

11 COMMISSIONER AHEARNE: You have reached
12 conclusions because you are willing to recommend putting
13 orders in.

14 MR. MATTSON: That is right.

15 COMMISSIONER AHEARNE: I wondered whether the
16 ACRS was going to respond to that.

17 MR. MATTSON: There was nodding around the
18 room. Mike Benier replied to the effect, "I know you
19 are moving forward --

20 COMMISSIONER GILINSKY: There are several
21 possibilities.

22 (General laughter.)

23 MR. MATTSON: You just got me in an awful lot
24 of trouble. I want the record to be clear that that is
25 your interpretation and not mine.

1 (General laughter.)

2 COMMISSIONER AHEARNE: The second question
3 relates to the October status summary paper that you
4 have supplied in this package.

5 MR. MATTSON: Yes.

6 COMMISSIONER AHEARNE: In the middle of it, in
7 discussing one of the options, you are talking about
8 what you mean by deleting environmental qualification
9 requirements.

10 MR. MATTSON: Could you refer me to the page?

11 COMMISSIONER AHEARNE: It is in the
12 introduction section, so it would be pages 1 and 2.

13 CHAIRMAN PALLADINO: Which enclosure?

14 COMMISSIONER AHEARNE: This is enclosure 9, it
15 is the August 19 Stello paper, and it is a summary of
16 the report dated October 1982.

17 MR. MATTSON: Yes.

18 COMMISSIONER AHEARNE: You talk about what you
19 mean by deleting environmental qualification and you
20 say: "This option, when we say delete environmental
21 qualification, we mean that there need be no
22 qualification by testing. But that the equipment would
23 be expected by design or analysis to survive and
24 function under design basis accident conditions."

25 It seems to me what you are saying is,

1 deleting environmental qualification means deleting
2 testing, but it must be qualified by design analysis.

3 MR. MATTSON: That is what we tried to say.
4 It was an interesting experiment, but it didn't work.

5 What we were after in the cost/benefit
6 exercise was to try to answer the question of whether
7 there was something less than full safety grade type
8 requirements that would save some money, speed
9 implementation, but still meet the safety function that
10 we were after.

11 COMMISSIONER AHEARNE: It sounds like your
12 description was, you still want it to be environmentally
13 qualified, but the way of achieving that qualification
14 did not require testing.

15 MR. MATTSON: Yes, that would save them some
16 money, and if they knew a way to do that, could they do
17 it.

18 COMMISSIONER AHEARNE: Right.

19 MR. MATTSON: The answer we got back was that
20 they didn't understand that. You have beaten on them so
21 hard with the environmental qualification rulemaking
22 that all they understand today is testing. They really
23 were unable, as an industry, to answer the question in
24 any meaningful way. "We don't know what EQ means
25 without testing" was in essence their response. We

1 tried to see --

2 COMMISSIONER AHEARNE: Yes. I was having
3 difficulty with that myself.

4 MR. MATTSON: Yes. We tried to see if there
5 was a difference that could slide the bologna a little
6 finer, to make it easier to implement, and still meet
7 the safety function, but it didn't work.

8 COMMISSIONER AHEARNE: All right.

9 CHAIRMAN PALLADINO: Incidentally, in the ACRS
10 letter of April 6, we still have these comments by
11 Bender and Lewis. Bender is saying, "The proposed
12 systems are not unambiguous and their response under all
13 circumstances -- He says, "It would have been of
14 doubtful value at Ginna or even the TMI accident
15 system," speaking of the DP system.

16 MR. MATTSON: Yes. We very much disagree with
17 the comments.

18 CHAIRMAN PALLADINO: But the early assurance
19 about all the people being together --

20 COMMISSIONER AHEARNE: He didn't say that. He
21 said --

22 MR. MATTSON: There are exceptions on the
23 committee -- two.

24 CHAIRMAN PALLADINO: Exceptions of rather
25 knowledgeable people.

1 MR. MATTSON: Yes, sir.

2 COMMISSIONER AHEARNE: They are all
3 knowledgeable people, that is why they are there.

4 (General laughter.)

5 CHAIRMAN PALLADINO: Are there other
6 questions?

7 COMMISSIONER AHEARNE: On page 4 of this
8 particular paper that you have sent down, you say, "It
9 was judged that a net safety benefit of some unknown
10 magnitude exists." Did you do any estimates?

11 MR. MATTSON: I didn't, and my staff didn't,
12 but the CRGR staff did. It was more of the kind of
13 thinking they had done, and we had a blackboard
14 discussion at the CRGR meeting.

15 There are those who would argue that there is
16 a tenfold improvement in the reliability of the
17 operator's performance to cope with an accident. It
18 would be like adding a branch in an event tree in a PRA
19 assessment. It would be a factor of ten.

20 I have some difficulty with that kind of
21 argument, because I would content that no matter which
22 reliability improvement for the operators you took to a
23 discussion, you could assign the same factor of ten.
24 This would be a factor of ten. SPDS would be a factor
25 of ten. Some other parameter that you wanted to measure

1 that was important in the primary coolant system would
2 be a factor of ten. You would keep using it over and
3 over, and it wouldn't be a true factor of ten.

4 We tried that at the blackboard with the CRGR
5 staff, Matt Taylor, who you know came from the Reactor
6 Safety Study and worked in the Probabilistic Analysis
7 staff here for a number of years, very good, one of our
8 more accomplished practitioners of that art.

9 You can make numbers, very big uncertainties
10 for the reasons I have just described, and you can
11 compare, for example, the risk to the people offsite to
12 the people who have to install these things -- 30 to 50
13 manrem just to install the inadequate core cooling
14 package.

15 That kind of work was done, and the CRGR
16 concluded on balance, having considered those kinds of
17 things, that we should go forward with this
18 instrumentation as being highly desirable. It is a
19 qualitative judgment doing the best you can with
20 quantitative analysis.

21 COMMISSIONER AHEARNE: I realize you are not
22 here to speak for the CRGR, but the paper that you sent
23 down does say something about them. It says, "The CRGR
24 concluded that it is sufficient to require only a void
25 indication inventory tracking system." My impression

1 was that they could have required more because this is
2 what industry has been able to come up with.

3 MR. MATTSON: can you show what you are
4 reading, I want to make sure I understand the context
5 before I try to answer it.

6 COMMISSIONER AHEARNE: It is page 3, the last
7 paragraph, "Enclosure 6." The paragraph that starts
8 "Enclosure 6."

9 MR. MATTSON: We have a problem, you have a
10 paper that we don't have.

11 COMMISSIONER AHEARNE: It is you paper 82-48.

12 CHAIRMAN PALLADINO: It is your basic paper.

13 MR. MATTSON: We don't have our basic paper.
14 The system functions in such a way that the originators
15 get it after you get it.

16 CHAIRMAN PALLADINO: I was going to compliment
17 you.

18 MR. MATTSON: If we had delayed the briefing
19 one day, we would have had it.

20 COMMISSIONER AHEARNE: Do you agree with
21 everything that is in there?

22 MR. MATTSON: We wrote it, so we should.

23 Page 3, the last paragraph --

24 COMMISSIONER AHEARNE: You see where it says,
25 "However, CRGR concluded that it is sufficient to

1 require only a void indication and inventory tracking
2 system." I was just trying to clarify.

3 My impression was that they couldn't have
4 required more because these couple of years that you
5 have been going through have been a process of trying to
6 find out what could industry provide, and they are
7 proposing to provide something which turned out to be
8 those two.

9 MR. MATTSON: That is part of what it means.
10 But it is also maybe a clumsy attempt on our part to
11 give credit to CRGR for finally beating through our
12 thick skulls that to build the world's most reliable and
13 best level indicator was not what we wanted and it
14 wasn't even possible. It was inventory trending that we
15 were really trying to satisfy, and that could be
16 achieved unambiguously, not level. That is what that
17 sentence is trying to communicate. Not that we studied
18 whether to require more, it is that we are giving them
19 credit for having made us realize that.

20 COMMISSIONER AHEARNE: But isn't it also true
21 that these last two year processes reached the
22 conclusion that if you want to require something now,
23 this is what you can require. To require more isn't
24 within reach.

25 MR. MATTSON: That is right.

1 CHAIRMAN PALLADINO: Are there more
2 questions?

3 COMMISSIONER GILINSKY: I would just like to
4 have Carl Michelson's thoughts on this, if he has any
5 that he wants to share with us.

6 CHAIRMAN PALLADINO: Carl.

7 MR. MICHELSON: Do you want me to talk from
8 the table?

9 I would like a clarification of on which
10 subject you want to talk. Is it the ones discussed or
11 some others?

12 COMMISSIONER GILINSKY: The general usefulness
13 of these instruments and how we ought to approach the
14 question of putting them in the reactors.

15 MR. MICHELSON: I, of course, have been on
16 record a long time strongly advocating level
17 indication. I have seen nothing transpire in the last
18 two years or so that would change my opinion as to the
19 need for level indication.

20 There have been, of course, during these past
21 two years thoughts about including level indication to
22 the bottom of the vessel. I would have considerable
23 difficulties with extending level indicators to the
24 bottom of the vessel, keeping in mind that a level
25 indicator is really monitoring the density of a fluid,

1 and that the density variation up through the core is
2 quite significant and you don't know how it is changing
3 through the core. Therefore, the indication from the
4 top of the core to the top of the vessel is the only one
5 that I thought was ever meaningful and that was is, I
6 believe, the only one that the staff is really is asking
7 for. So I would agree with that completely.

8 I have some question about knowing how to
9 measure void fraction based on delta Ps. The discussion
10 was a little confusing when it talked about the pump
11 versus the rest of the system. Either it is important,
12 of course, to know what the flow rate is, some sort of
13 mass void, volumetric flow rate, or something.

14 So you have to complicate the issue by how do
15 you know what the flow rate is, because only if you know
16 what the flow rate is, do you know how to interpret the
17 delta P, and I didn't hear any discussion of the flow
18 rate.

19 MR. MATTSON: The constant volume that they
20 are displacing.

21 MR. MICHELSON: That is not quite the way they
22 work under two-phase conditions, though.

23 MR. MATTSON: That part of the degrading, the
24 drawing more power, vibration, that sort of thing, that
25 is what I meant when I said that it had been tested with

1 high void fractions and everything in-between high and
2 low void fractions in the test in France.

3 That problem has been addressed, but it is
4 correlated for a constant volume, a constant speed of
5 the pump, except as that speed degrades. As that speed
6 changes with the changing fluid conditions, the
7 inaccuracy goes up, but the trending is accurate. The
8 trending is still valid. The inaccuracy, can you tell
9 whether you have got 80 percent void or 75 percent void,
10 no. Can you tell whether you are increasing or
11 decreasing void, yes.

12 CHAIRMAN PALLADINO: Is that unambiguous if
13 the pressure is also changing? The density is quite
14 different from one pressure or another. Are the
15 indications just as clear?

16 MR. MATTSON: With the pumps running, the
17 pressure won't be changing rapidly. It might be
18 changing slowly.

19 CHAIRMAN PALLADINO: It might be enough to
20 confuse the situation.

21 MR. MATTSON: But not the trend. As the void
22 fraction increases --

23 CHAIRMAN PALLADINO: Yes, especially the
24 trend. This is another trend going another way.

25 MR. MATTSON: At any point in time, it could,

1 you are right. It could, but given a stable situation
2 or a slow changing pressure situation, a monotonic
3 pressure, a slow pressure change like a small leak in
4 the system, where the pumps are running and where you
5 would be interested in inventory, it is still a valid
6 trending device.

7 If the pressure were doing this --

8 CHAIRMAN PALLADINO: There were times when the
9 pressure was doing that.

10 MR. MATTSON: But unless the void fraction
11 gets significant, and you are on the verge of turning
12 pump soft, that is going to be a small perturbation in
13 what is happening.

14 CHAIRMAN PALLADINO: I am sorry, I didn't mean
15 to interrupt Carl's presentation. But changes in
16 pressure is one of the things that I hope you have
17 examined and feel that the operator really has a clear
18 signal as to what he ought to believe.

19 MR. DENTON: We will make sure that it has
20 been looked at, if it hasn't.

21 COMMISSIONER AHEARNE: You are sure that it
22 has been?

23 MR. MATTSON: It has been.

24 CHAIRMAN PALLADINO: I am sorry, Carl.

25 MR. MICHELSON: What I was saying was a little

1 unclear to me, of course, not having had the benefit of
2 any of the earlier presentations on the subject, I did
3 not quite follow how it was possible to monitor delta P
4 alone in such a situation, without also somehow monitor
5 flow velocity or something of that sort, because the
6 two, obviously, are quite related, and it was not clear,
7 then, how that would even work. But I am sure that it
8 has been taken care of.

9 There are a lot of other situations that we
10 have discussed in the last couple of years, including an
11 earlier discussion before the Commission by myself and
12 others on the problems of multiple loss of coolant and
13 secondary side failures occurring at the same time,
14 leading to confusion on the part of the operator.

15 This might be compounded by steam tube
16 rupture, and in essence this is what happened at Ginna,
17 where they had primary side leak, secondary side leak,
18 and steam tube concurrently. These are very confusing
19 situations and I think Roger pointed out that this is
20 one of the reasons for level indication, and indeed an
21 important one.

22 Another confusing situation which he did not
23 mention, which is also an important reason for level
24 indicator, is the case wherein operators during such
25 incident, for one reason or another, lay by a steam

1 generator with hot water on the secondary side, and then
2 as they proceed to mitigate the incident, there is a
3 point in time when that steam generator becomes the
4 pressurizer for the system and starts to void the
5 primary side tubing in a steam generator and transfers
6 the inventory to some other part of the system.

7 Under these circumstances --

8 COMMISSIONER GILINSKY: This is when you have
9 a leak in the tubes?

10 MR. MICHELSON: Yes, and it happened at TMI.
11 They laid by the steam generator, because they thought
12 it was leaking. Later on they brought it back in
13 again.

14 The problem you get into, of course, is that
15 the sub-cooling monitors don't understand this
16 situation, and when the inventory starts to move around,
17 the situation could even appear to be sub-cooled where
18 the monitor instrumentation is located. Again, level
19 indicators are very fine because you will suddenly see a
20 rapid rise in level in this pressurizer, even a slow
21 rise, and you would be under the impression that things
22 are getting better, when in essence all that was
23 happening is that you are slowly voiding the tubes on
24 the laid by steam generator.

25 Vessel level indicators are very helpful in

1 situations like this. At least, too, they help to
2 understand what is happening as a transition occurs.

3 I think the final argument for level
4 indication is that it will help in the situation we just
5 haven't thought of yet. It is one more indication of
6 what is happening, which could be very valuable. As in
7 the case of TMI, it would have been very nice in that
8 case to have had such an indicator, and there may be
9 some other situations that we haven't thought of whereby
10 it would be very important.

11 CHAIRMAN PALLADINO: Tom, or Jim, do you have
12 other questions?

13 COMMISSIONER AHEARNE: Can I, do you have any
14 sense of the relative value for Westinghouse/CE versus
15 B&W?

16 MR. MICHELSON: Do you mean as the type of
17 instrumentation?

18 I am really not qualified because I have not
19 followed the development of the CE device. I am aware
20 of its general principles of operation. I questioned
21 some of the things earlier on, but I think those things
22 were taken care of. So far as I know, it should be a
23 viable instrument.

24 COMMISSIONER GILINSKY: I think that John was
25 asking whether it might be important more often in a B&W

1 machine.

2 MR. MICHELSON: In the B&W machine, one of the
3 most important instruments is the hotleg level
4 indication, which perhaps the CE device could be used
5 for, but I don't think that it has ever been proposed
6 for that purpose.

7 MR. MATTSON: That's right.

8 COMMISSIONER GILINSKY: So you are after a
9 combination of the CE device plus a change in difference
10 in pressure measurement, a combination of the two.

11 MR. MICHELSON: If you are to cover both
12 hotlegs and vessels, then you will want to use the CE
13 device in the vessel, yes, then, you would end up with a
14 combination.

15 MR. MATTSON: Nobody proposed to put a meter
16 junction thermal couple chain down in the hotleg.

17 MR. MICHELSON: Right.

18 COMMISSIONER GILINSKY: To return to the
19 previous question, are we more likely to need such an
20 instrument in a B&W machine because of the design of the
21 steam generator?

22 MR. MICHELSON: I will only express my own
23 opinion on that question. In my opinion, it is more
24 important to have level indication on a B&W type reactor
25 than it is on a CE. If I had a choice to only handle

1 one or the other, I would certainly instrument the B&W
2 first, and that means both hotleg and the top of the
3 vessel.

4 CHAIRMAN PALLADINO: So you would say that it
5 wouldn't be enough just to put, for example, a CE
6 design.

7 MR. MICHELSON: It would be my opinion in that
8 you would handle part of the problem, but not all of the
9 problem in the case of B&W.

10 MR. MATTSON: We don't quarrel with that.
11 Maybe we were speaking in too much shorthand when we
12 discussed this before. We could put a CE system on and
13 monitor voiding in the vessel in the B&W. It would not
14 tell you about voiding in the candycane and with a no
15 pumps off or on situation.

16 MR. MICHELSON: There is one other situation
17 that wasn't mentioned this morning, which I had
18 mentioned to Roger and discussed in the past. AEOD has
19 sent out letters on it. That is, we are somewhat
20 concerned about the case of upper-head injection plants,
21 particularly where as a consequence of the event, the
22 UHI has been intercepted and shut-off before we reached
23 UHI injection pressure. Void proceeded to form at the
24 top of the vessel, and might have even filled it. The
25 UHI plants are quite a good arrangement for void

1 formation because they are so well thermally separated
2 from the balance of the circulating system.

3 The concern would be, of course, to suddenly
4 inject cold water at a later date into that voided
5 vessel. I am not quite sure what all would happen, and
6 it certainly needs to be looked at in detail.

7 MR. MATTSON: Carl is worried about the
8 situation where the operator knows he has got a void,
9 and if he doesn't have that kind of instrument to tell
10 him about the growth or collapse of the void, he might
11 reach for the UHI button to put water up there and
12 collapse that void.

13 He would like to see that avoided, if it can,
14 because the system wasn't designed to be used that way.
15 He is worrying about thermal shock, and collapsing of
16 bubbles in the upper head, and cycling of nozzles and
17 things that go along with that. This would help avoid
18 that kind of situation.

19 CHAIRMAN PALLADINO: Was the question of
20 thermal shock considered in your evaluation of the use
21 or the actions that might come out of the information?

22 MR. MATTSON: Sitting in the back of your mind
23 is the worry that there are competing interests that the
24 operator has to satisfy. One is to not shock the
25 pressure vessel, and the other is to cool the core, and

1 not in that order.

2 If an operator becomes too much concerned with
3 the void interrupting core cooling to the point that he
4 takes precipitous action to collapse it, the way he does
5 that is by pressurizing and cold water, and heat removal
6 from the primary system. That is in the wrong direction
7 for pressurized thermal shock.

8 So even though it may be necessary to throw a
9 lot of cold water at a core sometime, you want to know
10 that it is necessary before you run that thermal shock
11 risk. And this gives him more information about whether
12 that bubble is really bothers it.

13 MR. DENTON: It will help to make the right
14 decisions under those circumstances.

15 MR. MICHELSON: There is a particular aspect,
16 of course, to this UHI question that is related to more
17 than simply thermal shock of a vessel.

18 The UHI injection pipe is a long vertical pipe
19 coming up from the head to about 40 feet or so above
20 before it makes a right angle turn. In the process of
21 the voiding that we are talking about, that pipe is the
22 first thing to fill with steam. As it becomes steam
23 filled, then the vessel head proceeds to become steam
24 filled later.

25 So the cold water is really hitting this very

1 long extended pipe first. The hydraulic effects of cold
2 water in the steam filled regions can create certain
3 perturbations called hydraulic hammers, steam hammers,
4 or whatever.

5 So it is a considerable concern to have these
6 perturbations in that pipe because in the earlier UHI
7 plants, at least, the design of the attachment of that
8 pipe to the vessel was a rather weak one. The reason
9 being is that it was put in afterwards, and so there was
10 some very limited welding procedures that were
11 permitted, and heat treatment procedures that were
12 permitted.

13 So it is very important to keep the stresses
14 in that nozzle to very low values, and of course this is
15 not in the direction of keeping stresses to low values.
16 It is unknown. In fact, it is difficult to analyze what
17 kind of stresses you might induce. So I think it is
18 important that it be looked at carefully or, better yet,
19 make sure that it never happens.

20 COMMISSIONER GILINSKY: How many plants are we
21 talking about here

22 MR. MICHELSON: They are talking about a
23 handful.

24 MR. DENTON: We are talking about the more
25 recently licensed plants, starting with Sequoyah, which

1 was the first USI plant.

2 MR. MATTSON: This is not something that is
3 new to the safety review. It was addressed.

4 MR. MICHELSON: We have discussed this.

5 MR. MATTSON: You reach a point where you
6 can't say that it is impossible. You can say that it
7 has been considered. It has been included in the
8 design, and it has been included in the review. It is
9 still possible to have water hammer events. It happened
10 in steam generators. It happened in ancillary systems
11 for reasons that you can't anticipate.

12 The point of this discussion today, though, is
13 whether the level indicator helps or hurts that
14 problem. It helps that problem.

15 COMMISSIONER GILINSKY: I understand that it
16 is desirable.

17 COMMISSIONER AHEARNE: One quick question on
18 the cost/benefit. Could you explain why on the
19 sub-cooling margin monitor, the costs for forward fit or
20 backfit?

21 MR. MATTSON: If you read the CRGR letter, and
22 the Commission paper closely, you will notice that we
23 have put some qualifiers on the utility of these
24 numbers, and that is a good example of one.

25 COMMISSIONER AHEARNE: You have a very strong

1 qualifier.

2 MR. MATTSON: The reason is that some people
3 who provided us estimates of the costs only provided us
4 with backfit or forward fit, not both. Because these
5 are averages that we are reporting here, if somebody
6 comes along with a gross overestimate of the forward fit
7 costs for the sub-cooling margin monitor, he swamps the
8 average.

9 What we looked at to check this was, the
10 people who supply both forward and backfit costs, the
11 backfit always higher than the forward. The answer is
12 yes. Then, that is why we indicated a range. If you go
13 to the right-hand column, you will see that that \$1.750
14 million estimate is swamping everything.

15 COMMISSIONER AHEARNE: Okay.

16 CHAIRMAN PALLADINO: I am going to have to
17 leave now. If you want to continue, I can ask somebody
18 else to take over.

19 I found this a very beneficial session. You
20 did cope with some of the problems that were, at least,
21 concerning me. I presume you would like an answer
22 pretty soon.

23 MR. MATTSON: We are ready to go.

24 CHAIRMAN PALLADINO: I would propose, rather
25 than vote today, I would like to explore a few other

1 questions, and the Commissioners, as soon as they can,
2 will indicate on a notation vote. I don't know whether
3 this is one that we have to affirm now, but we will
4 decide that later. We will try to get an answer to you
5 quickly. I won't dilly-dally on that question.

6 Thank you very much, and we will stand
7 adjourned.

8 (Whereupon, at 11:50 a.m., the meeting
9 adjourned.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the
COMMISSION MEETING

in the matter of: PUBLIC MEETING - Discussion of Reactor Vessel Water
Level Indicator Program

Date of Proceeding: October 14, 1982

Docket Number: _____

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript
thereof for the file of the Commission.

Patricia A. Minson

Official Reporter (Typed)

Patricia A. Minson

Official Reporter (Signature)

PURPOSE

REQUEST COMMISSION
APPROVAL OF
RECOMMENDATIONS FOR
IMPLEMENTATION OF
TMI ACTION PLAN II.F.2 -
"INSTRUMENTATION FOR DETECTION
OF INADEQUATE CORE COOLING"

ISSUES REMAINING FROM JANUARY 1982 COMMISSION MEETING

- * DEMONSTRATE NEED AND USES FOR PROPOSED INSTRUMENTATION
- * ALLAY CONCERN ABOUT AMBIGUOUS INFORMATION
- * EXAMINE COSTS AND BENEFITS
- * INTEGRATE INTO EMERGENCY OPERATING PROCEDURES AND CONTROL ROOM DESIGN REVIEW
- * ESTABLISH A RATIONAL SCHEDULE FOR IMPLEMENTATION

ACTIONS TO RESOLVE ISSUES

- *FEBRUARY NRC/INDUSTRY MEETING
- *COST/BENEFIT EVALUATION OF INVENTORY MONITOR
- *PUBLICATION OF GENERIC DESIGN EVALUATION REPORTS
- *CRGR MEETING (MARCH)
- *APRIL ACRS MEETING
- *COST/BENEFIT STUDY OF OVERALL ICC SYSTEM
- *FMEA REVIEW
- *SECOND CRGR MEETING (SEPTEMBER)
- *OCTOBER ACRS + COMMISSION BRIEFINGS

SAFETY BENEFITS

- *IMPROVE RELIABILITY IN DIAGNOSING THE APPROACH TO AND THE ONSET OF ICC, AND IN ASSESSING THE EFFECTIVENESS OF RESPONSE TAKEN TO RESTORE CORE COOLING.
- *REDUCES CHANCE OF OPERATOR CONFUSION, MISDIAGNOSIS OR ERROR IN RESPONDING TO:
 - INCIDENTS OF MODERATE FREQUENCY LEADING TO STEAM BUBBLE FORMATION IN THE RCS, E.G.,
 - SG TUBE RUPTURES
 - LOSS OF INSTRUMENT BUS OR OTHER CONTROL SYSTEM UPSETS
 - RC PUMP SEAL FAILURES
 - OVERCOOLING EVENTS
 - NORMAL RCS COOLDOWN
 - EVENTS INVOLVING MULTIPLE FAULTS
 - SMALL BREAK LOCAs
- *AIDS EARLY WARNING AND OFF-SITE EMERGENCY RESPONSE DECISIONS

INSTALLED COST (K\$/PLANT)
FOR ESTIMATED PLANTS

Design Options

1. Reference Design - meets NUREG-0737 design requirements.
2. Delete all seismic design requirements from reference design.
3. Delete environmental qualification requirements, except seismic, from reference design.
4. Delete single failure design requirements (redundancy) from reference design.
5. Delete Class 1E power source requirement from reference design.

The NRR estimate of costs associated with each design option is shown below in Table I.

Table I

ICC Instrumentation	Fit Status	OPTION					Range (c) INDUSTRY ESTIMATES
		1(c) NRR ESTIMATES	2(s)	3(s)	4(s)	5(s)	
Core Exit Thermocouple	BF	2,148	14	35	21	3	648-6,280
	FF	948	15	12	22	5	
Subcooling Margin Monitor	BF	325	19	30	30	2	70-500
	FF	658	16	15	30	10	
Inventory Trending W/RCS Pumps Off	BF	3,176	9	16	30	2	1,530-5,280
	FF	1,826	4	15	16	2	
Inventory Trending W/ RCS Pumps On	BF	240	1	1	8	0	200-280
	FF	200	10	20	50	0	
Overall ICC Instrumentation	BF	5,889	11	23	26	2	2,488-12,340
	FF	3,632	9	14	22	4	

NOTE: C- Cost (\$1,000/Plant); S- Savings in % (Compared with Option 1);
BF- Backfit; FF- Forward Fit.

INSTALLATION AND PROCUREMENT STATUS

OF

INVENTORY TRENDING SYSTEM

(SEPTEMBER 1982)

*WESTINGHOUSE DP SYSTEM - 32 ORDERED

- 8 INSTALLED AND CALIBRATED (2 OLS)
- 2 INSTALLED, FILLED, AND NOT CALIBRATED
- 2 INSTALLED AND NEED MODIFICATION
- 4 INSTALLED AND WILL FILL
- 1 PARTIALLY INSTALLED
- 15 TO BE INSTALLED

*CE HJTC SYSTEM - 21 ORDERED

- 21 TO BE INSTALLED

RECOMMENDATIONS

- *CE HJTC AND WESTINGHOUSE DP SYSTEM ARE ACCEPTABLE GENERIC DESIGNS
- *B&W DP MEASUREMENT TECHNIQUES ARE ACCEPTABLE IN PRINCIPLE PROVIDED THAT THEY:
 - MONITOR COOLANT INVENTORY FROM VESSEL HEAD AND FROM TOP OF HOT LEG TO BOTTOM OF HOT LEG
 - ARE SUPPLEMENTED BY INVENTORY TRENDING WITH PUMPS ON; E.G., PUMP CURRENT OR PUMP POWER MONITOR
 - MEET NUREG-0737 DESIGN REQUIREMENTS
- *FOR THE DESIGN, INSTALLATION, AND UPGRADE OF ICC INSTRUMENTATION SUBSYSTEMS
 - NUREG-0737 DESIGN SPECIFICATIONS ARE A REQUIREMENT
 - FOR EXISTING INSTALLATIONS SOME DEVIATIONS MAY BE GRANTED WHERE JUSTIFIED AND CONSISTENT WITH EQ RULE
- *LICENSEES NOT YET COMMITTED SHOULD BE ORDERED TO CONCLUDE THEIR DESIGN REVIEW AND SUBMIT DETAILED ENGINEERING, PROCUREMENT, AND INSTALLATION SCHEDULES BY JANUARY 1, 1983
- *NEGOTIATE PRACTICAL SCHEDULES FOR IMPLEMENTATION ON CASE-BY-CASE BASIS

*PREREQUISITES TO IMPLEMENTATION OF VOID INDICATOR OR INVENTORY TRACKING SYSTEMS

- NRC STAFF REVIEW AND APPROVAL OF PLANT SPECIFIC INSTALLATION AND CALIBRATION SUBMITTAL AND EMERGENCY OPERATING PROCEDURE GUIDELINES FOR THE OVERALL ICC PACKAGE
- INTEGRATION OF THE OVERALL ICC SYSTEM INTO TASK ANALYSIS PORTION OF DETAILED CONTROL ROOM DESIGN REVIEW BY THE LICENSEE
- OPERATOR TRAINING IN OPERATION AND LIMITATIONS OF THE SYSTEM

BACKGROUND

- *TMI-2 LESSONS LEARNED TASK FORCE, NUREG-0578, JULY 1979

- *A LETTER TO ALL OPERATING NUCLEAR POWER PLANTS FROM HAROLD R. DENTON, ON "DISCUSSION OF LESSONS LEARNED SHORT TERM REQUIREMENTS," OCTOBER 30, 1979

- *NRC ACTION PLAN DEVELOPED AS A RESULT OF THE TMI-2 ACCIDENT, NUREG-0660, MAY 1980

- *NUREG-0737, CLARIFICATION OF TMI ACTION PLAN REQUIREMENTS, NOVEMBER 1980

- *SECY-81-582, ADDITIONAL INSTRUMENTATION FOR DETECTION OF INADEQUATE CORE COOLING, OCTOBER 7, 1981

USES OF VESSEL INVENTORY TREND INFORMATION

- *PROVIDE INDICATION OF RCS LIQUID INVENTORY
- *UNIQUE INDICATION OF LOSS OF INVENTORY WITH RCPs ON
- *INDICATE RELATIVE SIZE OF LOCA BY TRENDING COOLANT LOSS
- *TRACK GROWTH OR SHRINKAGE OF UPPER HEAD BUBBLE
- *DETECT APPROACHING LOSS OR RESTORATION OF NATURAL CIRCULATION
- *EVALUATE EFFECTIVENESS OF SI TO REPLINISH COOLANT INVENTORY LOSS
- *MONITOR AND CONTROL FEED AND BLEED OPERATIONS
- *MONITOR AND CONTROL VENTING OPERATIONS
- *AID DECISIONS TO TURN RCP PUMPS ON OR OFF
- *EVALUATE CORE DAMAGE AND FLOW BLOCKAGE
- *AID OFFSITE EMERGENCY RESPONSE RECOMMENDATIONS