

T-1153  
ORIGINAL

# OFFICIAL TRANSCRIPT PROCEEDINGS BEFORE

NUCLEAR REGULATORY COMMISSION  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

## DKT/CASE NO.

**TITLE** JOINT MEETING OF THE SUBCOMMITTEES ON REACTOR  
RADIOLOGICAL EFFECTS AND SITE EVALUATION

**PLACE** Washington, D. C.

**DATE** November 19, 1982

**PAGES** 266 - 428

TROY  
DELETE ACRS

8211230466 821119  
PDR ACRS  
T-1153 PDR



ALDERSON REPORTING

(202) 628-9300  
440 FIRST STREET, N.W.  
WASHINGTON, D.C. 20001

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3  
4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS  
5

6  
7 - - -  
8 JOINT MEETING OF THE SUBCOMMITTEES ON  
9 REACTOR RADIOLOGICAL EFFECTS AND  
10 SITE EVALUATION  
11 - - -

12 Room 1167  
13 1717 H Street, N.W.  
14 Washington, D.C.  
15 November 19, 1982

16 The joint meeting of the Reactor Radiological  
17 Effects and Site Evaluation subcommittees was convened  
18 at 8:30 a.m.

19 PRESENT:

20 DADE W. MOELLER, Member  
21 JEREMIAH J. RAY, Member  
22 JESSE C. EBERSOLE, Member  
23 M. STEINDLER, Consultant  
24 D. ORTH, Consultant  
25 R. FOSTER, Consultant  
J. SHAPIRO, Consultant  
R. TANG, Designated Federal employee  
T. MC KONE, ACRS Fellow

ALSO PRESENT:

R. ALEXANDER  
M. JAMGOCHIAN  
A. MILLUNZI  
R.P. GRILL  
W. OTT  
C. PRITCHARD

L. HENDRICKS  
R. ALEXANDER

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

P\_R\_O\_C\_E\_E\_D\_I\_N\_G\_S

1  
2 MR. MOELLER: The meeting will come to order.

3 This is a continuation of the open meeting of  
4 the Advisory Committee on Reactor Safeguards,  
5 Subcommittees on Reactor Radiological Effects and Site  
6 Evaluation.

7 I am Dade Moeller, the Subcommittee Chairman.  
8 We have with us two other ACRS members this morning,  
9 Jerry Ray and Jesse Ebersole. We also have a team of  
10 consultants consisting of Martin Steindler, Don Orth,  
11 Richard Foster and Jacob Shapiro. R.C. Tang is the  
12 designated Federal employee for the meeting, and we also  
13 have with us Thomas McKone, who is an ACRS Fellow.

14 We will be continuing the meeting which was  
15 begun yesterday morning. Today we will be covering  
16 three topics during the morning related to NRC research.  
17 The first one pertains to siting and health, with  
18 specific emphasis on siting and the environment. That  
19 will be followed by a discussion of occupational  
20 protection and then emergency preparedness.

21 After those three items are completed, we will  
22 have a break and then we will hear from the Chairman of  
23 the DOE Task Group that is looking at procedures that  
24 might be implemented to reduce occupational doses at  
25 commercial nuclear power plants.

1           We will then recess for lunch and the  
2 Committee will go into executive session following lunch  
3 to prepare our written comments on all of the topics  
4 that we have been covering for submission to the Full  
5 Committee for its consideration in preparing the report  
6 to Congress on the NRC Safety Research Program. This  
7 afternoon's sessions will be open to the public if  
8 anyone chooses to attend.

9           We have received no written statements  
10 pertaining to the subjects that we are covering, and no  
11 one up to this time has asked to make an oral  
12 statement. If there is anyone here now who would like a  
13 few minutes this morning to make an oral statement,  
14 please so indicate and we will provide the time to them.

15           [No response.]

16           There being no response to our invitation, we  
17 will move on, then, with the program.

18           I will first of all call on Bill Ott,  
19 Technical Assistant to Frank Arsenault, who will be  
20 discussing siting and the environment.

21           Bill.

22           MR. OTT: I have passed out to all the members  
23 a copy of the Siting and Environmental part of the  
24 decision unit. I will make a few remarks about the  
25 geology, seismology and the health effects portion.

1 MR. MOELLER: Do you have any remarks that you  
2 can make about the meteorology and hydrology?

3 MR. OTT: That will be the focus of the few  
4 remarks I will make about geology and seismology.

5 MR. MOELLER: Thank you, because we would like  
6 to be informed on that.

7 MR. OTT: The ACRS letter after the June  
8 meeting asked for some de-emphasis on the meteorology  
9 program. As a result --

10 MR. STEINDLER: My problem, Mr. Chairman, I'm  
11 not sure that I have the hand out.

12 MR. OTT: No. There are two pieces of other  
13 programs.

14 MR. MOELLER: Those are his personal notes.  
15 Good, thank you. Go ahead.

16 MR. OTT: These detailed sheets are available  
17 to the staff later on.

18 In response to the ACRS comment about  
19 decreasing the meteorological program and putting more  
20 emphasis on geology and seismology, the money has been  
21 shifted from the meteorology program. In specific,  
22 there is no field testing scheduled for FY 84 or FY 85.  
23 That project is being terminated and the data is being  
24 analyzed, so there is some money still in that project  
25 just to make sure that all the money that has been spent

1 so far hasn't been lost. But there is no additional  
2 field testing projected. That money has been more or  
3 less split between the geology and seismology programs.

4 You all received a copy of the  
5 seismotectonic --

6 MR. MOELLER: Excuse me. Did I hear you say  
7 that the money that is being saved on meteorology is  
8 being used?

9 MR. OTT: It is being put in the seismology  
10 and geology program.

11 MR. MOELLER: Is that what we recommended?

12 MR. OTT: I will have to look.

13 MS. TANG: We recommended deferring the  
14 atmospheric dispersion.

15 MR. MOELLER: I thought not only did we  
16 recommend diverting or phasing out --

17 MR. OTT: Recommended that that be deferred in  
18 order to provide money for higher priority research.

19 MR. MOELLER: Okay. We didn't say that  
20 specifically.

21 MR. OTT: No. And there was some indication  
22 that there was some geology and seismology --

23 MR. MOELLER: You are correct. The  
24 seismology, we definitely wanted the seismic research  
25 increased. Fine. The response is correct.

1 MR. OTT: That is really all I wanted to say  
2 about the geology, seismology program.

3 The health effects program --

4 MR. MOELLER: Excuse me. This covers for our  
5 purposes meteorology. What are you doing on hydrology?

6 MR. OTT: As far as I can tell, the hydrology  
7 program is no different than when we addressed you in  
8 June.

9 MR. MOELLER: Is there anyone who could tell  
10 us, you know, in a general way what is going on in  
11 hydrology?

12 MR. OTT: I am familiar with portions of the  
13 program but not the whole program. I know there is a  
14 sizable effort going into the groundwater interdiction  
15 topic that was addressed in the original siting program  
16 and was deferred to a later date. Specifically I  
17 believe we have developed a contract with  
18 Battelle-Northwest to look at that in some detail, and  
19 that will probably be extending over at least the next  
20 two years.

21 MR. MOELLER: Fine, thank you.

22 MR. OTT: The second topic I wanted to touch  
23 on briefly -- and again, this information will be  
24 available to you a little later -- is the health effects  
25 program. There were three recommendations, I believe,



1 in the ACRS letter, the first of which was the  
2 suggestion that support be increased for  
3 gastrointestinal absorption of actonides. That is being  
4 done. The second recommendation is we should support  
5 the RBE of fission product neutrons at occupational  
6 exposure levels, and funding for that project has been  
7 extended.

8 And the third recommendation was in connection  
9 with the second one, that we look at DOE records on  
10 neutron exposure of workers in plutonium facilities.  
11 There has been some preliminary work done on that. We  
12 have looked at the accuracy and reliability and  
13 completeness of the records and are developing a  
14 position right now, but it really would be worth our  
15 while to look at that in more detail. Apparently the  
16 reliability and completeness of the data just isn't  
17 there.

18 MR. MOELLER: You are saying it will not be to  
19 your --

20 MR. OTT: It will not be to our benefit to  
21 look further at the DOE records on fission product  
22 neutrons.

23 MR. MOELLER: Well, that is funny, because  
24 yesterday when Ed Vallario spoke, he said that DOE has,  
25 if I remember it correctly, was it 30,000 workers who

1 are exposed to neutrons? And we heard from Don Orth  
2 that a number of these workers are -- where you might  
3 say in a nuclear power plant you would have 70 or 80  
4 percent of your dose from gammas, that maybe they have  
5 20 percent from neutrons. And Dr. Orth said with these  
6 OCE workers, the vice-versa would probably be true.

7 And now you are telling us that the records  
8 aren't there?

9 MR. OTT: Well this is, again, not my area in  
10 detail, but I am quoting from a memo that is being  
11 prepared right now so it is not on the official records,  
12 but the results of the preliminary contacts were -- I  
13 don't want to read through this whole thing. It says  
14 evidently there are a number of problems with both the  
15 quality and quantity of data on the neutron exposures  
16 received by the plutonium workers. The older neutron  
17 exposure data is spotty and unavailable for the majority  
18 of workers, is usually on the original paper records and  
19 has to be manually retrieved and examined and reflects  
20 earlier problems with neutron dosimetry. In the last 10  
21 years the quality of the data has greatly improved due  
22 to improved due to improved neutron measuring  
23 techniques. In addition, the accessibility and format  
24 of the data is much improved and some of the most recent  
25 data is computerized; however the improved records are

1 only available for a small segment of the plutonium  
2 worker population and therefore they see no benefit in  
3 initiating an examination of the plutonium workers'  
4 records because of the questionable quality of the data  
5 and limited quantity of the more recent data.

6 What they are saying is that the recent good  
7 data there isn't very much of, and the older data is of  
8 such questionable quality that they don't feel it will  
9 be worth their while to pursue it.

10 MR. MOELLER: And you did pursue this, for  
11 example, with the Office of Nuclear Safety at DOE?

12 MR. OTT: She talked to Dr. Wilkinson on  
13 November 10th about the LANL plutonium workers study.  
14 It is not clear from this particular memo. She talked  
15 to Dr. Robert Goldsmith, Human Health Assessments  
16 Division, DOE. He referred her to Greg Wilkinson. So I  
17 am not that familiar with the details of it, but I know  
18 they have talked to DOE and talked to the laboratories  
19 about the data, the quality, the quantity, what is  
20 available.

21 MR. MOELLER: Don, do you have any comments?

22 MR. ORTH: There is obviously a discrepancy  
23 between the 30,000 number we heard yesterday and what we  
24 heard today. It is probably true that at this point in  
25 time, going back and saying, hey, the actual neutron

1 dose was this or that. It would be difficult to do,  
2 however, and this is a big "however." We know how the  
3 measurements were made, and the fact that we have  
4 determined now that some old measuring device was off by  
5 a factor of 2, that doesn't mean you can't go back and  
6 use the old data. It means you go back and use the old  
7 data and multiply it by a factor of 2.

8           So I think there is an area in here where it  
9 might be well worthwhile to look at the basics of  
10 whatever is meant by such things as the data are not  
11 reliable and sloppy, because I do know that several  
12 production sites, regardless of how good the data are in  
13 an absolute sense -- in an absolute sense -- and have  
14 very detailed records, have never thrown away the first  
15 scrap of paper in terms of trying to keep track of their  
16 people.

17           So I know we have -- I guess we have 30 years  
18 worth of data at -- well, maybe not quite 30 -- at  
19 Savannah River, which has been maintained, and as I  
20 said, even though the present day absolute values of the  
21 numbers might be off, I think that the methods in which  
22 they were measured are all documented and it would be  
23 possible to revise them.

24           MR. OTT: I suspect that is probably true.  
25 The decisions that they are making right now might be

1   tempered by how much money they have available to do  
2   that kind of thing.

3           MR. MOELLER:   Jack Shapiro.

4           MR. SHAPIRO:   The question I have is, Don, do  
5   you have any idea what the energies of the neutrons are  
6   that are monitored?  Because in many cases they are in  
7   the intermediate range, which are never even picked up  
8   by the film badge, if that is the situation.

9           MR. ORTH:   That is why somebody has to go back  
10   and look at the data.  Yes, we know very well what is  
11   coming out, the source of the neutrons in the bulk of  
12   some of the facilities.  They are relatively fast.  Some  
13   of them are spontaneous fission.  But the vast majority  
14   are the so-called alpha N neutrons and relatively  
15   unmoderated.  So you have high energy neutrons and the  
16   alpha Ns are a couple MEV -- a half to a couple MEV as  
17   they come out.

18           Then there are other areas where they  
19   definitely are moderated because you are dealing with  
20   water solutions.  So you have a thermal in one end and  
21   you have some others in the other end.  And that kind of  
22   data where the people worked and everything are  
23   available.  So even, as I said, you don't know what the  
24   meaning of the film badge is in an absolute sense, you  
25   can go back and do some revisions.

1                   Now, it is true that it may cost a lot of  
2 money and since the data are not computerized, somebody  
3 has to go through it and log it in. That is also true.

4                   MR. MOELLER: But it is human data and so  
5 forth?

6                   MR. ORTH: It is human data.

7                   MR. FOSTER: I think another key part of this  
8 would be whether the actual job assignments of those  
9 people are available so that even in the absence of good  
10 film badge neutron information, if you knew that a  
11 particular individual was working at a particular job  
12 for a period of five years, you could probably do a  
13 pretty good job of inferring what kind of a dose  
14 category he would fall into for epidemiological  
15 purposes.

16                   MR. MOELLER: Well, why don't you record  
17 mentally, Bill, some of the comments that we have made,  
18 because you are spending money on your work at Argonne  
19 on the biological effects of neutrons and you are  
20 spending money at PNL on neutron dosimetry, and in the  
21 sense of priorities, I would certainly do some soul  
22 searching to be sure that the money you are spending  
23 there will reap more in the way of benefits than what  
24 might be gained here.

25                   In terms of that, there is another question we

1 would like for you to carry back. That is -- well, Bob  
2 Alexander is here, so maybe he can answer it. We have  
3 noted a description of the neutron dosimetry work that  
4 is under way at PNL, I guess under contract from NRC,  
5 and we heard yesterday from Ed Vallario a description of  
6 the neutron dosimetry program that DOE has implemented.  
7 We saw a lot of similarities and, indeed, what almost  
8 appeared to us as duplication in these two programs. So  
9 we wondered if the NRC program had been thoroughly  
10 discussed with DOE and that indeed the two programs are  
11 coordinated rather than perhaps duplicative.

12 MR. ALEXANDER: They are coordinated.  
13 Vallario and I coordinate them very carefully. The  
14 programs have different purposes. The main purpose of  
15 the Department of Energy program is dosimetry  
16 development. It is a dosimetry development program  
17 intended to come up with something new in the way of a  
18 neutron dosimeter that is practical, useful and accurate.

19 As you know, the NRC doesn't spend money on  
20 instrument development work. Our effort has been more  
21 along the area of requirements to try to find out what  
22 the performance of the dosimeters that are being used  
23 today is and then to see what is available that we could  
24 require of our licensees to get better neutron dosimetry.

25 Since that is an ongoing program, I will get

1 into some of the details of the PNL program when it  
2 comes my turn.

3 MR. MOELLER: Fine, Bob. That is very helpful  
4 and we will hear from you later.

5 MR. STEINDLER: Mr. Chairman, the question  
6 that is being raised here, though, is whether or not  
7 some data are better than no data, and I think I guess I  
8 would have to express some sympathy for the position  
9 that the Staff seems to be taking, particularly in this  
10 field, that in effect says unless we have some pretty  
11 good ideas of what we are getting into, we are going to  
12 spend an awful lot of effort and come up with something  
13 that isn't any better than somebody flipping a coin.

14 I think perhaps the Subcommittee might consider  
15 suggesting to the Staff that they ought to have another  
16 look since those are the only data on people around.  
17 But I can certainly easily understand how they can come  
18 to the conclusion they came to, since getting core data  
19 into the literature is not something that I think any of  
20 us are interested in.

21 MR. MOELLER: Well, I agree with what you have  
22 said, and certainly my words were more an expression of  
23 disappointment in what we hoped was a shining light and  
24 it apparently isn't; and if it isn't, stick to your  
25 guns. You are the ones we depend on to reach these



1 conclusions.

2 MR. SHAPIRO: Has there been any more work  
3 done on looking at biological indicators of neutron  
4 exposure and particular chromosome aberrations and see  
5 if one can tie that in with any other health effects?

6 MR. OTT: I'm afraid I'm the wrong one to  
7 answer that question right now.

8 MR. SHAPIRO: I would just think for the  
9 record perhaps some exploratory measurements to see in  
10 fact on selective workers if they find anything that  
11 looks promising, they could pursue that and come out  
12 with some additional information.

13 MR. MOELLER: I don't have the description of  
14 the Argonne work right in front of me, but I'm fairly  
15 certain -- it is not human work but is animal work --  
16 but I'm fairly certain those aspects are being checked.

17 MR. SHAPIRO: I have seen work on the humans,  
18 and if one found some positive results, that perhaps  
19 might be an indication of doing some more work in the  
20 future.

21 MR. MOELLER: Go ahead, Bill.

22 MR. OTT: There is only one more observation I  
23 wanted to make with the health effects program. That  
24 is, there is no reflection of some money that is being  
25 used to support NCR, ICRP work on the grants.

1 MR. MOELLER: Say that again? Even I couldn't  
2 hear.

3 MR. OTT: There was \$150,000 going to NCRP.  
4 They had asked us for more than that, but we are going  
5 to come up with that much money in '84, and there are  
6 smaller amounts of money that are going to ICRP and  
7 Harvard. So there is some money that is not reflected  
8 in the program statements that will go to the program  
9 grants.

10 MR. MOELLER: Thank you.

11 MR. OTT: With that, I will pass on to the  
12 siting and research grant program. As we described in  
13 June, the environmental aspects have been zeroed out  
14 unless they have some direct relationship to plant  
15 safety. When we talked to you in June, we were in the  
16 throes of beginning to try and make sense out of what  
17 was left of the program. Essentially the total funding  
18 for the branch had been cut in half, and half the  
19 program, the environmental half, was cut out. There was  
20 some safety-related work in that environmental program  
21 that we had to sift in to the siting part and readjust  
22 our priorities.

23 We are in the process of trying to put  
24 together essentially large program plans for two major  
25 efforts, one on external hazards, man-related external

1 hazards. The Earth Sciences Branch handles natural  
2 external hazards. The other one would be a significant,  
3 well-correlated program in socioeconomic impacts and  
4 such considerations as that.

5           The first page of that handout indicates the  
6 siting demographics and societal issues part of the  
7 program. That represents about two-thirds of the  
8 funding for the branch. About half of that is involved  
9 in that first topic of institutional, economic and  
10 societal issues in radioactive waste facility siting.  
11 In that there are a number of programs. There is the --  
12 looking at low level waste facilities and the  
13 dissemination of information to the states about the  
14 licensing of those in terms of socioeconomic needs.

15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1           There is a similar program on socio-economic  
2 impacts of high level waste, construction, and operation  
3 and the transportation of the waste.

4           Another program will be looking at development  
5 of methods for alternate site reviews for high level  
6 waste repository sites and overall cost-benefit  
7 balancing techniques.

8           Then, there's another topic that is planned to  
9 look at the development of cost-effective methods for  
10 assuring the financial resources that are necessary for  
11 low-level waste closure and maintenance at the end of  
12 plant life.

13           The site safety topic is the catch-all for a  
14 number of things that were previously -- some considered  
15 to be environmental work and some not. I think among  
16 the issues considered there are things like biofouling  
17 in cooling systems where we have a problem where the  
18 cooling system may get in a bad shape and a transient or  
19 some other thing may cause the break-off of, say,  
20 fouling material and clog the cooling systems or things  
21 like that, or cooling system components. It's a fairly  
22 significant program.

23           They are looking right now -- I guess they  
24 have just completed an examination of Arkansas 1,  
25 nuclear unit 1, where they've taken apart the condenser

1 cooling system or large portions of it. I'm not aware  
2 of the results of that examination were, but the staff  
3 is following that rather closely.

4 MR. EBERSOLE: Could I ask a question on  
5 that? The critical aspect of that is the effect on the  
6 systems may be sudden, as you point, due to use of  
7 chlorine or shaking the systems or whatever. What do we  
8 know now about the potential for sudden stoppage of  
9 these systems by loosening the accumulated organisms?

10 MR. OTT: All I can say is they have found  
11 fairly extensive fouling in some of those condensers.

12 MR. EBERSOLE: It's not the fouling per se,  
13 but whether it can come off and clog up the whole thing.

14 MR. OTT: I would suspect that right now, --  
15 the first real data on that is going to come out of this  
16 examination of Arkansas Nuclear Unit 1.

17 MR. EBERSOLE: Are they doing a test to see  
18 that excessive chlorine shots will take the cleanse off  
19 and all at once the whole system is plugged up?

20 MR. OTT: They're looking at all those aspects  
21 of it. They're looking at the potential for large  
22 clumps coming loose and getting into critical areas.

23 MR. EBERSOLE: I don't know whether it's a  
24 real problem or not. If they stay glued on, it's all  
25 right, you just keep fixing them.

1           MR. OTT: Well, we hope to know if we're on  
2 the edge of a big problem.

3           Also, in the site safety topics catchall are  
4 maintenance of things like the electricity demand  
5 forecasting model and the concept of a cost code which  
6 gives estimates of relative costs of nuclear versus  
7 coal-fired plants. These were developed by the staff,  
8 and we feel it's reasonable to keep them up to date and  
9 online down at Oak Ridge for future use.

10          MR. MOELLER: And how -- I know we've asked  
11 this before, but how does the NRC use the data on the  
12 comparative costs of a coal-fired versus a nuclear power  
13 plant?

14          MR. OTT: They're generally used in the  
15 analyses of alternative generating.

16          MR. PRITCHARD: This is used in licensing  
17 where the need for power and what type of plant is in  
18 issue under NEPA. It is also used for special analyses  
19 such as at the Indian Point hearings where this code was  
20 used to give an estimate of what would be the cost of  
21 replacing the Indian Point unit, were it shut down, with  
22 other types of power.

23          MR. MOELLER: Well, I can see the latter  
24 application and that make sense to me. But in reviewing  
25 the subject of environmental impacts and reviewing

1 literally tens of NRC environmental statements, I have  
2 never seen one -- and maybe I'm wrong, but I don't  
3 believe I've ever seen one -- where you concluded that  
4 the nuclear plant was not the best way to go.

5 MR. PRITCHARD: You are right about that.

6 MR. MOELLER: Well then, you know, putting  
7 myself in the role of a member of the public, I could  
8 then ask the question: why are you generating these  
9 codes if it never changes any conclusions?

10 MR. PRITCHARD: It could very well change the  
11 conclusion depending upon what happens in the future.  
12 And I would say that although this has always been the  
13 final conclusion, it has often been a hotly-contested  
14 issue in the licensing hearings.

15 MR. MOELLER: So there have been great  
16 debates, and that just doesn't necessarily come through  
17 in reading the environmental statement, where they are  
18 just reading the final conclusion rather than the  
19 turmoil that led to it.

20 MR. PRITCHARD: Yes, I think that's exactly  
21 the situation.

22 MR. MOELLER: That helps.

23 MR. OTT: I might say that there are studies  
24 that we're doing right now that are looking at the  
25 prospects for using nuclear site in different parts of

1 the county where, say, coal is very heavily utilized.  
2 The staff conclusion or the laboratory's conclusion that  
3 we're getting back is saying you never see that  
4 implication here because nuclear is cheaper; whether  
5 it's marginal or conjecture. I can see where this need  
6 for this capability is there.

7 MR. MOELLER: On these man-related external  
8 hazards, the second item on your slide is release,  
9 spreading and dispersion of hazardous materials. The  
10 committee wrote a letter about four or five months ago  
11 on control room habitability. We were looking not only  
12 at the ability of the operators to stay in the control  
13 room and man the plant during an accident -- in other  
14 words, an airborne release from the plant itself -- but  
15 we were thinking about their ability to stay there  
16 should there be an off-site airborne release of some  
17 toxic material.

18 Now, are any of the questions raised in our  
19 letter being factored into the research you are doing  
20 here?

21 MR. OTT: I'm going to make a couple of  
22 general remarks and then I'll let Dick Grill, who's  
23 developing the program plan, address that one in  
24 particular.

25 The program is sort of in its infancy. Dick



1 is in the process of getting in 189s and developing a  
2 comprehensive program to address a whole lot of aspects  
3 of external hazards, one of which is the effects of  
4 toxic materials and perhaps how they affect control room  
5 habitability. I'll let him say a little bit more about  
6 that. This is Dick Grill.

7 MR. GRILL: To answer your question directly,  
8 Dr. Moeller, that particular item, control room  
9 habitability, sort of falls at the bottom of our  
10 priority list. We only have a limited amount of money,  
11 a very limited amount of money this year, and not much  
12 more next or the following year.

13 We can see that that is a very important part,  
14 but we feel that we need some additional preliminary  
15 data before we can look at that in any great detail.

16 One of the things, as you mentioned, is  
17 release and dispersion of hazardous materials. We find  
18 that the data base there is really pretty sparse. The  
19 dispersal of radionuclides and aerosols has been studied  
20 to death.

21 But coming from the other direction, we just  
22 don't have much data. The data we have seems to come  
23 from sketchy and very poorly-done things that chemical  
24 warfare people did years ago. And in the quantities we  
25 are talking about, those typically involved in a

1 transportation accident, for example, a tank car  
2 particularly, even when that material is in an unusable  
3 form, it's cryogenic or it chemically changes and is  
4 dispersing, we really don't know how that stuff is going  
5 to move.

6           Typically, the staff in their analyses have  
7 used Gaussian models that are pretty conservative, and we  
8 are going to look at that. Until we have that sort of  
9 data we can't really tell what effect it will have on  
10 control room habitability or what the effect on  
11 safety-related equipment is going to be.

12           MR. EBERSOLE: One aspect of this has long  
13 bothered me. We use pessimistic models for release of  
14 materials from a damaged core. Then, we promptly  
15 surround that with a concept of virtually perfect  
16 containment, but the containment function per se is a  
17 questionable function. We may have a modest accident of  
18 some sort and a modest release to the containment, and  
19 then have a relatively severe containment failure and  
20 have ambient activity level around the control room far  
21 in excess of those currently used for the models of  
22 control room from an ingestion and shine aspect, both.

23           REcently, we were looking at pump seals.  
24 These are the pumps that handle the post- accident  
25 cooling functions, and found out we had not right to

1 believe that the seals would survive the intrusion of  
2 debris and other stuff that would be in the water. They  
3 would grind themselves up and from each pump seal there  
4 would be delivered internal to the control area in the  
5 auxiliary building high GPN rates. This is hot water; I  
6 mean radioactively hot as well as thermally hot.

7           This leads to prodigious increases in  
8 hypothetical dose levels around the control room for  
9 leakage considerations as well as shine dose. It has  
10 long been my thought that we have a potential here for  
11 escalating effects leading to a necessity for the people  
12 to leave control rooms, and we should certainly know  
13 that they don't have to do that, and we don't know it --  
14 or at least I don't know it. This could be in  
15 multi-unit plants, by the way.

16           MR. GRILL: Yes, I understand. But this  
17 particular research program does not focus upon  
18 radiation dose or control room habitability, rather, in  
19 relation to radiation dose. This is looking at control  
20 room habitability eventually from the aspect of external  
21 hazards -- chlorine, smoke, whatever.

22           MR. EBERSOLE: Where do you draw the line?

23           MR. GRILL: Well, the final bottom line here  
24 is whether -- I suppose would be whether or not it is  
25 advisable to add additional automation just in case the

1 control room is not habitable. Or that the performance  
2 of the operator is degraded in some way.

3 MR. MOELLER: Martin?

4 MR. STEINDLER: I guess I find it surprising  
5 that your look at the chemical warfare data doesn't give  
6 you a fairly decent amount of background. We have had  
7 independently, for an altogether different purpose,  
8 reason to look to see, at least on a non-classified  
9 basis, what the Chemical Warfare Service has available  
10 in the area of dispersion of chemical warfare agents.

11 In this case we were looking at explosive  
12 dispersions and found that at least in that field which  
13 has some bearing on the kind of concerns you have, that  
14 their data was not only well put together but was much  
15 more extensive than we could have generated in a number  
16 of years of hard work.

17 I would urge you to maybe have another look to  
18 see whether or not buried in this enormous amount of  
19 information those people have tucked away you can't find  
20 adequate, at least even approximate data that allows you  
21 started on the question of dispersion of normal  
22 chemicals, for example, for the kinds of things you're  
23 concerned with into the control room area.

24 I am reminded that in the course of going  
25 through the review of the Midwest fuel reprocessing

1 facility, we raised the question of the control room --  
2 in that case, the reprocessing plant control room  
3 habitability in the event of an HSF. They were  
4 delivering tank HSF in liquid form. As I recall, we  
5 obtained from the staff a very reasonable and rational  
6 analysis which they must have found someplace in terms  
7 of their basic information, albeit now 8 or 10 or 12  
8 years ago.

9 I would simply recommend that you might want  
10 to have another look.

11 MR. GRILL: We'll certainly do that.

12 MR. STEINDLER: We had awfully good luck with  
13 them 15 years ago, I am reminded. I guess it's just a  
14 comment.

15 MR. MOELLER: Thank you, those are very good  
16 comments. The next item on the list -- and it may be  
17 that Mr. Grill can help us with it -- is testing  
18 protocols and testing consortium. Is that to test --  
19 what are we testing?

20 MR. GRILL: Two things. First of all, it is  
21 to test the validity of the mathematical models we have  
22 for dispersion.

23 MR. MOELLER: Oh, okay.

24 MR. GRILL: As you probably know, those sorts  
25 of tests are enormously expensive. Most of the industry

1 that is concerned with this have just reached the  
2 conclusion -- Shell Oil, for example, says hey fellows,  
3 if we have to test alone, we're not going to test  
4 because it just costs too much money. So if Shell Oil  
5 says that, that means it does cost a lot of money.

6 So there has been a concerted effort, led by  
7 Livermore, to put together an instrumented spill test  
8 facility at the Nevada test site. They are asking that  
9 funding come from DOE, but prior to that, they have had  
10 meetings getting together all of the interested parties  
11 -- gas producers, gas transport people, industrial risk  
12 insurers, the Coast Guard, the Air Force and a number of  
13 them.

14 I would like the NRC to join this consortium  
15 because I think that's a way for us to factor into our  
16 tests validation for dispersion models at a reasonable  
17 cost. But we certainly cannot, with our budget, afford  
18 to fund those ourselves.

19 As you probably know, mathematical models  
20 aren't worth the paper they're printed on unless they're  
21 validated.

22 MR. MOELLER: Well again, back on the subject  
23 of control room habitability, one of the questions we  
24 raised was the location of the air intakes for the  
25 control room and are they properly positioned relative

1 to the potential for spills nearby. So you would be  
2 gathering data here, then, that would help answer our  
3 questions.

4 MR. GRILL: Yes, sir. But again, that is low  
5 on the priority list.

6 MR. MOELLER: Well, why is it so low? You  
7 said that right at the beginning, and you know, if I  
8 were making the choice, I would have no problem in  
9 saying I have less interest in terms of safety in the  
10 comparison of the cost of coal versus nuclear than I do  
11 this.

12 MR. GRILL: It's low on the priority list for  
13 a couple of reasons. One, there has been quite a bit of  
14 work done on control room habitability, at least from  
15 the standpoint of doing reports, that allow us to  
16 calculate what sort of exposures -- how long it will  
17 take for operator incapacitation.

18 MR. MOELLER: Right. But if you saw our  
19 letter or attended our subcommittee meeting or the full  
20 committee meeting, you would have heard the people who  
21 came and presented information to us. We tried to get a  
22 wide range of opinions, and several of our speakers told  
23 us -- and they are people who are knowledgeable in  
24 heating, venting, air conditioning and air cleaning --  
25 and they told us numerous examples of where they go to a

1 nuclear power plant and they say to the operators, put  
2 your control room on the emergency recycle system; we  
3 want to test it out and see how it works on the  
4 recirculation system. And they say the operators  
5 invariably say to them okay, fellows, we'll do it, but  
6 we'll give you 30 minutes to make your tests and get out  
7 of here because we stand this room on recirculation for  
8 more than 30 minutes.

9 Well, the books tell us they can stay in it  
10 for three or four days, you know. So these systems are  
11 not working, and it could have a key impact on safety.

12 MR. GRILL: I understand. However, part of  
13 the problem here is that that particular area falls -- I  
14 don't mean to pass the buck, but it does fall under the  
15 responsibility of the Human Factors Branch. They are  
16 doing some studies on control room habitability related  
17 to operator stress following an earthquake, but as far  
18 as I know there is no work being done or planned for the  
19 kind of control room habitability factors you are  
20 talking about.

21 MR. EBERSOLE: Is the control room  
22 habitability, Dade, properly under the purview of the  
23 physical occupation of the control room? It seems to  
24 me, one separates the psychological from the physical,  
25 and I think this is important.



1           MR. MOELLER: Well, it's what is the stress  
2 that might be placed, at least one set of stresses that  
3 might be placed on the ventilation system for a control  
4 room. I find that when you put it under human factors,  
5 it's lost, it doesn't receive the attention that it  
6 deserves, and I've called this out time and time again.

7           You aren't human factors, but when you go to  
8 the human factors reviews, they have a category called  
9 control room design, and it lights stars for me and I  
10 think great, control room design, we're going to hear  
11 all about the ventilation system, the best color for the  
12 walls, all of this.

13           It has nothing to do with control room  
14 design. It has to do with the layout in a human factors  
15 sense of the controls on the panels. Well, that's human  
16 -- you know, that's human engineering.

17           MR. QTT: The problem here is one that our  
18 interest in control room habitability has arisen out of  
19 an interest in external hazards beyond the plant. So we  
20 are just in sort of the situation of working our way  
21 into the plant and finding out where those external  
22 hazards can have a significant impact. When we get to  
23 that point then we find hey, somebody's looking at  
24 control room habitability from a different aspect and  
25 we're trying to coordinate with them. But as you can

1 see, apparently it's low priority in that branch.

2 And in looking at our program, the way it is  
3 developing, first we have to assess the conditions that  
4 affect control room habitability before we can get  
5 to the point of worrying about how those gases at the  
6 air intakes can propagate through the system and what  
7 they can do to the control room operators in there.

8 MR. EBERSOLE: Didn't TMI-2 furnish an  
9 incentive to look at this sort of thing? They had a  
10 nice release inside the containment, and then they had a  
11 beautiful thing happen. They were under conditions  
12 where there was no duress on the containment systems.  
13 Somebody was prudent enough to remember they shouldn't  
14 turn on the pumping systems that led to the external  
15 system so they didn't grind the seals up, and they, by  
16 luck and good grace, didn't have an external release.

17 A little bit of extrapolation leading to a  
18 conclusion that one got quite a bit of contamination.

19 MR. OTT: I don't doubt what you're saying at  
20 all. The problem we're having is that our program is  
21 coming at it from the other aspect, from outside the  
22 plant boundary, in, rather than the other way around.

23 MR. EBERSOLE: Well then, change it.

24 MR. OTT: That's a good observation. You  
25 might say that we're showing more interest in control

1 room habitability now than is being shown elsewhere, but  
2 --

3 MR. MOELLER: Well, it sounds like you're  
4 doing your part and you're prepared -- if you join this  
5 consortium particularly, you'll be contributing. Are  
6 you working with Bill Gammill in the Accident Evaluation  
7 Branch?

8 MR. GRILL: Yes, we are. Most of the  
9 priorities for this line of research came from an ad hoc  
10 group that we developed in 1980 that tried to identify  
11 what research in external hazards should be.

12 MR. MOELLER: They're the group, as I  
13 understand it, that is taking our recommendations and  
14 deciding how they are going to respond.

15 MR. GRILL: If I might say one more thing, the  
16 first item which is safety-related equipment response to  
17 hazardous materials, the reason that heads the list is  
18 that we really haven't done anything there yet. We  
19 really don't know what the effect -- we've done work on  
20 control room habitability but we don't know what effect  
21 outside releases could have on safety-related  
22 equipment. There are some indications that they could  
23 be severe and unacceptable.

24 MR. MOELLER: What's this last item? What is  
25 operator incapacitation?

1 MR. OTT: That's our way of talking about  
2 control room habitability.

3 MR. MOELLER: Fine. So what are you doing  
4 there?

5 MR. GRILL: As I say, that is the last item on  
6 the list, and when we get the rest of the data we want  
7 to see not only can the operator remain in the control  
8 room, but if he is incapacitated or his function is  
9 degraded, what happens then.

10 MR. MOELLER: What's the impact?

11 MR. GRILL: What scenarios would follow.

12 MR. MOELLER: Martin?

13 MR. STEINDLER: Can I summarize, then, the  
14 situation by saying this operator incapacitation term,  
15 which really deals with control room habitability under  
16 external hazardous materials stress, is at the bottom  
17 end of priorities because you think you haven't got  
18 enough data to put it anyplace else. And the reason you  
19 haven't got enough data is because it's too expensive to  
20 get it on your own, and the consortium you're not even  
21 sure you can join hasn't gotten started yet.

22 If that is a biased summary that I'm giving  
23 you, then my concern is that that whole question isn't  
24 going to see a solid chunk of data for five years. Is  
25 that unfair?

1                   MR. OTT: I'll say a couple of words on that  
2 and Dick can answer in detail. I tend to agree. We're  
3 beginning a program and looking at the information.  
4 We're looking at first -- we could try looking at  
5 operator incapacitation and find out we don't have any  
6 idea of what concentrations we'd have in there to begin  
7 with, or what kind of chemicals we're talking about.

8                   So it is a case of trying to look at the  
9 program and develop it systematically, and timewise,  
10 that comes farther down the track than where we are  
11 right now.

12                   MR. MOELLER: What Martin is pointing out is  
13 that -- and I'm sure there are analogies to this. I  
14 could worry about getting some dread disease; I don't  
15 know what it is, and you could trace how the organism --  
16 you know, what transmits it. Maybe it's malaria. You  
17 could study mosquitoes or anything under the sun, and  
18 you could give me an inoculation that prevents me from  
19 ever getting malaria, even if all these other things  
20 take place.

21                   I'm not sure it works for malaria, but  
22 certainly there are diseases like polio that I could be  
23 inoculated for. In fact, polio is a good example. I  
24 can give my children or have the doctors give my  
25 children a shot and they'll never get polio. And to

1 this day, we never really understand how they used to  
2 get it when they did.

3 why don't you look at the control room  
4 operator and protect him, period, for anything?

5 MR. EBERSOLE: Like the Wall of China  
6 approach. If you don't know what's out there, whether  
7 it's worms or snakes or lions or elephants, and you put  
8 up a wall, it will stop them all.

9 MR. GRILL: I think what you're talking about,  
10 Dr. Ebersole, is requiring different kinds of control  
11 rooms than we have in most plants.

12 MR. EBERSOLE: Well, most of them I think are  
13 automatically sealed. Now, I won't use the word  
14 "tightly". They are sealed to a degree. I think the  
15 question is whether that degree could be improved on, in  
16 the ALARA principles or something. And then whether or  
17 not they have shine protection which is adequate.

18 I know that the original concept where you had  
19 this little bitty leak from the classical LOCA accident  
20 is not a good base.

21 MR. MOELLER: Okay, let's go ahead. I think  
22 we see the picture.

23 MR. OTT: Unless you want to go back and touch  
24 on some of the things that we skipped over on the first  
25 page. Since we are over, I presume you would like to

1 proceed with somebody else.

2 MR. MOELLER: I think I would. Do any members  
3 of our subcommittee, the consultants? Martin and then  
4 Dick.

5 MR. STEINDLER: I have a question concerning  
6 psychological stress. Are you still engaged, or do you  
7 continue to be engaged in, doing some work in that area?

8 MR. PRITCHARD: Not directly, because it's my  
9 understanding that the Supreme Court is going to rule on  
10 the previous court decision on the psychological stress  
11 issue. So I think we are waiting for the results of  
12 that decision.

13 MR. STEINDLER: Does that mean at this point  
14 in time you have no program pursuing that area?

15 MR. PRITCHARD: Yes.

16 MR. MOELLER: Isn't that assuming, then?  
17 You're pre-judging the court decision?

18 MR. DTT: No, we're just waiting for it.

19 MR. MOELLER: Dick?

20 MR. FOSTER: We are now making risk  
21 consequence type evaluations for each of the reactors,  
22 based largely on WASH-1400 type considerations. I am  
23 wondering whether these man-related external hazards  
24 that you're talking about here, and perhaps other  
25 external hazards are, in some way, being factored into

1 those risk consequences which are being developed.

2 MR. OTT: Not yet. There is some indication  
3 in parts of the program that down the road, there will  
4 be a need to factor those things in. There's probably a  
5 need now, but for other purposes. We will want some  
6 kind of a quantitative assessment of the probabilities  
7 and risks associated with external events.

8 Part of what Dick's program is going to look  
9 at would be the probability of equipment failure and  
10 research conditions.

11 MR. MOELLER: Any other questions?

12 MR. OTT: One parting remark. We are  
13 scheduled sometime in January to examine in more detail  
14 what is being done on the support work for the siting  
15 rulemaking, which is sort of in hold while we wait for  
16 the source term revisions. But I think that's in  
17 January or February.

18 MR. MOELLER: Thank you. Well, we will move  
19 along now with our agenda, and the next speaker is Bob  
20 Alexander, and he will be talking to us on his favorite  
21 subject, occupational protection.

22

23

24

25



1 MR. ALEXANDER: All my life when I have been  
2 sitting in a restaurant speaking privately with someone,  
3 people from across the room have come over to disagree  
4 with me on something, so I really think I don't need the  
5 microphone. I look forward --

6 MR. MOELLER: What did you say?

7 [Laughter.]

8 MR. ALEXANDER: Well, everything I say to you  
9 today might not be absolutely right, but it will be  
10 pretty close. As Dade alluded, I have been doing this  
11 job for ten years now for the Agency and have had a  
12 pretty steady diet of occupational radiation protection  
13 for all these years. I look forward to these  
14 opportunities to talk to the Dade Moeller Subcommittee.

15 Dade, do you have one subcommittee or two?

16 MR. MOELLER: We are combining two here  
17 because we are covering the full range of research items.

18 MR. ALEXANDER: I have the impression, and it  
19 is growing stronger, that radiation protection is taking  
20 a back burner at the NRC, and this group is one of the  
21 few that I have to turn to for help in that area, so I  
22 do appreciate the opportunity to talk to you.

23 I can give you an example to help explain what  
24 I was just talking about. Last week I appeared -- was  
25 that before the same subcommittee?

1 MR. MOELLER: Yes, with different characters.

2 MR. ALEXANDER: With a different set of faces  
3 except for Dr. Shapiro. I told you about the so-called  
4 occupational ALARA rule we have been working on since  
5 1974, and the fact that I would be making a presentation  
6 on that rule to the CRGR, which is the Committee to  
7 Review Generic Requirements we have to go through on  
8 matters that affect reactors now.

9 Well, since I talked to you, I have made that  
10 appearance. And to give you some insight into what we  
11 are up against in the occupational radiation protection  
12 area, just as I started my presentation, which was very  
13 similar to the one given to the Subcommittee, I was  
14 interrupted and confronted with the following  
15 proposition. If the average reactor worker is in a safe  
16 occupation, why should the NRC do anything about ALARA?

17 So when you have to start at -- and then the  
18 next 30 minutes was used up in debating whether or not  
19 the NRC should just impose its limits or whether or not  
20 it should try to push doses down below the limits. And  
21 although I don't have the final word from the CRGR yet,  
22 I am afraid that it is not going to be positive. I'm  
23 afraid the rule won't go any further.

24 MR. MOELLER: Well Bob, you -- go ahead, Jerry.

25 MR. RAY: Your "if," would you repeat that?

1 The question was posed to you, presented to you with an  
2 "if."

3 MR. ALEXANDER: If the average worker at a  
4 nuclear power plant is in a safe occupation as compared  
5 with other occupations in the country, if he is in one  
6 of the safer occupations, why should the Nuclear  
7 Regulatory Commission take any action or impose any  
8 requirements on its licensees to make that worker even  
9 safer?

10 MR. RAY: This depends on the definition of a  
11 safe occupation.

12 MR. EBERSOLE: I was going to say that is a  
13 classic manager.

14 MR. RAY: The exposure is tremendous as  
15 compared to a guy plastering a house. It just seems to  
16 me that they have made up their mind that it is safe,  
17 whoever was providing the restraints to you.

18 MR. EBERSOLE: What is meant by "safe"? Isn't  
19 it the ambiguity in the effects of radiation to human  
20 beings that makes it questionable; it really is the  
21 basis for ALARA?

22 MR. ALEXANDER: The basis for such statements  
23 is almost in recent years invariably the calculated risk  
24 based on risk factors published by the BEIR Committee,  
25 and if you do the calculation for people receiving .6 or

1 .7 rem per year over a long period of time, the fatal  
2 disease incidence rate, which is cancer, of course, is  
3 comparable to the accidental death rates in industries  
4 such as manufacturing, which are considered to be  
5 relatively safe.

6 MR. MOELLER: Well Bob, first, several are  
7 wondering, the role of CRGR, to paraphrase it or state  
8 it probably incorrectly, but the NRC set up this group  
9 to look at various proposed activities within the  
10 Commission to, in a sense, to help in terms of  
11 priorities, wouldn't you say, Bob? They are the ones  
12 that in a sense say: yes, we give you the green light or  
13 we will support this, or we will support it  
14 enthusiastically or less so?

15 MR. ALEXANDER: Well, that is a very positive  
16 way to state their activities. You don't always get a  
17 green light. Sometimes the light is red.

18 MR. MOELLER: Let me comment just a speck  
19 because I wanted to do so and you have given me the  
20 glorious opportunity to speak my piece. You were not  
21 here yesterday morning and obviously you weren't  
22 supposed to be, but in the beginning of our  
23 deliberations I proposed the thought, or the thinking of  
24 the Subcommittee, and I immediately received, in fact,  
25 enthusiastic endorsement, I would say, from my fellow

1 members.

2 The statement I made was that we are not  
3 giving occupational radiation protection anywhere near  
4 the importance that we should within the NRC.

5 MR. ALEXANDER: Yes.

6 MR. MOELLER: And one place I began was with  
7 the greater than 30 percent increase annually in  
8 collective doses that we have seen for the average  
9 reactor over the last couple of years. But it is  
10 interesting to me that CRGR could come at you with the  
11 question they did, because if you look at anything the  
12 NRC does today with respect to commercial nuclear power  
13 plants, all of their actions are dominated by the  
14 collective dose that this particular action will require.

15 If they are going to require increased  
16 inspection, the first thing they do or they should do,  
17 and we hope they are now doing, is they have someone  
18 calculate how many person-rem will this particular  
19 action require. If they hear that a plant is going to  
20 replace its steam generators, the first thing they do is  
21 say to the utility is, calculate, let us know how many  
22 person-rem this requires. We hear about backfitting or  
23 we hear about maintenance and in fact we see time and  
24 time again that maintenance is requiring, as you told  
25 us, a tremendous amount of person-rem.

1                   And I am beginning to conclude, and I could be  
2 wrong, but I am beginning to reach the conclusion that  
3 we now have a situation in commercial nuclear plants  
4 where, because of the dominating influence of the  
5 collective dose, then when we have a job to do, do we  
6 send in a few highly skilled people and have them do the  
7 job? No, we gather up the masses to run them in there  
8 and run them out and get the job done that way to keep  
9 the individual dose down but building up these high  
10 collective doses. And indeed, I am beginning to  
11 conclude that safety is suffering from the high  
12 occupational doses that we have in our nuclear power  
13 plants.

14                   MR. ALEXANDER: I can give you some data to  
15 support what you just said that is new to us. The  
16 reactor manufacturers have crews of different sizes. The  
17 one I am particularly familiar with is the Westinghouse  
18 crews, which numbers 108 special workers, highly skilled  
19 people. Westinghouse officials testified at the joint  
20 EPA/NRC/OSHA hearings on the new EPA radiation  
21 protection guidance that these 108 people received  
22 individual doses averaging approximately 6 rem per year.

23                   And on questioning, I found out that that  
24 wasn't unusual, that that goes on year after year; that  
25 these people tend to stay on the job, they are highly

1 paid, and they get to travel at company expense and  
2 enjoy their work and there is no reason to believe they  
3 won't stay for a full lifetime, many of them.

4 Last month I attended a meeting in New Orleans  
5 that the Atomic Industrial Forum organized, and the same  
6 official reported again. This would be three years  
7 later. So the average dose for this work had been  
8 reduced by about half, down to about 3 rems per year for  
9 the last year. No explanation was given, so I caught  
10 him after the meeting to try to find out what had  
11 happened: had they gotten the dose down by reducing the  
12 dose rates or reducing the working times? No, that  
13 wasn't the case.

14 What they had done to get those individual  
15 doses down was to bring in a set of subspecialists,  
16 about 300 of them, who are just partially trained --  
17 well, I shouldn't say partially trained. They are not  
18 as extensively trained or as competent as the crew of  
19 108, but they bring them in to do jobs that don't  
20 require such high training and then use their 108 people  
21 where their skills are really required, and that way  
22 they have been able to cut their individual dose on  
23 half, on the average, for this crew.

24 So I got the data from him and asked one of my  
25 people to analyze the data to see what had happened to

1 the collective dose, and sure enough, it had gone up by  
2 a large percentage. I can't remember the percentage,  
3 but the collective dose had gone up by a large  
4 percentage in order to keep that individual dose down.  
5 And with the continuing lack of insistence on collective  
6 dose, I think that is going to continue and get  
7 progressively worse.

8 MR. MOELLER: Well, we plan, or certainly I  
9 plan with this group's support to go to the Full  
10 Committee with a rather strong statement in the report  
11 that we are preparing in support of a whole lot more  
12 attention to occupational rad exposure.

13 MR. ALEXANDER: I might ask you to remember  
14 in the preparation of that report that in the  
15 Commission's program planning guidance, the subject of  
16 occupational exposure was discussed.

17 MR. MOELLER: Martin.

18 MR. STEINDLER: I think in order to provide a  
19 coherent and focused thrust in this area, I wonder if it  
20 is worth five minutes of discussion to find out  
21 precisely what the evidence is that leads Mr. Alexander  
22 to conclude that in fact occupational dose is not  
23 receiving the kind of priority it should. It may be  
24 easier to target the comments, particularly in light of  
25 the response from Research and in regard to the whole



1 subject of occupational protection. It starts out with  
2 the statement that RES agrees that a greater effort is  
3 needed for occupational exposure.

4           What I am saying is this is a quasipolicy  
5 statement, at least coming from the research team.  
6 Would it be possible for you to tick off five or six or  
7 seven items that support the kind of conclusion you  
8 started out with, that occupational protection is  
9 receiving less -- I am paraphrasing -- less rather than  
10 more emphasis in the Commission's thinking at this point?

11           MR. ALEXANDER: Well, the two things that  
12 stand out the greatest that have already been mentioned  
13 this morning, the approach that the CRGR took to  
14 reviewing the occupational ALARA rule. The other is the  
15 absence of a Commission policy on that subject. That  
16 has been published as not requiring a policy.

17           Then there are other indications. I must  
18 hasten to say that our office director, Bob Minogue,  
19 continues to provide excellent support for the  
20 occupational health protection program, so there is  
21 certainly no -

22           MR. MOELLER: A third factor that maybe  
23 perhaps should be included. I am told that under the  
24 current plans for over the next couple of years, that  
25 the number of health physicists within the headquarters

1 NRC organization will decrease dramatically.

2 MR. ALEXANDER: I'm so grateful to you for  
3 mentioning that. I was sitting here debating whether or  
4 not I should, and I'm glad you did.

5 MR. MOELLER: Well, could you tell us a little  
6 bit about it?

7 MR. ALEXANDER: Well, in my own branch, which  
8 is not a large branch, we had 12 people, and two people  
9 have accepted other positions and they will not be  
10 replaced in my own branch, and I know that a number of  
11 health physicists in NRR have been placed on what is  
12 called the "excess" list, which I don't know much  
13 about. The Agency has too many people, more than it is  
14 supposed to have, and I know from one branch five health  
15 physicists were placed on that list.

16 MR. MOELLER: So that would imply either that  
17 they had an abundance and do not need them, or that they  
18 are giving less attention to what health physicists are  
19 interested in.

20 MR. ALEXANDER: I think it is the latter.

21 MR. MOELLER: And it ties back, of course,  
22 into our earlier discussion about control room  
23 habitability. Bob was here and heard us discuss that.  
24 If you look through the roster of qualified  
25 professionals in NRC headquarters or field, people who

1 are qualified in the area of heating, ventilation, air  
2 conditioning and air cleaning, I think I can name them  
3 on about one finger. They are minimal. So how are you  
4 going to address a problem when you have no one  
5 qualified, really, to address it?

6 MR. STEINDLER: No misunderstand my question.  
7 My question was an attempt to elicit some specifics.

8 MR. MOELLER: No. Yes, I'm with you. I  
9 appreciate it.

10 MR. ALEXANDER: I believe all the specifics I  
11 am aware of have been mentioned now.

12 MR. STEINDLER: But you did make the point  
13 that Research tends to be emphatically, or at least as  
14 emphatically as they can be, behind the notion that  
15 additional work is needed in this area, so that  
16 presumably the issue resides outside the Research  
17 Division. That, I think, is critical to our task here  
18 as I see it, where I think we are at least charged with  
19 commenting on the research program.

20 Is that a fair assessment?

21 MR. ALEXANDER: I think so.

22 MR. MATHIS: Okay, Bob, that has been helpful,  
23 to get those points on the record and get us oriented.  
24 Why don't we now zip through, if we can, in the next 15  
25 minutes your research.

1 Dick?

2 MR. FOSTER: One quick question relative to  
3 the kind of thing we have been talking to up till now.  
4 I am wondering, Bob, if anyone ever put together the  
5 comparative numbers of collective dose for a typical  
6 power plant, of the collective dose for the public, say  
7 within a 50-mile radius versus the collective dose for  
8 the occupational exposure for that same one to see how  
9 these things came out.

10 MR. ALEXANDER: Yes, that has been done. The  
11 collective dose for the public is miniscule compared  
12 with that population.

13 MR. FOSTER: This is my point here.

14 MR. MOELLER: Excuse me. Now, we had in our  
15 meeting last week, Bob, someone giving us a number, and  
16 as I recall, they said that the collective dose to the  
17 population was about equal to the occupational  
18 collective dose, meaning, you know, for a plant with  
19 500, 600, 700 person-rem a year.

20 MR. ALEXANDER: Well, I didn't bring the data  
21 I have, but we looked into that in my branch fairly  
22 recently. I will provide you with what we came up with.

23 MR. MOELLER: Okay. And now that you remind  
24 me, that report that you developed which showed  
25 histograms of the maximally-exposed public member and

1 the average and so forth, if you use that report, then  
2 my statement would be in error because that would have  
3 shown the population dose would have been much lower  
4 than the occupational; and that is more a factual report  
5 rather than just what I faintly remembered from last  
6 week.

7  
8 MR. ALEXANDER: The difficult decisions in  
9 balancing the protective effort between the public and  
10 the worker comes in the potential accident prevention  
11 area, where inspections and things like that intended to  
12 mitigate the consequences of accidents require worker  
13 attention and worker dose, and I will have a little bit  
14 more to say about that as we get into these projects.

15 Is that an adequate answer?

16 MR. FOSTER: Yes. You perceived correctly  
17 that I am going on the tack of, if you are looking for  
18 justification for not downgrading occupational radiation  
19 exposure, why, here is another piece of evidence, which  
20 I think is pretty powerful.

21 MR. ALEXANDER: We always get shot down on  
22 that basis of the accident. Many people fail to attach  
23 the probability into the accident situation as opposed  
24 to the probability of one for the worker's dose.

25 MR. FOSTER: One is real life and experienced,  
and another is a number on a piece of paper that says it

1 is a probability.

2 MR. MOELLER: On this list, Bob, why don't you  
3 mainly hit the items where there have been significant  
4 changes, and then, of course, we will ask the  
5 Subcommittee for any specific items they want to  
6 discuss. But in view of the time, hit mainly the ones  
7 where something new has been developed or it has had an  
8 increase in funding or a reduction in funding or  
9 something like that.

10 MR. ALEXANDER: The first one I would mention  
11 is the optimization technique development. As a result  
12 of your suggestions to us, we have rethought  
13 optimization technique development and set aside more  
14 money for that, although I feel that the NRC should take  
15 the lead in this area, particularly in the occupational  
16 applications. So that I think the amount of money that  
17 needs to be spent in the area of optimization technique  
18 development is still too small.

19 Is everybody familiar with the term  
20 "optimization" as it is being used these days?

21 MR. MOELLER: No. Go ahead and explain it.

22 MR. ALEXANDER: Well, I need the blackboard.  
23 The optimization was introduced by the ICRP in their  
24 latest recommendation as a way of quantifying the ALARA  
25 concept. You know, the ALARA concept is philosophical in

1 nature. In the new recommendations they don't talk about  
2 ALARA, they talk about optimization. It is an  
3 analytical technique whereby you quantify the ALARA  
4 concept.

5           Incidentally, they say do your optimization  
6 analysis first and use it to go by, not the dose  
7 limits. You only use dose limits if your answer from  
8 your optimization analysis is greater than the dose  
9 limit. So that is a completely new philosophy to us.

10           The way it works is you plot your cost here  
11 and your collective dose here, and you plot it first for  
12 the cost for protective measures. Of course, as the  
13 collective dose allowed becomes larger and larger, the  
14 cost becomes smaller and smaller, and on the other side  
15 of the coin, if the collective cost dose is zero, then  
16 the collective dose is infinity, so you get a curve for  
17 anything you are looking at, like the thickness of the  
18 shield or something else, of something like that.

19           Then the health effects cost is plotted. If  
20 the collective dose is held to zero, there are no health  
21 effects, so you are at the origin, and as you allow more  
22 and more collective dose, theoretically you get more and  
23 more health effects, and you can calculate that cost  
24 using a dollars per man-rem value such as the one the  
25 Commission uses, such as \$1,000 per man-rem.

1           Then you sum these costs in order to arrive at  
2 the minimum cost when both are considered and the  
3 minimum defines your criterion.

4           MR. EBERSOLE: May I ask a question about  
5 this? This bothers me. If the collective dose has a  
6 probabilistic input -- let's say you are going to put on  
7 a gadget that might prevent an accident from happening  
8 which would cause a prodigious dose to a worker. But it  
9 is not a probability of one that that will ever happen.  
10 How do you handle that here?

11           MR. ALEXANDER: Well, what we know is we want  
12 to handle that. We don't know how yet. One of the  
13 projects listed for 1984 is to develop such a technique  
14 so that we can figure probability into an analysis like  
15 this in order to help us balance the potential public  
16 dose, accidental dose, against the worker prevention  
17 dose.

18           MR. EBERSOLE: But you are going to  
19 contaminate the ALARA concept with a PRA approach.

20           MR. ALEXANDER: That is right.

21           MR. EBERSOLE: That will water it down like  
22 crazy.

23           MR. ALEXANDER: Well, we won't look at it that  
24 way. This is the basic optimization technique. What I  
25 am interested in doing is not using this for design,



1 because I'm afraid all the plants we have have not only  
2 already been designed but also built, but in operational  
3 applications, which I believe is possible if enough work  
4 is put in on it.

5 For example, take any health physics activity,  
6 such as air sampling, bioassay sampling, surveying; most  
7 anything you would want to look at, and plot down here  
8 the frequency and here the cost. Once again, as the  
9 frequency increases, the cost goes from zero, probably  
10 in many cases levels off like that because you get to  
11 the point of continuous after a while. The frequency  
12 gets so great that it is continuous. So you probably  
13 get a curve that looks like this for any health physics  
14 activity.

15 Then if you look at the cost of the health  
16 effects -- I'm sure this would be extremely difficult to  
17 do but I'm sure it can be done, particularly by a health  
18 physicist, who are among some of the most imaginative  
19 scientists in the world.

20 [Laughter.]

21 MR. MOELLER: Should we take a recess?

22 [Laughter.]

23 MR. ALEXANDER: You get a curve that looked  
24 like that. Then once again if you sum these curves and  
25 arrive at the point where the slope is zero, you will

1 define the optimum frequency. And I think there would  
2 be many advantages for our being able to take that  
3 approach to the recommendations we make in our regulatory  
4 guides.

5 So I think that is the main point that I  
6 wanted to make, that we are putting more emphasis on  
7 optimization. Now we are getting started.

8 Let's see, the LWR dose reduction project is a  
9 study. One of the main aspects of that study is I want  
10 to find out to what extent the reactor people factor in  
11 the dose considerations into their selection of their  
12 decision as to whether or not to use heavy duty, low  
13 maintenance equipment. I strongly suspect that they  
14 don't, and if they don't, they should. So this is the  
15 main thing we want to do here, to study that and find  
16 out if they are not, and I think that will be the answer  
17 to find ways to get them to do that. I think the  
18 optimization, again, is the answer.

19 MR. MOELLER: Plus if you can tie it in to the  
20 degree of safety provided. I mean intuitively you would  
21 think that a more reliable pump would enhance safety and  
22 it would reduce collective dose. I think the two are  
23 hand in hand. I am saying that high collective doses in  
24 many senses are symptomatic of poor operation.

25 MR. ALEXANDER: Very often. Very often.

1 The --

2 MR. MOELLER: That is the optimization one?  
3 What other ones?

4 MR. ALEXANDER: We are putting new emphasis on  
5 occupational de minimis levels. This is at the request  
6 of our regional people. We are using the term "de  
7 minimis level" in a slightly different way. De minimis  
8 level as it has often been used in the NRC is a level of  
9 radiation dose below which no action needs to be taken.  
10 It is so small that expenditure of no resources are  
11 justified.

12 In the occupational area we look at that a  
13 little differently. We look at dose levels with respect  
14 to a particular protective measure. So you can see that  
15 if you make a list of all the protective things you do  
16 as a hazard gets greater and greater, then we want to  
17 develop de minimis levels below which you do not have to  
18 consider some of the more expensive protective measures.

19 For example, take unencapsulated radioactive  
20 isotopes. We would like to publish de minimis levels  
21 below which the radiation safety officer need not  
22 consider bioassay measures, another level below which he  
23 need not consider air sampling.

24

25

1           So that is going to be a big job. We're going  
2 to get started on that big job in the 1983 funding, but  
3 we see that continuing for several years.

4           Now, has Steyer already briefed the committee  
5 on the decontamination?

6           MR. MOELLER: Yes.

7           MR. ALEXANDER: Robotics. We have been poking  
8 around trying to find out is there really any promise of  
9 the application of robotics at nuclear power plants.  
10 The answer isn't in. We need a feasibility study in that  
11 area. There are a lot of very practical problems. I'm  
12 told, that if a plant is going to use robots, the  
13 designer need to know that from the beginning because  
14 they have to make doors certain sizes and they have to  
15 provide elevators and things like that, simply to move  
16 them around. They have to provide power to them and  
17 things like that.

18           That won't always be available, so it isn't  
19 clear that robotics are any answer at all to us. But it  
20 also isn't clear that they're not. And one or two firms  
21 in the country are interested in doing a feasibility  
22 study in the area of robotics, and we want to look into  
23 that. But it would be extremely difficult, extremely  
24 expensive, for example, to design a heavy piece of  
25 in-service inspection equipment that would have to climb

1 stairs. It could be done, but it would probably just be  
2 too expensive.

3 MR. MOELLER: Is that robotics coordinated  
4 with INPO? Someone mentioned that maybe INPO was doing  
5 something on this. Well, I guess let me ask the basic  
6 question. How closely are you tied into INPO? I know  
7 you are on the rad protection program.

8 MR. ALEXANDER: We are at the threshold of a  
9 strong tie-in, Dade. We have had one meeting at which  
10 we all just sat around the table and exchanged  
11 information about what we're doing, and we've made plans  
12 for additional meetings. So I think that we can avoid  
13 the sort of thing you're talking about.

14 Also along that line, I have requested David  
15 Harwood at the Atomic Industrial Forum, AIF, EPRI and  
16 the NRC and the Department of Energy to try to make sure  
17 of two things. One, that we don't have duplication of  
18 effort, unnecessary duplication of effort in the  
19 occupational area. But the other, which worries me  
20 more, have some gaps, some important thing, that is not  
21 being tackled by any of these organizations. So I hope  
22 Harwood does that.

23 I guess the final new thing I would like to  
24 mention to the subcommittee is the emphasis on beta  
25 radiation protection. The beta radiation protection,

1 that is scan dose primarily, of course. It has taken a  
2 back burner all of these years. I think the main reason  
3 is that the penetrating radiation -- we've always had a  
4 situation, nearly always had a situation where if you  
5 protected adequately against the penetrating radiation,  
6 the gamma and neutron radiation, that the skin dose from  
7 the beta -- those limits would not be exceeded.

8 But a new wind is blowing among the health  
9 physics community with the new ICRP recommendations that  
10 have said wait, don't just calculate the dose to the  
11 critical organ; calculate the risk to all the organs and  
12 make sure that the risk, that some of the risk to these  
13 organs doesn't exceed the risk associated with five rems  
14 per year whole body from an external source.

15 So that now we want to measure the skin dose  
16 more closely and add the risk of skin cancer to the  
17 other risk of cancer to the internal organs.

18 So the NRC is a part of this. We want to have  
19 a role in this renaissance of interest in beta  
20 measurements. We are initiating a modest program to  
21 determine what are the additional requirements that  
22 would be practical for us to impose on our licensees in  
23 that area. We do have dose limits for beta radiation  
24 but we haven't enforced them that strictly.

25 MR. MOELLER: Martin?

1 MR. STEINDLER: Is this list you have up there  
2 and that we have in the order of priority?

3 MR. ALEXANDER: No.

4 MR. STEINDLER: In terms of the next few  
5 years, what are the five most important -- I assume  
6 judged by expenditure of funds -- topics that you are  
7 tackling?

8 MR. ALEXANDER: Well, let's see. I believe  
9 the optimizing and de minimis work is extremely  
10 important. The work that I've been pushing for for  
11 sometime now and will be pushing for for a number of  
12 years is improvements in health physics measurements.  
13 We have very strong efforts going towards that, although  
14 some of them have been funded in previous years and  
15 they're still going on now.

16 MR. MOELLER: Excuse me, which item -- or does  
17 that include the portable survey? Which items on your  
18 list would the improved measurements touch upon? The  
19 bioassay?

20 MR. ALEXANDER: Well, there's a small one  
21 there, bioassay. We have performance testing support.  
22 Most of that work has been funded previously, but the  
23 work is still going on with forward funding.

24 But the areas that we are emphasizing are  
25 personnel dosimetry, processor performance, bioassay lab

1 performance and surveillance instrument performance. We  
2 have accreditation programs -- we're working on  
3 accreditation programs for each of those areas. We are  
4 not sure that accreditation programs will cure the  
5 problem in all cases, but they will go a long way. I  
6 must say that in every case, we do have convincing  
7 evidence that improvements are needed.

8 I think that a great deal of importance should  
9 be attached to Keith Steyer's work in the  
10 decontamination and corrosion product buildup area.  
11 And we certainly plan to continue those.

12 For years, we have funded an extensive effort  
13 in the area of respiratory protection, and we plan to  
14 continue that.

15 MR. MOELLER: Other questions? Jack?

16 MR. SHAPIRO: My own feelings and experience  
17 around nuclear power plants always brought out two major  
18 concerns, aside from the economics of nuclear power.  
19 One is, of course, the major accident situation because  
20 of the potential as to what could happen under those  
21 conditions. We've discussed that.

22 The other is occupational doses and whether,  
23 in fact, you could have a viable nuclear industry if  
24 those were not of concern. Now, I get the message that  
25 there are many people in this field who really don't



1 think it's a major problem. On the other hand, I hear  
2 that there are others, like Carson Mark yesterday, who  
3 feel it was really the most important problem in terms  
4 of priority. So perhaps I'd like a couple more comments  
5 on that.

6           Also, how does this fit into the world  
7 picture? The rest of the world seems to be more  
8 committed to nuclear power than we are. Do you see the  
9 same kind of concern coming from them, or have you had  
10 experience in that area?

11           MR. ALEXANDER: Yes. I go to some  
12 international meetings and have contacts with a number  
13 of European health physicists. Everytime I go to an  
14 international meeting and dose data are shown on a  
15 slide, the U.S. data are always the highest, usually far  
16 higher, than anyone else's. And it makes you wonder if  
17 we have given as much attention to protecting the worker  
18 as has been done in other countries.

19           Then I also find that -- this is kind of a  
20 sweeping statement, but I get around quite a bit and I  
21 have the distinct feeling that the United States health  
22 physics program is falling behind the Europeans rather  
23 rapidly.

24           I think one of the reasons for that is that  
25 the new NCRP recommendations that were made in 1977 in

1 Europe, South America and, I guess, throughout the  
2 world, a great deal of effort is being put into bringing  
3 the national programs into compliance with those  
4 recommendations.

5           So far, all we've done is held a few hearings;  
6 we've done very little to educate our people that what  
7 we have now isn't adequate, started a long-term program  
8 to revise 10 CFR Part 20, the NRC's regulations in this  
9 area. And while we keep debating, the Europeans keep  
10 moving ahead. I think we are getting further and  
11 further behind in almost every aspect of health physics  
12 you can name.

13           MR. SHAPIRO: But you get a feeling that if we  
14 keep having this sort of cavalier attitude toward dose,  
15 that we are really going to hurt our whole power  
16 program? Westinghouse is --

17           MR. ALEXANDER: Jack, I didn't mean to leave  
18 the impression that there is a cavalier attitude. I  
19 think, for example, that at the power plants the  
20 industry has gone a long way -- the ALARA concept really  
21 is not regulated, and they have done a great deal  
22 voluntarily. They take it quite seriously and they  
23 spend an awful lot of money on it. But we could  
24 certainly be doing more, and I think we should be doing  
25 more. That is my pitch.

1           In answer to your question, I believe the most  
2 serious area to look into or to contemplate in answering  
3 that question is this new concept of a probability of  
4 causation of radiation effects. I believe that is going  
5 to have a profound effect on the workers themselves and  
6 on their employers.

7           In case everybody is not up to date on the  
8 probability of causation, --

9           MR. MOELLER: Well, --

10          MR. VALLARIO: Ed had a slide. You mean Vic  
11 Bonn's equation?

12          MR. ALEXANDER: Yes.

13          MR. MOELLER: He went over that with us.

14          MR. ALEXANDER: That apparently is going to  
15 catch on, and I think that that will provide an  
16 incentive at least to keep the individual doses down.  
17 But if we're not careful, once again, we're just going  
18 to drive collective doses further up.

19           I think the attention of -- and that's where a  
20 regulatory agency should come in. That is what we are  
21 here for, as I understand it, in my area; to try to  
22 prevent exploitation of the worker by his employer.  
23 That's what we're here for. And it's things like that  
24 that can result in exploitation of the worker by giving  
25 the population a larger risk in order to avoid potential

1 legal expenses.

2 MR. MOELLER: Let's see, Martin, and then I  
3 think we've got to wrap it up.

4 MR. STEINDLER: I can give you an unfair  
5 summary of what I thought you said. You indicated  
6 significant concern and cited some data that not only  
7 are collective doses but in some cases individual doses  
8 seem to be bouncing around and going upward.

9 Yet, on a priority basis, under the heading of  
10 "occupational radiation protection" things that you  
11 mentioned that were most important to you tended to not  
12 have an immediate and direct effect on that topic;  
13 specifically, optimization, as I see it, having just  
14 learned about it five minutes ago and having become an  
15 instance expert, tends to become a calculational method  
16 for future implementation.

17 The calculation of de minimis, which was  
18 second on your priority list, is, again, a future  
19 application of what health physics should or should not  
20 pay attention to. It takes a while before we get down  
21 to corrosion product buildup, decontamination  
22 effectiveness, the decontamination impact on waste  
23 solidification, things that are directly related to the  
24 whole question of reducing the occupational dose.

25 Do I have a wrong picture of what appears to

1 be a set of priorities that doesn't match what the real  
2 concern is?

3 MR. ALEXANDER: No, I don't think so. We want  
4 to do both. We don't want to discontinue our cancer  
5 research because cardiovascular disease kills more  
6 people. We want to have a broad program that addresses  
7 all of the problems. The major problems as well as the  
8 design problems.

9 The optimization area you mentioned does  
10 directly apply. If we can come up through optimization  
11 with an analytical technique that engineers can use, and  
12 it is shown to be practical and will work, then they  
13 will stop designing to dose limits and start designing  
14 to ALARA.

15 MR. STEINDLER: Let me remind you of what I  
16 think was a correct statement you made to begin with.  
17 Namely, designs for the future are not likely to be very  
18 important. As you say, the reactors that we're likely  
19 to see have been designed, and in many cases and in most  
20 cases, may have already been built.

21 If that is the case, then the application or  
22 the short-term immediate application of the optimization  
23 technique, as good as it is, is going to have an impact  
24 much further down the pike, as far as I can see. Is  
25 that an incorrect assessment?

1 MR. ALEXANDER: Well, except the last curve I  
2 put up there, I think the operational type, can have an  
3 immediate effect.

4 MR. STEINDLER: I'm just trying to understand  
5 where you are and what kind of comments the subcommittee  
6 might choose to make.

7 MR. ALEXANDER: I think you may have attached  
8 more importance to the order in which things were  
9 discussed than I intended.

10 MR. MOELLER: Let me offer a comment. I think  
11 what troubles Martin is that if reducing occupational  
12 doses is your number one goal, then you would be working  
13 much more on the control of the source term or having  
14 lost control in removing it through decontamination  
15 techniques. And am I correct in saying that the answer  
16 to that is that you support that work vigorously, but  
17 others have the primary responsibility -- other units --  
18 for carrying it out. Is that correct?

19 MR. ALEXANDER: That's true. I'm in the  
20 operations business. The name of the division I'm in is  
21 Facility Operations, and that's another reason I tend to  
22 focus more on operational aspects.

23 What might -- I think the direction you're  
24 driving at is an interesting one, and I was thinking  
25 about it before I got up this morning. It often seems

1 that the agency needs a better organizational focus on  
2 many occupational matters. Those of us who work with  
3 workers are scattered throughout the organization, and  
4 it is not highly focused. Sometimes, it's not even well  
5 coordinated.

6 MR. MOELLER: Other questions or comments?  
7 Yes, Dick?

8 MR. FOSTER: Bob, you expressed your feeling  
9 here that health physics as a trade, a profession, has  
10 gone downhill in the United States, and it is also going  
11 downhill in the NRC as an organization.

12 MR. ALEXANDER: Not going downhill, Dick.  
13 Getting behind the Europeans.

14 MR. FOSTER: It's being relegated to a  
15 position of less importance.

16 MR. ALEXANDER: Yes.

17 MR. FOSTER: The most important place where,  
18 to me, this should not be happening is really in  
19 industry where the people are actually out in the  
20 plants, the workers are getting exposed, the decisions  
21 are being made relative to dose reduction or prevention.

22 What is your view relative to what is  
23 happening at the power plants on the health physics  
24 programs there? You just, a year or so, went through  
25 that fairly extensive review program, NRC's review

1 program of the health physics program, at most all of  
2 the operating reactors -- evaluation of how good those  
3 programs are, finding in many cases that they were not  
4 up to par.

5 Now, as an outgrowth of that or other things,  
6 is it your feeling that the health physics programs in  
7 the field run by the utilities are improving or again  
8 falling behind? How do you feel about this?

9 MR. ALEXANDER: That is an operational type  
10 question. I think as a result of the health physics  
11 appraisal program where deficiencies were identified  
12 that people simply were not aware of, I am told by our  
13 inspectors that definite improvements are taking place.  
14 So I think that operational health physics for what we  
15 know will work -- is getting better. But I think the  
16 areas where improvement is needed is one where emphasis  
17 and backing from utility management in the health  
18 physics area is needed and that problem has not been  
19 licked yet.

20 Second, I think technical improvements are  
21 needed in the way measurements are done and in the way  
22 radiation controls are effected. Third, I very strongly  
23 feel that radiation protection needs to have a broader  
24 application in the nuclear power industry. Radiation  
25 protection will never be controlled properly if it's



1 only considered to be a health physics problem. You  
2 have to have management of almost every department at a  
3 nuclear facility trying to get that down there.

4 So many operational things that can be done to  
5 get doses down that people in health physics have no  
6 knowledge or power over will never be done until higher  
7 level management want it done and pass the word down to  
8 their department heads in all operations of a nuclear  
9 power plant.

10 MR. EBERSOLE: May I ask a question?

11 MR. MOELLER: Yes.

12 MR. EBERSOLE: Speaking along the operational  
13 lines, what has happened in the last 15-odd years  
14 concerning radionuclide concentration levels in the  
15 coolants? Have they been going down? I remember way  
16 back there was an argument about what was the proper  
17 level of activity concentration in coolant, considering  
18 the potential for sudden release of this stuff, which is  
19 one aspect; considering the buildup of activated  
20 corrosion products in the short and long term is another.

21 There were several basic reasons why you  
22 should control this activity level to some level. At  
23 the time, I know it was -- I think the accident  
24 potential; that is, a sudden leak, was the predominant  
25 cause. This was before recombination of BWR

1 discharges. You had a stack discharge all the time.

2 Is that activity level going down? It seems  
3 to me this is a critical parameter in the plant. How  
4 hot are you going to let the coolant be from the  
5 standpoint of lay-down of corrosion products or gross  
6 leaks or gross failures? Has it been going down? Have  
7 there been coordinated approaches toward holding the  
8 heat in the coolant down?

9 MR. ALEXANDER: I'm not the best person to ask  
10 that question, but I can give a general answer that  
11 might be of some help. That is, where we have looked  
12 into this sort of thing, there seems to be a lot of  
13 worry about chemistry control of the coolant. I think  
14 that worry is based on almost entirely build-up of  
15 radioactivity in the coolant and the deposition of the  
16 radioactivity on the internal surfaces of the plant.

17 We have a strong impression that much more  
18 could be very readily done in that area if the emphasis  
19 were placed.

20 MR. EBERSOLE: Isn't this the crux of the  
21 problem? That's the transport device, the coolant, to  
22 work on the concentrations by whatever means --  
23 chemistry, filtration, whatever; keeping it home or  
24 letting it go.

25 MR. ALEXANDER: Yes, that was one of the

1 principal ways the nuclear Navy was so successful.

2 MR. EBERSOLE: I thought at the time and still  
3 do that it's the focus of what we're trying to do. What  
4 will we let get in the coolant and what won't we let get  
5 in the coolant. But I don't see much conversation about  
6 that, or careful evaluation of the pieces of this  
7 problem.

8 MR. ALEXANDER: That's right, I don't either.

9 MR. MOELLER: Jerry Ray, and then we'll take a  
10 break.

11 MR. RAY: It's an isolated incident, but on  
12 this last point Dick brought up relative to industry  
13 sensitivity toward the importance of health physics in  
14 their operating modes, the Human Factors Subcommittee of  
15 the ACRS a week ago took a trip to Waterford Station in  
16 New Orleans. About 18 months ago when we were down  
17 there and subsequently, at the ACRS full committee  
18 meeting, mention was made that they didn't seem to place  
19 the proper emphasis on staffing for health physics.

20 Well this time when we visited them for  
21 purposes of inspecting the control room and panel layout  
22 from a human engineering viewpoint, we incidentally  
23 learned that they had taken it too hard, possibly  
24 because of some more pressure from the NRC staff -- but  
25 don't trust me on the total numbers. But it seems that

1 they have augmented their health physics personnel  
2 assignments from a total of about 17 to 27. It was a  
3 major increase and they have recruited almost all of  
4 them, and they are almost a year away.

5 So there's an isolated incident where the  
6 utility without the experience under their belt is  
7 taking the health physics problem seriously, from the  
8 viewpoint of spending money for people.

9 MR. ALEXANDER: There is tremendous variation  
10 among the utilities. I can give you an extreme. We  
11 know of one utility -- I'm glad I can't think of the  
12 name of either of these utilities --

13 (Laughter.)

14 We know of one at headquarters where to take  
15 care of all the health physics matters they have one  
16 health physicist. That health physicist is relatively  
17 inexperienced and a relatively young person. There's  
18 nothing wrong with being young.

19 MR. RAY: How many in the plant?

20 MR. ALEXANDER: I don't know. This is just a  
21 headquarters story. At the meeting of the Atomic  
22 Industrial Forum recently, somebody got up from the  
23 utility headquarters and just painted a beautiful  
24 picture; everything was computerized, they had their  
25 finger on everything going on in these plants. And I

1 went up to him and asked how many people do you have and  
2 he said 40.

3 Now, these are utilities of about the same  
4 size. We have tremendous variation. And then, of  
5 course, the health physics program, as you were  
6 indicating, is a reflection of how many people are  
7 conducting it.

8 MR. MOELLER: Well, we are running somewhat  
9 behind. I think I will declare, though, a 15-minute  
10 recess. Thank you, Bob, for coming and sharing your  
11 thoughts with us.

12 MR. ALEXANDER: It's always a pleasure, Dade  
13 (A short recess was taken.)

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 MR. MOELLER: The meeting will come to order.  
2 We will resume with the presentation on  
3 emergency preparedness, which will be handled by Michael  
4 Jamgochian. Mike?

5 MR. JAMGOCHIAN: Good morning.

6 As Dade mentioned, my name is Mike  
7 Jamgochian. I work in the Human Factors Engineering  
8 Branch, Division of Facility Operations, Office of  
9 Research.

10 I have been requested this morning to discuss  
11 the fiscal year '84-'85 budget that Research has  
12 projected in the area of emergency preparedness. We are  
13 involved not only with research, but also with the  
14 development of standards, regulatory guides, and  
15 regulations.

16 This morning's presentation will primarily  
17 focus on the Research budget as requested.

18 MR. MOELLER: Actually, we want you to focus  
19 on the projects, not the budget. You are saying  
20 Research budget. We would like mainly a description of  
21 the most prominent areas, subject areas that you are  
22 going to be working in. We are not -- Well, we are  
23 interested in budget insofar as a project is being  
24 increased or decreased, but we are not interested in  
25 detailed numbers today.

1 MR. JAMGOCHIAN: Okay, fine.

2 (Slides.)

3 MR. JAMGOCHIAN: The overall objectives of the  
4 research involved with emergency preparedness is, one,  
5 to assist in upgrading emergency preparedness at  
6 licensed facilities. How can the staff help licensees  
7 be better prepared, help state and local governments be  
8 better prepared to handle emergencies in and around  
9 nuclear power plants?

10 The second objective is to provide a basis for  
11 regulatory positions on emergency preparedness. This is  
12 primarily responsive to our licensing offices to request  
13 specific research done in this area.

14 (Slide.)

15 MR. MOELLER: Questions?

16 MR. STEINDLER: On that last vu-graph, if  
17 there is no basis for regulatory positions, how can you  
18 assist in the upgrading of emergency preparedness at  
19 this point?

20 MR. JAMGOCHIAN: Okay. I will be able to  
21 answer that further down. This is a difficult answer,  
22 but actually there are two separate objectives. The  
23 first, we look at what is the licensee doing today, what  
24 are the regulations today, how can we help the licensee  
25 do better, how can the regulations be better written,

1 where are the problem areas.

2 The second objective is primarily focused on  
3 what is the technical basis for emergency planning,  
4 preparedness requirements for fuel cycle and material  
5 licensees or for advanced reactors, that type of thing,  
6 regulations that have not been written or regulations  
7 that are in the process of development.

8 The first project is human factors in  
9 emergency response. The basic approach that the staff  
10 is involved with is to evaluate the decision-making  
11 process in the early stages of an emergency relative to  
12 the taking of protective actions. We will review plans  
13 that discuss with reactor operators, senior reactor  
14 operators, and plant managers and evaluate the criteria  
15 and factors behind making the necessary decisions for  
16 the public to take protective actions.

17 We will evaluate considerations which are not  
18 formalized in the written procedures. Okay, as you  
19 probably well know, the regulations require a licensee  
20 to have the capability for the notification of off-site  
21 governmental authorities prior to -- well, during an  
22 emergency. They have got to be able to assess the  
23 magnitude and course of an accident, and make those  
24 recommendations for the taking of protective actions.

25 The state and local governments would analyze



1 those recommendations and if necessary warn the public.  
2 Now, this goes back to the installation of prompt public  
3 notification systems, which was a very widely discussed  
4 area during the formulation of the emergency planning  
5 regulations.

6           So this research project is to look at what  
7 goes into a reactor operator at 3:00 o'clock in the  
8 morning, what goes into his thought process relative to  
9 recommending the sounding of those sirens. There is bad  
10 public relations. He is going to wake a lot of people  
11 up. Are people going to panic? Are people out to ten  
12 miles going to panic? Are people beyond ten miles going  
13 to panic? Is he going to lose his job if there really  
14 isn't an accident and those sirens are sounded?

15           There is a whole great deal of things that  
16 goes into this. Now, these things or some of these  
17 factors were discussed between you folks when we  
18 formulated the original recommendation and the  
19 Commission at the state and local governmental  
20 workshops. People had said, hey, have you considered  
21 whether people are going to panic when the sirens go  
22 off? What are people supposed to do?

23           So, yes, things were talked about and things  
24 were discussed. Indeed, all of these factors were  
25 discussed, but nobody really analyzed them in depth.

1 Here is where we hope to do that.

2 MR. FOSTER: Question. Is human factors,  
3 which is involved in this, focused mainly on the plant  
4 operators, or is it focused on the public?

5 MR. JAMGOCHIAN: It is focused on operators,  
6 plant management, and senior reactor operators.

7 MR. FOSTER: So that this doesn't get into the  
8 area of, I am a member of the public, and when I hear  
9 the whistle blow, what my action is going to be?

10 MR. JAMGOCHIAN: No, sir, but when you look at  
11 what the reactor operator has to think about, he thinks  
12 about John Q. Public eight miles out hearing that siren,  
13 okay?

14 MR. FOSTER: And tries to second-guess what --

15 MR. JAMGOCHIAN: Exactly. Exactly. Is he  
16 more concerned with waking John Q. Public up or a  
17 problem with panic than he is with the machine,  
18 man-machine problem?

19 MR. ORTH: But by definition, that then means  
20 that you have to worry about what John Q. Public is  
21 going to do and analyze the probable public reaction.

22 MR. JAMGOCHIAN: Me and this project?

23 MR. ORTH: Yes, in the project. If he is  
24 going to ask that question and you are going to answer  
25 it for him --

1 MR. JAMGOCHIAN: Tangentially, but the  
2 research involved here is not going out to John Q.  
3 Public, and what are you going to do when that siren  
4 sounds.

5 MR. ORTH: Shouldn't it?

6 MR. JAMGOCHIAN: Not really, because FEMA is  
7 more involved with John Q. Public's movements.

8 MR. ORTH: Then have they got a program to do  
9 that?

10 MR. JAMGOCHIAN: They are involved intimately  
11 with the sounding of these sirens. Can people hear  
12 them? Are they adequate? What are people going to do?  
13 Do people know what they are supposed to do when the  
14 siren sounds? They are involved with a great deal of  
15 research in that, yes, to answer your question.

16 And your second question is, are we  
17 coordinated? Yes.

18 (Slide.)

19 MR. JAMGOCHIAN: Now, I am presenting this  
20 project primarily because I presented it at our last  
21 meeting where I discussed the research projects for your  
22 report to the Commission, I believe, for '84 and '85.  
23 We are involved with a rulemaking proceeding on  
24 emergency planning for fuel cycle and material  
25 licensees. Now, as many of you may know, the rulemaking

1 that went along with emergency preparedness for power  
2 reactors had a NUREG manual that sort of told folks,  
3 okay, here is how you implement that regulation, here  
4 are the elements that we are going to look at to see if  
5 your plan, state, local, and licensee plans are in good  
6 shape.

7 Well, what we want to do is develop the same  
8 kind of handbook which would help licensees, fuel cycle  
9 and material licensees and the states around these  
10 licensees to develop their plans and to be consistent,  
11 and that the review by FEMA and the NRC will also be  
12 consistent.

13 Now, this was to begin in '84 and '85. I met  
14 with FEMA in, let's see, in June and July, and we had  
15 budgeted a significant amount, I think \$200,000 in '84,  
16 and \$100,000 in '85. The FEMA folks were very  
17 interested in this, and as I told you at the last  
18 meeting, that we were negotiating to try and do many of  
19 my projects together.

20 Well, we were able to enter into an  
21 interagency agreement, and FEMA had money on hand in '82  
22 and '83, and NRC had a little bit of money on hand in  
23 '82 and '83, so this project has already started at  
24 Sandia at a significant savings to the NRC, over a  
25 \$200,000 savings than originally budgeted, primarily

1 because both agencies went into this, both agencies are  
2 reviewing it, and the amount of cooperation and  
3 coordination is really quite good.

4 We hope that that is a first step among many  
5 steps in the right direction. I personally feel, and my  
6 management feels that the more things that can be done  
7 with an interagency agreement in the area of emergency  
8 preparedness, if you really think of emergency  
9 preparedness, it is hard to say, okay, one agency, you  
10 stop at the fence, and by God the second agency takes  
11 over from the fence on out.

12 Now, that is the way it is divided between the  
13 bureaucracies, but Lord, it is very difficult to really  
14 make that workable unless the two agencies cooperate  
15 extensively. We have tried and succeeded, especially  
16 here, in that cooperation effort, so this project  
17 really, you shouldn't include in your '84, '85 report,  
18 but it is progressing in fact quite well.

19 MR. ORTH: For clarification -- Everybody's  
20 got their hand up, but I spoke first.

21 (General laughter.)

22 MR. ORTH: Would emergency plans for support  
23 of fuel cycle and material licensees -- exactly what  
24 kind of emergencies are we dealing with here? We are  
25 not talking about a Class 9 accident, obviously, so what

1 is going into this?

2 MR. JAMGOCHIAN: Okay. We are analyzing what  
3 type of accidents can happen based on what the man is  
4 licensed to possess, the amount of material, what types  
5 of material. We are -- Now, again, this is in the very  
6 early stages of this rulemaking, so bear with me. We  
7 are evaluating using dispersion factors, release  
8 fractions, and we are trying to put some sort of a limit  
9 if you own or if you are licensed to possess a certain  
10 amount of material, a certain kind of material, then you  
11 should have in-house emergency plans, because that type  
12 of material and that amount of material will give so  
13 much dose out to a certain distance if released.

14 Now, you are frowning. You are saying, many  
15 of these folks --

16 MR. ORTH: Seven forty is what you are  
17 reminding me of, but go ahead.

18 MR. JAMGOCHIAN: Many people don't have what  
19 they are licensed to possess on hand. Well, in fact,  
20 the Commission --

21 MR. ORTH: My question was, if you make the  
22 assumption that because a man has X grams of, pick a  
23 number, americium, on hand, therefore it can all get  
24 dispersed to the environment, if we assume that that 100  
25 percent release as the first cut as what we plan

1 emergencies on, we are back into the trap that has led  
2 to an infinite amount of mischief in our whole  
3 business.

4 So that is sort of what I was asking the bases  
5 and what kind of things we are looking at.

6 MR. JAMGOCHIAN: To develop a realistic source  
7 term in this rulemaking, especially over the last week,  
8 is a great deal of concern that has been focused upon  
9 it, and we are trying to get as realistically as  
10 possible. We are not assuming that, yes, whatever the  
11 man has on hand or whatever the man is licensed to have  
12 on hand can get out to the public. There are various  
13 modified factors.

14 Then we get to the debate, are those modified  
15 factors realistic to conservative, because some of them  
16 are judgmental calls.

17 MR. ORTH: Okay. Second question, then, is,  
18 are you only focusing on the radioactive materials  
19 involved here? For example, a UF 6 plant may have a  
20 little bit more flooring stashed around.

21 MR. JAMGOCHIAN: We are not just looking at  
22 radioactive material. We are looking at material they  
23 may have on hand concerning toxicity. Now, how we do  
24 that is the big problem.

25 MR. MOELLER: Jesse Ebersole, and then Martin

1 Steindler.

2 MR. EBERSOLE: Dr. Orth stole my thunder. I  
3 was going to put it a little bit differently, what sort  
4 of excited state are you expecting the fuel facility to  
5 be in that gives you some sort of source term. As it  
6 stands now, I don't know what you've got for a source  
7 term, and without that, I don't know what you do. It  
8 seems like the first thing you've got to do is identify  
9 that fraction of whatever the inventory can become  
10 mobile by whatever means.

11 Until you do that, you have not got anything  
12 to work on.

13 MR. JAMGOCHIAN: Well, your first step is,  
14 what is the maximum amount the man is licensed to  
15 possess. The next step is, how does that and how much  
16 of that can get out.

17 MR. EBERSOLE: Right. That is the part on --

18 MR. JAMGOCHIAN: Let's take a look at a fire,  
19 all right, where a significant amount of that stuff --  
20 now, what percentage of it, and that is the iffy part  
21 and the delicate part, how conservative is the proper  
22 approach?

23 MR. EBERSOLE: But until you develop that, you  
24 really are running around in the dark about emergency  
25 preparedness, aren't you? I mean, you don't know what



1 that is yet. It could be anything.

2 MR. JAMGOCHIAN: Well, again, it is being  
3 developed. Now, to be very honest with you, an advance  
4 notice of proposed rulemaking was published June of  
5 1981. Okay. And it basically announced the  
6 Commission's intentions of establishing emergency  
7 preparedness requirements for fuel cycle and materials  
8 licensees.

9 In it, it laid out the concept of, we are  
10 going to use license possession limits, we are going to  
11 use PAG's, we are going to use in this magic formula  
12 certain dispersion modifiers. We are not going to  
13 consider that sealed sources can be inhaled. We are not  
14 -- you know, certain of these modifiers, and receive  
15 public comments on this advance notice.

16 Nobody complained about these modifiers, these  
17 dispersion modifications we had put in, and many of the  
18 fractions that were used were obtained from licensing  
19 using good judgment.

20 Now, Sandia is looking at those again, and  
21 seeing how much judgment is in there, can they be  
22 modified, are we being too conservative? We are very  
23 aware of the source term problem.

24 MR. MOELLER: Martin?

25 MR. STEINDLER: I guess I have several

1 questions. One, what prompted this rulemaking in the  
2 first place?

3 MR. JAMGOCHIAN: Well, you recall a few years  
4 ago TMI occurred, and everybody was running around  
5 saying emergency planning was the magic word. The  
6 Commission at that time as well as other responsible  
7 agencies in the government as well as Congress had said  
8 to the Commission, and of course the Commission likewise  
9 said, we need emergency planning. That is when we  
10 developed the emergency fuel planning.

11 MR. STEINDLER: I am talking about this fuel  
12 cycle.

13 MR. JAMGOCHIAN: During those discussions, the  
14 Commission said, what about -- in fact, it was Mr.  
15 Kennedy at the time -- what about fuel cycles? What  
16 about materials licensees? The staff shrugged. The  
17 Commission then directed the staff, you will move in  
18 this area. Of course, not as expeditiously.

19 MR. STEINDLER: I guess I have to second,  
20 third, and fourth the concern that you are using  
21 possession limits as a basis for anything. Even 740  
22 didn't assume that 100 percent of the inventory is  
23 dispersible. I am surprised, I guess, that no one has  
24 responded to your advance notice of rulemaking, perhaps  
25 because not enough people read it, or perhaps because

1 nobody took you seriously, but if in fact you are going  
2 in that direction, I would recommend strongly that the  
3 technical basis for that is almost non-existent.

4 The second, I guess, major question I had --  
5 that was a comment. The second question I have is, you  
6 in fact claim to save some money by starting in '82  
7 rather than '84 or '85. I gather then the '84-'85  
8 schedule didn't conflict with what has to be a relaxed  
9 schedule for the rulemaking.

10 What prompted you other than economics to  
11 accelerate this effort?

12 MR. JAMGOCHIAN: It was primarily economics.  
13 We know we need this handbook. We know we need this  
14 analysis. If we can get it done half as cheap and if  
15 another agency will go in with us, let's get it on.

16 MR. STEINDLER: So you made a decision  
17 presumably to spend money here rather than somewhere  
18 else on some kind of a priority list, and you had to  
19 have some available funds in '82 and '83, and I assume  
20 that you had to take them from somewhere else or  
21 reprogram them.

22 MR. JAMGOCHIAN: It was \$50,000, okay? That  
23 was available in '82 that we were considering the  
24 evaluation of the technical basis for fuel cycle  
25 materials licensee rulemaking, so we were able to pull

1 \$50,000 off of that, and FEMA gave us \$50,000 to start  
2 this project.

3 Now, to answer your first comment, I may have  
4 given you the wrong impression. The advance notice of  
5 rulemaking was published, and we did receive comment  
6 letters. I think we received 19 comment letters. None  
7 of the comment letters focused on the release fractions  
8 and dispersion fractions that we planned on using. They  
9 commented in other areas, one of which was the PAG's.  
10 You shouldn't use the lower number of PAG's, things like  
11 that.

12 MR. STEINDLER: Was there enough information  
13 in the advanced rulemaking to allow someone to comment  
14 on your release fractions? All the rulemaking documents  
15 I have ever read tended to be so fuzzy that I couldn't  
16 figure out what was going to happen subsequently. Is  
17 this an unfair statement of the present one?

18 MR. JAMGOCHIAN: I helped write it, so I  
19 really can't comment, to be honest with you. I think  
20 the reason a lot of people didn't comment on it, they  
21 never realized, hey, this is going to affect me. It  
22 asked a lot of questions. It was in the Federal  
23 Register, four pages long, quite thick. I think  
24 primarily a lot of people didn't read it.

25 Now, the bigger licensees did in fact read it

1 and did in fact give good comments to it. I think once  
2 a proposed rule is written and published, people are  
3 going to say, whoa, this does in fact affect me. I am  
4 in fact going to comment on it.

5 To give you some more background relative to  
6 your comment on licensee possession limits, the  
7 Commission, at the same time they put out this advance  
8 notice, perceived a problem with 61 licensees, fuel  
9 cycle licensees, because of their large license  
10 possession limits, and in fact put out orders to these  
11 61 licensee to establish on-site preparedness based on  
12 license possession limits modified with these certain  
13 factors.

14 As the regulator, that is all you can go on,  
15 what the man is licensed to possess, not what he has  
16 possessed in the last ten years.

17 MR. STEINDLER: I don't have to agree with  
18 that, do I? I hope not. Because that is nonsense.

19 MR. JAMGOCHIAN: But the Commission did.  
20 Okay? What happened as a result of those 61 orders was  
21 that I think 26 licensees came in and modified their  
22 license. When they went in for a license ten, twenty,  
23 thirty years ago, they said, sure, give us the world, it  
24 is not going to cost us any more. But now that they  
25 realize, hey, to have a license to possess such large

1 quantities is in fact going to cost them something, they  
2 are coming in and saying, we have never used this, we  
3 never intended to use this much, so let's modify it.

4 MR. MOELLER: Well, I guess the question that  
5 goes through all of our minds, though, is how cost  
6 effective is this work if you look at the total quantity  
7 to get out and the probability that it will be  
8 dispersed? Could you not in looking at the fuel cycle  
9 and material licensees, could you not almost in a day,  
10 on the back of an envelope, screen it down to the key,  
11 few key facilities or types of facilities on a generic  
12 basis that you need to look at?

13 MR. JAMGOCHIAN: Well, I haven't been able to  
14 do it in a day on the back of the envelope. The  
15 licensing folks have not. Their first guess to the  
16 Commission, their first screening process, there is  
17 approximately 9,000 licensees.

18 MR. MOELLER: Nine thousand must be  
19 evaluated?

20 MR. JAMGOCHIAN: Nine thousand are being  
21 evaluated.

22 MR. MOELLER: How many generic groups might  
23 these fall into?

24 MR. JAMGOCHIAN: I don't know. I would say  
25 six to eight, something like that. Now, in the

1 presentation before the Commission on those orders, they  
2 had said they perceived the rulemaking in their first  
3 cut to come up with approximately 1 percent, so that is  
4 90 licensees that would require preparedness.

5 MR. MOELLER: Well, see, that is what I was  
6 driving at.

7 MR. JAMGOCHIAN: Right, but then you have to  
8 go to the next step, should you have on-site  
9 preparedness, should you have off-site preparedness, and  
10 where do you establish that? That is the hairy part.  
11 That is where you need a couple of pads instead of the  
12 back of an envelope.

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MR. MOELLER: How does this handbook compare,  
2 or is it the same handbook Don Solberg told us about  
3 yesterday?

4 MR. JAMGOCHIAN: I don't know what he had  
5 mentioned. I think he is involved with risk analysis.  
6 I believe the handbook you are mentioning is "How Does  
7 Licensing Analyze the Risk from a Facility"?

8 MR. MOELLER: Yes.

9 MR. JAMGOCHIAN: We are coordinating our work  
10 with him with his folks, and we hope that their work,  
11 which is much more extended and much more expensive,  
12 will complement ours and confirm what we are doing is in  
13 fact correct.

14 We are now in the process where we don't know  
15 where to establish that line. Should you just have  
16 on-site because once you go over that line and have  
17 off-site, it's an exponential step because then you  
18 involve FEMA, you involve state governments. Oh, it's  
19 quite a hassle.

20 MR. EBERSOLE: Mr. Chairman.

21 MR. MOELLER: Jesse and then Martin.

22 MR. EBERSOLE: This modifier with which you  
23 multiply the inventory to get a source term, are you  
24 satisfied that those modifiers are accurate as they  
25 should be or low enough as they should be before you



1 start off on the expensive process of developing  
2 emergency procedures which might be against a modifier  
3 that is far too large?

4 MR. JAMGOCHIAN: Well, let me answer that in  
5 this way. We have met with Sandia three times, and they  
6 have presented what their approach is, how they are  
7 proceeding, and they have come up with modifiers.  
8 Members of the Staff have, especially the licensing  
9 folks, have said, well, I think in this instance for  
10 this licensee that's way too high, where other folks  
11 have said, no, that's way too low.

12 And in fact, just two days ago the Staff met  
13 by themselves, and we are going to modify the modifiers  
14 because we felt they were too conservative and not  
15 enough judgment was put on them. It is a growing and  
16 learning process, and it's going to be a judgmental  
17 call, there's no question about that. And it will be  
18 controversial, no question about that.

19 MR. MOELLER: Martin. And then we must move  
20 on.

21 MR. STEINDLER: Just a comment, I think, to  
22 the assembled subcommittee. I believe this to be a  
23 critically important area for several reasons, one of  
24 the most key being because it is at the interface of the  
25 industry versus the rest of the world. As a consequence

1 to Don's commentary in a way, it is fraught with the  
2 possibility for an enormous amount of mischief by reason  
3 of ignorance.

4 And I would recommend to us that if we have  
5 any comments to make on that, that this particular  
6 program and others in the same general vein should be  
7 commented on in the area of caution for the need for  
8 peer review and certainly the need from a broad base of  
9 competent input that currently exists within NRC and DOE  
10 as a matter of experience, to say nothing of having some  
11 industrial participation of what the real world is like.

12 That isn't to say that there shouldn't be any  
13 emergency preparedness. All I am saying is, if done  
14 wrong we can screw things up most easily by a program of  
15 this kind than any other that I can think of offhand  
16 that we have heard about.

17 MR. MOELLER: Well, and I can see it being  
18 important not because there is a major problem there but  
19 rather to determine the extent of whatever problem there  
20 is.

21 Okay, we will go ahead, Mike.

22 (Slide.)

23 MR. JAMGOCHIAN: This project has been placed  
24 instead of the handbook that was just discussed in '84  
25 and '85. What we plan on doing is evaluating the need

1 for and the technical basis for emergency preparedness  
2 requirements for advanced reactors.

3 The questions that will be looked at are: Do  
4 we need them? How far? What kind of response time is  
5 there? What kind of source term? What kind of  
6 emergency plans? Should they be similar to LWRs; should  
7 they be similar to research reactors, whatever?

8 MR. MOELLER: Okay. Well, you have the CRBR,  
9 and that's it for quite some time.

10 MR. EBERSOLE: Will you consider, for example,  
11 HCDAs for emergency planning even though it might not be  
12 considered in the design? I guess that's the kind of  
13 question even a look at --

14 MR. MOELLER: Use the mike, Jesse.

15 MR. JAMGOCHIAN: These are all questions that  
16 are going to be looked at.

17 MR. EBERSOLE: Right.

18 MR. MOELLER: What is your time schedule on  
19 this?

20 MR. JAMGOCHIAN: To begin in '84, hopefully to  
21 be completed in '85.

22 (Slide.)

23 MR. MOELLER: Yes, Dick.

24 MR. FOSTER: Have you identified  
25 characteristics of advanced reactors which would lead

1 you to believe that something different is going to be  
2 needed in emergency preparedness than you have for  
3 light-water reactors?

4 MR. JAMGOCHIAN: No, sir. I haven't done any  
5 consideration in this project at all. It is something  
6 that the funds were budgeted primarily for that handbook  
7 on fuel cycle material folks. The funds are available,  
8 and we felt that we could start our project in this area  
9 at that time.

10 MR. NORBERG: Jim Norberg. I think that one  
11 of the obvious things is the difference in source term  
12 if you're talking about a plutonium fuel reactor.

13 MR. FOSTER: But does that lead you to take  
14 different kinds of --

15 MR. NORBERG: Possibly. Possibly, it might.  
16 But this is --

17 MR. MOELLER: Pass the microphone over to  
18 him. Complete your last statement.

19 MR. NORBERG: Yes. Possibly because of the  
20 source term differences, for example, in an LMFBR, where  
21 you're talking about a plutonium fuel reactor, this  
22 could lead to different kinds of emergency actions that  
23 might have to be taken.

24 We have not gone into this in any great depth,  
25 as Mike pointed out, but it is this sort of thing that

1 we are going to be looking at when we look at the  
2 technical basis for the advanced reactors. And we are  
3 really talking at this point in time going beyond the  
4 LMFBR because there are no other advanced reactors on  
5 the near-term horizon. That's the sort of thing, and I  
6 think Dr. Ebersole brought this point up, too.

7 MR. MOELLER: Martin.

8 MR. STEINDLER: Are you suggesting you put a  
9 project like this into the budget process, and I assume,  
10 allocate a certain amount of money in planning for '84  
11 and '85 without having much of an idea what this thing  
12 is going to look like or why you need it?

13 To rephrase the question somewhat differently,  
14 could you tell me what kinds of planning you go through  
15 in order to introduce a project into the budget stream  
16 and in fact, I assume, what kind of process that you go  
17 through to allocate not only a title to it and put it in  
18 the stream?

19 But you also presumably have to allocate some  
20 resources from '84 to '85 for your planning so that you  
21 must have an idea of the magnitude of what the effort  
22 should be or you would like it to be. But I sense you  
23 don't have anything other than a title in terms of the  
24 depth of thought that you have given so far as to why  
25 the thing is needed, who is going to use the answers, et

1 cetera, et cetera, et cetera. Is that a fair statement?

2 MR. JAMGOCHIAN: Well, slightly. Who the  
3 customer is going to be, why it is needed, is it  
4 necessary to establish emergency plans for advanced  
5 reactors. Some of the questions that this research will  
6 come up with are: What kind of response time do we  
7 have? What kind of source term do we have? What types  
8 of source term? These are questions that have to be  
9 asked.

10 All right. If the conclusion is that no  
11 emergency plans are necessary, that is fine. If the  
12 conclusion is, yes, for instance, no emergency plans are  
13 necessary because you have such enormous response time,  
14 then --

15 MR. STEINDLER: I am sorry, that's a straw  
16 man. I didn't say you had no emergency plans that are  
17 required. I am responding in a sense to Dick Foster's  
18 comment. How do you know something is different?

19 MR. NORBERG: Jim Norberg again. We're trying  
20 to, in research, trying to get ahead of the game a  
21 little bit rather than being completely in a responding  
22 mode like we have had for years. In this area, this is  
23 an area that we feel if the LMFBR or other advanced  
24 reactors are going to come into being down the road, we  
25 would like to get our foot in the door a little bit

1 earlier in the area of emergency planning as well as in  
2 other areas.

3 We're talking in general in the human factor  
4 areas to look at advanced reactors also. This is just  
5 one aspect. It was not a large program to start with at  
6 this point in time because the immediacy of it is not  
7 that apparent, but we feel that we should be getting  
8 ourselves ahead of the game rather than always being  
9 behind it. I think that is the thinking behind our  
10 planning in going into the advanced reactor research at  
11 all at this point in the time frame we are looking at  
12 here.

13 MR. MOELLER: Don.

14 MR. ORTH: I am not questioning whether or not  
15 -- well, emergency planning has to be looked at, but  
16 isn't what you're saying is this really translates into  
17 a source term study? The thing really is mistitled,  
18 because when you evaluate the source term, that's when  
19 you will find out whether or not you need anything  
20 different from an LWR or anything else.

21 So what I am saying is, shouldn't you just  
22 retitle this and maybe we can go on?

23 MR. MOELLER: Right. Well, what did you do on  
24 the FFTF?

25 MR. NORBERG: We have not done anything at

1 this point in time on the FFTF in our branch. I think  
2 this has been handled strictly in the licensing area,  
3 but I don't know personally what was done in terms of  
4 looking at emergency preparedness.

5 MR. MOELLER: Well, that might then be a good  
6 place to start to find out what they did.

7 MR. NORBERG: I agree.

8 MR. EBERSOLE: Why isn't it appropriate to tie  
9 this effort directly to the Clinch River breeder?

10 MR. MOELLER: That's why I asked. That's the  
11 only one they had. Sure. They ought to tie it  
12 directly. And I think Martin and Don and Dick's point  
13 they have raised is the key to the whole thing. It is  
14 going to be the same kind of people doing -- you know,  
15 they're running around the same public involved, so it  
16 really boils down to primarily a source term question.

17 Okay, well, let's go on.

18 (Slide.)

19 MR. JAMGOCHIAN: The next project we plan on  
20 doing is confirmatory research on the optimum frequency  
21 and scope of emergency exercises. The approach we plan  
22 on following is to review past and ongoing exercises,  
23 look into the results, see if what is required is  
24 adequate or needs improvement.

25 Right now, the regulations require an annual



1 full-scale emergency planning exercise, full-scale being  
2 the licensee, state, and local government, and many  
3 times, federal participation. There is a great deal of  
4 push being made to relax that exercise frequency from 1  
5 year to every 2 years, primarily because -- well, the  
6 rationale behind that is that it is felt that too much  
7 time and too much money is being spent in the conducting  
8 of these exercises.

9           The exercise up at Zion cost approximately a  
10 quarter of a million dollars. It took a great deal of  
11 effort to plan for, to conduct, and then to critique.

12           It is felt by states, by licensees, and by  
13 many federal folks that that is too excessive, and they  
14 should be relaxed to every 2 years. The Staff proposed  
15 to the Commission last April that that in fact be  
16 relaxed. The Commission voted that down and said, come  
17 back in another year, we will have more experience under  
18 our belt and we will evaluate that.

19           MR. MOELLER: Well, what do the Germans, the  
20 French, the U.K., the Japanese, and the Canadians do?

21           MR. JAMGOCHIAN: Well, it's totally different  
22 across the spectrum. I am not familiar with all of  
23 them. Some do conduct it on a yearly basis. Almost all  
24 have the licensees conduct it on a yearly basis.

25           Now, depending upon their governmental

1 structure, sometimes the federal government  
2 participates, sometimes it's just the local government.  
3 I know in Canada the provinces participate every year, I  
4 believe. But there is still a question. There's a lot  
5 of political motivation involved in this, in that it's  
6 costing a great deal of money and a great deal of time,  
7 and what is the optimum frequency?

8 MR. MOELLER: Martin.

9 MR. STEINDLER: I assume this is, in effect, a  
10 generic program rather than site-specific?

11 MR. JAMGOCHIAN: Yes, sir.

12 MR. STEINDLER: Do you have any assurance  
13 whatsoever that you can obtain a generic answer that is  
14 meaningful for any specific site; that an answer is  
15 obtainable in the first place; and then two, that the  
16 generic answers will be meaningful for a specific site?  
17 I don't need to tell you with your background the  
18 ramifications of the question I am asking you.

19 MR. JAMGOCHIAN: Well, it is felt really that  
20 you can look at what exercises are being done, the  
21 movement of people, how often people are changed from  
22 their positions on the state level, a local level; is  
23 there a problem with coordination between licensees,  
24 local and state governmental authorities during these  
25 exercises? Is it really bad?

1           When FEMA and the NRC goes out to evaluate  
2 these things, they have certain criteria they measure the  
3 exercise against. If after a 2-year lapse -- well, the  
4 way the proposed rule is worded and we anticipate in  
5 presenting it to the Commission is that they will have  
6 to have an annual exercise unless FEMA and the NRC make  
7 a finding that the exercise was done so well that they  
8 don't have to do the next exercise.

9           Okay. That wording was, in fact, suggested by  
10 Mr. Gilinsky at the last presentation, rather than to  
11 say, blanket, everybody has to do it every 2 years,  
12 unless you really mess up, you've got to do it the year  
13 in between.

14

15

16

17

18

19

20

21

22

23

24

25

1           So you are really looking at the individual  
2 states, you are looking at the movement of people, that  
3 kind of thing in the approach to handling this.

4           MR. STEINDLER: I just want to comment that  
5 the FEMA group determined early on, again in the  
6 fifties, that national exercises alerting you for  
7 nuclear war was a once-a-year exercise. The same  
8 question was raised, both locally and nationally, in the  
9 course of what was then the Civil Defense Agency as to  
10 how frequently should we have exercises that in effect  
11 toot all the sirens in the country, and it took the  
12 better part of a solid weekend for -- now we are talking  
13 about the fair number of million of people who were  
14 actively participating in this. The answer came back:  
15 once a year. For what that is worth.

16           MR. JAMGOCHIAN: Well, FEMA in fact -- that is  
17 why I brought this up in the last discussion. FEMA was  
18 making a presentation to the Commission next door  
19 relative to offsite preparedness around Indian Point. In  
20 their last presentation there was a major thrust saying,  
21 hey, the states need relief, it is costing a lot of  
22 bucks and a lot of time, and a lot of complaints are  
23 coming from the local governmental authorities because  
24 they have a lot of volunteers in that preparedness  
25 organization, volunteer firemen, volunteer sheriffs,

1 volunteer civil defense folks, and these volunteers are  
2 having to leave their jobs to play in our exercises, and  
3 they are complaining about that.

4 MR. MOELLER: Well, let's hustle along. We  
5 are really going way over.

6 MR. JAMGOCHIAN: The last one.

7 (Slide)

8 This is to evaluate qualifications that  
9 possibly are necessary for emergency preparedness  
10 personnel. We want to look at the licensee's plants,  
11 review exercises and talk to primarily corporate and  
12 plant managers during actual exercises in actual  
13 emergencies if they exist and evaluate how they could  
14 have been handled in a better manner.

15 MR. MOELLER: Well again, and maybe it is  
16 saying the same thing, but I gather what you are going  
17 to really look at is the training that is necessary for  
18 emergency people?

19 MR. JAMGOCHIAN: Yes, sir.

20 MR. MOELLER: Yes, Dick.

21 MR. FOSTER: This emergency preparedness  
22 personnel, are you talking about people that are  
23 employees of the plant or are you talking about the  
24 local sheriff?

25 MR. JAMGOCHIAN: No, not the local sheriff.

1 We are talking about employees of the plant but usually  
2 higher than the senior reactor operators, the folks that  
3 have to handle the real emergency at a high level that  
4 deal with possibly the Governor's Office, the NRC,  
5 people like that; can they be better prepared with  
6 handling news media, with -- we really have no problems.  
7 Sheriffs know how to block roads, county police know how  
8 to evacuate folks. They do it every day. We are worried  
9 about the corporate manager who says things or doesn't  
10 handle the emergency properly with, say, the governor's  
11 staff.

12 MR. FOSTER: If he doesn't meet your criteria  
13 here, are you going to say he is not qualified for his  
14 job?

15 MR. JAMGOCHIAN: We are trying to question  
16 whether it isn't necessary that he get better training.  
17 Right now the regulations require that we review  
18 directors and/or coordinators of plant emergency  
19 organizations and licensee headquarters support  
20 personnel. That is the way the regulations are written  
21 today. We are saying should those regulations be  
22 modified to include other plant managerial people.

23 MR. MOELLER: Martin.

24 MR. STEINDLER: Why is this pushed off until  
25 '95? Why isn't that being completed this year?

1 MR. JAMGOCHIAN: Primarily because of money.

2 MR. STEINDLER: So it is a question of  
3 priority?

4 MR. JAMGOCHIAN: Yes, sir.

5 MR. MOELLER: On a separate subject, the  
6 Committee has asked several times, and Brian Grimes has  
7 come down and met with us several times on the subject  
8 of what is the potential impact of a seismic event on  
9 emergency response, and we were looking at a seismic  
10 event which, because of some unforeseen reason, caused a  
11 reactor accident and at the same time disrupted the  
12 siren system and knocked out a few bridges and so forth.

13 You have no research or studies looking into  
14 this subject?

15 MR. JAMGOCHIAN: No, sir.

16 MR. MOELLER: Any other questions or comments?

17 [No response.]

18 MR. MOELLER: Thank you very much, Mike. When  
19 I said we were running behind, you were not really the  
20 person that put us behind schedule. You maintain your  
21 schedule pretty well, as well as others.

22 Okay, we will move now into the last formal  
23 presentation this morning, which is a report on the DOE  
24 dose reduction working group. We have with us Andrew  
25 Millunzi from the U.S. Department of Energy to lead that

1 presentation.

2           Andy, I might point out to you, as you know  
3 but let me put it in the record, that all of us did  
4 receive a copy of the draft report of the working group,  
5 and we fully realize that it was indeed a draft, but we  
6 very much appreciate your taking time to make it  
7 available to us. And the consultants here and the  
8 members of the Subcommittee have read the working group  
9 draft, so we will be prepared to interact with you on  
10 it. I hope to offer some useful comments.

11           MR. MILLUNZI: Very good. Thank you.

12           I guess first of all I want to say thank you  
13 for the opportunity to meet with you again. We really  
14 look at this as a privilege and a very worthwhile thing  
15 for us to be able to be interacting with you as  
16 frequently as we have been. That is why we were very  
17 anxious to get to you that draft copy.

18           I hope you recognize that what I have done is  
19 made available to you something which was really the  
20 rough draft.

21           MR. MOELLER: Right.

22           MR. MILLUNZI: We are very happy with the  
23 front part of that report in that it really expresses  
24 how we have approached this job and what we think the  
25 real problems are. The area that needs to be worked



1 over as far as a great improvement in the wording is  
2 what I call the back part in Sections 4, 5 and 5, which  
3 have to do with the description of the R&D.

4 I would like to say, though, that the end  
5 results are still the same. We are very happy with our  
6 reviews so far, with the logic that we followed and with  
7 the answers that have come out. Of course, we want to  
8 find out if we have missed the boat somewhere, and that  
9 is why we have offered it to everyone else, to get their  
10 review and comment.

11 I would like to say that part of giving this  
12 review to you is in response to the requirements of the  
13 public law, but I would also like to say that  
14 independent of that public law, I think I know myself  
15 being charged with it totally, I would have done this  
16 anyhow because I do want to make sure that we really get  
17 a cross-section.

18 So with that, as I look around the room I see  
19 a number of consultants who I haven't had a chance to  
20 meet with and interact with before, so maybe I could go  
21 back and provide a background so they would know where  
22 we are coming from.

23 MR. MOELLER: Please do. And for your  
24 background, Martin Steindler is from the Argonne  
25 National Laboratory, Don Orth is from the Savannah River

1 plant, Dick Foster formerly was with Battelle-Northwest,  
2 the Pacific Northwest Laboratories, and is now retired,  
3 and Jacob Shapiro is the radiation safety officer for  
4 Harvard University. Tom McKone is an ACRS Fellow with  
5 us who is very interested in this area. Ms. Tang is our  
6 engineer supporting us on the Committee. And then you  
7 know, I think, Jesse Ebersole and Jerry Ray.

8 MR. MILLUNZI: I would like to go back and  
9 repeat that what we are doing here is in response to an  
10 act that Congress passed in 1980 which told us to have  
11 an expanded and accelerated LWR program plan. In that  
12 bill there were a number of items. The thing of  
13 importance to this group is that they gave us a list of  
14 ten research areas to do work in, and they told us that  
15 we could look at that, and if we felt the list was too  
16 long, we could cut out what we felt was appropriate as  
17 long as we gave our rationale and gave them the  
18 opportunity to agree or disagree.

19 Then they asked us to develop a comprehensive  
20 program management plan to implement that R&D activity.  
21 The fourth thing they asked us to do and mandated us to  
22 do was to coordinate the ongoing LWR safety activity in  
23 the country and also with the foreign countries.

24 So in this there were ten areas. One of the  
25 areas is dose reduction to the worker. I would like to

1 say that with the advent of this bill -- so we got  
2 started on the bill.

3 Our initial reaction was to assemble a group  
4 of people from the national labs and from vendors and  
5 the industry to go visit national labs, utilities,  
6 utility owners groups and other organizations in the  
7 industry to find out from them what were their ideas on  
8 what the R&D needs should be and how to approach it.  
9 What we got back was a very long list of individual R&D  
10 activities.

11 Now, at the Department we are using this bill  
12 to be consistent with the mandate that the President has  
13 given us in that we are to assist in a revitalization of  
14 the nuclear industry. So therefore, as such we are not  
15 interested in doing R&D for the pure sake of doing R&D.  
16 Really we think what has to be done is you have to  
17 identify what are the issues in the nuclear industry,  
18 what are the safety issues, and then determine what role  
19 technology plays in resolving those issues, and then try  
20 to improve the technology in those areas to resolve  
21 those issues.

22 So in short, one might say we are end user  
23 oriented, especially in the area of LWRs. With this  
24 kind of approach, you end up that the priorities come  
25 out to be to keep the plants which are on line at 100

1 percent availability full power, to bring the plants  
2 which are in the pipeline up to that condition as fast  
3 as possible, and third are future plants.

4           Therefore, when we got this big, tall stack of  
5 R&D, we looked at that R&D and said, if we did it all,  
6 what would we do with the answer? And the roar of  
7 silence was deafening. We had a lot of individual R&Ds.  
8 I would have to say that in the safety community that is  
9 what we did.

10           So we provided a program response in Congress  
11 into two phases. One is a program definition phase, and  
12 then another would be a program definition phase where  
13 we would identify the requirements, and then and only  
14 then would we start to implement the R&D to implement  
15 that program.

16           In order to identify the problems, we embarked  
17 on a sophomoric approach which we find very few people  
18 follow: that is, first, what are the issues; second,  
19 what do you have to do to resolve those issues? Don't  
20 think about what is ongoing or what people have up to  
21 this point. Just first, with a clean sheet of paper,  
22 what are the issues and what do you have to do to  
23 resolve them.

24           Then third, review everything that has been  
25 accomplished or is under way which would contribute to

1 the resolution of those issues? Four, make the  
2 subtraction, and what drops out is what remains to be  
3 done. Then, consistent with the mandate from Congress  
4 and really our intention at the Department, we then want  
5 to get together with the NRC, with EPRI, with INPC and  
6 the rest of the nuclear industry to determine how we  
7 could in a most cost effective and fastest way resolve  
8 those items that we have identified.

9 We are not interested in the Department in  
10 getting a huge R&D program. We really are interested in  
11 getting the problem solved, and we know it has to be  
12 done in cooperation with everyone else, and we are  
13 really hard at that. Therefore, when we got this long  
14 list of R&D, then we got into the program definition  
15 phase.

16 To help us in that, we have formed ten working  
17 groups. They have representatives from over 50  
18 organizations, and we have about 158 or 160-some -- I  
19 have lost count -- technical experts across the board in  
20 various areas assisting us in defining the  
21 requirements. I would have to say that it has been a  
22 quite interesting year and a half for me because we  
23 found it is very difficult to get the technologists to  
24 understand why do we want to do this work and what are  
25 the problems.

1           It is very easy for somebody, especially under  
2 the guise of safety, to start talking in motherhood, and  
3 when you really look into it, what they are doing is  
4 improving the individual technological areas. So to get  
5 on this, we found we had to develop a framework by which  
6 we could start to identify the issues, and that we did,  
7 and that we called the integrated approach to reliable,  
8 safe nuclear power.

9           One of the key things we found is you just  
10 cannot separate safety from economics; they go hand in  
11 hand. The only reason we are talking about a system  
12 which is a way to generate electricity using the process  
13 heat from the fission process, the only reason we have  
14 this industry is that 30 years ago we convinced  
15 ourselves we could meet both the economic criteria and  
16 the safety criteria. So when these plants have been  
17 developed and they continued to be designed, constructed  
18 and maintained, there always has to be the tie between  
19 safety considerations and costs.

20           So we did develop that framework, and  
21 surprisingly enough, you find that you can put all of  
22 the technologies into that framework and try to decide  
23 what the issues are because they all have to be aimed at  
24 how they contribute to the utility being able to produce  
25 electricity economically and safely.

1           So, even in the area of dose reduction, we  
2 were able to do that, so we did follow that process in  
3 here, and that is what we tried to describe in the  
4 opening part of the document. So I realized before I  
5 was banging this with these glasses. I have to say I  
6 always kid after you have known me for a while. I have  
7 never had to wear glasses before last week.

8           [Laughter.]

9           Our objective was, consistent with everything  
10 else I said this morning, to develop potentially  
11 cost-beneficial changes in the generic design and  
12 operation of nuclear power plants that can reduce the  
13 irradiation exposure to workers during plant operation  
14 and maintenance.

15           MR. MOELLER: Let me ask a question, Andy, at  
16 this point, to seek out your thoughts. Do you believe  
17 that by reducing occupational exposures at these plants,  
18 and, of course, all of the things that you are going to  
19 do to carry that out, do you believe that will lead to  
20 safer plants?

21           MR. MILLUNZI: I think our concern, the bottom  
22 line out of all of this --

23           MR. MOELLER: Is safety.

24           MR. MILLUNZI: Is safety, of course, but we  
25 try to make sure that we never lose track of the other

1 aspects.

2 MR. MOELLER: Right.

3 MR. MILLUNZI: Now, our concern in the safety  
4 area is that things seem to be moving in the wrong  
5 direction, and now that we recognize it, we have to now  
6 take actions to make sure they don't go in that  
7 direction. The plants right now are safe, we believe,  
8 but we are looking downstream, which is the proper role  
9 for the government, and I wish we could do it across the  
10 board, especially in this industry, and have a little  
11 bit more statesmanship and a lot less political  
12 considerations in all of this.

13 MR. STEINDLER: Hear, hear.

14 MR. MILLUNZI: Being statesmanlike, we have to  
15 look down the path, and we are concerned in the safety  
16 area that things may go in the wrong direction. The  
17 main cause for that, as is in the report, is that the  
18 utilities, who have the prime responsibility for the  
19 safety of a power plant -- as you on the Committee  
20 know, I have said this before, and I will repeat it over  
21 and over again. The prime responsibility for safety is  
22 the utility owner, it is not NRC and it is not DOE or  
23 anybody else.

24 So when you look at these problems and you are  
25 talking about improving safety, and that is what this



1 bill is about, you have to be thinking about how you  
2 improve the ability of the utility industry to discharge  
3 that responsibility. Of course, the vendors and  
4 everyone else have a safety responsibility in that they  
5 have to develop and produce their projects so they will  
6 meet their end of the bargain, but in the end, it is the  
7 responsibility of the utility.

8 Now, the utilities are charged with protecting  
9 the worker all the time, and there are laws towards that  
10 end. So in meeting the laws, what the utilities have  
11 done is they have developed a workforce and they put a  
12 limit on the amount of individual exposure that they  
13 had, which keeps them far below even the NRC limits.

14 Now, what is happening is as the plants get  
15 older, the radiation fields are getting higher, and also  
16 the amount of maintenance that is required on any  
17 operating machine as it gets older is increasing, and  
18 therefore the radiation fields are higher. So in order  
19 to stay below the NRC limits and to be in cooperative  
20 compliance with ALARA -- I really don't find malicious  
21 compliance -- but being in cooperative compliance with  
22 ALARA, they have to hire more and more people.

23 Well, what is happening now as these plants  
24 get older, coupled with the fact that more and more  
25 plants will be coming on line, the required workforce,

1 especially in the maintenance area, is increasing.  
2 Therefore, it is placing -- will be placing -- not yet,  
3 but it will be placing a higher burden on the utility  
4 management to assure themselves that they get  
5 well-qualified, trained people to do the maintenance.

6           It turns out that in a nuclear power plant  
7 there aren't any safety issues until the utility gets to  
8 operate it and maintain it, and the subject of radiation  
9 dose, the workers get most of their dose at greater than  
10 75 percent during maintenance. So now you have to focus  
11 in on the maintenance.

12           The maintenance crew requirements are going up  
13 if they are going to meet the ALARA in the fashion that  
14 they should. That bothers us because if the guys don't  
15 maintain the plants right, then how can their fellow  
16 workers who have to operate it?

17           I would like to recommend to the Committee as  
18 we pull the whole response together and we meet with the  
19 Full Committee, the operator, in our parlance, is not  
20 the man in the control room, it is everyone involved  
21 with the operation, so that puts a higher burden on the  
22 people who have to operate it. So on that basis, we are  
23 concerned. Will we have enough well-trained people and  
24 an adequate supply? In some of these areas, especially  
25 like the welders, as we have pointed out in the report,

1 there is a huge competition for those guys from other  
2 industries, so how do we make sure we get our share in  
3 this industry to do their job properly. That is our  
4 concern relative to safety. Okay?

5 MR. MOELLER: Thank you.

6 MR. MILLUNZI: So I am not going to go over  
7 all the history and go over the numbers again. You know  
8 about things increasing, that the average worker dose  
9 stays constant but the population -- you well know that.

10 MR. MOELLER: The curves are all in here.

11 MR. MILLUNZI: They are in the report. I have  
12 discussed what the approach of the Working Group was.  
13 In the report is the membership. I guess I tried to keep  
14 my name off of all of them, but everybody knows I am all  
15 of them. But the people who are on the Working Group  
16 are listed in the report.

17 MR. MOELLER: Did you have much to do with the  
18 selection of these people, or did you call INPO and they  
19 just sent you Kindley and Smith, or did you have some  
20 choice?

21 MR. MILLUNZI: I really received outstanding  
22 cooperation from everyone in doing that. I worked very  
23 closely with Dennis Wilkinson himself. I called him up  
24 and told him of the problem, for example, for Mr. Color  
25 and Mr. Taylor at EPRI. Everybody we talked about, we

1 started out talking about what we were trying to do,  
2 trying to stress that the Department really meant  
3 business and asked them to nominate.

4 They gave the people's background and they  
5 asked if that met what we were expecting. So we did  
6 have that kind of an indirect way.

7 MR. MOELLER: And you have been happy with it?

8 MR. MILLUNZI: We have been very happy with  
9 it, yes, indeed.

10 The issues we have identified are two. One is  
11 what are the health effects to the worker in his  
12 occupational exposure. And two, then, the other one was  
13 what was the effect of this exposure on plant safety,  
14 reliability and economics. We looked at these health  
15 effects both in the individual and in the population. I  
16 think the short of it is that the working group endorsed  
17 the ALARA principle. They recognized, they came to the  
18 conclusion that the industry is maintaining the  
19 exposures down as low as possible, that those levels are  
20 far below the NRC requirements; therefore, they think  
21 from the health standpoint, with the present regulations  
22 and understanding, that there really isn't the health  
23 problem, that you really are talking about an economic  
24 and safety problem.

25 By that I mean there is a direct economic

1 problem and there is this indirect -- I want to  
2 emphasize the "indirect" -- safety problem that I  
3 expanded on in response to Dr. Moeller's question.

4           What we then looked at are we have noticed  
5 that there are increases in the exposures that are going  
6 on, both in the reactor and in the population. So we  
7 looked to try to find out what were the major causes.  
8 The major causes were increasing activity buildup on the  
9 out-of-core surfaces of the primary coolant system with  
10 increase of plant operating time, just corrosion  
11 product, which is highly radioactive material, namely,  
12 the cobalt just being moved off from the materials and  
13 deposited around the system.

14           The second one was the increasing number of  
15 retrofits, modifications and inspections mandated by the  
16 NRC. You see this when you look at the increases,  
17 especially after March of 1979, in the curves that we  
18 have given. It is based on that. That is a major basis  
19 for that conclusion.

20           Second is, of course, the increasing  
21 requirements for maintenance on the plants as they get  
22 older.

23

24

25

1           Now, what we have done then is not looking at  
2 what is going on. We say what makes sense to be able to  
3 reduce that. We found out that the dose is the product  
4 of multiplying the fuel strength times the exposure  
5 time. We took the two parameters apart to see what made  
6 up the fuel strength and what made up the exposure  
7 time. Then we went to work to see how you would attack  
8 each one of the parameters.

9           Well, to reduce the radiation source term,  
10 what happened is, we figured there were two sub-items  
11 that would handle that whole subject totally. That  
12 would be, one, prevent contamination, and two, remove  
13 it. In the prevent area, you are talking about  
14 chemistry control, high temperature filtration, and  
15 materials control. In contamination removal, of course,  
16 we are talking about decontaminating the whole system.

17           Now, in the area of trying to reduce the time  
18 that the workers are in the field, we looked at  
19 operation on maintenance practices, the subject of  
20 remote systems, the effect of system and component  
21 failures, and how this ties in with increased  
22 productivity. Hopefully increased productivity would  
23 say he stays in the field a lot less time.

24           MR. EBERSOLE: Back in that first area where  
25 you asked a question earlier, I don't know if you were

1 here or not, about what is the criteria that determines  
2 to what degree you keep the coolant system cleaned up  
3 and reduce the source term. This is either with full  
4 flow demineralization and cleanup or bypass, whatever.

5 I have difficulty in identifying any  
6 particular change in some old regulation that says you  
7 keep it clean enough so that if a pipe bursts somebody  
8 doesn't get hurt, when there are really other  
9 objectives -- which is laydown of fission products and  
10 corrosion products -- which is along the same line you  
11 are talking about. But I haven't seen anything coming  
12 forward in any significant way that we are dedicated to  
13 making the coolants, the transport coolants cleaner or  
14 whatever.

15 MR. MILLUNZI: What we have done on this is  
16 that we see that that is an important area to control  
17 the chemistry.

18 MR. EBERSOLE: Well, that's one aspect, or  
19 clean it up if you can.

20 MR. MILLUNZI: Or clean it up if we can. The  
21 cleanup, that is the idea behind the filtration.

22 MR. EBERSOLE: What are the guidelines at this  
23 point in time about the design basis for the degree of  
24 cleanup or the degree of control? Do you have an  
25 analytical structure?

1           MR. MOELLER: You may not be -- we should  
2 probably ask someone in the NRC, but in your study, you  
3 have told us the contamination in the older plants, the  
4 older the plant, it builds up. Do you know, does the  
5 activity that is freely moving in the cooling system,  
6 does that increase with time?

7           MR. MILLUNZI: Yes. Well, it levels off. You  
8 really don't get a constant until about ten years. I  
9 think we put that in the report.

10          MR. EBERSOLE: That is the laydown you are  
11 talking about.

12          MR. MOELLER: Sort of equilibrium after ten  
13 years.

14          MR. MILLUNZI: You get into an equilibrium  
15 after about ten years, and that is what the comment in  
16 the report is referring to.

17          MR. EBERSOLE: Is that improved by changing  
18 the degree of cleanup or changing the chemistry?

19          MR. MILLUNZI: Well, we are in the process  
20 right now, Dr. Ebersole, of moving from this definition  
21 phase. We are into the implementation phase. That is  
22 one of the areas that we think has to get looked at, and  
23 we will be -- the answer to your question, and I hope I  
24 can come back in about two months to you and give you  
25 our rationale.



1 MR. EBERSOLE: Thank you.

2 MR. MILLUNZI: And I hope to have it. When we  
3 do come back, I hope it is in a hardheaded, logical way,  
4 and I hope you keep us honest, that we are not just  
5 doing technology for technology's sake. Then, we went  
6 and took those two pieces apart. Now, out of this we  
7 came up with the tables which are in the report where we  
8 took into account our prioritization logic, which is in  
9 the report.

10 I would be very interested to hear Dr.  
11 Steindler's response to that. I heard you asking  
12 questions about prioritization earlier. But we did go  
13 through it using the priorities that we had.

14 Then, what we have done is, looking with the  
15 first priority being the old pipes or pipes which are on  
16 line, what we found out is, you had to break -- the  
17 prioritization had to get broken down as we stated in  
18 there. Our logic is, first of all, maintenance was  
19 number one because that is where the highest source of  
20 contamination and fields came from, et cetera.

21 Then we looked at the differences between  
22 PWR's and BWR's. One thing we have found throughout  
23 this whole study is, it is very hard to apply generic  
24 specific requirements on any plant in any field.

25 MR. STEINDLER: Hear, hear.

1           MR. MILLUNZI: When we looked at this for the  
2 PWR's, the largest problem is the maintenance, of  
3 course, of the steam generator. I would also like to  
4 quickly accentuate the fact that is in the report that  
5 much of the problem in this area is attributed to a few  
6 plants out of all the PWR's, and it is our own belief  
7 right now in looking at the various utilities and in the  
8 subject of dose reduction, it really has to be the  
9 attitude of the management. I think that gets reflected  
10 throughout a plant.

11           We see plants which don't seem to have the  
12 steam generator problems. They don't have other kinds  
13 of problems either, apparently, so I want to emphasize  
14 the important need for the management attitude towards  
15 all of these subjects, and in particular this one.

16           MR. MOELLER: Jesse?

17           MR. EBERSOLE: It used to be feared that  
18 turbine maintenance was going to be a problem with the  
19 boilers. Has it turned out that that is not much of a  
20 problem?

21           MR. MILLUNZI: Well, that is so far. I want  
22 to quickly add, Dr. Ebersole, that we are really in a  
23 living industry, and things continue to change. My  
24 answer is not a political or bureaucratic dodge. It is  
25 really to say that as of today, it looks like that. I

1 don't know what tomorrow will bring, or what have you.

2           But as we are doing it today, I would like to  
3 add to everyone here, we recognize that the definition  
4 of these requirements is a living thing, so we intend to  
5 have these definition groups in existence at all times.  
6 They are heavily weighted with the end users of the  
7 data. The objective there is to make sure that we have  
8 end user R&D that has been identified, so that we will  
9 then as time goes on be updating our understanding, and  
10 I hope we do a good job so that the list we are talking  
11 about today will not be the same list as tomorrow, and  
12 we have gotten things completed, not that something  
13 jumped ahead of us in priority.

14           If you look at some programs, that is really  
15 what has happened. An issue has not been closed off.  
16 We just have a knee-jerk reaction to today's high  
17 priority. Hopefully, we can do that, and as we get  
18 smarter and new evidence comes in, we will be  
19 continually reassessing this. So, here is the list.

20           Now, short-term effects, we wanted to know  
21 what kind of R&D would make sense and would have an  
22 immediate effect. Less than a year, six months to a  
23 year. If you did the R&D, you got the results, and it  
24 went into place. You'd have an immediate payoff. Then  
25 there were things that had the long-term effects, and as

1 we said in the write-up, that is a lot greater than a  
2 year or two years. We are having a little bit of  
3 problem setting that up right now.

4 When the final document comes out, we may have  
5 changed that definition of long-term, but I am going to  
6 try not to, because two years is a long time.

7 MR. MOELLER: Well, that was a problem then  
8 that I had with this table, and I think you have just  
9 explained it. The heading on it is Dose Reduction  
10 Method Priorities for The Operating Plants, and I  
11 thought you meant -- I didn't realize you meant R&D.  
12 You are talking now, these are the priorities for doing  
13 R&D in support of these actions?

14 MR. MILLUNZI: Once again, Dr. Moeller, these  
15 are the methods. Now you look at what is the role of  
16 technology in these methods, so if that is the important  
17 method, you say what technology plays a part in that and  
18 what should we do.

19 MR. MOELLER: Then I might suggest that the  
20 title be slightly changed, because you see, as I look up  
21 there, in the righthand column it says decontamination  
22 of the whole circuit, including fuel. Well, you say  
23 that gives me long-term effects, and I say, well, why,  
24 if I decontaminate it, it would help me tomorrow, but  
25 you mean the R&D is long.

1 MR. MILLUNZI: Yes. As Ms. Tang will tell  
2 you, my own personal copy is just rife with comments.

3 (Slide.)

4 MR. MILLUNZI: Then, once again, the data we  
5 give you are on the items for the new plants. So, now,  
6 going through this logic and finally getting ourselves  
7 down, and we did go through then and review all of the  
8 ongoing work, at this time I want to say often times you  
9 read the statement in there that the ongoing -- we  
10 expect the ongoing program to help solve the problem.  
11 This is a general statement for all items. We are not  
12 endorsing at this time the total content of those  
13 programs.

14 What we have done is, we have looked at those  
15 programs, and we see that there are portions of it that  
16 will resolve the issue. We have not made any comment or  
17 any evaluation on the total program and other pieces of  
18 it. Okay?

19 Now, with that in mind, and reviewing the  
20 ongoing work, we have come down to the section in here  
21 on recommendations for additional work. Staying again  
22 with the logic of the source reduction, we look at  
23 contamination prevention. Under that we have the item  
24 on operational and chemistry controls, and there we are  
25 looking at the total subject in the following way.

1           We are now into the implementation phase. We  
2 are starting to ask the kind of questions that Dr.  
3 Ebersole is asking. What are the functional  
4 requirements in looking at it from an operating plant  
5 requirement? We are not looking at it from the  
6 technology area standpoint. In other words, looking at  
7 it and saying, gee, in this area we don't understand the  
8 movement of iron, let's say, across this.

9           What we are saying is, where does iron play an  
10 important role? It plays an important role in the BWR.  
11 What are the conditions in a BWR and what can we look at  
12 in that area and really try to put a fence around the  
13 R&D and equate it to the functional requirements of  
14 where it is going to be used, but even with doing that,  
15 we are going to try to answer those kinds of questions  
16 as we have stated out here.

17           Now, there is in the writeup, for example,  
18 here, there is a mixture of an item which those of you  
19 who know me know I am not too happy about. It is one  
20 thing to determine what has to be done. It gets to be a  
21 bit of technical arrogance and presumptuousness telling  
22 somebody how to do it. In here, there is an area where  
23 it really isn't -- they have gotten in the writeup here  
24 how to do it.

25           For example, requirements were identified to

1 use the advanced analytical techniques now becoming  
2 available to monitor all chemical constituents in order  
3 to determine a correlation between cooling chemistry and  
4 rate of activity buildup. To me that is very  
5 presumptuous. We haven't looked at what the  
6 requirements are yet in determining the rate buildup.  
7 We don't know the precision and the accuracy by which we  
8 have to do this, so how is somebody already identifying  
9 that we need a sophisticated piece of equipment to do  
10 it? In the end, his intuition might be right, but I  
11 don't want to give the impression that we have done the  
12 work which would justify the explicit identification of  
13 that equipment.

14           However, I will say, though, that the sentence  
15 immediately before that, we know that we have to look at  
16 this chemistry problem. We will probably need a loop,  
17 and one does not exist in the country. The other -- the  
18 next area is high temperature filtration. This is all  
19 again under what do you do to remove the source? Then  
20 the last thing, of course, is the materials control. I  
21 want to say I have very large apprehensions about this  
22 item called materials control, and I want to make sure  
23 that we don't end up with the phrase I kind of use all  
24 the time, a technological sandbox.

25           We here especially want to make sure the

1 efforts are well focused and the problems are really  
2 identified, and we only work in that universal subject  
3 called materials in that part of the galaxy that is  
4 related to nuclear power plants.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1           Next is the item on contamination removal.  
2    There, we're talking about decontamination, and in  
3    response to Dr. Moeller's comment on the chart, what  
4    they were trying to synthesize there is the fact that it  
5    appears at this time that you have to go from small  
6    models, and eventually you end up testing in a full  
7    system.

8           Then we come to the next item -- how do you  
9    reduce the time for the people in the field. One is  
10   looking at the subject of automation.

11           MR. MOELLER: On that -- it's a nit, but you  
12   say since Section 6.2.1 -- since the approach to ISI  
13   automation -- what is ISI?

14           MR. MILLUNZI: In-service inspection. All the  
15   acronyms have to come out. We really kill ourselves in  
16   this business with all the acronyms that we use.

17           But anyhow, it appears to us, to the working  
18   group, that the approach to automation to date has been  
19   fragmented. In our response to Congress, they wanted us  
20   to look at automatic controls and we had told them that  
21   there's a lot of other work that had to get done before  
22   we could begin to consider automatic controls. Because  
23   you're really talking about why do you need them. You  
24   have an automatic item in there called an individual.

25           Obviously, what you would probably look at,

1 have to look at in the long run, is using automation  
2 where the individual will not be able to respond fast  
3 enough to achieve the reliability, and the safety levels  
4 that you want. But you need to define all these  
5 requirements before you look at automation.

6           So in this area we really think we need to do  
7 a survey of the state of the art and really put things  
8 in perspective. You can imagine with my previous  
9 comments how we will approach that state of the art  
10 report.

11           There is also a strong desirability for the  
12 availability of automated equipment for these plants,  
13 especially which are online, because as these plants get  
14 older and older the maintenance problems really get  
15 higher. You have the problem with the plant that is in  
16 existence and we now have a problem wherein all the  
17 retrofits have been coming in and this problem of the  
18 retrofits, especially relative to seismic, the work  
19 areas are getting to be pretty tight. In some areas,  
20 it's extremely tight.

21           So now trying to get this automated inspection  
22 equipment in there, it is going to be more and more  
23 difficult to look at it from a generic standpoint. In  
24 other words, we are probably going to have to solve that  
25 problem in the end on a plant-by-plant kind of basis.

1 Therefore, it is going to require that efforts in this  
2 area be worked out very closely with the utilities and  
3 especially with the online plants, and work out a  
4 cooperative means whereby we do the long-term, generic  
5 parts of it which are properly our responsibility but  
6 get them to be in a position that they look at the  
7 details of the detailed equipment that goes in there to  
8 do their job.

9 I mean, it would be very presumptuous for  
10 anybody in Germantown or Bethesda to design a piece of  
11 equipment to go into any particular plant. So we will  
12 be very conscious and very concerned about that. And it  
13 is a very good example of why you have to work very  
14 closely with the utilities.

15 The next one is the improvement of  
16 productivity. Now here is a subject where we may have  
17 some problems with certain people, but you just have to  
18 remember that increased productivity is a component of  
19 safety, and we are looking at that to try to find, once  
20 again, what is the proper role between the R&D and the  
21 operator/owner who has this responsibility.

22 So in conclusion, these are the four areas  
23 that we have found after coming through this whole logic  
24 train. We have come down to the final four items in the  
25 following order of priority: system decontamination for

1 both PWRs and BWR, the second one is water chemistry and  
2 water treatment, the third item is in-service inspection  
3 and maintenance automation, and the fourth one is  
4 material changes, particularly replacement of high  
5 cobalt alloys.

6 MR. MOELLER: It's interesting. I thought it  
7 was just a very helpful report, but it's very  
8 interesting to me to look now at your four items,  
9 because you have stated that they are in order of  
10 priority. And I must say as I read it, I was happy.  
11 Now I have a question, having let a day or so go by.

12 It is interesting that your number one  
13 priority item is directed not at preventing  
14 contamination but to remove what is there. I guess in a  
15 sense I could justify that priority personally because  
16 you could say to me well, the plants are all  
17 contaminated, so the number one priority is to clean  
18 them up.

19 MR. MILLUNZI: Also, it appears to be the  
20 easiest problem at this time. There's a matrix of how  
21 these priorities were developed. There are a lot of  
22 open questions on the question of chemistry control.  
23 Dr. Ebersole touched on that.

24 MR. MOELLER: Surely, if we're putting a new  
25 plant into operation I would want to emphasize water

1 chemistry to prevent contamination.

2 MR. MILLUNZI: But in looking at the situation  
3 now, we have 75 plants which are operating, and we have  
4 a like number -- and I hope North Anna is the last one;  
5 it doesn't look like it will be, but North Anna is the  
6 last cancellation because we have an equivalent number  
7 coming online and they are already designed.

8 MR. EBERSOLE: Let me ask a question. If you  
9 have an old plant and you're on this equilibrium level  
10 of contamination, then you come along and improve the  
11 chemistry and filtration, isn't it true that it will go  
12 to a new and lower level of laydown activity? Won't it  
13 redistribute to a new level of equilibrium concentration  
14 on surfaces?

15 MR. MILLUNZI: It probably will.

16 MR. EBERSOLE: It takes time.

17 MR. MILLUNZI: Yes. But what we're concerned  
18 about is containing sufficient understanding so that you  
19 can get that in place. So we're saying gee, it looks  
20 like even though the order of priorities is one, two,  
21 three, four, there are certain aspects, of course, of  
22 the work that would have to go on in parallel. Even  
23 though the priority is two, we would expect to be doing  
24 priority two work when we're doing priority one work.  
25 But we want to keep everybody focused on what it is that

1 we're trying to do and why. And it looks like the  
2 quickest way and the surest payoff way is  
3 decontamination.

4 Now, if the people who are responsible for  
5 doing the work on water chemistry control and writing  
6 the specifications, if they do their job faster than  
7 people collectively think then gee, that would be  
8 absolutely great, because then maybe we could cut out  
9 some work. And we will always be updating and  
10 reviewing, so hopefully, we could change the  
11 priorities. But that is the snapshot to date.

12 MR. MOELLER: Martin?

13 MR. STEINDLER: I guess I have a number of  
14 questions or comments. I think that order of priorities  
15 mixes both operating plants and new plants, and as a  
16 generic order then, which is what I hear, I think it's a  
17 little bit misleading. By the time you get done reading  
18 this thing, you realize they are really two quite  
19 separate propositions you're addressing. You've tried  
20 to combine them all in one order of priority. And it  
21 has the problem that I think Dade alluded to.

22 I guess my second point is, following up on  
23 Dr. Ebersole's comment, I don't see enough attention to  
24 the whole question of chemistry as a method of keeping  
25 the total inventory down. The question simply being if

1 you pull all of the cobalt out of an ion exchange pot,  
2 it will never end up on the pipes. That's too  
3 simplistic and everybody knows that.

4 But the aim in that direction I think requires  
5 a little more emphasis that I see here.

6 MR. MILLUNZI: One of the problems I had with  
7 the report, in preparing these reports there's a lot of  
8 background work and a lot of details that we obviously  
9 aren't going to be putting into this report.

10 First of all, we have such a wide spectrum of  
11 management and other types of people who are going to be  
12 reading this. Our first responsibility is responding to  
13 Congress. So we are trying to put a report together  
14 that for people as busy as they are, we get the essence  
15 across to them.

16 Now, behind that simple phrase of water  
17 chemistry are items that you're talking about. What I  
18 would like to ask you to hold off on, -- and I fully  
19 expect you to put us through the meat grinder -- is when  
20 we get to fleshing that out and we get the specifics of  
21 the program and the logic of the program and the  
22 ordering by which we go after each of the parts, then I  
23 think we could address your concerns. But we decided  
24 not to put it in this report; it would just be too  
25 cumbersome.

1 MR. STEINDLER: One other question for  
2 informational purposes on your initial program plan, the  
3 program management plan for the conduct of the  
4 demonstration program.

5 MR. MILLUNZI: We sent that to Congress last  
6 year.

7 MR. STEINDLER: Does that have a number so we  
8 can get a hold of it?

9 MR. MILLUNZI: I'd be --

10 MS. TANG: Is that part of the things you gave  
11 us in July?

12 MR. MILLUNZI: I gave it to you before we had  
13 submitted it.

14 MR. MOELLER: Jack, I guess, had a quick  
15 question and then we'll go with Don.

16 MR. SHAPIRO: All these points you've been  
17 discussing I heard maybe over 20 years ago in connection  
18 with another program. I just wonder -- for example, the  
19 situation of high cobalt alloys. If we could get rid of  
20 the cobalt, everything would be great. This has been  
21 going on for 20 years. Is there any chance of getting  
22 rid of the cobalt?

23 MR. MILLUNZI: There are so many factors  
24 involved in that. When we really get to see the program  
25 details, I think then collectively, everybody in the



1 business can take a look at that. And I think we ought  
2 to answer that question at that time. I think that is  
3 one of the reasons, for example, why the materials thing  
4 ended up way down at the bottom.

5           The second one, the third one, and finally you  
6 get down to materials, and that's one of the reasons  
7 it's down there on the list. If you look at it in  
8 reality, these plants that are out there now, instead of  
9 costing what they really should be costing, like a  
10 couple hundred million dollars at the time they were  
11 built, they don't need to cost the several billions that  
12 they do now.

13           But in any event, you're talking about a high  
14 capital investment in something that's really in place.  
15 And is it very realistic to go in there, and how much of  
16 a materials change can you make? That is one cost.  
17 Then you have to balance that off against another cost,  
18 of retreat and attack in a new direction. Maybe the new  
19 direction will get it to the same goal and it won't cost  
20 you so much.

21           And people are really thinking that for  
22 existing plants, there is a limit to the amount of work  
23 you can do on the materials game unless chemistry, for  
24 example, can affect the corrosion behavior of the  
25 material so that it would not be compatible with the

1 existing. And that's why the water chemistry part is up  
2 there next to number two.

3 So that was one of the things behind my snide  
4 comment about the universal materials, making sure you  
5 stay within the galaxy of importance.

6 MR. MOELLER: Don?

7 MR. ORTH: Several comments. The first one,  
8 you started off by going through the several different  
9 steps you have to go through, identifying the issue and  
10 what can be done about it. Your step three was you're  
11 doing all the things that have been done, subtracting  
12 those to find out what's left.

13 Will you comment on how much of step three --  
14 what the status of step three is?

15 MR. MILLUNZI: Step three is essentially  
16 done. I tried to explain that earlier. We have not  
17 completed yet an explicit review. But if you look at  
18 the membership of our working group, we have just about  
19 every major performer in this area. So we are hopeful,  
20 or we are very confident that we have an excellent  
21 coverage of what the ongoing work is.

22 I'm not claiming that we are 100 percent, but  
23 we certainly are complete enough to have confidence in  
24 the results. We have more than way over 95 percent of  
25 these programs that have been identified. But what we

1 also haven't done is gone into the programs and reviewed  
2 the program in its totality to see what it is doing.

3 I draw a picture -- if I can draw a box,  
4 that's a total, ongoing program. What we have done is  
5 reviewed that program, and we know that in that program  
6 there's a certain amount of that box that will apply to  
7 the issue we have identified. We know that if that work  
8 gets done, that along with the others will sum up to a  
9 resolution of the issue.

10 So we haven't done a review of why are they  
11 doing the rest of it, and does it make sense or any of  
12 that.

13 MR. ORTH: Well, that leads into my second  
14 question to some extent, which is a continuation of the  
15 discussion that we maybe already heard too much of on  
16 the water chemistry, because some four plus years ago,  
17 we heard long discussions of the water chemistry as it  
18 influenced things like transport through the system, its  
19 effect on things like steady states where yes, indeed,  
20 you can lay stuff down and pull it off as a function of  
21 what you did to the water chemistry.

22 So yes, you people are aware of that work but  
23 you haven't really factored that into the details of the  
24 program, is what I understand from what you just said.

25 MR. MILLUNZI: We have factored it in. The

1 detail with which we do that will be increasing now as  
2 we actually get closer and closer to developing the  
3 details from the past.

4 MR. ORTH: That sort of leads into my third  
5 generic comment. What will you be allowed to do by the  
6 NRC? Certain of these things you could probably do  
7 fairly easily, but if one gets around to trying to  
8 decontaminate inside the reactor, you run into a group  
9 that says no, you're going to lead to stress corrosion  
10 and cracking, you need a five-year program to convince  
11 us that this one little thing you're going to do isn't  
12 going to make it fall apart.

13 So again, that enters in. What you are  
14 allowed to do is going to enter into what you can  
15 recommend and the order of priorities.

16 MR. MILLUNZI: Well, we are trying to -- I'm  
17 going to watch my words very carefully here. We really  
18 want to look at this thing as much as possible from  
19 logic. And we don't want to, in the beginning, encumber  
20 ourselves with what ifs or that this little area that  
21 has some kind of a power is going to prevent us from  
22 doing anything.

23 What we want to do is identify what makes  
24 sense and then, with the power of that logic, hopefully  
25 we can get people to agree that it ought to get done,

1 and we are going to do it on a case-by-case basis.

2 MR. ORTH: My point in this is -- I'm agreeing  
3 with you, but it means that somewhere in this, somebody  
4 ought to be evaluating what of these things you are  
5 opposing really are going to run into those kinds of  
6 interferences so that when you write your report or make  
7 your recommendations or whatever you're going to do, you  
8 can point this out. So that if it needs implementation  
9 in order to do it, you're ready to do it rather than  
10 turning out a report that says logically, this is what  
11 we have have to do, but later on somebody says it may be  
12 logical but we're still not going to let you do it. I'm  
13 just saying I think you have to bring that pretty well  
14 upfront.

15 MR. MILLUNZI: I agree with you, and our  
16 intention --

17 MR. ORTH: It's not in there anyway.

18 MR. MILLUNZI: No. Because what you have  
19 there is a definition. A second half of this effort is  
20 going to be the implementation, and the considerations  
21 that you rightfully have pointed out will be dealt with,  
22 plus others.

23 The utilities, for example -- you're going to  
24 have to get some utility in the end which says yes, I'd  
25 like to let you do that to my plant. The first question

1 he's going to ask me is run that by me again; why do I  
2 want to do that? So you're absolutely right.

3 MR. EBERSCLE: Well, when you run that by him  
4 again and you tell him why he wants to do that, it will  
5 inevitably be that it's cheaper to do it that way in the  
6 long or the short term, and that's the way the business  
7 is run.

8 To that extent, how are you getting the  
9 utilities to do things which it's not really very clear  
10 are, in fact, cheaper in the long term or the short  
11 term? Like reducing worker exposure.

12 MR. MILLUNZI: I think we are happy with the  
13 efforts we have put forth and they are beginning to see  
14 that efforts in this area don't only apply to meeting  
15 ALARA.

16 For example, this report really points out,  
17 when you look at it, there isn't a health problem but  
18 boy, there really is an economic payoff because you  
19 hopefully are decreasing the down times.

20 MR. EBERSCLE: In that connection, then, why  
21 isn't it necessary that you speak to the economic  
22 aspects you're doing here? We don't intend to do that  
23 very much, but that is the point at which the utility  
24 will respond when you tell him he's doing something that  
25 affects his pocketbook in a favorable way.

1           MR. MILLUNZI: And I don't blame him. I think  
2 Ed's right.

3           MR. EBERSOLE: That's their only motivation.

4           MR. MILLUNZI: I really do feel in all their  
5 interactions -- I guess I need this really for the  
6 record -- I haven't found any of them that were not  
7 concerned about their safety responsibilities. In fact,  
8 I'm a little bit concerned that they get to a point  
9 where there's an imbalance. But we tend to approach  
10 them, and it's obvious that what we have to say there  
11 has to make sense to them.

12           There are some other problems here, you know,  
13 also in this whole safety area. I bring this up now  
14 when you look at any of these problems. It is  
15 difficult, when you talk to a utility, to be able to  
16 show him that incentive because in a lot of the public  
17 service commissions and the utility commissions, there  
18 is no reward; there isn't a guaranteed reward for doing  
19 it efficiently. That is another part of the problem  
20 that the department is trying to work with, which isn't  
21 directly from the safety area but it's from our  
22 institutional format.

23           MR. EBERSOLE: I've heard it said that  
24 supervisory agencies of some sort won't give a utility  
25 credit for putting in an NRC safety feature because the

1 NRC doesn't require it. I put the "require" in quotes.  
2 Where they put it in as a conservative gesture, they  
3 really don't get credit for it.

4 MR. MILLUNZI: That's going to be a great  
5 challenge for us in dealing with the utilities, to do  
6 that. We are hopeful that the way the report comes out  
7 it is logical and the department, with its working  
8 group, comes down to the point where dose reduction --  
9 in summary, dose reduction is not only a health problem;  
10 it has direct economic impact and indirect effects on  
11 safety. That's really how you can summarize that report.

12 I think in the GAO report Senator Glenn kind  
13 of approached that. They approached us, and I think they  
14 fairly described what our thoughts were. And I hope you  
15 recognize why in our dealing with GAO we phased out the  
16 ongoing dose reduction programs with the clear  
17 understanding that we really had to have a better  
18 definition of what the requirements are to do this part  
19 of the job before we did anymore dose reduction work.

20 In this business, if you start an R&D program,  
21 you just almost are committed to run it till the end.  
22 You have a big investment, it costs a lot of money to  
23 close it out. We just wanted to say stop right now, we  
24 want to know where we're going and why, and then put the  
25 programs in place vigorously. And that is what this is.



1           We feel that a vigorous program has to be a  
2 very close cooperation between ourselves and the  
3 industry. The role, for example, for NRC in this one  
4 has me very much -- in my mind, the NRC should be  
5 describing what the requirements are relative to the  
6 exposures to the workers, and they have done that. Now  
7 it should be left to other people to show how they are  
8 going to meet that, and it should be left them to do it.

9           You know, we get a lot of R&D that goes on. A  
10 lot of times you're trying to do it to help the utility.  
11 They're supposed to be helping the utility, but it has  
12 to be left to the utilities and the industry, the  
13 vendors, everybody involved.

14           MR. EBERSOLE: But I thought you were talking  
15 about not really meeting minimum requirements, but doing  
16 better than that.

17           MR. MILLUNZI: Doing better.

18           MR. EBERSOLE: We were talking about public  
19 utility commissions not giving utilities credit for  
20 installations for improving the minimum. Does the NRC  
21 interface with them to put pressure on them to make the  
22 utilities pass with better than a C grade?

23           MR. RAY: The NRC with the commissioners, not  
24 with the utilities.

25           MR. EBERSOLE: Right.

1 MR. MILLUNZI: I don't know the answer to that.

2 MR. EBERSOLE: I've heard them say many times,  
3 I won't put that on, it's not my rate structure.

4 MR. MILLUNZI: That's a fact.

5 MR. EBERSOLE: It goes back to the public  
6 utility commissions. They have no incentive to make  
7 anything any better.

8 MR. MILLUNZI: The utility doesn't without an  
9 economic incentive.

10 MR. EBERSOLE: Right.

11 MR. MILLUNZI: That's true.

12 MR. MOELLER: Martin and then Dick.

13 MR. STEINDLER: Since economics is an  
14 important issue here, are you going to be able to find  
15 out from the specific utilities, or even generic terms,  
16 the economic impact of some of the things that are going  
17 to proposed, when applied?

18 MR. MILLUNZI: We will have to do that in a  
19 very responsible way. We will try to get as much  
20 information as we need to be able to really structure  
21 the program. It will be very difficult, but we think we  
22 will be able to apply the controls so we don't get  
23 people in there asking questions about the economics,  
24 which are nobody else's business but the utility's.

25 But I don't know that you really need to get

1 to the nitty-gritty of it. I'm hopeful that when we  
2 start to talk with the utilities and give them the logic  
3 we have here, that the operations people obviously have  
4 to see more possibilities than I can dream of, because  
5 they all know the plants better, they know where their  
6 maintenance costs are.

7 I think we'll get to the pertinent information  
8 but we have to -- I'm very allergic to making sure that  
9 we don't get in there and mess around things that are  
10 really proprietary to them.

11 MR. RAY: How good is your liaison with the  
12 INPO representative? It seems to me that's an excellent  
13 channel for that kind of information, and also, a  
14 channel to get the message back to utility management.

15 MR. MILLUNZI: I'm going to be talking with  
16 them in December, and our relationships with INPO  
17 couldn't be better. They're absolutely excellent.

18 MR. RAY: I don't know Smith and Kinley. Are  
19 they live wires or did they give you a couple of office  
20 people?

21 MR. MOELLER: No, they're good, they're good.

22 MR. MILLUNZI: And our relationship with INPO  
23 and Wilkinson and Payne, and Zabrowski and the staff are  
24 just excellent.

25 MR. MOELLER: Dick?

1 MR. FOSTER: This goes back to the relative  
2 priorities of your four items; specifically, on the  
3 decontamination versus the water contamination thing.  
4 Am I correct in presuming that in this decontamination  
5 item, you took a hard look at the kind of materials  
6 which were involved in building up crud relative to half  
7 lives? Do you have in this a pretty good feeling that  
8 once you go into this, how long that particular cleanup  
9 is going to last?

10 I guess it boils down to: is it really  
11 cobalt, and perhaps some other very long-lived hard  
12 gamma emitters that are giving you the problem versus  
13 short-lived materials?

14 MR. MILLUNZI: I think that assumption seems  
15 to be verified is the cobalt. However, in that item I  
16 used an example that I thought that the definition phase  
17 people were getting into the business of telling people  
18 how to do it. I think in their minds the answer to your  
19 question is they wanted to look to see what the answer  
20 to your question is. So they want to confirm what they  
21 think is the real problem.

22 Apparently, no one has really done that. I  
23 think people have done it, and I'm just asking what  
24 degree of precision is required.

25 MR. FOSTER: Well, one of the things that is

1 involved here is you want to make sure you are working  
2 on the right isotope, that you might do a tremendous job  
3 in cleaning up all of the short-lived nuclides and then  
4 remember later on that gee, I could have done the same  
5 thing by leaving the plant shut down for another 48  
6 hours.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           MR. MILLUNZI: That is right. It is like  
2 somebody taking a piece of pipe and scraping all the  
3 rust off of it. Any others?

4           MR. MOELLER: Yes, I had two comments. Are  
5 you looking at the fact, and this came up yesterday,  
6 that when you call for major decontamination of these  
7 plants, that you are going to produce increased volumes  
8 of low level waste, and they may have chelating agents  
9 and so forth that may be an unusual or slightly  
10 different bulk low level waste now being generated?

11           I would think it would be very important when  
12 you transmit this to the Congress to point out to them  
13 therefore since these wastes are going to be produced,  
14 therefore it is imperative that we move forward with the  
15 establishment of their regional disposal sites.

16           MR. MILLUNZI: I appreciate that. I think  
17 that is a very good comment. I don't know the answer to  
18 that. I don't know the answer to it, and maybe they  
19 talked about it in some of the meetings that I have not  
20 been present at, but I am unaware of it. So we will  
21 look into that.

22           MR. MOELLER: The second comment in a general  
23 sense that I had is that -- and this is -- I show my own  
24 professional bias, but you have listed four priorities,  
25 and they are all, for lack of the right word, I guess

1 they are engineering approaches. You have not given me  
2 a single managerial, although you have said orally it is  
3 important for management to understand. Why don't you  
4 put in a fifth priority and say we need better health  
5 physics programs, or something like that, or we need  
6 management to be committed to the need for this, and  
7 whatever that entails?

8 MR. EBERSOLE: That gets back to the economic  
9 thing.

10 MR. MOELLER: That is why I hesitate to say  
11 it, because it sounds so biased, but do you see what I  
12 am driving at?

13 MR. MILLUNZI: Yes, I do, and let me offer you  
14 a knee-jerk reaction to try to handle that problem.  
15 Would it be sufficient if we can find a way in the  
16 general statement to put in the oral statement that I  
17 made that the success of this is very dependent on  
18 that?

19 MR. MOELLER: Fine. Then I would be happy.  
20 Management's commitment, support, and the adequacy of  
21 the essential people.

22 MR. MILLUNZI: I always end up saying that  
23 orally, don't I?

24 MR. ORTH: I think it is a little more than  
25 that, Dade. I think it comes down to, is the equivalent

1 somewhere with management, time motion studies kind of  
2 things. There are a great many operations that you  
3 really can get done in less time, and it involves the  
4 health physics reviews of what is going on, but it also  
5 involves some good maintenance engineers looking at what  
6 has to be done in prelining the job, mocking things up  
7 on the outside so you can run them all in.

8           It requires that generic management  
9 involvement. It is a whole area in which you can make  
10 tremendous differences. We have had very hot jobs on  
11 occasion, and with the limited number of skilled people  
12 that we didn't want to burn out, where we took the  
13 effect of actually mocking stuff up, trying it out,  
14 testing it, seeing if things would work, then going  
15 ahead and doing it, and you can save tremendous amounts  
16 of time and money overall with a little bit of  
17 forethought along that line.

18           MR. MILLUNZI: I think we have got that in the  
19 report already, the concept of the preparation and all  
20 this.

21           MR. ORTH: It is also something that can be  
22 done immediately without even waiting for research  
23 basically.

24           MR. MILLUNZI: One of the key items we are  
25 going to try, and I don't know how successful we will



1 be, that we have right now is how much does each guy  
2 get. We see what the total dose is. What we haven't  
3 done is go the next step and see where it happens, and  
4 in part of doing that, based on that, you can start to  
5 define where you should be doing mockups, and that is  
6 what is behind all of this. But I agree with you.

7 MR. MOELLER: What we plan to do now, I know  
8 you want our comments, and we have given you a number of  
9 them orally. I think what we will ask and try, and I  
10 think this is an improved committee procedure, we will  
11 ask each of the consultants who have read the report to  
12 write out their comments, and we will just informally  
13 send them to you.

14 MR. MILLUNZI: I would appreciate this.

15 MR. MOELLER: This is a minor comment, maybe  
16 minor, but on Page 3, near the bottom of the page, about  
17 six lines up from the bottom, you state, and you have a  
18 sentence there, I will send this to you. Page 3, six  
19 lines up from the bottom, you say, "Using the radiation  
20 limits set by the BEIR Committee." Well, see, the BEIR  
21 Committee never set any limits. The BEIR Committee's  
22 assignment was to quantify the relationship between dose  
23 and effect, and they didn't set any limits.

24 MR. MILLUNZI: That is right. They got  
25 confused with the second half of that.

1 MR. MOELLER: Right.

2 MR. MILLUNZI: As I recall that sentence when  
3 they were writing it the sentence didn't have the BEIR  
4 Committee in there. It was just with the NRC, but  
5 somebody said, don't forget BEIR.

6 Any more general discussion or comment on this  
7 subject?

8 MR. STEINDLER: General comments, no. I have  
9 a specific one. It says, "The working group does not  
10 believe," on Page 6, "The working group does not believe  
11 that a radiation exposure of workers has a negative  
12 impact on plant safety."

13 MR. MOELLER: I would argue with that.

14 MR. STEINDLER: Then it goes on to say, "But  
15 recognize that there is a risk that safety concerns  
16 could increase as a result of this." That is very soft  
17 and it is subject to a lot of argument. In fact, one of  
18 the arguments that leads to, what shall I say, the  
19 enthusiasm with which dose reduction is viewed is that  
20 it in fact does impinge on safety, although not  
21 quantifiably.

22 MR. MILLUNZI: Would you think it is fair to  
23 say that in my presentation that our position really  
24 isn't reflected in this sentence, and we will change  
25 it?

1 MR. STEINDLER: That is correct.

2 MR. MOELLER: Each of our consultants will  
3 write out the comments and give it to you.

4 MR. EBERSOLE: Could you put in here some sort  
5 of coupling statement to indicate that you believe, as  
6 you said, that reduction of dose to workers, there are  
7 economic incentives that are not easily seen, they have  
8 to be pried out, and the mechanisms for identifying the  
9 economic incentives need to be worked on, because in the  
10 long run that is the incentive that the utilities work  
11 with?

12 MR. MILLUNZI: Without telling you and  
13 everybody else in the world exactly what that report is  
14 going to be, economic incentives is being applied  
15 everywhere, not just in this item.

16 MR. MOELLER: Well, thank you very much.

17 MR. MILLUNZI: Thank you.

18 MR. MOELLER: I certainly want to compliment  
19 you overall in a very useful report. It is something  
20 that I very much enjoyed seeing written down. We will  
21 conclude.

22 MR. RAY: For a rough draft, I think it's in  
23 excellent shape.

24 MR. MILLUNZI: Thank you, and I look forward  
25 to coming back to you again, and as I mentioned to Ms.

1 Tang and to Dr. Moeller, I really extend the invitation  
2 to everyone else. We are very anxious to get everyone's  
3 inputs, and I would be most interested to talk to you.

4 MR. MOELLER: Okay, that concludes the formal  
5 portion of our subcommittee meeting. We will now recess  
6 one hour for lunch, and then we will resume at 1:45 in  
7 executive session to address the several items that I  
8 mentioned yesterday, and particularly to summarize our  
9 written reports for presentation to the full committee.

10 Let me thank the Reporter for being with us  
11 and for her patience in listening carefully to what was  
12 being said and putting it down on paper.

13 With those remarks, I declare the meeting  
14 adjourned.

15 (Whereupon, at 12:45 p.m., the meeting was  
16 adjourned.)

17

18

19

20

21

22

23

24

25

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: ACRS/Joint Meeting of the Subcommittees on Reactor  
Radiological Effects and Site Evaluation

Date of Proceeding: November 19, 1982

Docket Number: \_\_\_\_\_

Place of Proceeding: Washington, D. C.

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Jane N. Beach

Official Reporter (Typed)

Jane N. Beach

Official Reporter (Signature)

SITING, DEMOGRAPHICS AND SOCIETAL ISSUES

- . INSTITUTIONAL, ECONOMIC, AND SOCIETAL ISSUES IN RADIOACTIVE WASTE FACILITY SITING
- . SITE SAFETY TOPICS
- . DEMOGRAPHIC AND LAND USE INFORMATION FOR REACTOR SITES
- . ECONOMIC AND SOCIAL IMPACTS OF REACTOR ACCIDENTS

MAN-RELATED EXTERNAL HAZARDS

- . SAFETY RELATED EQUIPMENT RESPONSE TO HAZARDOUS MATERIALS
- . RELEASE, SPREADING AND DISPERSION OF HAZARDOUS MATERIALS
- . TESTING PROTOCOLS/TESTING CONSORTIUM
- . MISSILE IMPACT ON SAFETY RELATED STRUCTURES AND EQUIPMENT
- . OPERATOR INCAPACITATION

## OCCUPATIONAL RADIATION PROTECTION

- BLIND TESTING OF INSTRUMENT CALIBRATORS
- LWR DOSE REDUCTION
- PROPER USE OF PORTABLE SURVEY INSTRUMENTS
- ULTRA-SENSITIVE DETECTION TECHNOLOGY IN BIOASSAY APPLICATIONS
- OCCUPATIONAL DOSES TO MEDICAL PERSONNEL
- NEUTRON DOSIMETRY
- BIOASSAY LAB PERFORMANCE TESTING SUPPORT
- OPTIMIZATION TECHNIQUE DEVELOPMENT
- EXTREMITY DOSIMETRY GUIDANCE
- INTERNAL DOSE CALCULATIONS SUPPORT
- RESPIRATORY PROTECTION SUPPORT
- BETA RADIATION MEASUREMENTS AND DOSIMETRY
- OCCUPATIONAL DE MINIMIS LEVELS
- CORROSION PRODUCT BUILDUP, DESIGN CHANGES
- DECONTAMINATION EFFECTIVENESS
- DECONTAMINATION IMPACT ON WASTE SOLIDIFICATION
- ESTABLISHMENT OF BIOASSAY PERFORMANCE TESTING LABORATORY
- RADIATION PROTECTION TRAINING GUIDES
- NPP WORKER EXPOSURE REDUCTION THROUGH ROBOTICS
- WORK RESTRICTION INDICES FOR BIOASSAY AT URANIUM MILLS
- PILOT STUDY, EXTREMITY DOSIMETER PERFORMANCE STANDARD



EMERGENCY PREPAREDNESS RESEARCH

FY 84 - 85

DIVISION OF FACILITY OPERATIONS

TS

OBJECTIVES

- RESEARCH TO:
1. ASSIST IN UPGRADING EMERGENCY PREPAREDNESS  
AT LICENSED FACILITIES.
  2. PROVIDE A BASIS FOR REGULATORY POSITIONS  
ON EMERGENCY PREPAREDNESS

PROJECT:

HUMAN FACTORS IN EMERGENCY RESPONSE

OBJECTIVE:

ASSIST IN UPGRADING EMERGENCY PREPAREDNESS AT  
LICENSED FACILITIES

ISSUE:

CAN THE DECISION MAKING PROCESS IN THE EARLY STAGES  
OF AN EMERGENCY BE IMPROVED

SCHEDULE:

CONTRACT LET WITH ORNL IN JUNE 82, WILL CONTINUE  
INTO 83; MAY EXTEND INTO 84

PROJECT: HANDBOOK ON DEVELOPMENT OF ADEQUATE EMERGENCY PLANS IN SUPPORT OF FUEL CYCLE AND MATERIAL LICENSEES.

OBJECTIVE: TO DEVELOP A HANDBOOK (SIMILAR TO NUREG-0654) WHICH CAN BE USED BY LICENSEES, STATE AND LOCAL GOVERNMENTS.

ISSUE: WHAT ARE THE ACCEPTANCE CRITERIA FOR ADEQUATE EMERGENCY PLANS FOR FUEL CYCLE AND MATERIAL LICENSEES.

SCHEDULE: ~~TO-BEGIN-IN-FY-84-AND-COMPLETED-IN-FY-85-~~  
CONTRACT STARTED WITH SANDIA IN 9/82 WITH AN INTERAGENCY AGREEMENT BETWEEN FEMA AND NRC.

PROJECT: EVALUATE TECHNICAL BASES FOR EMERGENCY PREPAREDNESS REQUIREMENTS FOR ADVANCED REACTORS.

OBJECTIVE: TO PROVIDE A TECHNICAL BASIS FOR MAKING REGULATORY DECISIONS RELEVANT TO EMERGENCY PREPAREDNESS AROUND ADVANCED REACTORS.

ISSUE: IS THERE A NEED FOR REQUIRING EMERGENCY PLANNING AROUND ADVANCED REACTORS.

SCHEDULE: TO BEGIN IN FY 84 AND COMPLETED IN FY 85.

PROJECT: CONFIRMATORY RESEARCH ON OPTIMUM FREQUENCY AND SCOPE  
OF EXERCISES

OBJECTIVE: PROVIDE A BASIS FOR REGULATORY POSITION

ISSUE: WHAT IS THE OPTIMUM FREQUENCY AND SCOPE OF FULL SCALE  
EMERGENCY PREPAREDNESS EXERCISES

SCHEDULE: TO BEGIN IN FY 84 COMPLETED IN FY 85

PROJECT: EVALUATE QUALIFICATIONS NECESSARY FOR EMERGENCY  
PREPAREDNESS PERSONNEL

OBJECTIVE: ASSIST IN UPGRADING EMERGENCY PREPAREDNESS AT  
LICENSED FACILITIES

ISSUE: SHOULD THERE BE SPECIAL QUALIFICATIONS REQUIREMENTS  
FOR EMERGENCY PREPAREDNESS PERSONNEL, AND IF SO, WHAT  
ARE THEY

SCHEDULE: TO BEGIN AND BE COMPLETED IN FY 85