

ORIGINAL

OFFICIAL TRANSCRIPT
PROCEEDINGS BEFORE

NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY AND LICENSING BOARD

DKT/CASE NO. 50-537
UNITED STATES DEPARTMENT OF ENERGY
TITLE PROJECT MANAGEMENT CORPORATION - TENNESSEE VALLEY
AUTHORITY (Clinch River Breeder Reactor)
PLACE Oak Ridge, Tennessee
DATE December 17, 1982
PAGES 6635 - 6731

3212210094 821217
PDR ADDCK 05000537
T PDR

TEA1

AR

ALDERSON REPORTING

(202) 628-9300

440 FIRST STREET, N.W.

WASHINGTON, D.C. 20001

635-66

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - -

ATOMIC SAFETY AND LICENSING BOARD

-----	x
In the Matter of	x
UNITED STATES DEPARTMENT OF ENERGY	x
PROJECT MANAGEMENT CORPORATION	x
	x Docket No. 50-537
TENNESSEE VALLEY AUTHORITY	x
(Clinch River Breeder Reactor Plant)	x
-----	x

Hemlock Room
Executive Seminar Center Building
301 Broadway
Oak Ridge, Tennessee
Friday, December 17, 1982

The hearing in the above-entitled matter was convened pursuant to adjournment, at 8:00 a.m.

BEFORE:

MARSHALL E. MILLER, Chairman
GUSTAVE E. LINENBERGER, JR., Member
CADET HAND, Member

ALDERSON REPORTING COMPANY, INC.

1 Representing Project Management Corporation:

2 GEORGE L. EDGAR, Esq.

3 Morgan, Lewis & Bockius

4 1800 M Street, N.W.

5 Washington, D. C. 20036

6
7 Representing U. S. Department of Energy:

8 WILLIAM D. LUCK, Esq.

9 Office of the General Counsel

10 U. S. Department of Energy

11 Washington, D. C. 20585

12
13 Representing the Tennessee Valley Authority:

14 EDWARD J. VIGLUICCI, Esq.

15 Tennessee Valley Authority

16 400 Commerce Avenue

17 Knoxville, Tennessee 37902

18
19 Representing the Natural Resources Defense Council
20 and Sierra Club:

21 BARBARA A. FINAMORE, Esq.

22 Staff Attorney

23 -and-

24 THOMAS B. COCHRAN, Staff Scientist

25 Natural Resources Defense Council

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

Representing the U. S. Nuclear Regulatory Commission:

DANIEL SWANSON, Esq.

-and-

GEARY MIZUNO, Esq.

U. S. Nuclear Regulatory Commission

Washington, D. C. 20555

- - -

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ARGUMENT

PAGE

I. Contentions 1, 2 and 3
Site Suitability

Dr. Cochran (Continuing) 6639

Mr. Edgar (Rebuttal) 6661

II. Contentions 2 and 3
Environmental Risks and Effects of
Severe Accidents

Mr. Edgar 6670

Dr. Cochran 6692

Mr. Swanson 6704

Mr. Edgar (Rebuttal) 6719

- - -

P R O C E E D I N G S

8:00 a.m.

1
2
3 JUDGE MILLER: All right. We will resume
4 our closing arguments.

5 I think, Dr. Cochran, that you were
6 addressing the Board.

7 You may resume.

8 DR. COCHRAN: Yes.

9 Just to back up so we don't lose any
10 continuity.

11 Yesterday I demonstrated that if you multiplied
12 the Staff's estimate of the HCDA, a realistic
13 calculation, HCDA thyroid dose of 100 rems at the ORGDGP,
14 Staff's Exhibit 18, Page 7, by the ratio of the worst
15 sector to ORGDP X/Q factors, namely a factor of 12,
16 you would exceed the 10CFR 100 guideline values for
17 thyroid by a wide margin; some 1200 rems, compared to the
18 guideline value of 150 rems at CP.

19 It's 8 times higher than permitted.

20 The factor of 12 came from dividing the
21 Applicants thyroid dose for HCDA analysis at the worst
22 sector, 85 rems, Applicant Exhibit 46, Page 34, by
23 Applicants HCDA thyroid dose for the ORGDP, Applicants --

24 JUDGE MILLER: Just a minute.

25 I think you're going a little too fast for

1 the Reporter, Dr. Cochran.

2 DR. COCHRAN: I understand. I'm trying to
3 prevent from getting cut off at the end.

4 JUDGE MILLER: You won't get cut off.

5 No. But take it slowly enough that she can
6 get it accurately in the record.

7 DR. COCHRAN: Certainly.

8 The factor of 12 came from dividing
9 Applicants thyroid dose for HCDA analysis at worst
10 sector, 85 rem, Applicants Exhibit 46, at Page 34, by
11 Applicants HCDA thyroid dose for the ORGDP, Applicants
12 Exhibit 47, at Page 13.

13 Note Staff's HCDA is a Class I, Thadani on
14 cross-examination by Intervenors on his 5(b) testimony
15 and Applicants HCDA is a Case 1 or 2, a non-energetic
16 CDA, Applicants Exhibit 46, at Page 34.

17 I also note that -- noted yesterday that if
18 Staff's filter efficiencies and meteorology were
19 substituted to the Applicants Case 1 thyroid dose
20 calculation of 85 rems in Applicants EXhibit 46 at Page
21 32, the thyroid dose would increase by a factor of 14
22 to about 1000 rem.

23 This factor of 14 is the ratio of Staff to
24 Applicants HCDA thyroid dose at the ORGDP, Staff's Exhibit
25 18 at 7 and Applicants Exhibit 47 at 13.

1-3

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 In some the Staff's most benign CDA, Class 1,
2 Appendix J at Page J-5, which has an upper bound
3 probability of 10^{-4} per year in the worst sector
4 direction, which increases the upper bound probability
5 to 10^{-5} per year, has a thyroid dose of about 1000 rems
6 or about 8 times the dose guideline value -- 7 or 8 times
7 the does guideline value.

8 If one assumes Staff filter efficiencies
9 which were unchallenged by the Applicants, thus the
10 safety goal is not met for non-energetic CDA's, based
11 on the Staff's own analysis.

12 The Board should note that the highest
13 thyroid doses for the least energetic CDA, Applicants
14 Exhibit 46, Page 34, and therefore Applicants criticism
15 of Staff's groupings of CDA categories does not apply.

16 The Board should also note the above worst
17 sector thyroid dose estimates that I've made are for
18 "realistic NEPA assumptions" rather than "conservative
19 site suitability source term analysis".

20 I refer also the Board to the first sentence
21 of the third full paragraph at Appendix J, Page J-11 and
22 the accompanying footnote for a curious statement of
23 what is expected as opposed to what is demonstrated.

24 Now, I refer the Board back to Appendix J,
25 Table J-2, in the Class 1 CDA upper bound probability of

1-1

1 10⁻⁴ per year, based on the Staff's estimates of upper
2 bound frequency of 10⁻⁴ per year for the reactor shutdown
3 system and loss of heat sink frequencies, Appendix J,
4 Page J-3 to J-5.

5 The Board should take note of the ASLB partial
6 initial decision in the matter of Med-Ed. That's the
7 TMI-I restart, Volume 1, December 14, 1981, Docket
8 50-289-SP; particularly to the discussion of the St. Lucy
9 ALAB 603 decision, 12 NRC 30, 1980 and referring back to
10 TMI restart decision at Paragraph 1011.

11 Also refer to the discussion at Paragraph 1050
12 at Page 242, related to the TMI-I restart.

13 These decisions demonstrate that the Staff's
14 upper bound estimate of 10⁻⁴ per year for loss of heat
15 sink and unprotected loss of flow and unprotected
16 transient overpower event are not sufficiently low to
17 justify exclusion of the CDA from the DBA.

18 I would also call your attention to Dr.
19 Rumble's statement on cross of Staff Exhibit 16, where
20 he said he could draw no distinction between 10⁻⁴ and
21 2 x 10⁻⁴.

22 I turn now to the 10CFR 100 Site Suitability
23 Source Term Analysis, which is the heart of Contention 2.

24 I draw the Board's attention to Staff Exhibit
25 1, which Site Suitability Report, particularly at Page 3-11,

1-5 1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

where the Site Suitability Source Term assumptions are set out, as well as the LPZ bone dose, which is given as 9 rems.

And the Intervenors argue that this is the controlling dose in th is calculation and you can -- it will be the one we will focus attention on.

On Page 8 of the Staff's Exhibit 1, the dose guideline value for the bone surface is given as 150 rem at the CP.

I will defer Intervenors challenge to this value until discussion of Contention 2(e) and 11(d).

Mr. Edgar led you to believe there were only two factors in dispute by which this 9 rem value should be increased.

First, contrary to Mr. Edgar's claim, the bone surface dose calculated with the newer ICRP-30 models, that is, using the dose conversion factors from NUREG/CR-0150, is three times the bone dose that one would calculate using ICRP-2 models, as the Staff did in Staff's Exhibit 1.

Both Applicant and Staff now use the newer models as set forth in NUREG/CR-0150 and I don't think there's any difference of opinion between any of the parties on the validity of those dose conversion factors.

1-6

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 You should take note of the Staff and
2 Applicants use of these dose conversation factors at
3 Tr.2360 to -61, Bell; 2389 to 2390, Branagan, Applicants
4 Exhibit 46 at Page 33 and the Tr. 3128, Dr. Morgan.

5 The factor of three is demonstrated by
6 comparing Table 1 from Morgan,Tr. 3128 against the site
7 suitability report, Table 4 at Page 3-11.

8 Mr. Edgar confuses bone surface with body
9 burden and also I take note of the fact that Dr. Thompson's
10 recollection is, with regard to the factor of 2, was, I
11 am sure, Tr. 1904.

12 The 9 rem bone dose should thus be multiplied
13 by a factor of three to get the 27 rems to the bone
14 surface, which is the number supplied to Intervenors by
15 the Staff.

16 You cannot use the bone dose to compare to
17 a bone surface dose guideline value,so the 9 rems is
18 irrelevant.

19 The second factor is isotopic concentration
20 of fuel.

21 Applicant Witness Yarbrow, Tr.4265, admits that
22 high burn-up fuel increases the dose by a factor of 2 to
23 4. Cochran's estimates are up to a factor of 4.3,
24 Cochran, Tr. 4590.

25 Mr. Edgar notes that we will revisit this

1 issue at the fuel cycle.

2 Mr. Edgar also, in effect, argues that
3 Applicant is free to apply for a license, now, to fuel
4 the CRBR with low-burn-up PU or by implication, even
5 uranium or even bubble-gum and then once the site
6 suitability issue is behind him, apply for a license
7 amendment.

8 Since we will revisit this issue, for now, I
9 will simply note the following:

10 10 CFR 100 applies to reactors of the general
11 size and type, not reactors of the general size and type,
12 which use a precisely defined isotopic ratio of plutonium
13 fuel, as represented in the current version of the CRBR
14 fuel Tech Specs. Two, Applicants Witness Yarbrow indicated
15 that there is only sufficient low burn-up LWR fuel under
16 25,000 megawatt days per metric ton to operate CRBR for
17 about one-half of the 30-year lifetime of the reactor.

18 Intervenors introduced evidence to demonstrate
19 that Applicants isotopic concentrations are actually
20 typical of 12 to 14,000 megawatt days per metric ton;
21 not 25,000.

22 Applicants have no assurance -- this is Three
23 -- Applicants have no assurance that TVA will want to
24 use low burn-up fuel in the CRBR after the five-year
25 demonstration period.

1-8

1 The fact that the CRBR -- this is Four --
2 the fact that the CRBR may reduce the isotopic
3 concentration of 238 and 241 as fuel is burned in CRBR,
4 there is actually no evidence to that effect, although
5 it certainly seems like that could go that way to me.

6 This does not solve Applicants dilemma.

7 Rather, the issue simply becomes whether
8 the high burn-up LWR plutonium or plutonium having been
9 recycled in LWR's, will simply be put into the CRBR
10 as fresh fuel.

11 It will have the high concentrations when
12 it's put in the reactor initially, and so the fact that
13 it's going to burn down is irrelevant to the site
14 suitability source term analysis, in that respect.

15 The third factor is due to -- that would
16 increase the site suitability source term bone surface
17 dose calculation, is due to the contribution to the bone
18 surface from releases after 30 days to cover the entire
19 passage of the cloud, that is required under 10 CFR 100.
20 See Tr. 3127 to -28, Morgan. Tr.2350 to 2351 and-53 and
21 2356 and 2357, Bell and Hulman, where the Staff admits
22 that the post 30-day releases are not negligible and that
23 the puff release is appropriately conservative.

24 10 CFR 100 requires consideration during the
25 entire passage of the cloud.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Staff acknowledges this, Tr. 2350 to -51. Staff Witness Bell testified in cross-examination by Intervenors, that the calculation, including the puff release, while very conservative, incorporated the appropriate degree of conservatism with respect to the treatment of post 30-day releases, Tr. 2354, Bell.

Mr. Bell also stated that the calculation which included the puff release was more appropriate and more realistic than calculations which do not consider any emissions after the 30-day period, Tr.2355, Bell.

Mr. Bell later contradicted his own testimony during cross examination by Counsel for Applicants, Tr. 2403 to-04, Bell.

This should not be credited as it was elicited by a leading question by Counsel for a non-adversarial party.

Since the Staff treatment of the puff release was appropriately conservative, the correction factor for the bone surface dose is on the basis of the data provided Intervenors and found in Morgan's testimony. The factor is the ratio of 115 rem to 27 rem.

/ / /

2-1 1 DR. COCHRAN: Edgar in his argument failed to
ge 2 note the puff is through the annulus filtration system,
3 Tr. 2356 to 57.

4 Furthermore, the Strawbridge estimate that
5 90 percent release in one day and 98 percent in one week
6 is for "realistic or otherwise non-conservative aerosol
7 depletion," aerosol depletion rate that Staff does not
8 adopt in Staff's site suitability source term analysis.

9 The history of 10 CFR 100 demonstrates that a
10 very high degree of conservatism should be used,
11 Transcript 3057 to 59, Cochran; Transcript 2558 to 79,
12 Attachment A to Staff Exhibit 3.

13 The fourth correction factor is to correct
14 for the Staff's confinement factor; that is, the fraction
15 of the one percent plutonium source term which is released
16 through the filters.

17 The CRBR containment has two filter systems,
18 the annulus filtration system and the vent purge system.

19 The record will show both of these are
20 relatively novel compared to the containment systems on
21 lightwater reactors.

22 The annulus filtration system takes activity
23 from outside the containment in the annulus and pumps it
24 back in, while the vent purge system takes activity from
25 within the containment and pumps it out.

2-2

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 The Staff and Applicants, in performing their
2 site suitability source term analysis, are operating under
3 a novel theory that one should include one of the filters
4 in the analysis and exclude the other, even though both
5 are integral parts of the secondary containment system.

6 The Board should also take note in this
7 regard 10 CFR 100.2(b) and 100.10(a)(c).

8 In conducting the Staff's site suitability
9 analysis, they have made a mockery of the site suitability
10 source term analysis, as I will demonstrate. By ignoring
11 the one filter system and including the other, their site
12 suitability source term calculations invariably come out
13 with higher doses to the population than their realistic
14 HCDA calculations. I'll demonstrate that.

15 Moreover, even though the site suitability
16 source term analysis is supposed to be conservative, they
17 include in their analysis only the vent system that pumps
18 the activity back into the reactor containment, rather
19 than the one that pumps it out.

20 If you look at Staff Exhibit 18, Answer 10 to
21 17, Pages 6 through 7, you will see that the Staff and
22 Applicants' so-called conservative site suitability source
23 term doses are always higher than the quoted realistic
24 NEPA CDA analysis, a factor of 22 higher for the thyroid
25 dose and a factor of 9 higher for the whole body dose in

2-3

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 the Staff's analysis.

2 Mind you, this is despite the fact that the
3 site suitability source term analysis is more conservative
4 than the realistic HCDA analysis performed by Staff with
5 regard to the following:

6 One, the X/Q is 95 versus 50 percent.

7 Two, the filter efficiencies.

8 Three, the plutonium source term.

9 Four, the timing of the releases.

10 And, five, plateout considerations in the
11 containment.

12 By totally ignoring the vent purge system, the
13 Staff and Applicants have totally offset every single
14 conservative assumption built into the site suitability
15 source term and still project doses 10 to 20 times below
16 the quoted realistic values.

17 A fifth factor is the plutonium source term.
18 This issue is simple.

19 If the CDA is within the design basis envelope,
20 Intervenor's win and the plutonium source term should be
21 10 percent.

22 If the CDA is outside of the design basis
23 accident envelope, Applicants and Staff win and the pluto-
24 nium source term remains at one percent.

25 A sixth factor is due to the Staff's failure

2-4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 to use 80 years for the dose commitment period for the
2 maximally exposed individual, rather than 50 years which
3 is more -- rather, they used 50 years which is more
4 appropriate for workers who are not exposed until age 20;
5 Morgan, Transcript 3170 to 74.

6 Now, just to summarize, the Board should start
7 with the 9-rem bone surface dose from the Site Suitability
8 Report and multiply it by the following factors to
9 calculate the actual bone surface dose.

10 Where the Board disagrees with my analysis,
11 they simply drop that factor.

12 You take the 9-rem bone dose and multiply it
13 by 3 to correct for bone-to-bone surface dose. Multiply
14 it by a factor of 4.3 to correct for higher burnup fuel.

15 Multiply it by a factor of 4.3 for the post-
16 30-day release.

17 Multiply it by a factor much greater than 10
18 to correct for Staff's failure to include the vent purge
19 contribution to the containment releases.

20 Multiply it by a factor of 10 if the Board
21 concludes that Intervenors are correct and the CDA is not
22 a design basis accident.

23 Multiply it by a factor of 1.5 for the lifetime
24 of the maximally exposed individual.

25 Taken together, the actual bone surface dose

2-5

1 is something greater than 90,000 rem or 10,000 times that
2 assumed in the Site Suitability Report, and it's more than
3 600 times the Staff's proposed bone dose guideline value,
4 when all these factors are taken together.

5 In the first week of the hearings, the
6 Intervenors presented its case that an LMFBR requires a
7 higher standard of protection against CDA's than a
8 lightwater reactor and should include CDA's within the
9 design basis.

10 See, for example, Transcript 2765 to 2781,
11 Cochran; 2818 to 20, Cochran.

12 Intervenors also presented testimony that
13 CDA's have occurred or were considered DBA's in other
14 U.S. fast reactors and are not hypothetical, but warrant
15 serious attention to protect the public safety.

16 Transcript 2822 to 23, Cochran; Transcript
17 2823 to 25, Cochran.

18 I don't know whether the Board squirreled
19 away the findings of fact that we submitted.

20 JUDGE MILLER: You withdrew them, I believe.

21 DR. COCHRAN: Yes, we withdrew them, but
22 I'm simply reading the highlights of some of those, if
23 that would help you.

24 JUDGE MILLER: Are you going to re-introduce
25 them? We don't mind, we just --

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

2-6 1 DR. COCHRAN: Not in this form.

2 JUDGE MILLER: Okay.

3 DR. COCHRAN: But if you miss a word or two,
4 you might reach into your wastebasket is all I'm
5 suggesting.

6 The NRC Staff originally considered CDA's as
7 DBA's for the CRBR and has demonstrated no rational basis
8 for its change in position.

9 The Staff has failed to establish and justify
10 any principal design criteria which if met would insure
11 that the probability of a CDA is sufficiently low to
12 exclude CDA's from the design basis.

13 The Staff's claim that it has established
14 specific criteria that would render CDA's sufficiently
15 improbable is without merit. These criteria are so vague
16 as to be meaningless.

17 Staff admits these criteria do not have
18 specific detail; Tr. 2206, Morris.

19 These criteria provide no indication whatsoever
20 that if met they would insure the probability of CDA's
21 as sufficiently lower that they may be excluded from the
22 design basis.

23 The Staff has failed to demonstrate that the
24 CRBR meets or even approaches the Staff's safety
25 objective.

2-7

306 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Staff Witness Rumble stated that it would be
2 prudent to consider results of specific failure mode
3 effects analysis in its engineering judgment as to the
4 credibility of a CDA if those results of specific analysis
5 were available; Tr. 2185 to 86, Rumble.

6 The Staff has not considered the results of
7 specific failure mode effects analysis in its engineering
8 judgment regarding the probability of CDA initiation;
9 Tr. 2178, Morris.

10 Staff's reliance on similarities between LWR
11 and LMFBR systems for assurance that CDA's will be
12 sufficiently improbable is misplaced.

13 It is impossible to establish the reliability
14 of CRBR shutdown systems relative to those of LWR's
15 without a comprehensive failure mode and effects analysis
16 or a fault tree/event tree analysis; Tr. 2662, 2846,
17 Cochran; 2232 to 33, Morris.

18 The Staff did not and does not intend to
19 analyze the intent to which previous unrecognized
20 dependencies between various LWR reactor features have
21 been discovered as a basis for their conclusion that such
22 interdependencies are very improbable for CRBR; Tr. 2256
23 to 57, Morris.

24 One of the major causes of uncertainty in
25 WASH-1400, a comprehensive probabilistic risk assessment

2-8

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 for LWR's cited by the NRC's Risk Assessment Review Group
2 was the variation between reactors, since WASH-1400
3 examined only one BWR and one PWR; Tr. 2847, Cochran;
4 1705 to 17, Strawbridge.

5 There's substantially larger differences
6 between the major safety systems, for example, the
7 reactor shutdown systems, in a reactor of the general
8 size and type of CRBR and those in lightwater reactors
9 and between systems in reactors of the same LWR type;
10 Tr. 2847, Cochran; 1705, 1707, Strawbridge.

11 Staff Witness Morris admits that implementation
12 of a particular safety function could be very different
13 for LMFBR's and for lightwater reactors; Tr. 2206, Morris.

14 No systematic Staff effort was made to take
15 into account foreign experience with breeder reactors;
16 Tr. 2209, Morris.

17 Staff Witness Morris admitted that Staff does
18 not have a good understanding of the specific design
19 features of other domestic and foreign breeder reactors
20 or how much features have been implemented; Tr. 2212 to
21 14, Morris.

22 Staff admits that human error could cause
23 undetected interdependence between various elements of
24 the reactor, such as two shutdown systems; Tr. 2255, Morris.

25 Staff admits that human error could be

2-9 1 responsible for a CDA initiating condition in both LMFBR's
2 and LWR's; Tr. 2263, Morris.

3 Staff Witness Rumble admits it would be
4 helpful for the Staff to consider systematic fault tree/
5 event tree analyses in determining the effects of human
6 error in a generic fashion; Tr. 2420, Rumble.

7 Staff has not performed any systematic
8 analysis of how human error could initiate or exacerbate
9 an accident at the CRBR; Tr. 2243, Morris.

10 Staff has not analyzed the extent to which
11 system interdependencies have been discovered in LWR's
12 for its conclusion that they are highly unlikely or very
13 improbable for the CRBR; Tr. 2256, Morris.

14 Staff does not intend to perform such an
15 analysis; Tr. 2257, Morris.

16 The Staff and Applicants failed to justify
17 their categorization of accidents within and outside the
18 CRBR design basis.

19 Staff and Applicants -- Both Applicants and
20 Staff state that they determine which accidents to include
21 within the CRBR design basis by examining a range of
22 accidents to determine which are credible; Tr. 2003, 2450.

23 Staff denies it attaches any quantitative or
24 qualitative probability to the word credible; Tr. 2173,
25 Rumble; 2191 to 92, Morris.

2-10

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Applicants do not use quantitative probabilities or quantitative threshold criterion for determining whether CDA's or within or outside the DBA envelope; Tr. 2858, 1480 and 1483 to 84, Clare.

When asked to define credible accident, stated, "Credible means that it is of sufficient likelihood that it should be considered in the design basis"; Tr. 1653, O'Block, Deitrich, Clare, Brown and Strawbridge.

When asked to define "credible," the Staff stated that its only definition of credible is that it is synonymous with accidents within the design basis; Tr. 2172, Hulman, and 2453.

Based on circular definitions, therefore, and the failure to use any quantitative or qualitative probabilities, neither Applicants nor Staff have provided an adequate basis for their categorization of accidents within or outside the design basis; Tr. 1653, 2172 and 2453.

- - -

3-1
bm

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 DR. COCHRAN: In making their judgments that
2 the likelihood of CDAs is so low that it can be excluded
3 from the design basis, Applicants did not rely upon (a)
4 their reliability program documented in the PSAR, Ap-
5 pendix C (Tr. 2857, Cochran), the probability of failure of
6 the reactor shutdown systems or any of the general design
7 features (Tr. 2857, Cochran; 1461, Clare), tests of the
8 reactor shutdown or shutdown heat removal or other CDA
9 prevention systems (Tr. 2858, Cochran; 1479, Clare),
10 quantitative reliability threshold criteria (Tr. 2858,
11 Cochran, 1480, 1483, Clare), probabilities risk assessments
12 (Tr. 2858, Cochran; 1484, Clare), analysis of evaluation
13 of designs of plants other than CRBR (Tr. 2858, Cochran;
14 1684, 1725-28, Brown; 1487, Clare), sufficiency of com-
15 pleteness of the SSR, Appendix A criteria, the Denise
16 Caffey letter criteria or any known set of criteria
17 (Tr. 2856-58, Cochran; 1483, 1487-88, Clare), analysis
18 of CDAs once initiated, including Section 5 of the
19 Applicants' Exhibit 1 (Tr. 2858, Cochran; 1488-89,
20 Clare), any quantification of the failure rates of the
21 reactor shutdown system, the decay heat removal system,
22 the probability of rupture larger than the design basis
23 rupture or the reactor vessel or pipe or the systems
24 designed to maintain the individual subassembly heat
25 generation or removal balance (Tr. 1461-62, Clare).

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Applicants' general design approach does not provide a basis for excluding CDAs from the DBA envelope. The three-level design philosophy in Applicants' Exhibit 8 presents no justification for selection of design basis events (Tr. 2859-62, Cochran).

The Staff admits it does not have a basis for judging the completeness of Applicants' list of CDA initiators (Tr. 2863, Cochran).

Applicants concede that it is impossible to confidently list all important initiators before an event tree and fault tree analysis have been performed. CRBR project PRA Program Plan, June 18, 1982, Page 3 at Tr. 2863, Cochran.

The double-ended pipe break that causes CDA in the CRBR and there's no basis for excluding it from the DBA envelope. I call the Board's attention to the material and the report by Harris, which we will revisit at the Appendix J section of this argument.

Applicants have no analytical test for selection of DBAs and no basis for excluding CDAs from the DBA envelope.

Applicants and Staff lack the presence of even one substantially similar fast reactor during the licensing of which it was demonstrated that the probability of a CDA is sufficiently low (Tr. 2868, Cochran).

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Applicants' testimony demonstrates that their use of terms, such as "low," "very low level," "extremely unlikely," "prevent," and "highly unlikely" are not clearly defined (Tr. 1385-86, 1495-96, 1616, 1637 and 1639, Clare).

Applicants and Staff make a circular argument concerning CDAs which will require CDAs to be low probability; hence, they will be of low probability (Tr. 2868, Cochran; 2225, Morris).

That completes my summary argument.

JUDGE MILLER: All right, Mr. Edgar, I guess it's turned over to the next segment. What are you going into? II?

MR. EDGAR: I wanted to ask the Board whether the Board would want any response at this point on the first set of issues. I have four very finite points of response, that I would think I could cover in ten minutes.

It's up to the Board at this point as to --

JUDGE MILLER: This is closing argument. Normally, the one who bears the burden of proof is entitled to open and close.

Closing, we would expect to be both brief and not to go into matters which could have been gone into because all of them are controverted matters.

MR. EDGAR: I understand. I recognize

1 there are time constraints, too.

2 But I suppose what I'm doing is asking the
3 Board's advice as to what's most productive also.

4 JUDGE MILLER: Well, we think that the Appli-
5 cants are entitled to a limited period of rebuttal, since
6 they have to go first and lay out their entire points on
7 each of these segments.

8 MR. EDGAR: There are four basic points that
9 I'd like to address to the Board.

10 The first relates to the issue of whether the
11 HCDA should be a DBA. The next three relate to the
12 issue of the site suitability source term calculation.

13 The HCDA equal to a DBA point strikes us as
14 one that the Board should consider in light of several
15 elemental points of August. You heard yesterday for the
16 first time rather a bewildering path of argument on a
17 set of calculations.

18 But let's try to focus on what the purpose
19 of that calculation was. What is the argument to be made
20 as a point of logic?

21 The argument really has three elements of
22 logic. The first is that the Staff -- and this is the
23 assertion -- the Staff and the Applicants have adopted
24 a go/no go criteria of 10^{-6} per reactor year of
25 exceeding Part 100.

1 The next point is through some rather cir-
2 cuituous manipulation of information, which has not been
3 brought in and sponsored by a witness under oath.

4 We show that one can arrive at numbers in
5 excess of Part 100. The next element of logic is that
6 Appendix J shows that the probability of an HCDA for all
7 time is less than -- or is greater than 10^{-6} ; and, there-
8 fore, an HCDA should not be a DBA.

9 Well, if you go through these points, there's
10 a critical foundation. The first principle is stated
11 as Applicants and Staff have accepted this go/no go criteria
12 of 10^{-6} per year.

13 Dr. Cochran yesterday cited Mr. Morris at
14 Transcript 2277 through -79, and Mr. Clare at Transcript
15 1483 for that proposition.

16 I would like the Board to consider very care-
17 fully those citations. Do they show what Dr. Cochran said
18 they show?

19 First, consider Morris' statement at Transcript
20 2278. Dr. Morris was asked whether the Staff adopts such
21 a criteria, and Dr. Morris read explicitly and quoted
22 from Staff Exhibit 5, which is the May 6, 1976 letter,
23 and said, "This is a design objective, rather than a fixed
24 number that must be demonstrated."

25 He then went on to say, "It is a matter of

1 judgment."

2 That citation does not prove the point as-
3 sserted.

4 Let's then go to Mr. Clare's asserted adoption
5 of the criteria. This one, we believe, is a little more
6 significant.

7 This appears at Transcript 1483. It is in
8 response to a question by the Intervenors. More
9 significantly in our judgment, it is in response to a
10 follow-up question by the Chairman.

11 Mr. Clare said the following, if you'll read
12 the transcript: "Such a criterion was set early in the
13 project. The project no longer believes that such a
14 criterion is necessary, nor have we used any conclusion
15 with regard to such a criterion in our testimony and
16 in our conclusion that CDAs need not be DBAs."

17 Indeed, we regard the use of Mr. Clare's
18 statement, which is directly contrary to the point asserted
19 by Intervenors, a misuse of the citation.

20 The next point is just as fundamental. Neither
21 Staff nor Applicants hold out Appendix J as a realistic
22 assessment of the probability of CDA. It is not intended
23 to demonstrate that an HCDA should not be a DBA.

24 The Staff was quite clear. The Staff pro-
25 vided a conservative assessment of the environmental

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 risks of HCDA. It is a much more limited system level
2 analysis in an attempt to get some definition for the
3 purpose of environmental analysis.

4 This is clear from Staff Exhibit 17 at 8 and
5 at 14.

6 Moreover, Applicants' Exhibit 46 at 13, at
7 21 and at 39, clearly demonstrates the conservatism in
8 the Staff's analysis.

9 We, therefore, suggest to the Board that the
10 proper perspective on that entire argument is to consider
11 the premise for the argument, the purpose of the analysis;
12 and we believe that the Board should consider the reliable
13 substantive evidence in this record, sponsored by
14 qualified witnesses and reject the assertions to the con-
15 trary.

16 As to the next point, now going beyond that
17 argument, there are three basic points raised on the site
18 suitability source term analysis, that we believe warrant
19 a response.

20 We have heard them all before, but there are
21 three that stand out at this point. The first one is
22 a rather novel approach to the problem. The argument is
23 made that neither the Staff nor the Applicants used a
24 vent-purge system for the purpose of the site suitability
25 source term analysis.

3-8

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 This is the most fundamental of misconceptions.
2 The NRC Staff, in calculating site suitability source term
3 analysis, did exactly what one would do for a light water
4 reactor; that is, assume the use of systems which are part
5 of the containment which apply in the case of design basis
6 events.

7 What Dr. Cochran did not point out to the
8 Board is that the vent-purge system question is an ad-
9 ditional design feature that has been put in the plant
10 to accommodate the CDA.

11 It is not part of the containment design basis
12 accident. Indeed, what it does is provide a means of
13 radioactivity removal in the event of a core melt accident;
14 and it vents from inside the containment -- that is, you've
15 got a primary containment and then you have a secondary
16 concrete shell.

17 This system pulls air from inside the primary
18 through a radioactivity removal system and direct from the
19 atmosphere -- to the atmosphere. It passes right through
20 the secondary.

21 The other system, which is the design basis
22 system, takes the air in the annulus of the containment;
23 that is, between primary and secondary, and pumps it back
24 into the containment.

25 It is a recycling system. So that clearly has

1 relevance for the site suitability analysis, but the vent-
2 purge system is simply not applicable in that case.

3 And if you make the argument that it is,
4 then you don't understand what the system is for.

5 The next point that warrants some comment --
6 and I'll make this very brief -- is the issue of this puff
7 release.

8 The Intervenors have gone through again, a
9 torturous attempt to splice together information in the
10 record.

11 I'll just cite one passage to the Board that's
12 relevant here.

13 Mr. Strawbridge at Tr. 1830 through 1832 made
14 three basic points. The first is that if you look at the
15 dose from the site suitability source term as a function
16 of time, 90 percent of the dose is incurred in the first
17 day. 98 percent of the dose is incurred in the first
18 week.

19 The puff release is an effort by the Staff to
20 test the sensitivity of dose beyond 30 days.

21 Mr. Strawbridge also pointed out, though, that
22 within the 30-day period, aerosol effects will reduce
23 the concentration of radioisotopes in containment by
24 three or four orders of magnitude.

25 Now this is significant. The Staff did a

3-10

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

sensitivity analysis and made the worst possible assumption. The puff release assumes that on Day 30 the entire containment inventory is instantaneously released. But the Staff's conservative analysis did not consider the aerosol effects which will reduce that source term in containment by three or four orders of magnitude.

- - -

4-1

1 MR. EDGAR: The burden of the evidence in the
2 record is that the dose from the puff release after 30
3 days is quite small. It is not a significant incremental
4 addition.

5 The final point is that of isotopics.
6 Dr. Cochran came back this morning and asserted to the
7 Board that there is a real issue there.

8 If you go to the most fundamental level on
9 isotopics, the most Intervenor's have shown is that U-238 --
10 excuse me. Strike that. -- that Plutonium-238 and
11 Plutonium-241 are more radiotoxic than other isotopes of
12 plutonium.

13 We don't regard that as a serious issue for
14 the Board to take up. Indeed, it's unnecessary to the
15 Board's decision.

16 What they are trying to mask is the fundamental
17 error in their argument.

18 Dr. Morgan at Tr. P131 through 32 suggests
19 that Plutonium-238 and Plutonium-241 will build up in
20 relative concentrations on recycle of plutonium in the
21 Clinch River Breeder Reactor.

22 The facts are these: That's true in a
23 lightwater reactor. A lightwater reactor has a thermal
24 neutron spectrum and the physicist will tell you that the
25 two radioisotopes will build up on recycle.

1 Unfortunately, however, for the Intervenor's
2 case, the Clinch River Breeder Reactor is not a lightwater
3 reactor. It's an LMFBR. It has a fast neutron spectrum,
4 and it's clear, and despite Dr. Cochran's rather
5 halting concession this morning, the fact is that he has
6 conceded at Tr. 4539 that under the conditions for the
7 Clinch River Breeder Reactor, Plutonium-238 and 241 will
8 be burned up on subsequent recycle.

9 That is demonstrated by Applicants' analysis
10 in Exhibit 36, which is Volume 3 of the Environmental
11 Report, Amendment 14.4(a) to Chapter 5.7.

12 We thus suggest to the Board that the four
13 points to put aside for permanent reference are the
14 following: That the argument presented through the rather
15 torturous calculations do not show that an HCDA should be
16 a DBA; that as to the site suitability source term
17 argument, the vent purge argument to which Dr. Cochran
18 has ascribed a factor of 10 increase in dose is simply a
19 product of failing to understand the purpose of the vent
20 purge system.

21 The puff release argument is simply, which he
22 attributes a factor of 4 to, is simply a product of
23 ignoring the pertinent evidence in the record.

24 And the isotopics argument to which Dr. Cochran
25 ascribes a factor of 4 is the product of a failure to

4-3

1 understand the fundamental physics of a LMFBR.

2 JUDGE MILLER: All right. Do you wish to go
3 now into the second...

4 MR. EDGAR: Yes, sir.

5 JUDGE MILLER: ...aspect of these contentions?
6

7 II. CONTENTIONS 2 AND 3

8 ENVIRONMENTAL RISKS AND EFFECTS OF SEVERE ACCIDENTS
9

10 MR. EDGAR: We are turning now to the second
11 issue set that we described yesterday, which is the
12 environmental effects of accidents, which is Contentions
13 2 and 3.

14 It is, as the Chairman will recall, as I
15 went through in the introductory argument yesterday, I
16 tried to sort out what portions of the contentions apply.

17 It is -- Some of them overlap, but the basic
18 subject matter that we are dealing with here is the
19 environmental risks and effects of severe accidents, the
20 Staff's Appendix J analysis on the HCDA.

21 We think that it's important for some initial
22 perspective to be established concerning the environmental
23 effects of accidents and the analysis of the risks which
24 one should attribute and estimate for the CDA.

25 I went through an extensive discussion yesterday

4-4

1 addressing the four basic design features which are
2 important to preclusion of the CDA, and I will not repeat
3 that discussion today.

4 But at that point of departure, we think it's
5 important to note that Clinch River has a specific set
6 of analyses and design features which have the purpose of
7 dealing with conditions beyond the design basis.

8 The relevant citation here is Applicants'
9 Exhibit 1 at 53, Tr. 2042. That provides a general
10 description of the features.

11 Notwithstanding the fact that the HCDA should
12 not be a DBA, the Applicants have gone on to provide a
13 set of features which can deal with, mitigate, and thus
14 limit the risks associated with the HCDA.

15 Now, two phrases appear repeatedly, and it's
16 perhaps one of the best arguments for handing out a glos-
17 sary. We have thermal margins beyond design basis. That
18 term appears; and we have structural margin beyond design
19 basis. That term appears.

20 What that really is is a description of a set
21 of conditions against which these features are tested.

22 The features themselves are described in the
23 record. Several relevant citations would be Applicants'
24 Exhibit 1 at 55, Tr. 2044; Applicants' Exhibit 17, Section
25 2.2.

4-5

1 The basic elements of these systems are a
2 set of structural reinforcements which preclude premature
3 releast of material through the reactor vessel head on
4 HCDA conditions.

5 There is also a provision for venting the
6 reactor vessel cavity to preclude overpressurization of
7 the cavity.

8 There is, as well, an annulus cooling system
9 in the space between the primary containment and the
10 confinement building, the purpose of which is to cool
11 that space and preclude overpressurization of containment
12 as a result of the core melt conditions.

13 The annulus cooling system is described and
14 discussed at Tr. 5145 and 5342.

15 Finally, there is a containment vent purge
16 system, which provides for venting through a cleanup
17 system to the atmosphere.

18 Mr. Strawbridge discussed that at Tr. 5145,
19 in addition to the exhibits which I have previously cited.

20 The object of that system is that in the
21 event of a core melt sequence the analyses show that in a
22 period of roughly 24 hours, if one assumes failure of all
23 design basis equipment, pressures and buildup of hydrogen
24 in containment may reach levels where structural integrity
25 of the containment may be of concern.

4-6 1 The vent purge system then gives the ability
2 to manage that accident sequence, and what it does is
3 enable you to relieve pressure in containment and release
4 in a controlled fashion through a cleanup system.

5 It might be described as something akin to
6 a filtered vent system, although the actual hardware is not
7 a filter, per se. It's a set of Venturi scrubbers, and
8 Mr. Strawbridge described that at the prior citations.

9 Now, the appropriate perspective on these
10 features is that they provide an additional margin of
11 safety and provide assurance that the risk of events
12 beyond the design basis, even though an HCDA should not be
13 a DBA, is acceptably low.

14 The citations for that proposition would be
15 Applicants' Exhibit 1 at 6 and Tr. 1995.

16 Now, given that just as a point of perspective,
17 it's important to recognize that what the Staff has
18 attempted to do in Appendix J is to look at the design
19 characteristics of Clinch River on a system level and to
20 provide an analysis of the risks of these severe accidents.

21 Now, the Staff given the restriction in time
22 and in the ability, and indeed in recognition that there's
23 no necessity to do a full-blown probabilistic risk
24 assessment, made some extremely conservative judgments in
25 arriving at the probabilities of sequences that could lead

1 to HCDA's.

2 In effect, what the Staff did was to select
3 upper bound conditions that they could attach very high
4 confidence to to describe the likelihood of CDA initiation
5 and significant offsite dose.

6 Staff's Exhibit 8, Appendix J, clearly
7 demonstrates that.

8 The Applicants' Exhibit 41 indeed provides some
9 very specific analysis to point out the major conservatisms
10 in the Staff's analysis.

11 Now, given that basic perspective, the
12 question arises as to what really are the arguments
13 raised by Intervenors and what are the disputed issues in
14 this record on the issues of environmental effects of
15 accidents.

16 We believe that there are five basic issues
17 here. The first involves the Staff's estimated frequency
18 of core degradation due to the loss of heat sink class of
19 events.

20 Intervenors have raised that in Exhibit 22 at
21 14 through 16.

22 The next issue, if you will, involves the
23 Staff estimate that pipe rupture probability is quite low
24 and is not a significant contributor to over-all risk in
25 the context of their analysis.

4-8
J

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

That argument is presented by Intervenors at Intervenors' Exhibit 22, 16 through 19.

There is another argument presented concerning the possibility of common mode failures. That appears at Intervenors' Exhibit 22 at 22.

The next point is one that has also been a recurrent theme, and that involves the simultaneous failure of both reactor shutdown systems, what is its probability, based on the Commission's ATWS, A-T-W-S, rule.

- - -

5-1

9:00 a.m.

1
2 MR. EDGAR: The fifth issue involves
3 containment failure probability estimates by the Staff and
4 that's presented at Intervenors Exhibit 22, at 30.

5 I have been tempted to go into the nuclear
6 explosion issue but I will answer that with one sentence.

7 I do not believe it to be a significant
8 issue worthy of the Board's attention in regard to disputed
9 issues of material fact.

10 It is a plain fact that the kind of events
11 that one might see in Clinch River are not nuclear
12 explosions. The labels don't matter. The physical
13 principles do and you're talking about things that are
14 quite apart from the nuclear explosion.

15 Let's turn now to the disputed issues and the
16 first one that I've listed involves the frequency of
17 core degradation due to the loss heat sink sequence.

18 The Staff's Exhibit 17 at 9, displays the
19 rationale for their estimates on this point.

20 The loss of heat sink is exactly that. The
21 problem described is -- or the sequence described is
22 that events can occur or could occur where the ability to
23 remove heat from the core and reject it to the river
24 through -- basically through the shutdown heat removal
25 system, is lost.

1 All right.

2 The Staff went through and examined the
3 redundancy and diversity of the shutdown heat removal
4 system. They also reviewed TWR reliability experience,
5 which indicates that the dominant factor in the loss of
6 heat sink frequency is found, typically, in the auxiliary
7 feedwater system.

8 Similar systems to the Clinch River Breeder
9 Reactor Plant, and I might note, systems which typically
10 are not safety-grade in all reactors operating, are
11 found to range from 10^{-5} to 10^{-4} per reactor year in
12 probability of failure of the auxiliary feedwater system.

13 In addition, the Staff noted that because
14 Clinch River has not only the ability to remove decay
15 heat through the primary loops, but has an independent
16 backup direct heat removal system, that the overall
17 reliability should be at least as good as that shown in
18 PWR's.

19 Notwithstanding that, the Staff did not assign
20 a value of 10^{-5} , which might be typical of modern vintage
21 LWR's. Rather, the Staff purposefully conservatively
22 set the value at 10^{-4} , which is a higher probability of
23 failure than one would see, typically, in LWR's.

24 The effect of doing that is to increase the
25 probability of failure and thus make auxiliary feedwater

5-3

1 the dominant contributor to the estimate of failure.

2 Other factors, the Staff concluded, such as
3 fuel failure propagation or pipe rupture, would be small
4 fractions or fractions of that probability estimate and,
5 therefore, one can ascribe very high confidence to the
6 fact that that estimate is bounding.

7 I would note specifically in that regard the
8 Staff's Exhibit 17 at 9 through 11 and 14. Also, 12
9 through 13 and 13 through 14.

10 Now, let's examine the NRDC argument in
11 regard to loss of heat sink.

12 Just what have they said here?

13 The basic point made is that lightwater
14 reactor studies show lower values than those estimated by
15 the Staff.

16 The citation here is interesting. Intervenors
17 Exhibit 22 at 13 says:

18 "For example, the Clavert Cliffs
19 Reactor shows a lower probability."

20 The example, however, is the only LWR which
21 Intervenors' witness was aware of; Tr.6110; other than
22 the Surry Reactor, which is analyzed in WASH-1400.

23 But if you group the evidence in the record
24 between Calvert Cliffs, Surry and Clinch River, the
25 following comparison emerges:

5-4

1 The Transcript cite here would be 6110
2 through -21.

3 What you see is the Calvert Cliffs is only
4 4 times worse than Clinch River. That, however, is an
5 old system. It is manually operated. There are only two
6 primary coolant loops at Calvert Cliffs for heat removal
7 of decay heat.

8 If you compare Surry, what you see is that
9 the value assigned by the Staff for Clinch River is 2
10 times worse than Surry. Surry is an older reactor. The
11 Clinch River Reactor has a completely redundant,
12 independent and diverse safety-grade automatically
13 actuated auxiliary feedwater system and decay heat removal
14 system.

15 Moreover, the direct heat removal service is
16 an interesting comparison with the LWR counterpart.

17 In an LWR you've got a residual heat removal
18 system which is a low-pressure system and typically comes
19 in at 400 pounds; so if you're up around operating
20 pressure, that's not giving you much, but at Clinch River
21 the counterpart, the independent direct heat removal
22 service operates through the complete pressure range.

23 That's a very significant element of
24 additional reliability and Applicants Exhibit 46 makes
25 that point.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

5-5

1 We believe that if the argument is premised
2 on the fact that LWR studies show lower values, the
3 answer is simple.

4 The Staff took that into account and
5 conservatively assigned values for Clinch River which are
6 worse than those for LWR's, notwithstanding strong sound
7 arguments to the contrary.

8 That simply shows that the Staff has taken
9 a highly conservative approach.

10 The next argument advanced by Intervenors
11 on a related point of auxiliary feedwater reliability and
12 shutdown heat removal system reliability, is the argument
13 that failures of the steam generators could control the
14 loss of heat sink failure frequency. That Clinch River
15 has four independent paths for decay heat removal. Three
16 are through the steam generators. One is through the
17 direct heat removal service.

18 So, the argument goes -- "Well, the steam
19 generators have problems and you're going to lose your
20 decay heat removal."

21 This argument ought to be assessed in light
22 of the evidence in the record.

23 First of all, Dr. Cochran makes two points
24 here in Exhibit 22.

25 The first is, well, if you had a tube leak in

5-6
1 the steam generator, you could get a sodium water
2 reaction; you could get liberation of hydrogen and the
3 spector of hydrogen concentration in TMI is raised.

4 The second point is made that the GAO report
5 indicates that there are real problems with the steam
6 generators.

7 Let's take them one at a time.

8 As to the first, what Dr. Cochran's testimony
9 totally ignores is the fact that Clinch River has design
10 features to cope with steam generator failure events.

11 Among them we have an automatic system for
12 water isolation, for draining of sodium from the sodium
13 side of the steam generators, feeding to reaction products
14 separator tanks, to remove the reaction products. There
15 is a system for venting gas from the generators which
16 might evolve during the reaction, to prevent over-
17 pressurization.

18 Nitrogen will automatically fill the generators
19 to provide an inert atmosphere.

20 We see no reason why one should assume any
21 extraordinary failure situation with regard to the steam
22 generators.

23 The problem has been anticipated. See Mr.
24 Clare's testimony at 5262 through -67.

25 Interestingly, in terms of NRDC's argument,

5-7 1

2 when Dr. Cochran wrote his testimony asserting that the
3 steam generators were a big problem, he was not even
4 familiar with the systems that are in place for dealing
5 with that condition. See Tr.6095 through 6100.

6 The next point involves the GAO report.

7 What does the evidence show in the record
8 in that respect?

9 The first is that the GAO report itself was
10 not -- and there is no showing in the record -- that there
11 is any significant technical capability behind that
12 report. The report speaks for itself, as Dr. Cochran
13 said, but then again, he was unable to tell us whether
14 anybody authoring that report had any technical
15 capability, except for one person who was GAO's technical
16 consultant and disagreed with the report.

17 Now, Dr. Cochran's -- the relevant citation
18 there would be 6129 through -37.

19 But that's really not so important.

20 The more significant thing is, "So what?"

21 The problems which are described in the GAO report
22 relate to availability in heat rate and there's no showing
23 in the record that we're talking about a safety problem
24 in connection with that report

25 See, among other things, Staff Exhibit 21 at
6 through 11 and I'll apologize, I do not have the

1 transcript citations for Mr. Becker and Mr. Longenecker's
2 testimony yesterday. We can supplement those for the
3 record but one citation for Mr. Longenecker occurred at
4 roughly 10:01 yesterday and the other at roughly 12:35
5 yesterday. I apologize for that but we didn't have the
6 transcript.

7 All right.

8 That is basically the state of affairs with
9 regard to loss of heat sink.

10 The argument is made that auxiliary feedwater
11 reliability, or by implication, auxiliary feedwater
12 reliability is overestimated by the Staff.

13 The record clearly shows that it has not been.
14 In fact, the Staff has very conservatively underestimated
15 the reliability of auxiliary feedwater systems.

16 Secondly, the steam generator issue is just
17 not a significant issue on this record, that there are
18 ample provisions for dealing with it in design.

19 The next argument raised involves pipe
20 rupture.

21 Of course, here again, the argument is made
22 through the Harris Report which is Attachment 3 to
23 Intervenors Exhibit 22, that the probability of pipe
24 rupture in Clinch River could be higher than that of
25 LWR's, and the Intevenors basis for that argument is the

5-9

1 Harris Report

2 Now, the Staff looked at pipe rupture
3 probability and examined the data and determined that the
4 estimates of probability for pipe rupture are such that
5 other factors will control the definition of probability.

6 In order to attempt to counter that, Dr.
7 Cochran argues that Exhibit 22 at Page 22, that the Harris
8 Report shows frequency which may be 12 times higher than
9 the PWR.

10 The word "may" is important here. I suppose
11 that means, as the refrain goes, it is possible.

12 But what does the evidence show? That's the
13 more important consideration.

14 If you look at Dr. Cochran's Exhibit 22,
15 Attachment 3 at 10, the author who is asserted by Dr.
16 Cochran to be a pipe break expert and, of course, Dr.
17 Cochran is not, concludes that the failure rate for CRBR
18 could be estimated at .1 to 1 times that of an LWR.

19 Now, all that says is that it's no worse
20 than an LWR and it's probably a factor of 10 better, so
21 Dr. Cochran's own evidence undermines his conclusion.

22 There is another significant reference here
23 and that involves Staff Exhibit 20 at 4 through 6.

24 Staff's Exhibit 20 shows that the PWR or the
25 CRBR pipe rupture failure is quite low, in the order of

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

5-10 1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

10⁻⁷ to 10⁻⁸ or lower and, indeed, it shows that it's lower than a PWR.

So we submit that on the basis of the record on pipe rupture, the Staff has adequately taken that into account and conservatively taken into account in their Appendix J analysis and there is no evidence to suggest that that factor would dominate any assessment of risk.

/ / /

6-1
bm

1 MR. EDGAR: A very quick point in terms of the
2 state of the record on the third issue, common mode
3 failures.

4 Common mode failures have been considered by
5 the Staff in Appendix J, and by Applicants throughout their
6 analysis of Clinch River.

7 The Staff, in estimating frequencies of CDAs,
8 conservatively said or reduced the frequency of failures --
9 conservatively -- if I said "reduced," what they did was
10 conservatively increased the failure frequency in the
11 analysis, in consideration of, among many other things,
12 a common mode failure.

13 It has been very carefully considered by the
14 Staff and the Applicants in their analysis. It's important
15 here to recognize that common mode failures are best
16 addressed by providing redundancy, diversity and in-
17 dependence in the systems.

18 But, in addition, it's important to provide a
19 means of realizing the potential of that redundancy,
20 diversity and independence. There are two key points on
21 that.

22 The transcript citations that are pertinent
23 here are Clare, Tr. 5270, and Dr. Morris, 5645 to -50.

24 The Applicants have performed and will continue
25 to perform systems interaction studies and key systems

1 reviews to be sure that common mode failures will be con-
2 sidered and accounted for.

3 In addition -- and this is an important
4 point in terms of other arguments raised by the Inter-
5 venors in connection with the scope of the Board's rulings
6 which are continuously challenged and in connection with
7 the first issue -- HCDA is not a DBA.

8 Dr. Morris went on and explained, in response
9 to one of Judge Linenberger's questions really what is the
10 role of a reliability program here.

11 The reliability program is not the program
12 that's designed to pick out before the fact a proposition
13 and then mindlessly crunch numbers to disprove the fact
14 that a CDA should be a DBA.

15 It is more hardware-oriented. It is con-
16 firmatory in nature and assures that the potential which
17 redundancy, diversity and independence provide, can and
18 will be realized.

19 Dr. Morris' discussion and dialogue with
20 Judge Linenberger there are quite important.

21 Thus, we think the record on common mode
22 failures is quite clear. It has been accounted for in the
23 Appendix J estimates and, indeed, there are other ad-
24 ditional bases to conclude that that does not in any way
25 affect the Staff's analysis.

6-3

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (302) 554-2345

1 The final point that seems to come up re-
2 peatedly -- and we have covered it yesterday in the HCDA
3 argument. It involves the simultaneous failure of both
4 shutdown systems and the reliance upon the ATWS rule to
5 say that the failure rate assigned by the Staff is non-
6 conservative.

7 The argument goes as follows: The ATWS
8 rule indicates that LWRs should be as high as 10^{-3} ; there-
9 fore, the Staff's estimated value of 10^{-4} is non-
10 conservative.

11 Well, that's fine. But I think what the Com-
12 mission has done -- and the Board is well aware of the
13 FEDERAL REGISTER notice that the Commission issued on
14 ATWS that appears at 46 FED REG 57521, November 24, 1981.

15 The Commission is noting a concern that failure
16 rates could be as high as 10^{-3} , indicated a need for
17 remedial action.

18 Well, clearly, the Staff and Applicants are well
19 aware of that. That has been taken into account. But
20 Clinch River has got two independent and diverse and
21 redundant shutdown systems, which is the whole issue that
22 underlies the ATWS rule because light water reactors only
23 have one such system.

24 Staff Exhibit 17 at 7 through 8 reflects
25 knowledge of that situation and an intentional conservative

1 estimate of ATWS frequency for Clinch River, and notwith-
2 standing the two systems, assigns a value of 10^{-4} .

3 Again, the Staff can approach that with very
4 high confidence that a conservative estimate has been
5 made.

6 Let's consider now the next argument which is
7 containment failure probability.

8 The Staff examined LWR experience, noted that
9 the Clinch River containment design is essentially similar
10 to that of a PWR and assigned a failure frequency, based
11 on experience, of 10^{-2} .

12 Now, the only evidence to the contrary on that
13 appears -- cited at Intervenors' Exhibit 22 at 31. Dr.
14 Cochran relies on a Nuclear Safety article, which is
15 asserted to demonstrate a higher frequency of failure
16 for LWRs and then, by implication, the Staff's frequency
17 estimated for Clinch River is non-conservative.

18 Well, you have to look very carefully at this
19 one because if you read the Nuclear Safety article, the
20 kinds of failures that that article is analyzing -- and
21 see Applicants' Exhibit 54 here at Page 619 -- are not
22 design basis leaks in the containment or breaches in the
23 containment, as Dr. Cochran suggests.

24 But what the author is analyzing is the
25 frequency of leakage at technical specification levels.

1 The Nuclear Safety article indicates that what they're
2 measuring is tech spec leak rates, which are set below
3 design basis leak rates.

4 This is normal operational testing, and the
5 failure is defined against a very stringent technical
6 specification.

7 Thus, when you compute a failure probability
8 based on that article, you're not getting a failure
9 probability of breach of the containment, you're getting a
10 failure probability that the containment will have a
11 pinhole leak.

12 And we think that on the basis of the record,
13 that argument should not hold water.

14 Mr. Chairman, Judge Linenberger, Judge Hand,
15 our position is that the analysis of severe accident risk
16 for Clinch River has been based upon several factors
17 which are of vital importance.

18 The first is that the design itself explicitly
19 takes into consideration severe accidents. This is not a
20 case where one is saying that once one draws the line
21 between the design basis accident and something beyond it,
22 that nothing is done.

23 There is a careful attempt and a careful
24 systematic disciplined engineering approach taken to
25 providing features which will mitigate those accidents.

1 Secondly, the Staff has approached the analysis
2 and the estimate of accident risks in Appendix J with a
3 highly conservative approach to assure that with high
4 confidence we will have bounded the risks of severe
5 accidents.

6 We submit to the Board that on the contested
7 issues; that is, frequency of loss of heat sink, pipe
8 rupture probability, common mode failure, simultaneous
9 failure of shutdown systems and containment failure
10 probability, the Board can and must make affirmative
11 findings.

12 That is all I have affirmatively.

13 JUDGE MILLER: All right. We'll take a ten-
14 minute recess.

15 (A short recess was taken.)

16 - - -

7-1 1 JUDGE MILLER: Okay. Who goes next? NRDC?

ge 2 MR. SWANSON: Yes. Pursuant to our discussion
3 we are alternating.

4 JUDGE MILLER: Okay.

5 DR. COCHRAN: I would like to begin with some
6 general remarks and then go to some particulars.

7 First, I think the Board should take note of
8 the admission by Mr. Rumble that this Appendix J was slapped
9 together in a few weeks, which was consistent with his
10 statements to me, as I related in my testimony, that it
11 was a hurried job.

12 That accounts, I believe, and is consistent
13 with my testimony at Page 7 that it's almost --

14 JUDGE MILLER: What was your citation? I
15 didn't catch that.

16 DR. COCHRAN: Excuse me. Intervenors' Exhibit
17 22 at Page 7, that the Appendix J is almost totally based
18 on conclusory statements and it can at most be -- that can
19 most charitably be characterized as engineering judgment.

20 The second thing I would like to call to the
21 attention of the Board about Appendix J is that when the
22 Staff has given it their best shot and when you take their
23 data on its face, and they testified to the validity of
24 the analysis, and you apply it to the question of whether
25 the CDA should be a DBA, as I did in the earlier discussion,

7-2

1 it shows that it's premature for the Board to conclude
2 that the CDA is beyond the design basis.

3 The third point is this issue of the role of
4 the reliability program.

5 For my purposes throughout the past year or
6 more, the actual role as stated by the Applicants of the
7 reliability program is not particularly relevant to my
8 interest in it.

9 I claim that the reliability program contains
10 the best information available to date, or at least some
11 of the best information available to date, on reliability
12 data against which one can test the Staff's assertions
13 about the performance of the various systems as they
14 have analyzed them in Appendix J.

15 So the issue is not what the role is, but
16 whether the content of that program and the documents
17 behind it and so forth contain any information that would
18 bring to light issues that would either verify or contra-
19 dict the analysis provided by the Staff in Appendix J and
20 even elsewhere.

21 As one example of that type of analysis,
22 although I don't assert that it's part of the documentations
23 of Appendix J, is the Harris Report itself, which I think
24 has some relevance to this proceeding.

25 I'd like to turn to that issue, the pipe

7-3

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 rupture issue.

2 Now, on the basis of my knowledge or
3 capabilities related to the pipe rupture issue, which were
4 brought out on voir dire, I have to rely on the assertions
5 of people far more expert than I on that issue, such as
6 Dr. Harris.

7 Now, that analysis demonstrates, I believe,
8 that the CRBR pipe rupture frequency, at least to the
9 level of analysis that he went, is comparable to that of
10 a PWR within the uncertainty values that were demonstrated
11 by his sensitivity analysis.

12 The Applicants made a statement that if you
13 read his conclusion, he shrunk the limits of the sensi-
14 tivity analysis from the table presented in the report,
15 which is my Attachment 3 to Intervenors' Exhibit 22, from
16 the pipe rupture frequency of CRBR to PWR of about .01 to
17 10, shrunk it down to about .1 to 1.

18 Well, even if you take that number of .1 to 1,
19 can you ascribe a failure probability of pipe rupture of
20 CRBR markedly different from a PWR? I would submit you
21 cannot say, as Mr. Edgar did, that it demonstrates any --
22 that it's closer to .1 than 1. I think the data don't
23 show that.

24 Perhaps a more detailed design specific analysis
25 would show that it's closer to .1. It may even show it

7-4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 in the other direction, up around 10; but at this point I
2 don't think there's any demonstration on a level of analysis
3 that's more detailed than that presented by either Staff
4 or Applicants on this issue that the pipe break frequency
5 is markedly different between the CRBR and the PWR.

6 Now, Staff brought in their -- I believe it
7 was their Exhibit 20, which was the earlier analysis by
8 Mr. Harris, and I think if you read those two that you
9 will see that after Mr. Harris did the earlier analysis,
10 he went to Westinghouse and had some discussions of the
11 data, and Westinghouse suggested some alternative
12 considerations with regard to parameterization in the
13 sensitivity analysis, looking at well volume and well
14 length and well area and so forth.

15 He went back and did some more work, got a
16 different conclusion, and so I don't think you should
17 attach the -- in terms of the relative frequencies, you
18 should not attach any weight to the earlier work.

19 Now, the Staff used the earlier work, though
20 for a slightly different purpose, and that was to
21 demonstrate that on the basis of the earlier work, that
22 the probability of pipe rupture frequency in a PWR is very
23 low in any case.

24 Maybe it is and maybe it isn't. I don't know
25 whether the -- someone like Mr. Harris attaches much

7-5

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 weight to the absolute probabilities, as opposed to the
2 relative probabilities.

3 I think that's an important distinction.

4 In any case, the Staff and Applicants are in
5 sort of a Catch-22 position because even if the pipe break
6 frequency in absolute terms is very low, if the relative
7 probability of the CRBR versus PWR is comparable, then how
8 do you escape the problem imposed by the fact that pipe
9 breaks are design basis events in lightwater reactors.

10 Now, to get out of that dilemma, it seems you
11 must. I think, demonstrate that there's something about
12 protection systems and recovery systems and so forth
13 that would markedly distinguish propagation of pipe
14 rupture from small leaks to large leaks between a PWR and
15 a CRBR.

16 Now, Applicants and Staff have offered
17 evidence that there are certain features to mitigate
18 against that concern, but I don't believe, as evidenced by
19 our cross-examination in the first week of the hearings,
20 that there is any basis for assuming at this time in the
21 proceeding, at least, that there's any basis for assuming
22 that those differences, whatever they are, are significant
23 enough to markedly distinguish the conditional frequency
24 that if a pipe leak occurs you will catch it in the CRBR
25 more readily than you would in a lightwater reactor in terms

7-6

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 of prevention of a break beyond the design basis.

2 Now, a separate or fifth issue that I want to
3 raise is that of common cause failure and it has some
4 relationship to the earlier discussion of the reliability
5 program and what value it would have on these proceedings.

6 Intervenors have introduced in cross-
7 examination this week the statement that appeared at
8 Page 3-2 of the RSS MAP of Calvert Cliffs, and we read into
9 the record the sentences it included:

10 "For purposes of comparing safety, then,
11 the appropriate place for comparison is the
12 accident sequence, since it is at this point
13 where all systems interdependencies are
14 considered."

15 Now, the Staff's Witness Rumble said he
16 didn't agree with that statement, and fair enough; but
17 opinion is divided on that issue, as evidenced by the
18 Staff's own consultants who prepared this document for the
19 Staff who are at Sandia and Battelle, Columbus, Laboratories.

20 If in fact this statement is true, and I think
21 the statement has validity, then I think one should probe
22 the systems interaction issue and the failure sequences
23 when one does an analysis such as that conducted in
24 Appendix J, to determine the relative roles of common mode
25 failure, if, for example, one is going to compare PWR's

7-7
J

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 to CRBR in an attempt to estimate failure probabilities.

2 The sixth point is the ATWS issue, and
3 Applicants introduced evidence to demonstrate that the
4 shutdown systems, the operating range of the shutdown
5 systems for a Clinch River type reactor and a lightwater
6 reactor were comparable in terms of the period of the
7 reactor versus reactivity below something less than a
8 dollar.

9 I think that demonstrates that the reactors
10 behave similarly in terms of control or can be designed
11 to behave similarly in terms of control by the operators
12 in operating the reactor under routine conditions.

13 I believe it's an open question, or at least
14 it hasn't been demonstrated by the Applicants or Staff
15 that the reactivities that would be introduced in a CRBR
16 type reactor versus a PWR or BWR are not markedly different
17 with respect to at least some accident scenarios and,
18 therefore, the response times of the two shutdown systems
19 have to be different.

20 - - -

21

22

23

24

25

8-1
bm

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 DR. COCHRAN: The last point I wish to make
2 is that the Applicants have made no independent analysis
3 of the probabilities, and have only cited selectively
4 the conservatisms that they wish to point out in the
5 Staff's analysis.

6 On cross-examination it was brought out that
7 there were at least some areas where, in comparing an LWR
8 versus a breeder reactor, the breeder reactor looks worse,
9 in terms of certain conditions. These would be on the
10 side of offsetting the conservatisms identified by the
11 Applicant.

12 That concludes my sort of principal over-
13 view.

14 I believe Judge Linenberger, in his last
15 question to me in my testimony on Exhibit 22, established
16 what I believe is the important conclusion to draw from
17 my testimony; and that is, the assertions made by the
18 Staff in the FSFES, Section J.1.3 at J-25 are not
19 substantiated by this Appendix J analysis.

20 In my testimony I made the point in Exhibit
21 22, Page 15 that there's no discussion whatsoever in
22 Appendix J of the contribution of steam generator failure
23 to the overall risk of LOHS.

24 Mr. Edgar points out that the steam generators
25 have mitigating systems. But on cross-examination, it

1 was shown that the Applicants don't have any probabilities
2 by which they could attach some estimates of the overall
3 failure rates associated with those mitigating systems or
4 the steam generators in toto.

5 With regard to the Harris analysis -- I'd
6 just back up -- I would suggest that the Board might wish
7 to compare Harris' analysis and conclusions in Intervenors'
8 Exhibit 22, Attachment 3, against the Staff's statements at
9 Page 2-8, namely, the last paragraph carrying over to
10 Page 2-9 of the site suitability report and see for your-
11 self if the statements by the Staff are supported by the
12 analysis by Harris.

13 At Page 22 of Intervenors' Exhibit 22, I would
14 point out that the Staff's one sentence devoted to common
15 cause failure hardly qualifies as analysis, particularly
16 in light of the conclusions by the Staff cited at Page 23
17 of Intervenors' Exhibit 22, that the state-of-the-art
18 review concluded that no single method presently exists
19 in a form that can be used to perform an adequate review
20 for adverse systems interaction.

21 At Page 24 of Intervenors' Exhibit 22, I would
22 point out that there's no substantive basis for the Staff'
23 broad-brush assertion that the foregoing estimates of
24 frequencies and risks associated with the CRBR have in-
25 cluded allowances for uncertainties.

1 Mr. Edgar and I don't agree on all matters, but
2 we agree on the depth to which the Board should probe the
3 issue of nuclear explosions. Applicants can call it what
4 they wish. Intervenors will call it what we wish, and
5 we'll march on, knowing that we're talking about the same
6 events.

7 Some of the main points from the Applicants'
8 testimony on Appendix J that I would like to bring to your
9 attention is that Applicants have done an independent
10 PRA -- or at least they're not relying on one.

11 As noted earlier, they haven't shown reactivities
12 and insertion rates one obtains from the spectrum of
13 potential breeder accidents or comparable to those of
14 light water reactors.

15 With regard to nonconservatism, they admit
16 sodium fires could reduce the capability of the SHRS.
17 They admit exothermic chemical reactions could result from
18 steam generator water to sodium leaks, which would reduce
19 the capability of the SHRS.

20 They admit there's less operating experience
21 with LMFBR SHRS than with LWRs. It's more difficult to
22 visually inspect the SHRS piping because of the guard
23 vessels which aren't present in light water reactors, and
24 so forth.

25 I don't think there's any dispute that you

8-4

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 can't test the natural circulation issue until you've
2 built the reactor.

3 I believe they admit that the containment
4 features, such as the annulus filtration and vent-purge
5 systems are unique to the CRBR. The Applicants had one
6 part of their testimony which really overlaps into 5(b)
7 at the very end, where Mr. Hibbitts said that Y-12 was
8 vital to national security, and long-term evacuation of
9 Y-12 would be unacceptable, and a particular dose --
10 the EPA PAGs, if reached, would require evacuation should
11 have a threshold of consequences for Y-12 evacuation didn't
12 have a good understanding of what long-term impacts would
13 be for six months.

14 Applicants also admitted that there are other
15 ways to cut the risk diversion issue, aside from signing
16 consequences to the power of one as opposed to, say, 1.2,
17 as done in the Commission's -- as evidenced by the
18 Commission's safety goals report.

19 With regard to the Staff, the Staff's analysis
20 is no better than that in WASH-1400. Actually it's more
21 crude and done hurriedly, and, therefore, has greater
22 uncertainties than WASH-1400.

23 The Staff's estimates of -- Strike that.

24 I believe that the Staff's analysis is so
25 cursory that they can't prove that it is conservative.

8-5

1 The Staff is supposed to reference background material,
 2 according to the Commission's 9 statement, but it didn't;
 3 and it refused to mention the documents in discovery, only
 4 and these documents only show up for the first time in
 5 testimony.

6 The Staff couldn't back up its estimate of the
 7 conditional frequency of highly energetic CDA of .1 except
 8 that Dr. Rumble looked at CRBRP-1.

9 I think we brought out -- Finally, I think
 10 we brought out in cross of Applicants that their criticism
 11 of this Staff with regard to the conservatisms introduced
 12 by combining the various CDAs into the classes that show
 13 up in Table J-2, that their analysis -- that the Applicants
 14 were incorrect in that regard, that it was shown that the
 15 combination of the CDA categories in Class 1 were not
 16 sensitive to head release, and the criticism doesn't apply
 17 at all to Class 4, and the Applicants didn't attempt to
 18 analyze the implications with regard to Classes 2 and
 19 3.

20 That concludes my remarks.

21 JUDGE MILLER: Thank you.

22 Staff.

23 * * *

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. SWANSON: Again, I don't want to repeat
2 the points that Mr. Edgar has made. Much of the informa-
3 tion, I think, that is relevant on this point was stated
4 yesterday and is contained in the Staff's testimony,
5 Exhibit 2 particularly, which was filed last summer.

6 However, addressing specifically the Environ-
7 mental Review, it's most instructive, I believe, to refer
8 to Staff Exhibit 17, which starts at Transcript Page 5748
9 and the Staff's Final Environmental Statement Supplement,
10 and particularly Appendix J of that Supplement. That's
11 Staff Exhibit 8.

12 Again, without repeating many of the points
13 that Mr. Edgar stated, I think it's of critical importance
14 that this Board understand the extreme conservatism that's
15 contained in the Staff's estimate of probability contained
16 in Appendix J for CDA initiation.

17 The CDA frequencies determined by the Staff
18 were based on judging the feasibility of achieving
19 specific level performance. The specific points dis-
20 cussed are referenced on Pages 6 and 7 of Staff Exhibit 17;
21 that is the testimony that was introduced this week.

22 The CDA initiation frequency attributed to
23 ATWS -- that is, 10^{-4} per year -- is conservative based on
24 a number of factors. It is based on a frequency of
25 operating experience of LWRs of 10^{-4} failure per year for

8-7

1 a single shutdown system.

2 As I discussed in greater detail yesterday,
3 however -- and as Mr. Edgar pointed out -- there is re-
4 dundancy, independence and diversity of the CRBR shutdown
5 systems.

6 There are two independent, diverse and re-
7 dundant shutdown systems, each of which will have to meet
8 the single failure criterion. This is discussed at
9 Pages 7 and 8 of Staff Exhibit 17.

10 I went into greater detail yesterday describing
11 some of the aspects of those features and why, indeed, it
12 is conservative to assume a 10^{-4} failure probability for
13 the CRBR system when, in fact, that number is based on a
14 single shutdown system when, in fact, here, of course, we
15 have, as I mentioned, independent, diverse and redundant
16 systems.

17 The LOHS -- loss of heat sink frequency -- is
18 on the same order as discussed in Staff Exhibit 17, Page
19 9.

20 The primary Clinch River steam generator
21 auxiliary heat removal system, we would expect to have
22 a failure frequency in the range of 10^{-5} to 10^{-4} per
23 year is, in turn, backed up by direct heat removal
24 service.

25 Again, this is discussed on Page 9 of that

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 testimony.

2 There are inherent safety features in the
3 Clinch River cooling system which are discussed on Pages
4 9 through 11 of Staff Exhibit 17, which support the con-
5 clusionary that fuel failure propagation at Clinch River
6 will be very unlikely.

7 That means it will be bounded by the ATWS and
8 the LOHS frequencies.

9 Even if they do occur, however, they will be
10 detected early enough to prevent propagation into a core
11 disruptive accident. That point is made at Page 11 of
12 that testimony.

13 Specific requirements, such as inspection and
14 a systems discussion, are discussed in greater detail in
15 that same testimony, starting on Page 12. They support
16 the Staff's analysis and conclusion that the core dis-
17 ruptive accident initiation frequency from a loss of coolant
18 accident would be bounded by the LOHS frequency.

19 - - -

20

21

22

23

24

25

9-1

1 Design features such as guard vessel and leak
2 detection systems are passive and they do not require
3 complex active systems.

4 The basis for the conclusion that a core
5 disruptive accident initiation frequency from flow
6 blockage is discussed on Pages 13 and 14 of that testimony
7 and the Staff concluded that that frequency is bounded
8 by the LOHS frequency.

9 The Staff, on Page 15 of that document,
10 described the basis for selecting the conditional
11 frequencies of containment isolation failure and
12 containment annulus cooling and vent-purge system failure.

13 The reactor vessel head release fractions
14 were conservatively selected by the Staff on the basis
15 of its judgment from a consideration of general LMFBR
16 research on energetic CDA's.

17 The Staff took account of relative volatilities
18 of the different radionuclides species and materials.

19 This is discussed on Page 17 of that document.

20 In the Staff analysis for all core disruptive
21 accidents, it was assumed that the total noble gas
22 inventory would be released from the containment building.
23 That's discussed on Page 16.

24 The Staff also analyzed releases from other
25 modes; such as from drainage into the reactor cavity

1 where material could be boiled off and discussion of
2 residue from boil-off of the reactor cavity. This is
3 discussed on Page 17 and also 17-a of Staff Exhibit 17.

4 The releases to the outside environment are
5 also analyzed, based on fallout rates and that is discussed
6 on Pages 17-a and also 20 of the Staff exhibit.

7 The Staff bases assumptions on sodium
8 aerosols of amounts specified on Page 23 of that testimony,
9 which are based on experimental data with sodium fires.

10 This result is conservative for the purpose
11 of characterizing the upper limit of aerosol concentrations
12 from large sodium fires.

13 At Page 32 the Staff describes its analysis
14 of core disruptive accidents sequences in terms of the
15 assumptions made.

16 The Staff, for example, did not include
17 early containment failures from extremely energetic CDA's,
18 since they are so unlikely that their contribution to the
19 risk to public is not significant.

20 The conclusion on that point is that there is
21 less than 1 in 10 chance that CDA's, assuming they are
22 already occurring, will become energetic enough to cause
23 a primary coolant system seal failures. That's discussed
24 on Page 35 of the testimony.

25

1 And the reasons for that are set forth on
2 that page and, also on Page 36.

3 Other conservatisms are mentioned in those
4 pages. For example, on Page 38, the Staff points out that
5 no credit was given for the benefit of Clinch River
6 having or allowing more time for operator reaction than
7 would be the case for a comparable LWR's in the case of
8 loss of heat sink accident.

9 What I have given you is really a summary
10 sketch. Many of the details and arguments I have purposely
11 left out because they have been previously made, either
12 by Mr. Edgar this morning or by myself or Mr. Edgar
13 yesterday and I think to have a complete picture of the
14 basis and to get a clear picture, that extreme conservatism
15 in choosing the 10^{-4} figure, one can simply refer to the
16 pages I noted, as well as testimony cited by Mr. Edgar,
17 which, indeed, supports the conclusion that we have an
18 extremely conservative figure for consideration of the
19 likelihood of a CDA initiation caused by ATWS.

20 The Staff concluded, if one analyses of CDA's
21 and their consequences, as described in the FES supplement,
22 that is Staff Exhibit 8, meet all the requirements for
23 environmental impact considerations under NRC Regulations
24 and policy and under the National Environmental Policy
25 Act for the description of such impacts and performing

1 the NEPA cost?benefit analysis, they are totally adequate
2 for such purposes.

3 The radiological source term analysis was
4 adequately considered -- excuse me.

5 The radiological source term analysis did
6 adequately consider possible releases for fission products
7 and core materials and also the potential environmental
8 conditions in the reactor containment building created
9 by possible release of substantial quantities of sodium.

10 The Staff adequately considered the potential
11 release of sodium following a CDA, including the possible
12 range of quantities released and has considered the
13 environmental conditions caused by such a release in its
14 analysis of radiological consequences.

15 The Staff position is that Appendix J
16 adequately considered the probability aspects of an
17 accident analysis, as is required at this stage of review.
18 As stated by Mr. Hulman, Tr. Page 5644.

19 A full probability risk assessment, as argued
20 by Intervenors, is simply not required nor is it
21 necessary at this stage of the review.

22 The Staff's conclusion set forth in Appendix
23 J, Exhibit 17, are adequately supported by the material
24 contained in that document and establish that the risk
25 assessment performed by the Staff was adequate.

9-5

1 If we turn to the arguments raised by
2 Intervenors today, we note some of the arguments raised,
3 and I would like to address them briefly.

4 The first one was that Dr. Rumble hurriedly
5 slapped together his analysis.

6 The Staff position is that that is an absurd
7 conclusion, supported only by the self-serving statement
8 by Dr. Cochran in his testimony. The professional
9 qualifications of Dr. Rumble established the years of
10 experience he has performing these kinds -- this kind of
11 review.

12 The only evidence by Dr. Rumble as to the
13 adequacy of his review is contained in his pre-filed
14 testimony and, of course, the cross-examination of Dr.
15 Rumble.

16 In that respect, I think it's instructive to
17 note the conclusions that Dr. Rumble and the rest of the
18 Staff panel reached regarding the review and if you look
19 at Page -- by that, I mean the testimony filed by Dr.
20 Rumble, not only filed in Staff Exhibit 17 but also
21 Staff Exhibit 2, which also is Dr. Rumble's analysis
22 regarding the Staff review and when you look at the
23 conclusions of those documents, such as the conclusions
24 stated on Pages 47 through 50 of Staff Exhibit 17, as
25 well as the conclusions in Staff Exhibit 2, you see, for

1 example, on Page 50, that Dr. Rumble and others concluded
2 that in the Staff's evaluation of the full range of
3 accidents possible at CRBR, including the initiation
4 control and mitigation of accidents, the Staff has, for
5 the purpose of environmental review, adequately identified
6 and analyzed and given due consideration to the ways in
7 which various CDA contributors or accident sequences
8 can lead to accidents and that they have fully analyzed
9 and concluded that the risk to the public is acceptably
10 low, and were adequately considered.

11 There simply is not a basis in the record
12 for supporting the conclusion that in any way that the
13 Staff's review was hindered by its time constraints.

14 The point raised by Intervenors that core
15 disruptive accident is a design basis accident, I think
16 was discussed in greater detail previously, both by myself
17 and Mr. Edgar yesterday, as well as early this morning
18 and I won't repeat it again.

19 As I indicated, the Staff's bases are set
20 forth in its testimony, including Appendix J analysis and
21 the site suitability report, Staff Exhibit 1, and in those
22 documents, the Staff adequately sets forth its basis for
23 excluding core disruptive accidents from the design basis.

24 Dr. Cochran then went on and discussed the
25 role of the reliability program and, specifically, the

9-7

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 role that pipe breaks play in the contribution of
2 accident sequences.

3 He claims in his testimony that the Staff has
4 failed to consider that pipe breaks should perhaps be a
5 more dominant mode in CDA initiation, and he relies on
6 the Harris memo, attachment -- it's Attachment 3, I believe,
7 to his testimony.

8 However, when you come to the bottom line, in
9 his own attachment and, as Dr. Cochran conceded and Mr.
10 Harris is an expert in pipe break analysis, we find that
11 even if a pipe break occurred the likelihood of pipe
12 break occurrence is no greater at CRBR than it is for an
13 LWR's.

14 If you go to the reference cited by Mr. Harris
15 in Intervenors own attachment, in their own exhibit, that
16 is Attachment No. 1, which was cited earlier, which is
17 the Staff Exhibit 20, you find the absolute probability
18 of a pipe break which was concluded by Mr. Harris and that
19 number was in the range of 10^{-7} for a hot leg and 10^{-8}
20 for the cold leg.

21 That conclusion has not been refuted by Dr.
22 Cochran and there's absolutely no basis for concluding,
23 as Dr. Cochran did, that Mr. Harris somehow has changed
24 his conclusion.

25 You'll note when Dr. Cochran made that

9-8

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 assertion, he could not cite anything in the record to
2 support that conclusion and, in fact, you won't find that.
3 There is nothing to indicate that the numbers supported
4 by Mr. Harris, for the absolute likelihood of pipe break
5 probability for CRBR is anything other than what is stated
6 in his Reference 1, which Intervenors failed to mention
7 when they cited the Harris Report, which is attachment
8 to their testimony.

9 As the Staff discussed yesterday in reference
10 -- if you look at Page 17 of Staff Exhibit 2, the Staff
11 points out that even if a pipe break did occur, it is not
12 likely to lead to a core disruptive accident.

13 I won't repeat the detailed discussion, some
14 of which I mentioned yesterday, but I would simply refer
15 you to Page 17 of Staff Exhibit 2, where the Staff
16 indicates that it is not appropriate to consider a pipe
17 break accident at an LWR with that of the Clinch River
18 because of vastly different characteristics. Pressures
19 are different. It is below the boiling point. The coolant
20 of sodium is below its saturation or boiling point in
21 the CRBR and there are systems to mitigate a pipe break
22 from leading to a CDA at Clinch River, such as the guard
23 vessels and the positioning of piping above the top of
24 the core.

25 Again, that's all referenced on Page 17 of

9-9

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Staff Exhibit 2.

2 I won't go into a discussion of the Calvert
3 Cliffs comparison. Mr. Edgar already did that but I do
4 know that Dr. Cochran, in his argument, used that as a
5 starting point for arguing that the interdependency is
6 likely to make a difference Clinch River, interdependencies
7 of systems, in that that will somehow cause the Staff's
8 analysis to be flawed because the Staff hasn't considered
9 that.

10 That simply isn't true. The record supports
11 the conclusion that the Staff has adequately considered
12 the likelihood of interdependence.

13 If you look at Transcript Page 2256, I think
14 that's Dr. Morris, that testified that the likelihood
15 of interdependency causing an accident, is very low at
16 Clinch River.

17 / / /

18

19

20

21

22

23

24

25

10-1

ge

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. SWANSON: Dr. Cochran admitted that
2 Dr. Rumble disagreed with the statement that Dr. Cochran
3 was trying to advance regarding interdependencies in
4 connection with Calvert Cliffs.

5 Further, the Staff's Exhibit 2 at Pages 23 and
6 24 regarding human error indicate that one cannot draw
7 a conclusion, as Dr. Cochran did, that system inter-
8 dependence is likely to cause a greater likelihood of
9 human error in contribution of accidents at Clinch River.

10 On the pages I references, Pages 23 and 24
11 of Staff Exhibit 2, the Staff points out that rapid
12 operator action in responding to accidents will not be
13 necessary at Clinch River.

14 The Staff goes into greater discussion there
15 that the likelihood of human error, operator misaction,
16 because of various items, including systems interaction,
17 is not a significant problem at Clinch River, that it has
18 adequately been considered by the Staff, and that the
19 argument that somehow the systems at Clinch River place a
20 greater burden on the operator in the response time, that
21 argument by Intervenors simply does not hold weight.

22 In terms of the systems interaction review,
23 the Staff would simply point out that in Exhibit 2, in
24 response to Question 13, particularly at Pages 15 and 16,
25 the Staff points out the basis for its reliance that systems

10-2 1 interaction will be adequately considered in detail at the
2 CP review, the assurance that systems interaction will be
3 adequately considered, and thus that it need not play a
4 greater role in accident analysis at this time are the
5 IEEE Standard 279 and various Reg. Guides enumerated in
6 the Standard Review Plan that assure that common cause
7 problems are adequately considered.

8 I also would refer you to examination of
9 Applicants' Witness Clare at pages Transcript 5270 through
10 71, and also 5247 through 49, where that witness indicated
11 that key systems review had been performed and that the
12 common cause matter was adequately considered in performing
13 the analysis which led to conclusions regarding likelihood
14 of systems interaction and common mode failures leading to
15 an accident.

16 I also would point out that the Staff's Exhibit
17 8, the Final Environmental Statement Supplement, in
18 response to NRDC comments -- you can find that at Pages
19 12-77 and 78 in response to NRDC Comments 114(e) and 115.

20 The Staff discussed its assessment of systems
21 interaction, common mode failures, and the reliability
22 program that the Staff will require to assure that -- when
23 we get to the details level of review at the construction
24 permit stage and beyond, that these matters are considered.

25 The Staff, particularly in response to NRDC

10-3

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 Comment 115 -- and that discussion is on Page 12-78 of
2 the FES Supplement -- details four points that the Staff
3 will require as part of the reliability program, which
4 help assure that common mode failures, systems interactions
5 problems will be adequately considered.

6 The four points I will not go into in detail,
7 but simply state that these four points provide assurance
8 to the Staff that common cause failure modes will be
9 eliminated, and it's based on the assurance that an adequate
10 reliability program will be in place.

11 The reliance on IEEE-279 is a measure of review
12 and the Reg. Guides and other aspects discussed on Pages
13 15 and 16 of Staff Exhibit 2.

14 These items help to assure the Staff that
15 systems interaction, common mode failures will be
16 adequately assessed at the level of review at the CP stage
17 and beyond, so that we do have adequate assurance that
18 these items need not be given undue weight at this stage
19 when assessing the likelihood of accidents.

20 I mentioned before the probability and
21 consideration of probability by the Staff of the likelihood
22 that a CDA energetic accident would cause -- would lead to
23 a more severe accident than that considered by Staff.

24 Dr. Cochran raised that argument again in his
25 argument later on, and I would simply refer you to the

10-4

1 Staff's testimony. That's Exhibit 17, in Answer 43. That's
2 on Page 35, where the Staff gave its reasoning behind its
3 choice of the one in ten probability, it's conditional
4 probability, that given a CDA, that it will lead to an
5 energetic situation for which Intervenors claim we have
6 not given adequate consideration.

7 I think that covers the Intervenors' points. I
8 would simply conclude that the Staff did give adequate
9 consideration in its environmental analysis to the risk of
10 accident sequences.

11 The conclusions of the Staff in its analysis
12 are set forth, again, in Staff Exhibit 17, and the
13 conclusions that are contained in Pages 47 through 50 of
14 that document, and are discussed in greater detail in
15 Appendix J of the Staff's Final Environmental Statement
16 Supplement, that is, Staff Exhibit 8; the conclusion
17 being that an adequate analysis was performed and that
18 the environmental risks are acceptably small and are
19 comparable to those of LWR's.

20 That concludes what I have.

21 JUDGE MILLER: Rebuttal?

22 MR. EDGAR: Just one point for the record.

23 In Dr. Cochran's discussion on pipe rupture,
24 he urges that the problem is basically that there's been
25 no demonstration by the Applicants or Staff on a, quote,

10-5

1 detailed level of analysis.

2 We find that curious. Applicants' Exhibit 24
3 was objected to by Intervenors and a motion to strike was
4 filed on the grounds that it was too detailed, and it
5 deals with that subject.

6 Indeed, that's the fundamental source of
7 information concerning the characteristics of the primary
8 heat transport system piping.

9 There are two additional references, aside
10 from Applicants' Exhibit 24 that are important here.

11 The argument is made by Intervenors that even
12 if the Staff's probability estimate is valid, nevertheless,
13 one must go on and show something to the effect that
14 cracks in pipes won't propagate to large leaks.

15 In that respect, I would cite the Board to
16 two sources. First, Exhibit 1 of Applicants, Tr. 2029
17 through 2032; Applicants' Exhibit 24.

18 In addition, however, I should note the
19 guard vessels and elevated piping to maintain inventory
20 are described at Applicants' Exhibit 46, Page 16.

21 That would conclude my rebuttal. The one
22 item I would note for the record in addition is I gave a
23 citation to Applicants' Exhibit 36, which is an analysis
24 of the issue of buildup or burnup, Plutonium-238 and 241
25 concentrations.

10-6 1 The burden of this analysis is that recycle
2 of PU-238 and 241 in Clinch River will reduce their
3 relative concentrations.

4 The citation I gave should be stated a little
5 more accurately, because the ER is five volumes, and I
6 would rather have a unique clearer identification, if I
7 may.

8 The full citation would be Applicants' Exhibit
9 36. That is Volume 3 of the Environmental Report.

10 In order to find the appropriate section
11 within Volume 3, which is Exhibit 36, one should look
12 under the tab labeled, "Appendices," and within that tab
13 one will find a write-up entitled, "14.4A" -- that's a
14 large "A" -- "Appendix to ER Chapter 5.7."

15 That is Amendment XVI (October, 1982). I
16 think that will assist in finding it. It can be confusing
17 to go through the ER at times.

18 I note that the time is becoming rather finite.
19 The Board had indicated to us a spirit that the Board
20 would like to have discussion focused on what we regard
21 at the contested issues.

22 In our judgment there was no testimony filed
23 on 5(b). We don't regard 5(b) as involving serious
24 dispute, and therefore, we prefer to rely on our proposed
25 findings; and given valuable trial time before the Board,

10-7

1 I am going to skip that and go to 2(e), the dose guidelines,
2 where we feel there are some clear disputes, and I
3 will proceed with that at this time.

4 JUDGE MILLER: Well, let me take a reading while
5 we are at it.

6 It would not be fair to go partly into a
7 certain argument and not have complete responses, or
8 have it addressed by all parties.

9 I am, therefore, wondering really, we have
10 about 30 to 35 minutes.

11 I am wondering, really, if there is anything
12 that can be completely covered in that time in any
13 meaningful way.

14 - - -
15
16
17
18
19
20
21
22
23
24
25

11-1
bm

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554 2345

1 MR. EDGAR: I doubt it, Your Honor, if by
2 all parties. I think it would be --

3 JUDGE MILLER: Yes, by all parties because it
4 wouldn't be fair to have some arguments heard and others
5 not.

6 We're considering the possibility of continuing
7 these arguments. They are arguments of counsel --
8 in Bethesda, since it does give the Board a preview --
9 and we've had some requests before to have some of our
10 proceedings in the Washington area anyway.

11 Since the formal proposed findings of fact
12 and conclusions of law of record will be those written
13 ones which you were requested to have in the Board's
14 hands by January 24, 1983, you will have the opportunity
15 to have your record of proposed findings in the spirit
16 in which our regulations contemplate them.

17 We are actually trying this method of extended
18 closing arguments in order to give the Board a preview
19 of the essential issues, to give us an advance shot at
20 starting to study the record and the transcripts and ex-
21 hibits in a meaningful way instead of a confused mass until
22 we receive your written findings.

23 Therefore, that being the nature of our experi-
24 ment, we don't think anybody would be put at a disadvantage
25 if we were to resume these closing arguments in our

1 courtroom in Bethesda, Maryland, which we're inclined to
2 do.

3 Does anyone have any comments on that?

4 DR. COCHRAN: That's one of the best sug-
5 gestions I've heard in a long time.

6 JUDGE MILLER: Well, at the time of our
7 suspension of proceedings here today, we're certainly in
8 agreement, Dr. Cochran, on that one.

9 Next week is Christmas week. What about the
10 period between Christmas and New Year's? The sooner we
11 do this, while it's fresh in our minds, the more helpful
12 it is to all of us.

13 MR. EDGAR: Mr. Chairman, I'll be very candid
14 on the record.

15 I was planning to take four days off, for the
16 first time in two years. I'll be there if you want us,
17 but --

18 JUDGE MILLER: Where were you planning to go?

19 (Laughter.)

20 MR. EDGAR: Well, it's very important to me
21 personally --

22 MR. SWANSON: I also am going to be out of
23 town that week.

24 JUDGE MILLER: All right. You're talking
25 now about the week of December 27 through 30 or 31; is that

1 it?

2 MR. SWANSON: That's correct.

3 JUDGE MILLER: How do you feel about next
4 week, the 20th or 21st, 22nd?

5 (Laughter.)

6 JUDGE MILLER: You breathe too heavily!

7 Well, then I take it that what we had better
8 do is get on the ball the first week in January. And
9 since the first working day is Monday, the 3rd, how does
10 that grab you?

11 MR. SWANSON: Are we talking about a one-day
12 argument?

13 JUDGE MILLER: You'll notice we put no
14 time limits on it. We think counsel -- By the way,
15 on this you've all done an excellent job, and we commend
16 all of counsel.

17 You're making an analysis in depth and in
18 focusing.

19 We think that the -- The Board is preferring
20 not to impose time limits. We think that your own sense
21 of the adequacy of your addressing these subjects be your
22 guide.

23 If it gets out of hand, we might have to, but
24 so far we've certainly been pleased with the results.
25 And if someone feels that another party or counsel is

11-4

✓

1 taking too much time, talk to each other, too. We en-
2 courage that -- at recess and off the record.

3 All right. Then does anyone have any ob-
4 jection to resuming, say, 9:00 on Monday, January 3rd?

5 DR. COCHRAN: Would the 4th be just as good?

6 JUDGE MILLER: Yes, probably, because we have
7 a whole week there. We're going to keep rolling once
8 we've started.

9 MR. EDGAR: The 4th would be fine with us.

10 DR. COCHRAN: It wouldn't kill an otherwise
11 attractive weekend.

12 JUDGE MILLER: All right.

13 MR. EDGAR: Judge Miller, that will be in
14 the hearing room at East/West --

15 JUDGE MILLER: Yes, we have the courtroom
16 there shared by the Appeal Board and the Panel, the Fifth
17 Floor, East/West Towers, East/West Highway, Bethesda,
18 Maryland, commencing at 9:00 a.m., Tuesday, January 4,
19 and continuing until the conclusion of the closing argu-
20 ments.

21 Anything else?

22

- - -

23

24

25

12-1
bm

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

1 MR. EDGAR: Mr. Chairman, there was some dis-
2 cussion in the conference call of counsel prior to coming
3 down for the hearings -- I think it was the Wednesday or
4 Tuesday before -- the week before; and I'd just like to
5 get some initial, informal discussion.

6 I have a proposal to make on future schedules.
7 I mean, we're projecting now -- getting the findings before
8 the Board -- projecting a continuation of the oral argu-
9 ment.

10 But looking beyond that, the Staff contemplates
11 issuing the Safety Evaluation Report in early March.

12 JUDGE MILLER: Does the Staff still?

13 MR. SWANSON: Yes.

14 MR. EDGAR: Right now the Applicants and
15 Staff have -- The Applicants have applied for an LWA-2,
16 and the Staff and Applicants have been discussing the
17 scope of that review and the timing of that review by the
18 Staff.

19 What I would like to propose to take the matter
20 off the Board's hands is that the parties confer. We
21 will propose a schedule sometime in the next several
22 weeks to the Intervenors and to the Staff and get together
23 to see what we can accommodate.

24 Our initial thinking is that with an early
25 March Safety Evaluation Report and with an LWA-2 involving

12-2

1 the plant foundations below grade, that it would be
2 possible to get into hearing by mid- to late May on those
3 issues.

4 But rather than go through that in great
5 detail at this point, I think it would be well for the
6 parties to sit down and come up with a proposal or an
7 approach and see if those general objectives which would
8 be an SER in early March, hearings in late May, are
9 feasible, and then bring it to the Board to see what can
10 be done.

11 I guess my thought would be that we might be
12 able to tailgate some discussion of that issue in the
13 oral argument that we'd have out in the Board's -- you
14 know -- devote a little bit of time for just a prehearing
15 meeting of counsel on that.

16 JUDGE MILLER: Yes. I'm certain we could.
17 And while we're all together there, it would be agreeable
18 with the Board. And we do encourage the parties and
19 their counsel to confer in advance, agree so far as they
20 can upon both issues, a proposed schedule for discovery,
21 motions, if any, pretrial briefs, if required by the
22 issues, and anything else that would be leading up to an
23 agreed commencement of trial.

24 MR. EDGAR: All right. We'll confer and try
25 to see what makes sense in that area.

1 JUDGE MILLER: Judge Linenberger.

2 JUDGE LINENBERGER: I just wanted to make one
3 brief comment -- this is a long way ahead of time. But
4 when we get into LWA-2 matters, I just want to observe
5 that the Board does not stand in awe of blue prints or
6 construction drawings or whatever, so to the extent any-
7 body feels they might augment that case, feel free.

8 MR. EDGAR: In that regard, I would like to
9 consider again sometime in the spring the possibility of
10 making the opportunity available to the Board and the
11 parties -- no problem either -- but for the Board to
12 tour that model up at Burns and Rowe.

13 As we get into LWA-2, we're --

14 JUDGE MILLER: Where is that?

15 MR. EDGAR: That's in Oreville, New Jersey,
16 Your Honor. That's not too far from the Newark Airport.
17 I think you've got to rent a car.

18 But the thing is as large as this room. And
19 as we get toward the design issues, it is a good physical
20 thing to take a look at.

21 JUDGE MILLER: We might arrange that.

22 Dr. Cochran, have you had a chance to avail
23 yourself of that view -- that preview. I'm inquiring:
24 Do you wish to participate in the event that we decide
25 at some point --

12-4

1 DR. COCHRAN: I haven't given it any considera-
2 tion. I see no objection to scheduling such a viewing.

3 JUDGE MILLER: Okay. Dr. Hand has indicated
4 to me that possibly one week in late May might be available,
5 but he's going to have problems with his own professional
6 scheduling until approximately what? The first week of
7 June?

8 JUDGE MILLER: No, my class will finish the
9 10th of June.

10 JUDGE MILLER: After June 10. So you might
11 bear that in mind in arranging your schedules.

12 It is probable that Judge Hand will not be with
13 us January 4th, although we certainly would like to have
14 him, but we understand -- well, he lives 3000 miles away,
15 in the first place.

16 Since we are proceeding without any parti-
17 cipation by the Board, you'll note there have been no
18 questions, although there are some questions that the Board
19 might have had, but we preferred to let counsel handle
20 this as though it were an oral phase of their proposed
21 findings, which is entirely in their hands: time, what
22 they want to talk about and the like -- so without any
23 Board participation other than listening, and then cer-
24 tainly reading the transcript because the transcript will
25 contain the references which will be very helpful to us.

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

12-5

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

300 7TH STREET, S.W., REPORTERS BUILDING, WASHINGTON, D.C. 20024 (202) 554-2345

If there be no objection, it's likely that we will go by quorum on the conclusion of the final arguments, so that we don't -- we're able to schedule them and not impose upon Judge Hand's own requirements.

All right.

(Whereupon, at 11:00 a.m. the hearing was recessed, to reconvene on Tuesday, January 4, 1983, at 9:00 a.m.)

NUCLEAR REGULATORY COMMISSION

This is to certify that the attached proceedings before the

in the matter of: TENNESSEE VALLEY AUTHORITY (CLINCH RIVER BREEDER REACTOR)

Date of Proceeding: December 17, 1982

Docket Number: 50-537

Place of Proceeding: Oak Ridge, Tennessee

were held as herein appears, and that this is the original transcript thereof for the file of the Commission.

Mary L. Bagby

Official Reporter (Typed)

Mary L. Bagby

Official Reporter (Signature)